


BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 070650-EI

In the Matter of:

PETITION TO DETERMINE NEED FOR TURKEY  
POINT NUCLEAR UNITS 6 AND 7 ELECTRICAL  
POWER PLANT, BY FLORIDA POWER & LIGHT  
COMPANY.



VOLUME 7

Pages 808 through 964

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE  
A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING,  
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN MATTHEW M. CARTER, II  
COMMISSIONER LISA POLAK EDGAR  
COMMISSIONER KATRINA J. McMURRIAN  
COMMISSIONER NANCY ARGENZIANO  
COMMISSIONER NATHAN A. SKOP

DATE: Friday, February 1, 2008

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR, CRR  
Official FPSC Reporter  
(850) 413-6734

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE

FLORIDA PUBLIC SERVICE COMMISSION

00868 FEB-4 8

FPSC-COMMISSION CLERK

## I N D E X

## WITNESSES

	NAME:	PAGE NO.
1		
2		
3		
4	KENNARD F. KOSKY	
5	Cross Examination by Mrs. Krasowski	814
	Cross Examination by Ms. Klancke	820
6	Redirect Examination by Mr. Anderson	833
	Recross Examination by Ms. Klancke	844
7		
8	HECTOR SANCHEZ	
	Prefiled Direct Testimony Inserted	847
9		
10	STEVEN R. SIM	
	Direct Examination by Mr. Anderson	866
11	Errata Sheet to Prefiled Direct Testimony Inserted	869
	Prefiled Direct Testimony Inserted	870
12	Cross Examination by Mr. Krasowski	946
	Cross Examination by Ms. Klancke	960
13		
14		
15		
16		
17	CERTIFICATE OF REPORTER	964
18		
19		
20		
21		
22		
23		
24		
25		

		EXHIBITS	ID.	ADMTD.
1	NUMBER:			
2	66	KFK-1		837
3	67	KFK-2		837
4	68	KFK-3		837
5	69	KFK-4		837
6	70	KFK-5		837
7	71	KFK-6		837
8	72	KFK-7		837
9	73	KFK-8		837
10	74	KFK-9		837
11	75	HJS-1	846	846
12	76	SRS-1	868	
13	77	SRS-2	868	
14	78	SRS-3	868	
15	79	SRS-4	868	
16	80	SRS-5	868	
17	81	SRS-6	868	
18	82	SRS-7	868	
19	83	SRS-8	868	
20	84	SRS-9	868	
21	85	SRS-10	868	
22	86	SRS-11	868	
23	97	Excerpts from U.S./Emission and Fuel Markets Outlook 2006		839
24				
25				

EXHIBITS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

NUMBER:		ID.	ADMTD.
99	Recalculated Appendix F		839
101	MIT Study	820	840
102	(Confidential) (Late-Filed) Complete ICF Study	824	840
103	(Late-Filed) ICF Update	838	840

## P R O C E E D I N G S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(Transcript follows in sequence from Volume 6.)

CHAIRMAN CARTER: Good morning. We'll reconvene the hearing. When we last left we had -- Mr. Beck finished his cross on Mr. Kosky. And now we'll recognize Mr. Krasowski or is it Ms.? Ms. Krasowski, you're recognized.

MR. KRASOWSKI: Mrs. Krasowski.

CHAIRMAN CARTER: Ms. Krasowski.

MR. KRASOWSKI: Mrs.

CHAIRMAN CARTER: I've been saying Ms. all week. I'm so sorry. Mrs.

MR. KRASOWSKI: Well, that's okay. Either way.

MRS. KRASOWSKI: Or Ms. is fine.

MR. KRASOWSKI: Who knows what the future holds, especially after this.

(Laughter.)

CHAIRMAN CARTER: Jan, you're recognized.

MRS. KRASOWSKI: Thank you.

MR. ANDERSON: Chairman Carter.

CHAIRMAN CARTER: Yes, sir. Mr. Anderson, one moment.

MR. ANDERSON: Before we begin I wanted to indicate that there has been passed out to everyone Late-Filed Exhibit 99 in two versions. Some of our colleagues were very good and stayed up very, very late last night and prepared this in time

1 for the hearing this morning and I wanted people to have this.

2 CHAIRMAN CARTER: One second. Hold on. Hold your  
3 thought.

4 (Pause.)

5 Okay. Mr. Anderson, we're back on the record. And  
6 you were mentioning the fact that we had premarked as  
7 late-filed exhibits, if I can find my exhibit list here, I  
8 think we were in the 99 and 100, in that category.

9 MR. ANDERSON: Our records show this would be FPL  
10 Late-Filed Exhibit 99.

11 CHAIRMAN CARTER: This will be 99. Okay.

12 MR. ANDERSON: A good name might be CO2 Environmental  
13 Compliance. I'm sorry it was named yesterday.

14 CHAIRMAN CARTER: Yes. We got a name, we got a name  
15 for it. It's Recalculated Appendix F. Right, Mr. Beck?  
16 Wasn't that what you --

17 MR. BECK: Yes.

18 CHAIRMAN CARTER: Okay. Good deal. So this will be  
19 99. Thank you so kindly, Mr. Anderson.

20 MR. ANDERSON: You're welcome.

21 CHAIRMAN CARTER: Appreciate it. Commissioner Skop,  
22 one moment. One second.

23 (Pause.)

24 Jan Krasowski, you're recognized.

25 MRS. KRASOWSKI: Thank you, Chairman Carter.

## CROSS EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MRS. KRASOWSKI:

Q Good morning, Mr. Kosky. Nice to see you again.

A Good morning.

Q Am I correct in my understanding that the reason you didn't consider the greenhouse gas effect, the greenhouse gases from efficiencies is because you're, you're only reading generating technologies? This is a general question.

A In terms of my testimony, it really dealt with the avoided CO2 emissions of technologies, that's correct, as they operate and generate electricity.

Q Thank you. I would like to go to Page 11 of your testimony. If I may have a minute, please.

CHAIRMAN CARTER: You can take a minute.

MRS. KRASOWSKI: Excuse me. I have to get on Page 11 here.

CHAIRMAN CARTER: Page 11 is fine.

MRS. KRASOWSKI: Thank you.

BY MRS. KRASOWSKI:

Q Mr. Kosky, in Lines 2 through 6 you speak of the water use of the plant and where the water is going to come from. Can you, can you tell me where the water is going to come from and where -- are you allowed to take -- okay -- where the water is going to come from?

A Well, I cannot. But as testified to by Mr. Scroggs,

1 there's several alternatives being evaluated, of which -- and  
2 on Page 11 I allude to several.

3 Q Thank you. On Line 6 -- can you tell me what a UIC  
4 well is?

5 A UIC is an acronym for underground injection control  
6 well or otherwise called an injection well.

7 Q And will you need permits for those if you plan on  
8 using those for, for the cooling water?

9 A Yes. Actually, that would also -- that would be  
10 looked at in the site certification application process. In  
11 addition, this particular permit also has federal ramifications  
12 that has special public notice and review processes with it.

13 Q Thank you. In Lines 7 and 8 of the same page you say  
14 that "Turkey Point 6 and 7 will not have industrial water  
15 charges to surface waters or groundwater that can impact the  
16 environment."

17 Are you -- on what do you base this opinion?

18 A Well, the opinion is based on -- and, again, they  
19 haven't decided exactly all the engineering aspects of the  
20 control was -- on Lines 5 and 6 I allude to the cooling canal  
21 system. That's regulated by FDEP as an industrial wastewater  
22 facility. There's no discharges and UIC injection wells. UIC  
23 injection wells are used throughout South Florida to, to inject  
24 wastewaters. And, in fact, West County Energy Center is using  
25 those wells and it's been used on power plants.



1 Q Are, are the cooling canal systems already used to  
2 their maximum by the existing Turkey Point nuclear plants that  
3 are there at the site?

4 A I'm not sure I understood your question.

5 Q Are the cooling canal -- is the cooling canal system  
6 that is currently used by the current Turkey Point 3 and 4  
7 nuclear generators used to its maximum already?

8 A From the standpoint of thermal cooling it would not  
9 be used for Turkey Point 6 and 7, so in that context it would  
10 not. However, possibly some other waters could be released to  
11 the cooling canal system. For example, on Turkey Point Unit 5  
12 the cooling tower blowdown, as it were, using water is released  
13 to the cooling canal system. Those studies have not been done  
14 to date for Turkey Point 6 and 7.

15 Q Thank you. Mr. Kosky, are you familiar with the  
16 allowed levels of tritium emissions that are allowed to be  
17 emitted into the water and into the cooling canal system at  
18 Turkey Point?

19 A No, I am not.

20 Q In the same line, which is Page 11, Number 8, you  
21 state that "Nuclear steam generation does not produce air  
22 emissions." Can you elaborate?

23 A Well, during the generation of electrical power they  
24 do not emit air emissions. In fact, the FDEP issues federally  
25 enforceable air operating permits. Turkey Point Units 3 and 4

1 are covered by that permit. The DEP categorizes various  
2 different types of emissions, whether they be, let's say, major  
3 or unregulated. But in this case all the facilities at Turkey  
4 Point Units 3 and 4 are listed in that permit as insignificant  
5 activities, virtually no air emissions. There's -- essentially  
6 they are covered by that, that permit and there is no air  
7 emissions of, of any type that DEP would regulate or care to  
8 regulate.

9 Q Are you familiar with Mr. Stall's testimony given  
10 earlier in this hearing?

11 A I listened to some of Mr. Stall's testimony.

12 Q Thank you. On Page 23 -- oh, wait. I'm sorry. On  
13 Page 12, Line 23. Sorry. Are you familiar with the manmade,  
14 with the manmade gas uranium hexafluoride?

15 A I'm not familiar with that specific gas.

16 Q Thank you. On Page 1, Lines 8 through 11, have --

17 A I have that.

18 Q Does this include the dry casking storage of spent  
19 fuel waste?

20 A Well, the testimony here deals with life cycle,  
21 greenhouse gas emissions, and it would follow from the  
22 development of a resource to the final decommissioning, which  
23 would include any activities that are associated with storage  
24 of anything whether the power plant be nuclear or whether it be  
25 coal.

1 Q Does, does a coal plant have waste that lasts for  
2 3,000 years and beyond?

3 MR. ANDERSON: FPL objects to this line of  
4 questioning. It's beyond the scope of Mr. Kosky's testimony.

5 CHAIRMAN CARTER: We'll sustain the objection.

6 MRS. KRASOWSKI: Okay. I'll move on.

7 BY MRS. KRASOWSKI:

8 Q All right. On your exhibit, on your Exhibit KFK-4,  
9 which is on the handout, does --

10 A I have it.

11 Q Okay. Thank you. Does this include the life cycle  
12 of -- does this include the nuclear fuel cycle?

13 A Well, what this exhibit really presents is the  
14 avoided CO2 emissions from nuclear. If nuclear, if the four  
15 nuclear units that Florida Power & Light operates were never  
16 constructed, that power would have to be supplied by something.  
17 This particular exhibit shows that if it was replaced by gas,  
18 oil or coal, these emissions would have occurred. Now in each  
19 case, whether nuclear, oil, gas or coal, it doesn't, it doesn't  
20 have the life cycle emissions, it has the actual emissions.  
21 But related to your question, if this were to add life cycle  
22 emissions to it, nuclear -- and the difference would be much  
23 greater for oil, coal and gas than it would be for nuclear.

24 MRS. KRASOWSKI: Thank you. That's the end of my  
25 questions.

1           CHAIRMAN CARTER: Thank you. Commissioners, I'm  
2 going to go to -- unless you've got some questions, I'm going  
3 to go to staff next.

4           Staff, you're recognized.

5           MS. KLANCKE: Thank you, Commissioner.

6           At this time as a predicate matter I'd like to move  
7 into the record staff's fourth request for production of  
8 documents number 20. We have asked the parties and there are  
9 no objections, and as such I would like to move this MIT report  
10 entitled "MIT Joint Program on the Science and Policy of Global  
11 Change" into the record.

12           CHAIRMAN CARTER: Has this, has this been premarked?  
13 So this will be Exhibit Number 100.

14           MS. KLANCKE: Yes, sir.

15           CHAIRMAN CARTER: Just one second here. Give  
16 everybody a chance to kind of get a copy and then we'll log it.  
17 This will be Exhibit -- no, actually it will be 101.

18           MS. KLANCKE: 101. That's correct.

19           CHAIRMAN CARTER: 101. No. FPL late-filed was 99.  
20 And, oh, the FPL updated pages from the new study would be 100.  
21 I'm sorry. Give us a second to get together.

22           From my tracking here, 98 was the updated ICF  
23 forecast, 99 was the recalculated Appendix F, 100, updated  
24 pages from the new study. You guys are listening; right?

25           MR. BECK: Right.

1 CHAIRMAN CARTER: So this would be 101. This is,  
2 101 is a, this is a -- give me a title, staff.

3 MS. KLANCKE: The title of this document is "MIT  
4 Joint Program on the Science and Policy of Global Change."

5 CHAIRMAN CARTER: Just call it "MIT Study." Would  
6 that work for everybody?

7 MS. KLANCKE: You could just do POD 20, if it's  
8 easier.

9 CHAIRMAN CARTER: "MIT Study" works for me.

10 MS. KLANCKE: That's fine.

11 CHAIRMAN CARTER: Okay. Now you wanted to move this  
12 in? Are you going to --

13 MS. KLANCKE: We'll just have it identified as 101 at  
14 this time.

15 CHAIRMAN CARTER: Okay. Yeah. Let's identify it  
16 first and then see what happens from there. Okay?

17 (Exhibit 101 marked for identification.)

18 MS. KLANCKE: Excellent. Thank you.

19 CHAIRMAN CARTER: All right. You're recognized.

20 CROSS EXAMINATION

21 BY MS. KLANCKE:

22 Q Good morning, Mr. Kosky.

23 A Good morning.

24 Q Mr. Kosky, you have provided us with Exhibit 99  
25 reflecting the updated Page 3 of 4 of Appendix F; is that

1 correct?

2 A Yes.

3 Q And this updated Page 3 of 4 of Appendix F, of  
4 Appendix F is based upon a 2000 report by ICF Consulting  
5 entitled "U.S. Emissions and Fuel Market Outlook 2007"; is that  
6 correct?

7 A Yes. It reflects an adjusted Appendix F, which was  
8 the label that we had.

9 MR. ANDERSON: For the clarity of the record, I think  
10 you said 2000 report. I think it's 2007.

11 MS. KLANCKE: 2007.

12 MR. ANDERSON: Very good. Thank you.

13 THE WITNESS: It's 2007.

14 BY MS. KLANCKE:

15 Q And this new adjusted ICF report forms the basis of  
16 this Page 3 of 4 of Appendix F?

17 A Yes. It's a recalculated page of 3 of 4. There's  
18 actually two components. One is the Appendix F, which was the  
19 basis for the environmental compliance cost. The adjusted  
20 Appendix F was requested by the Office of Public Counsel and  
21 calculated in a, in a similar manner.

22 Q With regard to the original Appendix F, this  
23 comprised FP&L's forecast of environmental compliance costs; is  
24 that correct?

25 A Yes. It was used as a forecast.

1 Q Has your testimony changed at this time such that  
2 Appendix F as filed currently is no longer your forecasted  
3 environmental compliance costs?

4 A No, it has not from my perspective. As you can see  
5 from the chart, the actual costs for the 2007 projection are  
6 higher and in some cases much higher depending upon the year  
7 for the different scenarios.

8 Q Given these fairly considerable higher adjustments,  
9 why are you not changing your testimony given this updated  
10 information that has been made available?

11 A Well, Appendix F, and I believe another FP&L witness  
12 will address the actual use of that within the overall  
13 determination of cost, I was not involved in that, evaluated  
14 the Appendix F relative to various scenarios.

15 My understanding of those scenarios are that these  
16 costs on appendix, original Appendix F produced certain  
17 outcomes of which nuclear generation at Turkey Point 6 and 7  
18 were favorable.

19 If the adjusted Appendix F were used, the cost would  
20 even be higher and, in fact, higher than what I illustrated in  
21 my testimony. And that's my basis that I would not change  
22 Appendix F.

23 Q Do both the 2007 ICF report as well as the MIT study  
24 consider the effects of the 110th Congressional session?

25 A Yes, in part. The MIT is actually earlier than the

1 ICF report. The ICF report is more current. And as I  
2 testified yesterday, I had received it last Thursday, Friday.

3 Q Well, then what weight should this Commission  
4 attribute to this MIT study, given that it does not take into  
5 consideration the 110th Congressional session as the updated  
6 ICF report does?

7 A Well, the weight it should give is the fact that it  
8 did consider some bills that are more current than the 2006  
9 projection of ICF.

10 The MIT study was used as an indicator, it wasn't  
11 used as the exact numbers because the analysis was different,  
12 that CO2 costs might be higher in the future.

13 That was used to encompass a range as shown on the  
14 exhibit Appendix F, ENV IV, increasing a previous ENV III by  
15 30 percent based on the study.

16 Now based on the latest information from ICF, in  
17 fact, that particular judgment which was made months and months  
18 ago appears to be correct in looking at ICF's latest numbers.  
19 All the -- if you were to look at, at even what we characterize  
20 as ENV III on the adjusted, they're all higher than ENV IV. So  
21 that's the way I would use to judge the MIT study. It was used  
22 as a tool to reflect increasing CO2 costs, which ICF has  
23 confirmed in their latest analysis.

24 Q Since you therefore relied on the 2006 ICF report to  
25 prepare your testimony and pursuant to your deposition and that



1 report has now been updated by this new 2007 ICF report, is  
2 your testimony or the testimony of the other FPL witnesses  
3 reflective of the best information available, currently  
4 available for the purposes of making a decision regarding the  
5 cost-effectiveness of these proposed units in your opinion?

6 A In my opinion, it wouldn't be the latest information.  
7 It would be, in my opinion, the analysis that was done  
8 conservative and conservatively low in terms of CO2 costs.  
9 Any -- since it does increase, any increase, because nuclear  
10 generation is not emitting, would be added to the overall  
11 assessments made by Florida Power & Light and presented in the  
12 Need Study presented to the Commission.

13 Q Would you please provide to this Commission a  
14 late-filed exhibit, I believe Number 102, containing the entire  
15 2007 ICF Consulting report entitled "U.S. Emissions and Fuel  
16 Market Outlook 2007"?

17 A That report is confidential and would have to be  
18 addressed by FPL.

19 CHAIRMAN CARTER: Mr. Anderson, you're recognized.

20 MR. ANDERSON: FPL will be pleased to provide that on  
21 a confidential basis, and we have copies here for staff.

22 CHAIRMAN CARTER: We'll mark that as Exhibit 102.

23 (Exhibit 102 marked for identification.)

24 MR. ANDERSON: The other thing is yesterday Mr. Beck  
25 marked and it was offered into evidence certain excerpts from

1 that report, and he asked if we could have copies of those  
2 made. So we have copies of all of those in red folders should  
3 there be a desire for that also, just whenever people would  
4 like that.

5 MS. KLANCKE: Excellent.

6 MR. BECK: Mr. Chairman, I don't know if this  
7 simplifies it or makes it more difficult, but if the whole  
8 study is going to come in, then that could replace Exhibit 100,  
9 which is an excerpt from the study, at your pleasure. Number  
10 100 is only certain select pages from the study. Staff has  
11 asked for the whole study, so it seems to me you could have  
12 one, replace 100 with the entire study, if you wish.

13 MR. ANDERSON: And FPL has no objection to that.

14 CHAIRMAN CARTER: We'll replace -- you want the  
15 entire study in?

16 MS. KLANCKE: Chairman, we would like the entire  
17 study to be reflected as an exhibit. That being said, I  
18 believe that we can include -- we can keep the exhibit list as  
19 it is right now and just mark it 102 and leave the excerpted  
20 pages as 101.

21 CHAIRMAN CARTER: You maintain the confidential  
22 nature of the document; correct?

23 MR. ANDERSON: As long as in each case it's  
24 maintained as confidential, and that's what I'm hearing,  
25 there's no problem with that.

1 CHAIRMAN CARTER: Mr. Beck, you're comfortable with  
2 that?

3 MR. BECK: Either way is fine with me.

4 CHAIRMAN CARTER: Commissioners? Well, it's -- let's  
5 try it again so we're --

6 MR. BUTLER: Chairman Carter?

7 CHAIRMAN CARTER: Yes, sir, Mr. Butler.

8 MR. BUTLER: I think what Mr. Beck was suggesting, we  
9 certainly are fine with it, we're fine the other way too, but  
10 we wouldn't have to do any renumbering. He would simply  
11 withdraw the earlier exhibit and we would have 102 is what  
12 would be admitted into the record, and that would be the entire  
13 study. That's probably the cleanest way to do it. It avoids  
14 having an additional confidential exhibit.

15 CHAIRMAN CARTER: I was just getting, just getting  
16 friendly with 99.

17 COMMISSIONER SKOP: Mr. Chair.

18 CHAIRMAN CARTER: Yes, sir, Commissioner Skop.

19 COMMISSIONER SKOP: Thank you, Chairman Carter.  
20 Again, I was the same way in the same comfort -- again, this is  
21 a technical point of clarification. It seemed, and I think the  
22 testimony and, again, Mr. Beck, perhaps you can chime in, but  
23 the revised study data seems to increase the environmental  
24 compliance costs over the 2006 study, which would tend to  
25 support building nuclear, I would think. I'm a little confused

1 by staff's questioning and I'm trying to flesh out what we're  
2 trying to see from the data and that's where I'm a little lost.  
3 And I just wanted to -- you know, I'm trying to bring clarity  
4 to that because I'm losing it. I think I see what it is. I  
5 think the 2007 data projects higher environmental compliance  
6 costs on a forward-going basis. I think that's also reflected  
7 in the revised Exhibit F. But if that's the point that's  
8 trying to be made, can somebody just come out and say it  
9 plainly like that?

10 MS. FLEMING: Commissioners, if I may make a point of  
11 clarification with respect to the exhibits.

12 CHAIRMAN CARTER: Clarity would be most appreciated.

13 MS. FLEMING: I believe what Mr. Beck was stating is  
14 that Exhibit Number 100; is that correct?

15 MR. BECK: Yes.

16 MS. FLEMING: Could be replaced by 102. What I would  
17 suggest is we keep the exhibits identified as they are and at  
18 the end of Mr. Kosky's testimony when we move in the exhibits  
19 into the record, we not move in Exhibit Number 100. Instead,  
20 we move in Exhibit 102.

21 CHAIRMAN CARTER: Once again, Ms. Fleming, your  
22 clarity is impeccable.

23 MS. FLEMING: I'm glad I could help.

24 CHAIRMAN CARTER: What we're doing is that now  
25 Exhibit 102, which would be the "Complete ICF Study," is that

1 correct? Is that the title we're using?

2 MR. ANDERSON: Yes, sir.

3 CHAIRMAN CARTER: We're all on the same page? Okay.

4 So we've got that marked, and we'll deal with exhibits as we  
5 normally do at the end of the testimony of the witness.

6 MS. KLANCKE: Mr. Chairman?

7 CHAIRMAN CARTER: Yes, ma'am.

8 MS. KLANCKE: At this point I do have a few more  
9 remaining questions for the witness.

10 CHAIRMAN CARTER: Okay.

11 MR. KRASOWSKI: Mr. Chairman, may I ask a question  
12 before she proceeds?

13 CHAIRMAN CARTER: Wait a minute. Before I recognize  
14 you for your question, what is the nature of your question?

15 MR. KRASOWSKI: The nature of my question is about  
16 the exhibits.

17 CHAIRMAN CARTER: This -- I'm not sure because I  
18 don't know if you -- this is what I was asking staff and the  
19 parties before because I don't think you're party to the  
20 confidentiality agreement and I think we're dealing with some  
21 documents that are confidential. So that's why I was reticent  
22 about recognizing you. So I'm --

23 MR. KRASOWSKI: It wouldn't be a question regarding  
24 the content of the exhibits, just --

25 CHAIRMAN CARTER: I would rather be clear for the

1 record and not even go there because it's, this is judicial  
2 proceedings.

3 MR. KRASOWSKI: Yes.

4 CHAIRMAN CARTER: This is a judicial proceeding.  
5 It's also administrative and regulatory. And if there's an  
6 appeal or anything like that, I want to make sure that we have  
7 the record protected and perfected. So at this point in time I  
8 will not recognize you for your question. We may take a break  
9 and I'll talk to you, but I don't want to recognize you at this  
10 point for this question in this context. Okay? It would be  
11 inappropriate.

12 MR. KRASOWSKI: Sure.

13 CHAIRMAN CARTER: Okay. Staff, you're recognized.

14 BY MS. KLANCKE:

15 Q Mr. Kosky, let me turn your attention back to your  
16 updated Appendix F.

17 Is it correct that your Appendix F shows that as CO2  
18 allowance prices increase, the allowance price for the other  
19 listed pollutants within the original Appendix F including SO2,  
20 NOx and mercury would decrease; is that correct?

21 A Yes. In the projections there's an interaction  
22 between the pollutants that ICF projects.

23 Q Does the 2007 ICF report reflect any substantive  
24 changes to the other pollutants, including SO2, NOx and mercury  
25 forecasts as compared with the 2006 ICF report?

1           A     I haven't studied that in detail, just having the  
2 document less than a week. I did look at those pollutants and,  
3 in fact, they're very similar trends. There is interaction  
4 between CO2 and the other pollutants. I don't think there's  
5 any major changes in the allowance costs in my review of some  
6 of the costs and the comparisons I was making as compared to  
7 the original Appendix F that included those pollutants.

8           Q     Will your -- as a point of clarification, your  
9 updated Appendix F includes Page 3 of 4 of the original  
10 Appendix F pertaining solely to CO2 environmental compliance  
11 costs; is that correct?

12           MR. ANDERSON: If we might just object as to form.  
13 The late-filed Exhibit 99 has been characterized as updated FPL  
14 Appendix F. To be very clear, it is not. We stand by our  
15 Appendix F attached to the Need Study. What this is is we were  
16 asked as a late-filed exhibit to provide the specific  
17 information by OPC and we did that. So this should be  
18 considered in the nature of supplemental information in the  
19 record just in terms of attributions. Okay?

20           CHAIRMAN CARTER: I think you're correct. And this  
21 was asked for from Mr. Beck and that's the way it was prepared,  
22 and I like it because I actually understand it. So, but so  
23 let's let the record reflect the accurate title for the  
24 document.

25           MS. KLANCKE: I'll rephrase.

1                   CHAIRMAN CARTER:  You're recognized.

2  BY MS. KLANCKE:

3           Q       The supplemental figures reflected in Exhibit 99  
4  pertain solely to environmental compliance costs associated  
5  with CO2 compliance; is that correct?

6           A       That's correct.

7           Q       Would you please provide this Commission with a  
8  late-filed exhibit reflecting the supplemental information as  
9  it pertains to all of the emissions in the original Appendix F,  
10 including sulfuric dioxide, NOx and mercury on Pages, in  
11 particular, 1, 2 and 4 of the original Appendix F?

12                   CHAIRMAN CARTER:  Mr. Anderson.

13           MR. ANDERSON:  My suggestion would be, if you don't  
14 mind, if we could take that request offline.  We have to  
15 consult with the people who would have to do that work and work  
16 with you and see what, what work can be done, whatever.  If we  
17 can resolve it, we can report on the record.  If we don't, we  
18 can talk about it further.  Is that okay?  Because that's quite  
19 a pile of work and it's a really a tail of the dog financial  
20 issue.  Thank you.

21                   CHAIRMAN CARTER:  Why don't we do this, Mr. Anderson.  
22 We'll probably take a break at some time in the next millennium  
23 and maybe you can confer with your client at that point in time  
24 and then get back with staff.  Would that be all right?

25           MR. ANDERSON:  Yes, sir.



1 CHAIRMAN CARTER: Okay. You're recognized.

2 MS. KLANCKE: Chairman, this is all the questions  
3 that I have for this witness.

4 CHAIRMAN CARTER: Thank you so kindly.  
5 Commissioners?

6 COMMISSIONER SKOP: I have some questions.

7 CHAIRMAN CARTER: Commissioner Skop.

8 COMMISSIONER SKOP: Thank you, Chairman Carter. And,  
9 again, I apologize. It is relatively early again this morning,  
10 so I'm trying to follow along diligently.

11 And I think from what I understand is that yesterday  
12 we were provided Appendix F and Mr. Beck had some questions  
13 with respect to a revised 2007 study. I think the chain of  
14 events was that FPL ran the numbers overnight and the revised  
15 number showed a higher compliance cost on a forward-going basis  
16 for CO2 compliances; is that correct?

17 MR. ANDERSON: Commissioner Skop, that's right. The  
18 expected CO2 compliance costs according to this later ICF  
19 report are higher. Yes.

20 COMMISSIONER SKOP: Okay. And then my question for  
21 staff is I think staff may be suggesting that the other  
22 emission components may be -- while CO2 compliance costs may be  
23 going up under the revised study, that the other emissions may  
24 be going down as to negate or balance out or remain constant.  
25 Is that what we're trying to flesh out here? Because I'm,

1 literally I'm confused.

2 MS. KLANCKE: That is correct, Commissioner.

3 COMMISSIONER SKOP: All right. Thank you.

4 CHAIRMAN CARTER: Okay. I think we got clarity  
5 there. Commissioners?

6 Okay. Mr. Butler, is it Mr. Butler or Mr. Anderson  
7 on redirect? Mr. Anderson.

8 REDIRECT EXAMINATION

9 BY MR. ANDERSON:

10 Q Mr. Kosky, you were asked some questions by staff  
11 about FPL's continued reliance upon the environmental  
12 compliance costs in Appendix F. Do you recall those questions?

13 A Yes.

14 Q Is FPL relying on a precise set of projections or a  
15 range of projections?

16 A It's relying on a range of projections.

17 Q Would you explain to the Commission the thinking  
18 behind use of a range of projections for things like CO2 costs?

19 A Well, the reason for the use of a range especially  
20 for CO2 is the fact that no legislation has been passed. There  
21 have been several bills and in a new ICF report I believe  
22 there's seven that are analyzed, and they may change through  
23 Congress. It's unlike the Acid Rain Program which started in  
24 1990 where we actually have legislation for sulfur dioxide,  
25 nitrogen dioxides where there are knowns. Where there are

1 unknowns it's more appropriate to use a range. And, in fact,  
2 ICF in its report does not indicate or do one particular  
3 scenario. It does many scenarios for use by the electric  
4 utilities to evaluate. And in this case because there's no  
5 legislation CO2 as a range is entirely appropriate.

6 Q When you look at the updated values in the Appendix F  
7 version provided for OPC, what do you conclude in terms of the  
8 reasonableness of the range that FPL has presented and relied  
9 upon in its economic studies?

10 A Well, the range is entirely reasonable because it  
11 looks at both a low CO2 cost as well as a high cost. It'll  
12 likely be somewhere between those. And evaluating what the  
13 environmental costs would be because of the uncertainty,  
14 looking at that range would certainly be reasonable.

15 Q Staff also asked some questions about the possible  
16 effect if one were to look at the figures for the, for other  
17 emissions, sulfur dioxide and things like that. You had some  
18 testimony in your direct testimony about those. Could you just  
19 give the Commission an idea of kind of order of magnitude of  
20 the environmental compliance costs between CO2 and the others  
21 when we think about the nuclear plant?

22 A I did present some illustrative costs using the  
23 original Appendix F for all the pollutants. The order of  
24 magnitude is two or three times more, 100,000 times more for  
25 CO2. In terms of overall compliance costs, CO2 would be in the

1 billions of dollars; whereas, sulfur dioxide, nitrogen dioxide,  
2 mercury is in the, you know, millions, tens of millions, maybe  
3 a hundred million dollars. It's that kind of difference. I  
4 haven't done any calculation on 2007, but that's the difference  
5 between the CO2 effect and the other pollutants.

6 Q And, finally, if you think about the overall CO2 cost  
7 benefits down the road associated with existing nuclear or new  
8 nuclear, if the future were to hold higher CO2 costs like those  
9 in the adjusted Appendix F prepared at the request of Office of  
10 Public Counsel, which way does that favor things?

11 A It would certainly favor nuclear generation in terms  
12 of costs because the costs are projected to be higher.

13 Q And one last question. Did you have a chance to look  
14 at the SO2, NOx and mercury costs in the new 2007 ICF report?

15 A Yes. As I testified to the staff, I did some  
16 preliminary comparisons and they look comparable. There were  
17 decreases, there were interactions between the pollutants. I  
18 didn't see anything that was that different that would suggest  
19 that those pollutants would in the overall, in compliance costs  
20 particularly comparing them with nuclear would have really much  
21 of an effect. But I haven't done, you know, a detailed study  
22 of those particular projects.

23 Q Any substantial change?

24 A I don't believe so in my review of it.

25 MR. ANDERSON: Okay. FPL has no further questions

1 for the witness.

2 MS. BRUBAKER: Mr. Chairman, I'm sorry. May I?

3 CHAIRMAN CARTER: Staff.

4 MS. BRUBAKER: With apologies. With regard to the  
5 Exhibit 99 that was apparently provided this morning, staff has  
6 been reviewing, and, again, our apologies, we're trying to  
7 adapt and move as quickly as we possibly can. But with the  
8 Commission's indulgence and FPL's we would like to take a  
9 moment to confer. We may have an additional question or two.

10 CHAIRMAN CARTER: That's my favorite exhibit. Okay.  
11 Let's do this -- and in the meantime, Mr. Anderson, before we  
12 deal with the exhibits, you may have an opportunity to visit  
13 with your client about the request from staff. So I'm looking  
14 at 10:16. Let's be back at 10:21. That will be -- that's five  
15 minutes, isn't it?

16 MR. ANDERSON: Yes, sir.

17 CHAIRMAN CARTER: Okay. Let's do it. Five minutes.

18 (Recess taken.)

19 Okay. It's 10:22. I gave you an extra 60 seconds.  
20 Let's do this, let's kind of bring this in for a landing on the  
21 exhibits. And then I think we've got, we may have a couple of  
22 questions from the bench. But let's deal with the exhibits  
23 first. Well, I guess the last exhibit we'll wait to hear from  
24 Mr. Anderson on. I know he's checking with the client. But  
25 let's deal with the other exhibits first.

1           Let's deal with -- I think with Mr. Kosky it's  
2 Exhibits 66 through --

3           MR. ANDERSON: 74, Chair.

4           CHAIRMAN CARTER: -- 74. You're recognized to make  
5 your motion on the exhibits.

6           MR. ANDERSON: Thank you very much. FPL moves into  
7 evidence Exhibits 66 to 74.

8           CHAIRMAN CARTER: Okay. With no objection, show it  
9 done.

10           (Exhibits 66, 67, 68, 69, 70, 71, 72, 73 and 74  
11 admitted into the record.)

12           Okay. You may proceed further.

13           MR. ANDERSON: I also have a report that -- as  
14 requested, we consulted with FPL's businesspeople who would  
15 prepare the requested staff late-filed exhibit. They can do  
16 that. They say it'll take several business days though. So  
17 the suggestion is if we were to give it a number, give it a  
18 name, stipulate it into the record, and we would provide that  
19 as quickly as we can.

20           CHAIRMAN CARTER: And according to my notes, staff,  
21 correct me if I'm wrong, is that we're -- it's Exhibit 102 and  
22 we call it the "Complete ICF Study." Is that, is that what  
23 we're using as a title?

24           MS. KLANCKE: I believe that this is Exhibit 103.

25           CHAIRMAN CARTER: Oh, 103.

1 MS. KLANCKE: Oh, no, it's 102. Forgive me.

2 CHAIRMAN CARTER: Okay. It's been that kind of day.  
3 Mr. Butler.

4 MR. BUTLER: Yes. 102 is the complete 2007 ICF  
5 study. But I thought what we were talking about here is, in  
6 fact, 103, which is this additional update to Appendix F that  
7 we would be preparing and providing as a late-filed exhibit.

8 CHAIRMAN CARTER: Okay. Let's --

9 MS. KLANCKE: That's correct, Commissioner. Sorry.  
10 We're lawyers. We don't deal with numbers. That's okay.  
11 103 is the new late-filed exhibit.

12 CHAIRMAN CARTER: 103, late-filed exhibit. Give us a  
13 name.

14 MR. ANDERSON: How about staff requested ICF update.

15 CHAIRMAN CARTER: Too slow -- that's too long. Give  
16 me a short name. Give me something short I can hold on to.

17 MS. KLANCKE: "ICF Update."

18 CHAIRMAN CARTER: "ICF Update." I like it. Does  
19 that work for you, Mr. Anderson?

20 MR. ANDERSON: That's fine. Of course, sir.

21 CHAIRMAN CARTER: "ICF Update."

22 (Late-Filed Exhibit 103 identified for the record.)

23 Now Mr. -- are you complete? Let's go to Mr. Beck.

24 MR. BECK: Yes. I would move in Exhibit 97 and 99.

25 CHAIRMAN CARTER: Okay. Any objections,

1 Mr. Anderson?

2 MR. ANDERSON: No.

3 CHAIRMAN CARTER: Staff? Okay.

4 MS. KLANCKE: No objections.

5 CHAIRMAN CARTER: No objections. Show it done.

6 Exhibits 97 and 99.

7 (Exhibits 97 and 99 admitted into the record.)

8 Mr. Beck.

9 MR. BECK: Right. I will not move in Exhibit 98.

10 CHAIRMAN CARTER: Say again?

11 MR. BECK: I will not move in Exhibit 98 and will not  
12 move in Exhibit 100, contingent on Number 102 coming into  
13 evidence.

14 CHAIRMAN CARTER: Okay. Thank you, Mr. Beck.

15 Staff, we're just dealing with the exhibits for now.  
16 We need a playbook on these exhibits.

17 MS. KLANCKE: We'd like to, staff would like to move  
18 in Exhibit Number 101.

19 MR. ANDERSON: No objection.

20 CHAIRMAN CARTER: What about 102 and 103?

21 MS. BRUBAKER: The other two are late-filed,  
22 Chairman, and I'm --

23 CHAIRMAN CARTER: Okay. Let's deal with 101 first.

24 MS. BRUBAKER: I think procedurally --

25 CHAIRMAN CARTER: Okay. All right. We'll deal with



1 101 first. No objections? Any objections? Okay. 101 entered  
2 without objection. Show it done.

3 (Exhibit 101 admitted into the record.)

4 Now we'll deal with the late-fileds 102 and 103.  
5 Staff, you're recognized.

6 MS. KLANCKE: Are we dealing with the -- we're fine  
7 with the late-filed exhibits?

8 CHAIRMAN CARTER: Absolutely, unless we have an  
9 objection. I think that both Mr. Anderson and Mr. Butler said  
10 it was fine and Mr. Beck was okay with that.

11 MS. KLANCKE: Excellent. Well, with that, staff does  
12 have a few additional questions for the witness.

13 CHAIRMAN CARTER: One moment. Hold on. Hold on.  
14 First things first. Hold on. Back up the train. Hold up.  
15 Hold up. Let's don't leave the station before we get our  
16 tickets.

17 MS. KLANCKE: Forgive me.

18 CHAIRMAN CARTER: Now let's deal with -- we're  
19 dealing with the exhibits now. Let's clear the deck first.

20 Exhibit 102, 103, no objection from the parties, the  
21 late-filed exhibits, but we'll show those moved into -- 102  
22 and 103.

23 (Exhibits 102 and 103 admitted into the record.)

24 Now before I recognize staff I want to recognize  
25 Commissioner Skop.

1           COMMISSIONER SKOP: Thank you, Chairman Carter. And,  
2 again, I'm trying to follow along and I just want to make sure  
3 I have it straight in my head not only for myself but hopefully  
4 for the benefit of my colleagues. Because, again, I was trying  
5 to follow along and I think I've got it now and I think  
6 Mr. Anderson, FPL provided the revised graph and the data and I  
7 think that was helpful for me to understand what was going on,  
8 and staff had some questions.

9           But in summation, I think what happened is there was  
10 the question raised about the revised 2007 ICF data for CO2  
11 compliance, and I think that that data showed as plotted that  
12 costs under the latest study for CO2 compliance are supposed to  
13 go up and that would increase environmental costs for CO2  
14 compliance. And I think that on redirect the witness also  
15 spoke to the fact that all things being equal, that the  
16 other -- what am I trying to think here -- the other emissions  
17 would remain relatively constant based on 2006 data. I think  
18 that's what I heard. So all things being equal, based on  
19 staff's questioning, Mr. Anderson's redirect, the witness  
20 testimony and Mr. Beck's concerns, all things being equal, it  
21 seems like if the other emissions are constant and CO2  
22 compliance costs are expected to go up, that would be one  
23 factor weighing in favor of nuclear. Am I correct on that?  
24 Staff?

25           MR. ANDERSON: Yes, sir.

1 COMMISSIONER SKOP: Thank you.

2 CHAIRMAN CARTER: All right. Commissioners, any  
3 other questions before I go back to staff?

4 MR. BUTLER: Chairman.

5 CHAIRMAN CARTER: Oh, wait. Commissioner McMurrian,  
6 you're recognized.

7 COMMISSIONER McMURRIAN: I apologize for this but I  
8 wanted to make sure, in some of the cross earlier I think,  
9 Mr. Kosky, you stated that in order of magnitude that the CO2  
10 costs would be much higher than the SO2 and the, and the NOx.  
11 Is that -- am I stating that correctly as far as the order of  
12 magnitude with respect to the potential, I guess, for CO2 costs  
13 compared to SO2 and NOx?

14 THE WITNESS: Yes. In my original testimony using  
15 Appendix F CO2 costs were much higher, and with the 2007, my  
16 review of it, it didn't look like that was going to change and,  
17 as I testified, several orders of magnitude different.

18 COMMISSIONER McMURRIAN: Okay. And what I wanted to  
19 follow up on that was with respect to the original Appendix F  
20 that we were looking at, they were all on the first three  
21 charts, which I believe were SO2 and NOx and then CO2, the  
22 numbers were all reported in nominal dollars per ton. And the  
23 dollars in the SO2 and the NOx charts, those numbers were, they  
24 looked higher. What -- how do I -- how are those numbers --  
25 how are the CO2 costs much larger in magnitude? Is it a, is it

1 because of the amount of tons that would be involved with a CO2  
2 compliance regime, that that would make those CO2 costs that  
3 much higher, but when you just look at the charts, the numbers  
4 look lower on the CO2 cost chart compared to the other two?

5 THE WITNESS: That's absolutely correct.

6 COMMISSIONER McMURRIAN: Okay.

7 THE WITNESS: Other pollutants are in the hundreds to  
8 thousands of tons maybe. CO2 difference is millions of tons.

9 COMMISSIONER McMURRIAN: Thank you.

10 THE WITNESS: And that's the difference.

11 COMMISSIONER McMURRIAN: That helps a lot. Thank  
12 you. Thank you, Chairman.

13 CHAIRMAN CARTER: Thank you.

14 Commissioners, any further? Staff, you're  
15 recognized.

16 MR. BUTLER: Sorry, Chairman Carter.

17 CHAIRMAN CARTER: Oh, Mr. Butler. One moment.

18 MR. BUTLER: I've been trying to find the right  
19 moment to slip this in, but we just need to make an oral notice  
20 of intent to request confidential classification for Exhibit  
21 102. That was one that hadn't been identified and, therefore,  
22 I hadn't covered it yesterday afternoon when we had that point  
23 arise. We will be filing a request for confidential  
24 classification with respect to that.

25 CHAIRMAN CARTER: I think in view of the fact when we

1 went down this road we knew it was going to be a confidential  
2 document, so that will just be, that will be granted. So there  
3 won't be any slip ups, no one will say they're not on notice.  
4 We knew this when we started going down this road and the  
5 company voluntarily would provide this information without a  
6 whole bunch of mishmash. So the confidential nature of this  
7 will be granted so we're all on the same page. All right.

8 MR. BUTLER: Thank you. Thank you.

9 CHAIRMAN CARTER: Staff, you're recognized.

10 MS. KLANCKE: Thank you, Chairman.

11 RE CROSS EXAMINATION

12 BY MS. KLANCKE:

13 Q Mr. Kosky, is it correct that the MIT study that I  
14 asked you about before was the basis, formed the basis for  
15 ENVIRO IV?

16 A It's correct that that study was used as a basis to  
17 make a decision for ENV IV, and that decision was to increase  
18 the cost of ENV III by 30 percent reviewing the projections  
19 that MIT had made.

20 Q So just to be on the same page, ENVIRO IV then is  
21 merely a 30 percent increase from ENVIRO III; is that correct?

22 A That's correct.

23 Q Does the 2000 ICF report incorporate all or most of  
24 the congressional proposals that were contained within the MIT  
25 study -- 2007 rather?

1           A     As I testified, the MI -- there's different times.  
2 The MIT study had a few of the studies that ICF had. ICF, I  
3 believe, had several additional legislation proposals that had  
4 been sorted out since the time that MIT had done its study. So  
5 MIT, MIT included some and ICF is the latest, including all  
6 the, all the latest proposals.

7           Q     Well, could you explain then the relevance or the  
8 weight that staff should give to the current ENVIRO IV  
9 reflected in Exhibit 99, the updated ENVIRO IV, as it were?

10          A     The adjusted Appendix F ENVIRO IV was calculated in  
11 the same manner as the original Appendix F, and the  
12 corresponding, although different in analysis, are similar.

13                 I can say in reviewing the ICF report that ENV IV as  
14 far as its costs are actually enveloped by a case or maybe more  
15 cases that ICF reviewed and evaluated. So ENV IV in the  
16 adjusted calculation is not higher than anything that ICF had  
17 projected in its evaluations of all of the legislation.

18           MS. KLANCKE: Thank you. Chairman, staff has no  
19 further questions for this witness.

20           CHAIRMAN CARTER: Mr. Anderson, any re-redirect?

21           MR. ANDERSON: No, sir.

22           CHAIRMAN CARTER: I was following along. And we've  
23 already taken care of the exhibits, so I guess we're done with  
24 this witness. Okay. Thank you, Mr. Kosky.

25           THE WITNESS: Thank you, Chairman.

1 CHAIRMAN CARTER: Have yourself a great day.  
2 Call your next witness.

3 MR. ANDERSON: The next witness on the list is Hector  
4 Sanchez, who I believe has been stipulated by the parties. He  
5 has been excused as a witness. FPL would move the admission of  
6 Mr. Sanchez's testimony into the record as though read.

7 CHAIRMAN CARTER: Any objections? Without objection,  
8 show it done.

9 MR. BUTLER: Also, Mr. Sanchez had what was  
10 identified as Exhibit 75, his exhibit HJS-1, and we would move  
11 that into the record.

12 CHAIRMAN CARTER: Any objection? Without objection,  
13 show it done.

14 (Exhibit 75 marked for identification and admitted  
15 into the record.)

16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2                   **FLORIDA POWER & LIGHT COMPANY**

3                   **DIRECT TESTIMONY OF HECTOR J. SANCHEZ**

4                   **DOCKET NO. 07\_\_\_\_-EI**

5                   **OCTOBER 16, 2007**

6

7           **Q.     Please state your name and business address.**

8           **A.     My name is Hector J. Sanchez. My business address is Florida Power & Light**  
9                   **Company, 4200 West Flagler Street, Miami, FL 33134.**

10          **Q.     By whom are you employed and what is your position?**

11          **A.     I am employed by Florida Power & Light Company (FPL) as the Director of**  
12                   **Transmission Services and Planning.**

13          **Q.     Please describe your duties and responsibilities in that position.**

14          **A.     I am responsible for matters relating to the provision of transmission services**  
15                   **on the FPL system and for planning the expansion of the FPL transmission**  
16                   **system to meet the requirements of FPL's retail and wholesale customers, and**  
17                   **its transmission service obligations.**

18          **Q.     Please describe your educational background and professional**  
19                   **experience.**

20          **A.     In December 1985, I received a Bachelor of Science degree in Electrical**  
21                   **Engineering from the University of Miami. In 1990, I completed the**  
22                   **Southeastern Electric Exchange's Course in Modern Power Systems Analysis**  
23                   **held at Auburn University. In 1991, I received a Master of Business**



1 Administration degree from Florida International University. Additionally, I  
2 have completed various other power system courses offered by Power  
3 Technology Incorporated, courses offered internally at FPL, and business and  
4 management courses at Columbia University.

5  
6 Since joining FPL in 1986, I have held positions of increasing responsibility.  
7 My first positions at FPL were as an Applications Engineer in the Power  
8 Systems Control group and as an Engineer in the Protection and Control  
9 department. In 1989, I joined the System Operations group in the area of  
10 operations planning where I was responsible for performing technical analyses  
11 associated with short-term planning and operation of the FPL system. In  
12 1994, I became a Transmission Business Manager where I was responsible for  
13 issues associated with the provision of transmission service. Subsequent to  
14 that assignment, in March 2000, I held the position responsible for the  
15 planning of the bulk transmission system and interconnections. In January of  
16 2006, I became responsible for the operation and dispatch of the FPL system  
17 on a real time basis. Lastly, in March of 2006 I assumed my current position  
18 as Director of Transmission Services and Planning.

19 **Q. Are you sponsoring an exhibit in this case?**

20 **A.** Yes. I am sponsoring Exhibit HJS-1, Summary of Required Facilities for  
21 Turkey Point Units 6 & 7 (Turkey Point 6 & 7), which is attached to my direct  
22 testimony.

1       **Q.     Are you sponsoring any sections in the Need Study document?**

2       **A.     Yes. I am sponsoring the portions of Section V.A.4 addressing Transmission**  
3       **Facilities. In addition, I sponsor Appendix A of the Need Study.**

4       **Q.     What is the purpose of your testimony?**

5       **A.     The purpose of my testimony is to describe FPL's process for determining the**  
6       **transmission plan for the interconnection and integration of FPL's Turkey**  
7       **Point 6 & 7. The two nuclear units are expected to have in-service dates of**  
8       **2018 and 2020, respectively, with each unit ranging in size from**  
9       **approximately 1,100 to 1,520 MW net output. I discuss the overall**  
10       **transmission evaluation process and the attendant results of preliminary**  
11       **studies performed by FPL to determine how to interconnect and integrate**  
12       **Turkey Point 6 & 7 into FPL's transmission system.**

13       **Q.     Please summarize your testimony.**

14       **A.     My testimony provides a description of the evaluation process used to develop**  
15       **the transmission-related requirements for the Turkey Point 6 & 7 generation**  
16       **expansion plan, considering factors associated with planning, construction,**  
17       **and operation of the electric system. The results of FPL's evaluation are that**  
18       **the transmission facilities and upgrades described in Exhibit HJS-1 present the**  
19       **necessary transmission interconnection and integration requirements for**  
20       **Turkey Point 6 & 7 within the range of generator sizes being contemplated.**  
21       **Based on FPL's preliminary assessment, the addition of Turkey Point 6 & 7 at**  
22       **approximately 1,200 MW gross output for each unit is not expected to**  
23       **adversely impact the transmission import capability into the state of Florida.**

1           If the unit size increases, more detailed studies will be needed to determine the  
2           specific impacts and mitigation alternatives.

3

4           **EVALUATION PROCESS FOR DETERMINING FPL'S TRANSMISSION**

5                               **SYSTEM REQUIREMENTS**

6

7           **Q.   Please describe FPL's evaluation process for transmission**  
8           **interconnection and integration of new generation resources.**

9           **A.**   The process commences with an evaluation team, including engineers from  
10          transmission and substation planning, operations, engineering, project  
11          management, permitting, and siting who together use their combined  
12          knowledge and years of experience to perform the evaluation and develop a  
13          transmission interconnection and integration plan. The evaluation process  
14          considers many factors, as outlined below, in order to develop an effective  
15          transmission plan. In some instances, the determination of the transmission  
16          interconnection and integration plan is relatively straightforward; however,  
17          other times it requires an iterative assessment of various factors and a  
18          substantial amount of time to perform appropriate studies. The resultant plan  
19          must be in compliance with North American Electric Reliability Corporation  
20          (NERC) and Florida Reliability Coordinating Council (FRCC) Reliability  
21          Standards.

1 Generally, the first step in the process is to evaluate the proposed generating  
2 plant site location to determine its proximity to existing transmission facilities.  
3 To the extent there are existing transmission facilities nearby, those facilities  
4 are assessed to determine their capabilities for reliably interconnecting and  
5 integrating the proposed new generation into the transmission system as a firm  
6 FPL generation resource. Next, other factors such as those listed below are  
7 considered (as applicable):

- 8 • Amount of generation (MW) being added at the new generation site, and  
9 the dispatch profile of the new generation resource relative to FPL's other  
10 generation resources in serving FPL's load;
- 11 • Capabilities to upgrade existing facilities (e.g., can the conductor on an  
12 existing transmission line be upgraded on the existing structures or would  
13 the entire transmission line have to be rebuilt?);
- 14 • Capability of transmission lines needed, right-of-way requirements,  
15 existing right-of-way capabilities, siting of new right-of-way, permitting  
16 requirements, and expected time-frame to acquire right-of-way and  
17 necessary permits;
- 18 • Ability to transport power efficiently (e.g., would using higher voltages be  
19 more efficient by reducing the amounts of transmission losses incurred  
20 when moving large amounts of power over long distances?);
- 21 • Existing and new substation requirements, capabilities, and availability;
- 22 • Impact on existing facilities (e.g., does the proposed interconnection and  
23 integration plan result in an overload on an existing facility or does it

- 1 result in a material adverse impact somewhere else on the transmission  
2 system?);
- 3 • Constructability (e.g., can the necessary transmission facilities be  
4 constructed without having to take existing operating facilities out of  
5 service during periods that would result in an adverse reliability impact?);
  - 6 • Overall compatibility with the system (e.g., do the new facilities require  
7 new material stocking requirements or the need for new tools to  
8 maintain?);
  - 9 • Compliance with NERC and FRCC Reliability Standards;
  - 10 • Operating considerations (e.g., what are the maintenance requirements of  
11 the proposed interconnection and integration facilities and how will they  
12 impact the on-going operation of the system?);
  - 13 • The timing and amount of power needed for testing of equipment such as  
14 pumps and motors;
  - 15 • Expected in-service testing and commercial operations dates for new  
16 generation (e.g., which transmission facilities necessary for  
17 interconnection and integration need to be in-service prior to the  
18 commercial operation in-service date for testing?);
  - 19 • The need for procuring transmission service from a third party;
  - 20 • Material adverse impact on third party transmission owner(s); and,
  - 21 • Initial and recurring costs of facilities and operations.

1           The next step in the interconnection and integration evaluation process is to  
2           perform power flow studies for a proposed transmission interconnection and  
3           integration plan. These power flow studies are used to evaluate the  
4           performance of the system and to converge on specific new system facilities  
5           and upgrades that would be needed to interconnect and integrate the new  
6           generation into the transmission system.

7  
8           When the evaluation team is satisfied that they have developed an effective  
9           transmission interconnection and integration plan that is in compliance with  
10          NERC and FRCC Reliability Standards for the new generation resources, the  
11          process is deemed complete. If this result is not achieved, the evaluation  
12          process proceeds iteratively, as needed, until this result is achieved.

13  
14          I would also note that this evaluation process, including the power flow  
15          studies, is the same as that used in FPL's recent Need Determination  
16          proceedings.

17          **Q. Please describe how FPL evaluated the transmission-related**  
18          **requirements associated with Turkey Point 6 & 7.**

19          **A.** When evaluating a generation plan, FPL considers different categories of  
20          transmission requirements that arise from the proposed delivery of additional  
21          power over FPL's transmission system. These categories are:

- 22                1) Transmission interconnection;  
23                2) Transmission integration; and

1           3)     Third party transmission service (as applicable).

2

3           FPL's Transmission Services and Planning Department evaluated the three  
4           categories of transmission requirements for Turkey Point 6 & 7 under my  
5           direction.

6     **Q.     Please describe in more detail each of the three categories associated with**  
7           **the transmission requirements that you have identified.**

8     **A.**    The three categories can be summarized as follows:

9

10           **1) Transmission interconnection requirements**

11           Transmission interconnection requirements are generally the facilities  
12           necessary to connect the new generation to the system. These facilities  
13           typically include generator step-up transformers, connection facilities from the  
14           transformers to the switchyard, and certain substation equipment at the point  
15           of interconnection. Additionally, certain facilities may need to be replaced or  
16           upgraded as a result of the generator interconnection at locations beyond the  
17           point of interconnection, such as circuit breakers and overhead ground wires  
18           due to increased fault current from the generator. Finally, there is the  
19           potential that interconnecting a generator that is larger than the largest single  
20           generator in the region may require upgrades to the transmission system to  
21           accommodate the instantaneous loss of the larger generator. The  
22           instantaneous loss of any generator in Peninsular Florida results in a sudden  
23           in-rush of power into Florida from the eastern United States interconnection

1 reacting to make up for the deficiency in generation. The transmission system  
2 must be capable of sustaining the loss of the single largest generator without  
3 violating any NERC or FRCC Reliability Standards.

4

## 5 **2) Transmission integration requirements**

6 Transmission integration requirements include system upgrades of existing  
7 transmission facilities and new transmission facilities that the power flow  
8 studies have determined are necessary for the reliable operation and firm  
9 delivery of the new FPL generation resources to FPL's load.

10

11 As part of this assessment, any adverse impacts that result in NERC or FRCC  
12 Reliability Standard violations on third party transmission systems are  
13 identified. In such instances, FPL would confer with the parties to confirm  
14 that the violation is valid and, if so, determine if there is a mitigation measure  
15 already available, or jointly develop mitigation measures to address the  
16 violation.

17

## 18 **3) Third party transmission service requirements (as applicable)**

19 Third party transmission service requirements are considered when generation  
20 resources are connected to an external transmission provider's system(s).  
21 When a generation expansion plan, such as the plan that includes FPL's  
22 Turkey Point 6 & 7, does not contain generation connected to a third party  
23 transmission system, there is no need for transmission service for the delivery



1 of generation connected to a third party to the FPL system. As such, this  
2 category of transmission service requirements will not be discussed further in  
3 my testimony.

4  
5 **TRANSMISSION SYSTEM REQUIREMENTS FOR**  
6 **TURKEY POINT 6 & 7**

7  
8 **Q. Please describe FPL's proposed Turkey Point 6 & 7 units for which**  
9 **transmission requirements are being evaluated.**

10 **A.** As discussed in FPL witness Silva's testimony, Turkey Point 6 is proposed as  
11 an 1,100 to 1,520 MW net nuclear unit (1,200 to 1,650 MW gross electrical  
12 output) with a planned in-service date of 2018, and Turkey Point 7 is proposed  
13 as an 1,100 to 1,520 MW net nuclear unit (1,200 to 1,650 MW gross electrical  
14 output) with a planned in-service date of 2020.

15  
16 **TRANSMISSION INTERCONNECTION**

17  
18 **Q. Please describe the transmission interconnection requirements for**  
19 **Turkey Point 6 & 7.**

20 **A.** The required transmission interconnection facilities for Turkey Point 6 & 7  
21 are summarized in Exhibit HJS-1, Summary of Required Facilities for Turkey  
22 Point 6 & 7. These facilities include:

- 1           • The connection of Turkey Point 6 & 7 Generator Step Up (GSU)  
2           transformers to a new 500 kV switchyard at the Turkey Point site, and  
3           attendant bus equipment; and,
- 4           • Circuit breaker and overhead ground wire upgrades that may be required.  
5

6           Additionally, as discussed later in my testimony, there may be potential  
7           upgrades associated with increasing the size of the largest unit in the FRCC  
8           beyond approximately 1,200 MW gross output.

9

## 10                                      **TRANSMISSION INTEGRATION**

11

12           **Q.   Please describe the transmission integration evaluation for the new**  
13           **generation at Turkey Point 6 & 7.**

14           **A.**   The integration evaluation is comprised of power flow studies. The power  
15           flow studies are used to identify any upgrades to existing transmission  
16           facilities or new transmission facilities that may be needed to integrate Turkey  
17           Point 6 & 7 into the transmission system as firm FPL generation resources  
18           while meeting NERC and FRCC Reliability Standards. The methodology  
19           used to perform these power flow studies is the same as that used in  
20           connection with FPL's other recent need determination proceedings, and is  
21           consistent with the methods used to ensure compliance with the NERC and  
22           FRCC Reliability Standards. In addition, compliance with U.S. Nuclear  
23           Regulatory Commission (NRC) requirements must be ensured. I reviewed

1 and approved the results of the power flow studies and reviewed the need for  
2 new facilities and upgrades required to integrate Turkey Point 6 & 7 into the  
3 transmission system as firm FPL generation resources used to serve FPL's  
4 retail customers.

5  
6 My review determined that to reliably integrate the new generation resources  
7 in compliance with NERC and FRCC Reliability Standards, and with NRC  
8 requirements, new system facilities and upgrades are required for Turkey  
9 Point 6 & 7 for either the 1,100 MW or 1,520 MW net units. Exhibit HJS-1  
10 summarizes the new system facilities and facility upgrades required for the  
11 range of unit sizes being considered.

12 **Q. Please describe the power flow studies performed.**

13 **A.** First contingency alternating current (AC) power flow analyses were  
14 performed for Turkey Point 6 & 7 to assess the need for transmission system  
15 upgrades and new facilities. All analyses were performed using the latest  
16 available 2007 FRCC power flow databank cases, updated to reflect FPL's  
17 latest load and resource forecast. Since the FRCC only developed load flow  
18 cases through 2017, FPL's load in the 2017 case was scaled to the latest  
19 available load information through 2020.

20  
21 Analyses were performed using power flow simulations to identify the  
22 facilities that may become overloaded because of the integration of the  
23 capacity provided by Turkey Point 6 & 7, as well as the upgrades and new

1 transmission facilities required to mitigate such overload(s). An AC solution  
2 technique was also used to assess the voltage performance of the system  
3 against NERC and FRCC Reliability Standards. In the analysis, Turkey Point  
4 6 & 7 were subjected to a first contingency screening for loss of transmission  
5 elements or generators out of service, one at a time, in accordance with NERC  
6 and FRCC Reliability Standards. This resulted in approximately 3,600 power  
7 flow calculations being performed for each case assessed. All of the  
8 Peninsular Florida interconnected transmission system was analyzed to  
9 determine whether thermal or voltage reliability criteria violations for system  
10 elements at voltages of 69 kV and above occur as a result of the generation  
11 resource addition. NERC or FRCC Reliability Standard violations on any  
12 FPL or other Peninsular Florida system elements directly related to the  
13 generation resource addition could indicate the potential need for transmission  
14 reinforcements.

15 **Q. What factors associated with Turkey Point 6 & 7 have a major impact on**  
16 **the results of the analysis?**

17 **A.** The requirement to add major transmission facilities is the result of the need  
18 to deliver from 2,200 MW (from two 1,100 MW net units) to 3,040 MW  
19 (from two 1,520 MW net units) of new generation northward from the  
20 existing Turkey Point site in the southern most part of Miami-Dade County in  
21 order to serve FPL's load. This results in significant transmission facilities  
22 being required in the area from Turkey Point to central Miami-Dade County.

- 1       **Q.    Please provide a general description of the transmission upgrades and**  
2       **new transmission facilities required for Turkey Point 6 & 7.**
- 3       **A.**    Turkey Point 6 & 7 will be connected to a new switchyard at the site. The two  
4       units will be connected to the new switchyard at 500 kV. This new  
5       switchyard will be connected by two 500 kV transmission lines to the 500 kV  
6       section of the existing Levee substation in central Miami-Dade County, which  
7       is located approximately 42 miles north of the Turkey Point switchyard. A  
8       new 230 kV line, approximately 13 miles long, will also be required from the  
9       Levee substation to the Gratigny substation located north and east of the  
10      Levee substation in central Miami-Dade County. The new switchyard at  
11      Turkey Point will also have a 230 kV section. The new 500 and 230 kV  
12      sections will be connected via a 500/230 kV auto-transformer. The new 230  
13      kV section will be connected to the Davis substation in southern Miami-Dade  
14      County utilizing an approximately 18 mile line which will be rerouted from  
15      the existing Turkey Point plant switchyard and rebuilt to larger capacity.  
16      Additionally, the 230 kV line rerouted from the existing Turkey Point plant  
17      switchyard will be replaced with a new 230 kV circuit from the switchyard to  
18      the Levee 230 kV substation. The aforementioned facilities are required for  
19      either the 1,100 MW net units or the 1,520 MW net units. Finally, depending  
20      upon the amount of generation output of Turkey Point 6 & 7, certain other 230  
21      and 138 kV upgrades to existing facilities are required. A summary of the  
22      base and additional facilities is set forth below:

- 1 Base Facilities Required for Two 1,100 MW Net Units:
- 2 • The connection of Turkey Point 6 Generator Step Up (GSU)  
3 transformer to the new Turkey Point switchyard, and attendant bus  
4 equipment.
  - 5 • The connection of Turkey Point # 7 GSU transformer to the new  
6 Turkey Point switchyard, and attendant bus equipment.
  - 7 • The new Turkey Point 500/230 kV switchyard.
  - 8 • The two 500 kV transmission lines from the new Turkey Point  
9 switchyard to Levee Substation.
  - 10 • The 230 kV transmission line from the Levee Substation to the  
11 Gratiigny Substation.
  - 12 • Rebuild and rerouting of the existing Turkey Point-Davis #1 230 kV  
13 line to the new Turkey Point 230 kV switchyard.
  - 14 • Replace the line removed from the existing Turkey Point switchyard  
15 with a new line from the existing Turkey Point switchyard to Levee 230  
16 kV line.
  - 17 • Upgrade Killian-Turkey Point 230 kV line
  - 18 • Upgrade Turkey Point-Galloway Tap 230 kV line
  - 19 • Upgrade Davis-Montgomery 138 kV line
  - 20 • Upgrade Dadeland Tap-Snapper Creek 138 kV line
  - 21 • Two 5-Ohm Reactors installed on the 230 kV side of the  
22 autotransformers at Levee Substation

- 1           •       Two 5-Ohm Reactors installed on the 230 kV side of the  
2                   autotransformers at Andytown Substation  
3           •       Two 5-Ohm Reactors installed on the 230 kV buses at the existing  
4                   Turkey Point 230 kV switchyard.

5

6           Additional Facilities Required for Two 1,520 MW Net Units:

- 7           •       Upgrade Killian-Miller 230 kV line  
8           •       Upgrade Mitchell-Court 138 kV line  
9           •       Upgrade Kendall-Suniland 138 kV line  
10          •       Upgrade Marion-Village Green 138 kV line  
11          •       Upgrade Marion-Montgomery 138 kV line

12

13           These facilities for Turkey Point 6 &amp; 7 are also summarized in Exhibit HJS-1.

14          **Q.    Are there other factors associated with Turkey Point 6 & 7 that have a**  
15           **potential to require additional transmission facilities or upgrades?**

16          **A.**    Yes.  The size of the single largest generator in Peninsular Florida is a  
17           significant factor because the transmission system must be capable of  
18           sustaining the loss of that generator without violating any NERC or FRCC  
19           Reliability Standards.  This requirement may have a direct impact on the  
20           import capability from the Southeast Electric Reliability Council (SERC).

1       **Q.     Will either Turkey Point 6 or 7 increase the size of the single largest unit**  
2       **in the FRCC when they enter service?**

3       **A.**     Yes. Prior to the addition of Turkey Point 6 or 7, Progress Energy Florida  
4       plans to uprate its Crystal River nuclear unit to 1,080 MW gross output,  
5       making it the largest sized unit expected to be in-service in the FRCC. Turkey  
6       Point 6 & 7 are each expected to be larger than 1,080 MW gross output under  
7       either unit size scenario.

8       **Q.     Because a unit size of greater than 1,080 MW gross output will be selected**  
9       **for Turkey Point 6 & 7, how will such a unit impact the FRCC's import**  
10      **capability from SERC?**

11      **A.**     The import capability into Peninsular Florida from SERC is in large part  
12      determined by the contingency of the instantaneous loss of the largest unit in  
13      the FRCC, and the attendant sudden in-rush of power from the eastern United  
14      States interconnection reacting to replace such lost power source until more  
15      generation is dispatched in the FRCC region (within thirty minutes).  
16      Currently, based upon preliminary assessments by FPL, the sudden outage of  
17      a unit size of approximately 1,200 MW gross output or less should not  
18      adversely impact the FRCC's import capability from SERC in this time frame.  
19      If the unit size increases, more detailed studies will be needed to determine the  
20      specific impacts and mitigation alternatives.



1       **Q.    What evaluation process and assessments must be performed to**  
2       **determine how the capability of the transmission system would be**  
3       **increased to accommodate a larger sized unit?**

4       **A.**    First, FPL would complete its preliminary assessments.  Next FPL would  
5       request through the FRCC that an FRCC/SERC regional/inter-regional study  
6       be performed to review the preliminary assessment findings performed by  
7       FPL and to determine the requirements, if any, to the transmission systems  
8       within the FRCC and SERC to accommodate a larger sized unit.  Such a study  
9       would be performed with members of the FRCC, SERC, and FPL.  Initial  
10      communications with the FRCC are currently underway to prepare for the  
11      commencement of this study.  It is expected that this study would take up to  
12      24 months to complete.  The 2018 and 2020 commercial operation dates for  
13      Turkey Point 6 & 7 should not be affected so long as the results indicate that  
14      any required transmission improvements within the FRCC and SERC regions  
15      to accommodate a larger sized unit will be effective and feasible within this  
16      time frame.

17  
18      Subsequent to the completion of such a study, FPL would seek an affirmation  
19      by the FRCC that the interconnection and integration plan for Turkey Point 6  
20      & 7 is adequate and results in no reliability issues.  Additionally, FPL would  
21      seek a determination from the FRCC and SERC that the interconnection and  
22      integration plan for Turkey Point 6 & 7, as it relates to any impacts on the  
23      FRCC-SERC interface, is adequate and results in no reliability issues.

1       **Q.**    **Does this conclude your testimony?**

2       **A.**    Yes.

1 MR. ANDERSON: FPL would call as its next witness  
2 Dr. Steven R. Sim.

3 CHAIRMAN CARTER: Dr. Sim.

4 MR. ANDERSON: Good morning, Dr. Sim.

5 THE WITNESS: Good morning.

6 MR. ANDERSON: Have you been sworn as a witness yet?

7 THE WITNESS: I have not.

8 CHAIRMAN CARTER: Would you please stand and raise  
9 your right hand.

10 (Witness sworn.)

11 Please be seated.

12 THE WITNESS: Thank you.

13 STEVEN R. SIM

14 was called as a witness on behalf of Florida Power & Light  
15 Company and, having been duly sworn, testified as follows:

16 DIRECT EXAMINATION

17 BY MR. ANDERSON:

18 Q Dr. Sim, please tell us your name and your business  
19 address.

20 A My name is Steven Sim. I work at 9250 West Flagler  
21 Street, Miami, Florida.

22 Q By whom are you employed and in what capacity?

23 A Florida Power & Light as a Senior Manager in the  
24 Resource Assessment and Planning Business Unit.

25 Q Have you prepared and caused to be filed 72 pages of

1 prefiled direct testimony in this proceeding?

2 A Yes.

3 Q Did you also cause to be filed an errata sheet?

4 A That's correct.

5 Q Do you have any further changes or revisions to your  
6 prefiled direct testimony other than the errata sheet?

7 A Yes. I have two corrections. On Page 28, Line 15,  
8 the word "cumulative" should be changed to "annual." And on  
9 Page 36, Line --

10 CHAIRMAN CARTER: Hold on. Hold on. On Line 28 --

11 THE WITNESS: 28, Line 15.

12 CHAIRMAN CARTER: -- Line 15, the word "cumulative"

13 --

14 THE WITNESS: The word "cumulative" should be changed  
15 to "annual."

16 CHAIRMAN CARTER: Okay.

17 THE WITNESS: And the other one is on Page 36,  
18 Line 9, the word "both" should be changed to "all three."

19 CHAIRMAN CARTER: Okay. Got it.

20 BY MR. ANDERSON:

21 Q Other than those you've just told us about, are there  
22 any other changes or revisions to your prefiled direct  
23 testimony?

24 A No, sir.

25 Q If I asked you the same questions, would your answers

1 be the same?

2 A Yes.

3 MR. ANDERSON: Chairman Carter, FPL requests the  
4 prefiled direct testimony as amended be inserted into the  
5 record as though read.

6 CHAIRMAN CARTER: The prefiled testimony will be  
7 inserted into the record as though read.

8 BY MR. ANDERSON:

9 Q Are you also sponsoring some exhibits?

10 A Yes.

11 Q These are documents SRS-1 through SRS-11?

12 A Yes.

13 MR. ANDERSON: Chairman Carter, we'd note that  
14 Dr. Sim's exhibits have been premarked for identification as  
15 76 through 86 on staff's comprehensive list.

16 CHAIRMAN CARTER: Thank you.

17 (Exhibits 76, 77, 78, 79, 80, 81, 82, 83, 84, 85 and  
18 86 marked for identification.)

19

20

21

22

23

24

25

## BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

In re: Florida Power & Light Company's )  
 Petition to Determine Need for Determine Need for )  
 Turkey Point Nuclear Units 6 and 7 )  
Electrical Power Plant )

Docket No: 070650-EI

Filed: January 25, 2008

**ERRATA SHEET****DIRECT TESTIMONY OF STEVEN R. SIM**

<u>PAGE #</u>	<u>LINE #</u>	<u>CORRECTION</u>
1	11	Change "Supervisor" to "Senior Manager"
56	12	Change "\$374/kw" to "\$429/kw"
56	13	Change "\$2,836/kw" to "\$2,891/kw"
56	13	Change "Low" to "High"
56	15	Change "Low" to "High"
Exhibit SRS-9	Column 5	Remove dollar sign (\$) for all values in this column

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2                   **FLORIDA POWER & LIGHT COMPANY**

3                   **DIRECT TESTIMONY OF STEVEN R. SIM**

4                   **DOCKET NO. 07\_\_\_\_\_ - EI**

5                   **OCTOBER 16, 2007**

6  
7           **Q.     Please state your name and business address.**

8           A.     My name is Steven R. Sim, and my business address is 9250 West Flagler  
9                 Street, Miami, Florida 33174.

10          **Q.     By whom are you employed and what position do you hold?**

11          A.     I am employed by Florida Power & Light Company (FPL) as a Supervisor in  
12                 the Resource Assessment & Planning Business Unit.

13          **Q.     Please describe your duties and responsibilities in that position.**

14          A.     I supervise a group that is responsible for determining the magnitude and  
15                 timing of FPL's resource needs and then developing the integrated resource  
16                 plan with which FPL will meet those needs.

17          **Q.     Please describe your education and professional experience.**

18          A.     I graduated from the University of Miami (Florida) with a Bachelor's degree  
19                 in Mathematics in 1973. I subsequently earned a Master's degree in  
20                 Mathematics from the University of Miami (Florida) in 1975 and a Doctorate  
21                 in Environmental Science and Engineering from the University of California  
22                 at Los Angeles (UCLA) in 1979.

1 While completing my degree program at UCLA, I was also employed full-  
 2 time as a Research Associate at the Florida Solar Energy Center during 1977 -  
 3 1979. My responsibilities at the Florida Solar Energy Center included an  
 4 evaluation of Florida consumers' experiences with solar water heaters and an  
 5 analysis of potential renewable resources including photovoltaics, biomass,  
 6 and wind power applicable in the Southeastern United States.

7  
 8 In 1979 I joined FPL. From 1979 until 1991, I worked in various departments  
 9 including Marketing, Energy Management Research, and Load Management,  
 10 where my responsibilities concerned the development, monitoring, and cost-  
 11 effectiveness of demand side management (DSM) programs. In 1991, I joined  
 12 my current department, then named the System Planning Department, as a  
 13 Supervisor whose responsibilities included the cost-effectiveness analyses of a  
 14 variety of individual supply and DSM options. In 1993, I assumed my present  
 15 position.

16 **Q. Are you sponsoring any exhibits in this case?**

17 Yes. I am sponsoring the following Exhibits SRS-1 through SRS-11, which  
 18 are attached to my direct testimony:

19	Exhibit SRS-1	Projection of FPL's 2007 - 2020 Capacity Needs
20	Exhibit SRS-2	Projected Incremental FPL DSM: 2006 - 2020
21	Exhibit SRS-3	Projection of FPL's 2007 - 2020 Capacity Needs:
22		with Turkey Point 6 & 7
23	Exhibit SRS-4	The Three Resource Plans Utilized in the Analyses



1	Exhibit SRS-5	Economic Analysis Results for One Fuel and
2		Environmental Compliance Cost Scenario
3	Exhibit SRS-6	Economic Analysis Results: Total Costs and Total
4		Cost Differentials for All Fuel and Environmental
5		Compliance Cost Scenarios
6	Exhibit SRS-7	Economic Analysis Results: Matrix of Total Cost
7		Differentials for All Fuel and Environmental
8		Compliance Cost Scenarios
9	Exhibit SRS-8	Economic Analysis Results: Breakeven Cost for
10		Nuclear Capital Costs for All Fuel and
11		Environmental Compliance Cost Scenarios
12	Exhibit SRS-9	Economic Analysis Results: Projection of
13		Approximate Bill Impacts with Turkey Point 6 & 7:
14		2009 - 2021
15	Exhibit SRS-10	Non-Economic Analysis Results: FPL System Fuel
16		Mix Projections by Plan
17	Exhibit SRS-11	Non-Economic Analysis Results: FPL System CO <sub>2</sub>
18		Emission Projections by Plan.

19 **Q. Are you sponsoring any sections in the Need Study document?**

20 A. Yes. I am co-sponsoring Sections II, III, V, VII, and IX of the Need Study  
21 document. I also sponsor Appendices B and G, and co-sponsor Appendices C  
22 and H.

1       **Q.     What is the scope of your testimony?**

2       **A.     My testimony addresses ten main points:**

3           (1) I briefly discuss FPL's integrated resource planning (IRP) process and  
4           note that the application of the IRP process in 2006/2007 focused in large  
5           part on promoting fuel diversity in FPL's system.

6           (2) I identify FPL's additional resource needs for 2007 - 2020, with particular  
7           emphasis on the 2018 through 2020 time period, and explain how these  
8           needs were determined.

9           (3) I discuss why demand side management (DSM) cannot reasonably be  
10          expected to eliminate these resource needs.

11          (4) I present an overview of the analysis approach used to evaluate the  
12          addition of the two new nuclear units, Turkey Point 6 & 7, to FPL's  
13          system versus the most likely non-nuclear competing technologies, natural  
14          gas-fired combined cycle (CC) units or coal-fired integrated gasification  
15          combined cycle (IGCC) units, from both an economic and non-economic  
16          perspective. The economic analysis was designed to identify the  
17          breakeven capital costs for these new nuclear units versus the competing  
18          technologies. The non-economic analysis provides projections of FPL's  
19          system fuel mix and system carbon dioxide (CO<sub>2</sub>) emissions.

20          (5) I discuss three resource plans: one plan assuming nuclear units are added  
21          in 2018 and 2020, a second plan assuming CC units are added in 2018 and  
22          2020, and a third plan assuming IGCC units are added in 2018 and 2020.

1 (6) I discuss FPL's use of various fuel cost forecasts and environmental  
2 compliance cost forecasts that were combined into 9 fuel cost and  
3 environmental compliance cost scenarios that were used in the analyses of  
4 the three resource plans.

5 (7) I present the results of FPL's economic analyses of the three resource  
6 plans that identify what the breakeven nuclear capital costs are projected  
7 to be for each of these scenarios. A projection of approximate customer  
8 bill impacts from the addition of the two new nuclear units is also  
9 provided.

10 (8) I present the results of the non-economic analysis of the three resource  
11 plans that includes projections of system fuel mix by fuel type and system  
12 CO<sub>2</sub> emissions.

13 (9) I discuss the adverse consequences in regard to economics, system fuel  
14 diversity, and CO<sub>2</sub> emission impacts that would occur if a Need  
15 Determination for the two new Turkey Point nuclear units is not approved.

16 (10) I present the conclusions I draw from the above referenced analyses.

17 **Q. What is your primary conclusion?**

18 A. Based on the analyses that have been performed, the two new Turkey Point  
19 nuclear units in 2018 and 2020 are currently projected to be the economically  
20 competitive choice for addressing FPL's future capacity needs in the 2018  
21 through 2020 time period. In addition, these two new nuclear units are also  
22 projected to be the best choices for both promoting fuel diversity and lowering  
23 FPL's CO<sub>2</sub> system emissions beginning in 2018. The increase in the annual

1 amount of nuclear energy produced from Turkey Point 6 & 7 is equivalent in  
2 2021 to the annual total electrical usage of approximately 1,075,000  
3 residential customers. For these reasons, it makes sense to continue to pursue  
4 the option of additional capacity and energy from new nuclear generating  
5 units at Turkey Point in 2018 and 2020.

6 **Q. Please summarize your testimony.**

7 A. FPL's 2006/2007 resource planning work determined that FPL has future  
8 resource needs starting in 2012 and growing through 2020 to a total of 6,156  
9 MW of incremental capacity (power plant construction and/or new purchases)  
10 or 5,130 MW at the generator of additional cost-effective DSM. All DSM  
11 that is known to be cost-effective through 2014, plus an assumption that  
12 currently projected annual implementation levels of cost-effective DSM will  
13 be continued for 2015-2020, have already been reflected in FPL's 2006/2007  
14 resource planning work. This amount of known and projected cost-effective  
15 DSM through 2020 is 1,899 MW. In order to fully meet FPL's resource needs  
16 of 5,130 MW through 2020 with DSM, one would have to assume the  
17 availability of approximately three times this amount of 1,899 MW of cost-  
18 effective DSM that FPL already projects in its resource planning projections.

19  
20 Consequently, FPL cannot meet its resource needs through 2020 solely with  
21 DSM. Therefore, in order to meet FPL's summer reserve margin criterion of  
22 20% through 2020, FPL needs new capacity (power plant construction and/or  
23 purchase). This large capacity need provides significant opportunities for a

1 wide variety of options – renewable energy options, new fossil units,  
2 additional DSM and other energy efficiency options (such as building  
3 standards and appliance standards), plus new nuclear generating capacity – to  
4 play a role in FPL’s resource plans.

5  
6 FPL also determined that a key objective during this resource planning cycle  
7 was to select capacity options that would promote FPL’s system fuel diversity.  
8 FPL projects that the earliest practical deployment schedule for new nuclear  
9 units would bring these units in-service no earlier than 2018 and 2020 if it acts  
10 now. Therefore, FPL is seeking an affirmative determination of need that will  
11 enable it to pursue the option of two nuclear units at its existing Turkey Point  
12 site, one in 2018 and one in 2020.

13  
14 FPL developed three resource plans for analyzing these nuclear unit additions.  
15 These three resource plans include: a Plan with Nuclear that included the two  
16 new nuclear units described above, an alternate Plan without Nuclear – CC  
17 that added CC units in 2018 and 2020, and another alternate Plan without  
18 Nuclear – IGCC that added IGCC units in 2018 and 2020. The use of these  
19 resource plans allows the evaluation of the economic and non-economic  
20 impacts of adding the new nuclear units. FPL’s analyses compared the Plan  
21 with Nuclear to these two alternate Plans without Nuclear under 9 scenarios of  
22 forecasted fuel costs and environmental compliance costs.

1           Because of the uncertainty in capital costs for new nuclear units, the economic  
2           analysis consisted of two steps. In the first step the cumulative present value  
3           of revenue requirements (CPVRR) for the three resource plans was calculated  
4           for each of the 9 scenarios. The Plan with Nuclear that included Turkey Point  
5           6 & 7 assumed zero capital costs for the two new nuclear units. In the second  
6           step, the CPVRR cost differential between the resource plans for each  
7           scenario was divided by the CPVRR cost equivalent of \$1/kW of new nuclear  
8           capital cost. The resulting value is a “breakeven” cost in terms of \$/kW of  
9           nuclear capital cost for a given scenario; i.e., what the capital cost for the two  
10          new nuclear units can be and have identical total CPVRR costs for the  
11          resource plans.

12  
13          The economic analyses resulted in a wide range of breakeven capital costs for  
14          new nuclear units. This wide range of \$3,206/kW to \$7,281/kW in 2007\$  
15          versus the Plan without Nuclear – CC, and \$5,921/kW to \$9,450/kW in 2007\$  
16          versus the Plan without Nuclear – IGCC, are generally higher than FPL’s  
17          current cost estimate range for new nuclear units of \$3,108/kW to \$4,540/kW  
18          in 2007\$. Therefore, it is reasonable to expect that new nuclear units at  
19          Turkey Point can be constructed at a cost that would, at worst, break even  
20          with the total system cost of non-nuclear units that might otherwise be  
21          constructed, and that there is a very good chance that the new nuclear units  
22          would result in lower total system costs. Customer bill impacts from the  
23          addition of Turkey Point 6 & 7 will depend upon a number of factors

1 including, but not limited to, the capital cost of the new nuclear units, fuel  
2 costs, and environmental costs. Using a capital cost assumption for the new  
3 nuclear units of \$3,800/kW in 2007\$, approximately the mid-point of FPL's  
4 projected capital cost range, a customer bill impact for one of the 9 scenarios  
5 ranging from approximately \$0.43 to \$5.80 per 1,000 kWh is projected for the  
6 2009 – 2020 time period. The projected bill impact is -\$0.36 per 1,000 kWh,  
7 a reduction, for 2021, the first year in which both of the new nuclear units are  
8 in-service for a full year.

9  
10 The non-economic analysis showed that the Plan with Nuclear has a  
11 significant advantage in regard to system fuel diversity compared to the Plan  
12 without Nuclear - CC, and similar fuel diversity impacts compared to the Plan  
13 without Nuclear - IGCC. The increased nuclear energy generation from  
14 Turkey Point 6 & 7 would serve the total electricity needs of about 1,075,000  
15 residential customers in 2021. The Plan with Nuclear also has a significant  
16 advantage in regard to FPL system CO<sub>2</sub> emissions compared to both of the  
17 two alternate plans.

## 18 19 **I. FPL'S INTEGRATED RESOURCE PLANNING PROCESS**

20  
21 **Q. What are the objectives of FPL's integrated resource planning process?**

22 **A.** The fundamental approach used in FPL's IRP process was developed in the  
23 early 1990s and has been used and refined since that time to accomplish three

1 primary objectives: 1) determine the timing of when new resources are needed  
2 to maintain the reliability of the FPL system; 2) determine the magnitude  
3 (MW) of the needed resources; and 3) determine the type of resources that  
4 should be added. The analysis required to accomplish the first two objectives  
5 – determining the timing and magnitude of needed resources – is often  
6 referred to as the reliability assessment portion of FPL's IRP process and  
7 these analyses are relatively straightforward.

8  
9 The analyses required to accomplish the third objective – determining the type  
10 of resources that should be added – is more complex and involves the  
11 consideration of both economic and what I'll refer to as non-economic  
12 perspectives. From an economic perspective, the type of resources that should  
13 be added is primarily based on a determination of the resources that result in  
14 the lowest system average electric rates for FPL's customers. It should be  
15 noted that when only power plants or power purchases are the resources in  
16 question, the determination can be made on the basis of lowest total costs  
17 (cumulative present value of revenue requirements, CPVRR). The lowest  
18 total cost perspective (CPVRR) in these cases is the same as the lowest  
19 average electric rate perspective, because the number of kilowatt-hours over  
20 which the costs are distributed does not change, as would be the case when  
21 DSM resources are being examined.



1           However, the decision of what type of resources to add is also influenced by  
2           considerations such as whether a resource can be brought into service on  
3           FPL's system in time to meet a projected capacity need and whether a given  
4           resource or resource plan is best suited to address system concerns that may  
5           have been identified in the resource planning process. While these system  
6           concerns usually have an economic component or impact, they are often  
7           discussed in quantitative, but non-economic terms, such as percentages, etc.  
8           rather than in terms of dollars.

9           **Q.    What are these system concerns and how are they addressed in FPL's**  
10           **IRP process?**

11          A.    One of the system concerns is that of promoting (i.e., maintaining and/or  
12           enhancing) system fuel diversity. FPL's IRP work in 2006/2007 has directly  
13           addressed this concern. Accordingly, in addition to this proposal for the  
14           addition of two new nuclear units to address FPL's capacity needs in 2018 and  
15           2020, FPL has separately proposed capacity uprates to its four existing nuclear  
16           units. Promoting system fuel diversity will continue to be an issue that FPL's  
17           resource planning work addresses in coming years. The issue of fuel diversity  
18           is further discussed in FPL witnesses Yupp's and Silva's testimonies.

19

20           Another system concern is maintaining a regional balance between load and  
21           generating capacity, particularly in Southeastern Florida. This concern has  
22           been satisfactorily addressed for the near-term with the addition of Turkey

1 Point 5, West County Energy Center (WCEC) 1, and WCEC 2 generating  
2 units, all in Southeastern Florida.

3

4 A third system concern, that of moving in the direction of lowering utility  
5 system CO<sub>2</sub> emissions over the long-term, has been prompted by growing  
6 interest in reducing greenhouse gas emissions.

7

8 System concerns such as these are generally addressed in the IRP process in  
9 regard to meeting the third objective described above - determining the type  
10 of resources that should be added. The selection of resource options and  
11 resource plans for analyses is done with these system concerns in mind. Then,  
12 in conducting the analyses needed to determine which resource options and  
13 resource plans are best for FPL's system, both the economic and non-  
14 economic analyses are conducted with an eye to whether the system concern  
15 is positively or negatively impacted by a given resource option or resource  
16 plan.

17 **Q. Did FPL utilize its IRP process in the analyses that led to FPL seeking**  
18 **approval of a determination of need for two new nuclear units in 2018**  
19 **and 2020?**

20 A. Yes. However, the process was modified for this analysis as will be discussed  
21 shortly. FPL utilized its IRP process to first determine the timing and  
22 magnitude of resource needs over a multi-year period. It was determined that  
23 FPL's first resource need was in 2012 and that this resource need increased

1 every year thereafter, including the 2018 through 2020 time period for which  
2 it is possible to address capacity needs with new nuclear units, and in all years  
3 after 2020. Second, FPL identified resource options and resource plans that  
4 could meet these 2018 and 2020 capacity needs. FPL then determined  
5 through economic analyses what the CPVRR costs were in 2007\$ for these  
6 competing resource plans.

7  
8 However, because it is not possible to accurately determine the capital costs of  
9 new nuclear units at this time, FPL's IRP process was modified to enable FPL  
10 to address this fact. The CPVRR total cost differences between the resource  
11 plans were used to determine what the capital costs for new nuclear units in  
12 2018 and 2020 could be and have the CPVRR costs for the resource plans be  
13 equal. FPL refers to this as a "breakeven" capital cost analysis.

14  
15 In addition, the impacts on FPL's system in regard to promoting system fuel  
16 diversity and of lowering system CO<sub>2</sub> emissions were determined for each of  
17 these resource plans.

18 **Q. At the same time FPL has filed for approval of a Determination of Need**  
19 **for Turkey Point 6 & 7 in this docket, FPL has also recently filed for**  
20 **approval of a Determination of Need for capacity uprates for its four**  
21 **existing nuclear units. Do these two filings share common elements?**

22 **A.** Yes. These two filings contain a number of common elements. The major  
23 common elements include: load forecast, fuel cost forecasts, environmental

1 compliance cost forecasts, purchase power projections, and DSM projections.  
2 In addition, the two filings have common financial and economic assumptions  
3 including escalation rates, cost of capital, allowance for funds used during  
4 construction (AFUDC) rates, etc.

5  
6 The analyses that support both filings compare alternate resource plans. One  
7 resource plan is common to both filings although it is described by different  
8 names in the two filings. It is described as the Plan with Nuclear in this filing  
9 and is described as the Plan with Nuclear Uprates in the other filing. In both  
10 filings this resource plan contains the nuclear capacity uprates, the new  
11 Turkey Point 6 & 7 nuclear units, and the same non-nuclear unit additions.

12 **Q. In its analyses, what in-service dates were assumed for the Turkey Point 6**  
13 **& 7 units?**

14 **A.** For purposes of its analyses, FPL assumed that the in-service dates for the two  
15 new nuclear units are June 2018 for Turkey Point 6 and June 2020 for Turkey  
16 Point 7, the earliest practical deployment schedule for the new nuclear units.  
17 However, given the long lead times inherent in these assumed dates, these  
18 dates could change.

19

## 20 II. FPL'S FUTURE RESOURCE NEEDS

21

22 **Q. How did FPL decide it needed additional resources and what was the**  
23 **magnitude of the needed resources?**

1       A.     FPL uses two analytical approaches in its reliability assessment to determine  
2             the timing and magnitude of its future resource needs in order to continue to  
3             provide reliable electric service to its customers. The first approach is to  
4             make projections of reserve margins both for Summer and Winter peak hours  
5             for future years. A minimum reserve margin criterion of 20% is used to judge  
6             the projected reserve margins. The 20% reserve margin criterion is based on  
7             the reliability planning standard FPL currently believes is necessary to ensure  
8             reliable service, and which FPL committed to maintain and the Commission  
9             approved in Order No. PSC-99-2507-S-EU.

10  
11            The second approach is a Loss-of-Load-Probability (LOLP) evaluation.  
12            Simply stated, LOLP is an index of how well a generating system may be able  
13            to meet its demand (i.e., a measure of how often load may exceed available  
14            resources). In contrast to the reserve margin approach, the LOLP approach  
15            looks at the daily peak demands for each year, while taking into consideration  
16            the probability of individual generators being out of service due to scheduled  
17            maintenance or forced outages. LOLP is typically expressed in units of  
18            “numbers of times per year” that the system demand could not be served.  
19            FPL’s LOLP criterion is a maximum of 0.1 days per year. This LOLP  
20            criterion is generally accepted throughout the electric utility industry.

21  
22            For a number of years, FPL’s projected need for additional resources has been  
23            driven by the summer reserve margin criterion. This again was the case in

1 FPL's 2006/2007 reliability assessment work that was the basis for FPL's  
2 projected resource needs. Assuming that the proposed nuclear uprates are in-  
3 service in the targeted in-service years of 2011 and 2012, significant  
4 additional resources (MW) are needed for each year beginning in 2013 to  
5 meet the summer reserve margin criterion of 20%. (A relatively small 180  
6 MW need also exists in 2012.)

7  
8 The additional incremental MW needed by the Summer of 2013 is projected  
9 to be 493 MW if the resource is to be provided by a supply side option (i.e.,  
10 power plant construction or purchase) or, due to the 20% reserve margin  
11 criterion,  $(493 \text{ MW}/1.20 =)$  411 MW if provided by a DSM-based reduction  
12 to the forecasted peak load. The similar incremental need values for the  
13 Summers of 2014 - 2020, respectively, are an additional 450 MW (supply) or  
14 375 MW (DSM) for 2014, an additional 640 MW (supply) or 533 MW (DSM)  
15 for 2015, an additional 1,933 MW (supply) or 1,611 MW (DSM) for 2016, an  
16 additional 659 MW (supply) or 549 MW (DSM) for 2017, an additional 645  
17 MW (supply) or 538 MW (DSM) for 2018, an additional 641 MW (supply) or  
18 534 MW (DSM) for 2019, and an additional 696 MW (supply) or 580 MW  
19 (DSM) for 2020. Furthermore, the trend of annual increased resource needs  
20 of at least 600 MW (supply) or 500 MW (DSM) continues after 2020.

21  
22 These incremental annual resource need values add to a cumulative need  
23 value for 2012 - 2020 of approximately 6,156 MW if the resource need is to

1 be met by supply options. The corresponding cumulative resource need for  
2 this period is approximately 5,130 MW if the resource need is to be met by  
3 DSM. The projections of resource needs to meet the Summer reserve margin  
4 criterion for 2012 - 2020 if the resource needs are to be met by supply options  
5 are shown in Exhibit SRS-1. This document also shows that, if these levels  
6 of supply additions are added to meet the summer needs, these additions will  
7 also easily satisfy the smaller resource needs to meet the winter reserve  
8 margin criterion. This projection of capacity needs was used in the  
9 development of the three resource plans analyzed for this filing.

10

11 These projections rely upon FPL's IRP 2006 load forecast that was developed  
12 in September 2006 and used in both FPL's recent Need filing for advanced  
13 technology coal units and the current Need filing for the proposed capacity  
14 uprates at FPL's existing four nuclear units. This same load forecast was used  
15 in the economic and non-economic analyses discussed in the remainder of my  
16 testimony. This load forecast is discussed by FPL witness Green in his  
17 testimony.

18 **Q. Do these resource need projections take into account the proposed**  
19 **capacity uprates to FPL's existing four nuclear units?**

20 A. Yes. As previously mentioned, these projections include the proposed 414  
21 MW of capacity uprates to FPL's four existing nuclear units in 2011 and  
22 2012. Without the inclusion of these uprates, FPL's projected resource needs  
23 through 2020 discussed above would have been 414 MW higher.

1 This projection of future capacity need does not take into account the impact  
2 of any other additional generating capacity from existing FPL generating units  
3 or any new FPL generating units after the WCEC 1 and 2 units added in 2009  
4 and 2010, respectively.

5 **Q. Do these resource need projections take into account any projections of**  
6 **purchased power beyond what is currently under contract?**

7 A. Yes. For purposes of the analyses conducted for this filing, FPL has included  
8 the capacity and energy contributions from six renewable energy purchases  
9 not currently under contract for the 2009 – on time period. Three of these  
10 assumed purchases are extensions of current purchases from municipal waste-  
11 to-energy facilities. The current contracts for these three purchases are  
12 scheduled to end in the time period from August 2009 to December 2010.  
13 The current total capacity under contract from these three purchases is 143  
14 MW. However, new contractual arrangements have not yet been developed.

15  
16 In addition, FPL has received three firm capacity proposals in response to its  
17 recent Renewable Request for Proposals (RFP). These three proposals, one  
18 from a waste-to-energy facility and two from biomass facilities, would  
19 provide a total of 144 MW of capacity starting between March 2011 and  
20 January 2012 with proposed end dates ranging from 2021 to 2036. At the  
21 time of this filing, FPL is analyzing these three firm capacity proposals.



1 Although no contracts have been developed in regard to any of these six  
2 renewable capacity options, for purposes of the analyses conducted for this  
3 filing, FPL is assuming that all 287 MW of firm capacity will be in place to  
4 serve FPL's customers. The 143 MW from the three municipal waste-to-  
5 energy facilities currently under contract is assumed to continue from the  
6 above-mentioned contract expiration dates through 2026 when other contracts  
7 for smaller capacity amounts from these same facilities are scheduled to end.  
8 The 144 MW from the three renewable RFP proposals are assumed to be in  
9 place through their proposed end dates.

10  
11 Arguably, assuming that every MW from these renewable options will be  
12 available and realized for the benefit of FPL's customers, might be considered  
13 overly, if not unduly, optimistic. At the very least, it serves to provide a  
14 conservative projection of FPL's future resource needs by lowering FPL's  
15 projected resource needs by 287 MW.

16 **Q. Why is the 1,933 MW incremental capacity need for 2016 so much larger**  
17 **than for the other years in the 2012 – 2020 time period?**

18 A. In addition to the forecasted peak load growth in 2016, two significant power  
19 purchases are projected to no longer be providing capacity and energy to FPL  
20 starting in 2016. One of these is a 931 MW power purchase agreement with  
21 the Southern Company that expires at the end of 2015. The other is a 381  
22 MW power purchase from the St. Johns River Power Park (SJRPP). Due to  
23 Internal Revenue Service regulations, FPL will no longer be able to receive

1 capacity and energy from the SJRPP agreement once a certain amount of  
2 energy has been received. FPL currently estimates that this point will be  
3 reached at the end of 2015. After accounting for the loss of these two capacity  
4 resources, the remaining capacity need attributed solely to FPL system growth  
5 is 621 MW (= 1,933 – 931 – 381). This 621 MW capacity amount attributable  
6 solely to projected load growth is similar to the annual capacity need amounts  
7 described earlier for other years.

### 9 III. DEMAND SIDE MANAGEMENT

10  
11 **Q. Do these projections of FPL's resource needs include all of the cost-**  
12 **effective DSM currently known to FPL?**

13 **A.** Yes. These projections already incorporate all of the cost-effective DSM  
14 currently known to FPL through the year 2014 plus a projection of continued  
15 DSM implementation for 2015 – 2020 at currently planned annual  
16 implementation rates. This amount of DSM includes not only FPL's current  
17 DSM Goals, but also a significant amount of additional DSM through 2014  
18 that FPL has identified as cost-effective, and which the Florida Public Service  
19 Commission has approved, since the current DSM Goals were established. In  
20 addition, these projections include an assumption that FPL will continue to  
21 implement additional, cost-effective DSM for each of the remaining years  
22 2015 through 2020 at the same implementation rates that are projected for the  
23 years immediately preceding 2015. FPL witness Brandt's testimony provides

1 additional information regarding the DSM Goals and additional DSM  
2 amounts.

3

4 In summary, FPL now projects implementing 1,899 MW at the generator of  
5 additional Summer DSM demand reduction capability from August 2006  
6 through August 2020 as presented in Exhibit SRS-2. This amount of  
7 additional DSM is incorporated into the projection of FPL's resource needs  
8 presented in Exhibit SRS-1 and discussed above.

9 **Q. Could FPL meet its 2012 through 2020 resource needs with DSM?**

10 A. No. As discussed above, FPL's resource needs presented in Exhibit SRS-1  
11 already account for all of the reasonably achievable, cost-effective levels of  
12 DSM for FPL through 2014, plus the assumption that this trend of  
13 implementing additional cost-effective DSM would be continued through  
14 2020, as is presented in Exhibit SRS-2. As shown in this document, FPL's  
15 DSM activities will result in 1,899 MW at the generator of incremental DSM  
16 from August 2006 through August of 2020. In other words, FPL's reliability  
17 assessment has already captured the cost-effective DSM known to be  
18 available on FPL's system, plus a projection that this DSM trend will  
19 continue, resulting in almost 1,900 MW of incremental cost-effective DSM.  
20 Even after accounting for the very large amount of incremental DSM, FPL  
21 still needs a significant amount of additional capacity (6,156 MW) to meet its  
22 resource needs.

1 As previously discussed, if the resource needs for the years 2012 through  
2 2020 were to be met solely by additional new DSM resources, one would have  
3 to assume the availability of an additional 5,130 MW (= 6,156 MW / 1.20 ) of  
4 cost-effective DSM to meet these resource needs. It is unrealistic for one to  
5 assume the existence of another 5,130 MW of cost-effective, incremental  
6 DSM to meet these needs. This is especially so considering that this amount  
7 of DSM is approaching three times the maximum amount (1,899 MW) of  
8 cost-effective DSM known to FPL, plus projections, for the August 2006  
9 through August 2020 time period, and that is already included in the  
10 projection of capacity needs. Consequently, cost-effective DSM could not  
11 meet FPL's incremental resource needs for this time period. These resource  
12 needs must be met by capacity (construction and/or purchase) additions; i.e.,  
13 the system resource needs presented in this testimony are actually capacity  
14 needs and will be referred to as such in the remainder of my testimony.

15 **Q. What would FPL's projected resource need be without the contribution**  
16 **of the nuclear uprates capacity, the renewable energy purchase capacity,**  
17 **and FPL's DSM?**

18 A. The 6,156 MW of capacity need that is shown in Exhibit SRS-1 would  
19 increase to a capacity need of 8,350 MW if one were to ignore the projected  
20 contributions of 414 MW from the nuclear uprates, the 287 MW from the  
21 renewable energy purchases, and 1,493 MW of DSM capacity equivalence.  
22 The DSM capacity equivalence number is derived from Exhibit SRS-2 by first  
23 calculating 1,244 MW of incremental DSM from 2010 to 2020 (3,390 MW for

1           2020 minus 2,146 MW for 2010 = 1,244 MW incremental), and then  
2           multiplying that value by 1.20 to account for FPL's 20% reserve margin  
3           criterion. The resulting projection of FPL's capacity need if these  
4           contributions were ignored would be 6,156 MW + 414 MW + 287 MW +  
5           1,493 MW = 8,350 MW of need.

6  
7           **IV. OVERVIEW OF THE APPROACH USED TO ANALYZE THE NEW**  
8                           **NUCLEAR GENERATING UNITS VERSUS NON-NUCLEAR**  
9   **GENERATING UNITS**

10  
11           **Q. Please provide an overview of the analysis approach FPL utilized to**  
12           **evaluate the impacts of adding two new nuclear units to FPL's system**  
13           **versus the most likely non-nuclear options, CC and IGCC units.**

14           A. The analytical approach FPL utilized can be summarized as follows. First,  
15           FPL developed one resource plan that includes the two new nuclear units.  
16           This resource plan is referred to in this filing as the Plan with Nuclear. In this  
17           resource plan, FPL assumed that the proposed two new nuclear units, Turkey  
18           Point 6 & 7, would be added, Turkey Point 6 by June 2018 and Turkey Point 7  
19           by June 2020. FPL next developed a second resource plan that does not  
20           include any new nuclear unit additions, but assumes that CC units are added in  
21           2018 and 2020. This plan is referred to in this filing as the Plan without  
22           Nuclear - CC. Finally, a third resource plan was developed that does not  
23           include any new nuclear unit additions, but assumes that IGCC units are

1           added in 2018 and 2020. This plan is referred to in this filing as the Plan  
2           without Nuclear – IGCC. A comparable amount of capacity is added in 2018  
3           and 2020 in all three resource plans.

4  
5           These resource plans assumed specific, representative generating units for the  
6           2011 – 2017 time period and utilized generic “filler” units for the 2021 – on  
7           time period. These resource plans are discussed in more detail later in my  
8           testimony. Second, economic and non-economic analyses were then carried  
9           out to compare the three resource plans.

10  
11          The economic analyses were carried out in two steps. In the first step, the  
12          CPVRR amounts in 2007\$ for the three resource plans were determined. In  
13          this first step, the assumption was made that the new nuclear units would have  
14          no capital costs for either generation or transmission facilities for reasons that  
15          will be discussed later in my testimony. In the second step, the differences in  
16          the CPVRR results for each of the resource plans were calculated and utilized  
17          to determine the amount of CPVRR capital costs for the new nuclear units that  
18          would make the total CPVRR costs equal for each resource plan. These  
19          capital costs, expressed in terms of 2007 dollars per kilowatt (\$/kW),  
20          represent the “breakeven” capital costs for the new nuclear units. In addition,  
21          a projection of approximate customer bill impacts from the addition of Turkey  
22          Point 6 & 7 was also made.

1           The non-economic analysis compared FPL's system projections of fuel mix  
2           by fuel type and CO<sub>2</sub> emissions for the three resource plans. This analysis  
3           allows the fuel diversity and CO<sub>2</sub> emission impacts of the addition of two new  
4           nuclear units to be determined.

5           **Q. You mentioned above that "resource plans" were used in the analyses.**  
6           **Why is it appropriate to perform the economic and non-economic**  
7           **analyses based on multi-year resource plans?**

8           A. It is not only appropriate to do this, but also necessary if one is to fully capture  
9           and fairly compare all of the economic and non-economic impacts of different  
10          capacity options that could be added to a utility system.

11  
12          For example, assume we are comparing Option A and Option B. Option A  
13          offers 500 MW of capacity and has a heat rate of 7,000 Btu/kWh while Option  
14          B has a 9,000 Btu/kWh heat rate, but offers 600 MW of capacity. Evaluating  
15          these options from a resource plan perspective allows one to capture the  
16          economic impacts of both the heat rate and capacity differences. The lower  
17          heat rate of Option A will allow it to be dispatched more than Option B, thus  
18          reducing the run time of FPL's existing units more than Option B will. This  
19          results in greater production cost savings for Option A. However, Option B's  
20          greater capacity means that it is better able to defer the need for future  
21          capacity additions. Therefore, Option B will get greater capacity avoidance  
22          benefits.

1           Only by taking a multi-year resource plan approach to the analysis can factors  
2           such as these be captured and effectively compared. In the economic analysis,  
3           the resource plans created addressed impacts to the FPL system through the  
4           year 2060 to address the projected 40-year life of new nuclear units that would  
5           be added in 2018 and 2020.

6           **Q.    Why are “filler” units needed in a resource plan analysis?**

7           A.    The three resource plans that FPL developed for use in the analyses each  
8           contained various unit additions to address FPL’s capacity needs for the 2011  
9           - 2017 time period as will be discussed later in my testimony. The generic  
10          “filler” units are also needed in a multi-year resource plan analysis as a proxy  
11          resource added to meet FPL’s capacity needs in later years. In these analyses,  
12          filler units were used for 2021 – on (i.e., after the 2018 and 2020 options have  
13          been added in each resource plan). In this way the three resource plans being  
14          compared both meet FPL’s reliability criteria for each year in the analysis  
15          period, ensuring both that the resource plans are comparable in regard to  
16          meeting the 20% reserve margin criterion and that the results of the evaluation  
17          of those plans are meaningful.

18          **Q.    How were the economic analyses performed?**

19          A.    The economic analyses were carried out using Resource Assessment &  
20          Planning’s “integrated model.” This model primarily consists of a Fixed Cost  
21          Spreadsheet and the P-MArea production costing model from P-Plus. The  
22          Fixed Cost Spreadsheet model captures all of the fixed costs (capital, fixed  
23          O&M, capital replacement, capacity payments for purchases, firm gas



1 transportation, etc.) associated with the three resource plans. The P-MArea  
2 model captures variable costs (such as fuel, variable O&M, and environmental  
3 compliance costs) in its production costing calculations, projects the annual  
4 emission levels associated with the resource plans, and incorporates the  
5 effects of system transmission transfer limits on the dispatch of generating  
6 units. This integrated model approach was used in FPL's recent advanced  
7 technology coal unit filing and in FPL's current filing for capacity uprates for  
8 its four existing nuclear units.

9  
10 Two additional spreadsheets are also used in analyzing the resource plans.  
11 One spreadsheet was used to download the annual emission levels projected in  
12 P-MArea and then to calculate the annual net costs for those emissions after  
13 allowances, if applicable, are accounted for. The other spreadsheet projected  
14 the annual amounts of nuclear capital costs that would be incurred both prior  
15 to, and after, the in-service dates of the nuclear units. This projection was  
16 then used to develop a CPVRR cost value for a \$1/kW in 2007\$ capital cost  
17 for a new nuclear unit. This CPVRR value was then used in determining the  
18 breakeven capital costs for the nuclear units.

19 **Q. What were the bases of comparison for the economic and non-economic**  
20 **analyses of the three resource plans?**

21 A. In regard to the economic analyses, the basis of comparison was the calculated  
22 breakeven capital cost of the nuclear units that was compared to the non-  
23 binding capital cost estimates for the new nuclear units. The breakeven

1 capital cost includes both the generation and transmission capital cost of the  
2 units and is presented in terms of \$/kW in 2007\$. A range of breakeven  
3 capital costs was developed using a number of combinations (or scenarios) of  
4 fuel cost forecasts and environmental compliance cost forecasts.

5  
6 In regard to the non-economic analyses, there are two bases of comparison.  
7 The first basis of comparison is a projection of annual system energy by fuel  
8 type, or system fuel mix, for the three resource plans using the same fuel cost  
9 and environmental compliance cost scenarios for the 2018 – 2021 time period.  
10 This four-year time frame was chosen because it addresses the time period  
11 starting when the first nuclear unit is assumed to come in-service (2018)  
12 through the first year that both nuclear units are in-service for a full year  
13 (2021).

14  
15 The second basis of comparison is a projection of <sup>annual</sup>~~cumulative~~ CO<sub>2</sub> emissions  
16 for the FPL system under each of the three resource plans for the 2007 – 2021  
17 time period.

18 **Q. Why did FPL utilize more than one fuel cost forecast and more than one**  
19 **environmental compliance cost forecast in its analyses?**

20 A. In order to address the potential impacts of uncertainty in both future fuel  
21 costs and environmental compliance costs on generating unit options –  
22 nuclear, CC, and IGCC units - that use different types of fuel, namely  
23 uranium, natural gas, and coal and which have different emission profiles,

1 three different fuel cost forecasts and four different environmental compliance  
2 cost forecasts were used in the analyses. These three fuel cost forecasts and  
3 four environmental compliance cost forecasts could be combined into 12  
4 potential scenarios of forecasted fuel costs and environmental compliance  
5 costs. After considering these 12 possible scenarios, it was determined that  
6 three of the scenarios, those with a combination of a low gas cost forecast and  
7 a medium-to-high CO<sub>2</sub> environmental compliance cost forecast, were very  
8 unlikely to occur. Consequently, these three scenarios were dropped from  
9 further consideration and FPL utilized the 9 remaining scenarios of fuel cost  
10 forecasts and environmental compliance cost forecasts in its analyses.

11  
12 The specific fuel cost forecasts are discussed in detail in FPL witnesses  
13 Yupp's and Villard's testimonies and the specific environmental compliance  
14 cost forecasts are discussed in detail in FPL witness Kosky's testimony.

15  
16 **V. THE THREE RESOURCE PLANS UTILIZED IN THE**  
17 **ANALYSES**

18  
19 **Q. Please discuss the development of the three resource plans used in the**  
20 **analyses.**

21 **A.** As FPL began its analyses, it considered new nuclear units at FPL's existing  
22 Turkey Point site as potentially the best economic choice to meet future  
23 capacity needs, to promote fuel diversity, and to lower CO<sub>2</sub> emissions on

1 FPL's system starting in 2018. However, in order to fully evaluate this  
2 possibility, FPL needed to develop a long-term resource plan that could be  
3 used to analyze the long-term system impacts of the addition of the new  
4 nuclear units. This resource plan is referred to in this filing as the Plan with  
5 Nuclear. In addition, FPL needed to develop alternate resource plans that did  
6 not include new nuclear unit additions that could be used in comparative  
7 analyses with the nuclear-based resource plan. These are referred to in this  
8 filing, respectively, as the Plan without Nuclear – CC and Plan without  
9 Nuclear - IGCC.

10  
11 In developing these resource plans, FPL had several criteria. First, each  
12 resource plan chosen must meet FPL's system reliability criteria for all years,  
13 especially the reliability criterion that currently drives FPL's resource needs,  
14 the 20% Summer reserve margin criterion that FPL currently believes is  
15 necessary to provide reliable service. This ensures that the resource plans will  
16 be both meaningful and comparable in regard to system reliability. Second,  
17 the cost and performance assumptions (heat rate, availability, etc.) for the  
18 generating units that are included in each resource plan should be current  
19 assumptions of comparable confidence levels to the extent possible. Third,  
20 the resource plans should focus as much as possible on the assumed in-service  
21 or decision years in question, 2018 - 2020, and should seek to minimize as  
22 much as possible influencing the cost and other system impact differences

1 between resource plans that could be caused by the addition of units in other  
2 years.

3  
4 In regard to meeting the first criterion listed above, the 20% reserve margin  
5 criterion, Exhibit SRS-3 was developed to present a revised projection of  
6 FPL's capacity needs assuming that Turkey Point 6 & 7 are added in 2018 and  
7 2020, respectively. Each unit is assumed to provide 1,100 MW of capacity.  
8 By comparing this document with Exhibit SRS-1, it is clear that the capacity  
9 needs are lower by 1,100 MW in 2018 and 2019, and by 2,200 in 2020.

10  
11 Exhibits SRS-1 and SRS- 3 were then utilized to develop the three resource  
12 plans. These three plans are presented in Exhibit SRS-4. The three resource  
13 plans are identical through 2017 and all of the plans meet all of the criteria  
14 discussed above.

15 **Q. Does the use of an assumed capacity of 1,100 MW each for the two new**  
16 **nuclear units discussed above mean that FPL has decided upon a size for**  
17 **these new nuclear units?**

18 A. No. As discussed in several places in FPL's filing documents, FPL is  
19 currently examining different new nuclear unit technologies that would result  
20 in capacities for the new nuclear units ranging from approximately 1,100 MW  
21 to 1,520 MW per unit. For analysis purposes it is necessary to select a  
22 capacity rating for these units and a unit capacity of 1,100 MW was selected  
23 for these analyses.

1       **Q.    Is the Plan with Nuclear a dynamic long-term resource plan?**

2       **A.**    Yes. By definition, any long-term resource plan, such as the three resource  
3       plans utilized in these analyses, is a dynamic plan that is subject to change as  
4       conditions change.

5  
6       As demonstrated through this filing, FPL believes that the nuclear units  
7       included in the Plan with Nuclear are currently projected to be the best choice  
8       for meeting FPL's capacity needs from an economic perspective, for  
9       promoting fuel diversity in FPL's system, and for lowering FPL system CO<sub>2</sub>  
10      emissions starting in 2018.

11  
12      The other capacity additions shown in the Plan with Nuclear (and in the Plan  
13      without Nuclear – CC and Plan without Nuclear - IGCC) in the 2011 – 2017  
14      time period are reasonable assumptions for meeting system capacity need  
15      requirements at the time of this filing. All new generating unit additions in  
16      the three resource plans for the 2011 – 2017 time period are assumed to be  
17      new CC unit additions.

18  
19      To date, none of the new advanced technology coal generating units for which  
20      recent approval has been sought in Florida has received both Need and  
21      permitting approval. Therefore, it appears possible that any new generating  
22      unit additions in the relative near-term will be gas-fired. Consequently, the  
23      new generating units included, for analysis purposes, in these resource plans

1 in the 2011 – 2017 time period are CC units similar to the 3x1 G technology  
2 (G) CC units being built at FPL’s WCEC site or 2x1 G CC units. However,  
3 because FPL is not at this time making definitive selections for 2011 - 2017,  
4 these CC additions would be re-evaluated in the future using updated  
5 information when it is necessary to make those resource decisions. FPL will  
6 evaluate a variety of resource options including additional DSM, renewable  
7 energy options, gas-fired and coal-fired generating units, and power purchases  
8 prior to making its eventual decision on how best to meet its resource needs  
9 for the 2011 – 2017 time period and for the 2021 – on time period.

10  
11 In addition, as previously discussed, for purposes of these analyses FPL has  
12 included 6 renewable energy purchases totaling 287 MW. At the time of this  
13 filing no contracts regarding any of these 6 capacity options have been entered  
14 into.

15  
16 Therefore, although a number of the capacity additions assumed for the three  
17 resource plans may ultimately change in the future due to re-evaluation and/or  
18 evolving factors, these capacity additions are reasonable and representative  
19 additions for all years for analysis purposes. Regardless of whether these  
20 other capacity additions may change, FPL believes such changes would be  
21 applicable to all three resource plans so that the centerpiece of the Plan with  
22 Nuclear, the two new nuclear units themselves, will remain as potentially the  
23 best option to add. The new nuclear units will provide capacity to meet FPL’s

1 future resource needs, plus promote fuel diversity and lower system CO<sub>2</sub>  
2 emissions.

3 **Q. In developing the resource plans, what assumptions were made in regard**  
4 **to the near-term, 2011 - 2017, unit additions?**

5 A. Other than the previously mentioned 287 MW of additional renewable energy  
6 purchases and 414 MW of capacity uprates at FPL's four existing nuclear  
7 units, all capacity additions in all three resource plans were assumed to be new  
8 generating units. In developing the resource plans presented in Exhibit SRS-  
9 4, several assumptions were made regarding these new unit additions for 2011  
10 - 2017 time period.

11  
12 First, it was assumed for analysis purposes that all new unit additions in the  
13 resource plans would have a June 1 in-service date for the respective year in  
14 which the capacity addition is needed to meet the reserve margin requirement.  
15 Second, sites for the assumed CC units in the 2011 – 2017 time period are not  
16 known (in large part because no decision to build these new CC units has been  
17 made as discussed above). However, in order to develop costing for these  
18 assumed CC units, costs and performance characteristics for a greenfield CC  
19 of similar design and capacity as the two 3x1 G CC units being constructed at  
20 FPL's WCEC site were used.

21  
22 Third, in regard to the size of the CC units included in the three resource plans  
23 in the 2011 – 2016 time period, the same size (1,219 Summer MW



1 representing a 3x1 G CC unit ) as the WCEC units was assumed. For 2017, a  
2 2x1 G CC unit with a capacity of 812 MW was assumed. Finally, all three  
3 resource plans are identical in terms of their capacity additions for the 2011 –  
4 2017 time period.

5 **Q. Is the fact that all three resource plans have the same type of capacity**  
6 **additions in the 2011 - 2017 time period important in regard to the**  
7 **analyses that were conducted?**

8 A. Yes. As previously discussed, FPL does not yet know what type of capacity  
9 additions will eventually be made in the 2011 – 2017 time period. These  
10 selections will be made at later dates. In regard to the analyses presented in  
11 this filing, the system impact of adding two new nuclear units in 2018 and  
12 2020, respectively, will largely (if not totally) be unaffected by the type of  
13 capacity added in 2011 – 2017. Therefore, the type of capacity options  
14 selected for inclusion in the analyses in 2011 - 2017 should not be viewed as  
15 critical factors in the analyses. The fact that the three resource plans are  
16 identical in the 2011 – 2017 time period ensures this is the case for analysis  
17 purposes.

18 **Q. Please discuss the 3x1 G CC unit in 2011 assumed for each of the resource**  
19 **plans.**

20 A. Because FPL is constructing 3x1 G CC units with in-service dates of 2009 and  
21 2010 at its WCEC site, it is anticipated that significant construction cost  
22 savings are possible if a third unit of identical design could be built for 2011  
23 at a location near the WCEC site because key personnel in regard to the

1 engineering and construction of the units could move from the WCEC 1 & 2  
 2 work directly to the construction of the 2011 unit. Second, FPL’s preliminary  
 3 analyses show that system fuel savings from an earlier (2011 instead of 2012)  
 4 3x1 G CC unit would be beneficial to FPL’s customers even without these  
 5 potential construction cost savings if an earlier unit could be built.

6  
 7 Although FPL has made no firm decisions at the time of this filing to proceed  
 8 with a 2011 CC, for analysis purposes in this filing it was decided to assume  
 9 that such a unit would be included in <sup>all three</sup> ~~both~~ resource plans.

10 **Q. How does the assumption of a 2011 CC unit impact the economic and**  
 11 **non-economic analyses of the three resource plans?**

12 A. Because the 2011 CC unit is assumed to be in each of three resource plans, it  
 13 has no impact on the relative differences between the three resource plans in  
 14 regard to the economic and non-economic analyses.

15 **Q. In developing the resource plans, what assumptions were made in regard**  
 16 **to additions for the period 2021 - on?**

17 A. The remainder of FPL’s capacity needs for 2021-on are assumed to be met by  
 18 the requisite number of unsited 2x1 F technology (F) CC filler units to meet  
 19 FPL’s system reserve margin requirements. The timing and number of these  
 20 filler units varies slightly between the three resource plans due to the  
 21 difference in the capacity of the nuclear units (1,100 MW), the 3x1 G CC  
 22 units (1,219 MW), and the IGCC units (600 MW) added in 2018 and 2020.  
 23 The decision to utilize 2x1 F CC units as the filler units for the 2021-on time

1 period was made to minimize the potential impact that differences in unit  
2 types for filler units between the resource plans in these latter years might  
3 have on the analysis results. And, as previously discussed for the capacity  
4 options included in the resource plans for the 2011 – 2017 time period, these  
5 2x1 F CC filler units do not represent FPL's definitive resource plan for the  
6 2021 – on time period. They are utilized for analysis purposes solely to better  
7 focus the analysis on the resource decision years of 2018 – 2020.

8 **Q. How would the Plan with Nuclear change if the size of the new nuclear**  
9 **units were to change from 1,100 MW to approximately 1,520 MW?**

10 A. As previously mentioned, FPL has steadily growing cumulative resource  
11 needs each year after 2012 so such an increase in the capacity of the new  
12 nuclear units could definitely be utilized. An increase of approximately 420  
13 MW (= 1,520 MW – 1,100 MW) of capacity for each of the nuclear units  
14 would introduce a change to the previously described Plan with Nuclear  
15 assuming that no other change to the plan occurred prior to 2018.

16  
17 This change to the Plan with Nuclear is that the additional 840 MW (= 420  
18 MW per unit x 2 units) of capacity from the two new nuclear units would  
19 reduce the number of 2x1 filler units for the 2021 – 2040 time period from 38  
20 to 37 and would also alter the timing of these filler unit additions. In addition,  
21 it is possible that changes to other factors (such as the project schedules or the  
22 load forecast) could result in a later in-service date for the second of two  
23 larger nuclear units.

1 In summary, a change in the size of the nuclear units from 1,100 MW to  
2 approximately 1,520 MW would have only a slight impact to the Plan with  
3 Nuclear after 2020; primarily reducing the number of, and changing the  
4 timing of, subsequent filler unit additions. The additional 840 MW would  
5 definitely be usable on FPL's system to meet future capacity needs. In  
6 addition, a greater amount of nuclear capacity would also be useful from both  
7 a fuel diversity perspective and a CO<sub>2</sub> emission reduction perspective.

8  
9 **VI. FUEL COST AND ENVIRONMENTAL COMPLIANCE COST**  
10 **FORECASTS AND SCENARIOS USED IN THE ANALYSES**

11  
12 **Q. Please discuss the use of different fuel cost forecasts in the analyses.**

13 A. When comparing generating technologies that burn different fuels, i.e.,  
14 nuclear units, natural gas units, and coal units, it is appropriate that different  
15 fuel cost forecasts be utilized in order to determine the relative economics  
16 between the technologies. In this way the analyses can address the  
17 uncertainty that exists regarding future fuel costs, particularly in regard to the  
18 future cost differential between natural gas, coal, and nuclear fuel.

19  
20 Although there are virtually an inexhaustible number of possible future fuel  
21 cost outcomes, a small number of forecasts that effectively reflect a  
22 reasonable range of future fuel costs are sufficient to conduct a meaningful  
23 economic analysis. Consequently, three different fossil fuel cost forecasts that

1 reflect a reasonable range of future fossil fuel costs were developed and used  
2 in these analyses. These three fossil fuel cost forecasts are referred to as the  
3 High Gas Cost forecast, the Medium Gas Cost forecast, and the Low Gas Cost  
4 forecast. As indicated by this naming convention, the High Gas Cost forecast  
5 projects high natural gas costs, the Medium Gas Cost forecast projects  
6 medium natural gas costs, and the Low Gas Cost forecast projects low natural  
7 gas costs. In addition, forecasted nuclear fuel costs were also developed and  
8 used in the analyses.

9  
10 These forecasts are provided in Appendix E of the Need Study Document.  
11 FPL witness Yupp's testimony addresses the fossil fuel forecasts and FPL  
12 witness Villard's testimony discusses the forecasted nuclear fuel costs.

13 **Q. Please discuss the use of different environmental compliance cost**  
14 **forecasts in the analyses.**

15 A. Just as there is uncertainty in regard to the future cost of fuels, there is  
16 uncertainty in regard to the future environmental regulations and the costs of  
17 complying with those regulations. When comparing generating technologies  
18 that burn different fuels and have different emission profiles, such as is the  
19 case with nuclear, natural gas, and coal units, the future environmental  
20 regulations will determine how the differences in the emission profiles of the  
21 generating technologies will affect the relative cost of the technologies.  
22 Therefore, FPL found it appropriate to conduct its analyses using different  
23 environmental compliance cost forecasts to address the uncertainty that exists

1 regarding future environmental regulations and the costs of complying with  
2 those regulations. These environmental compliance cost forecasts addressed  
3 four emissions: sulfur dioxide (SO<sub>2</sub>), nitrogen oxides (NO<sub>x</sub>), mercury (Hg),  
4 and CO<sub>2</sub>.

5  
6 As is the case with future fuel costs, there are also a large number of future  
7 environmental cost outcomes. However, a small number of forecasts that  
8 effectively reflect a reasonable range of future environmental compliance  
9 costs are sufficient to conduct a meaningful economic analysis. Therefore,  
10 four different environmental compliance cost forecasts that reflect a  
11 reasonable range of future environmental compliance costs were developed  
12 and used in these analyses. These four environmental compliance cost  
13 forecasts are referred to as Env I through Env IV. These forecasts are  
14 provided in Appendix F of the Need Study Document. FPL witness Kosky  
15 addresses the environmental compliance cost forecasts in his testimony.

16 **Q. How did FPL make use of the three fuel cost forecasts and four**  
17 **environmental compliance cost forecasts in its analyses?**

18 A. As previously discussed, FPL initially combined the three fuel cost forecasts  
19 with the four environmental compliance cost forecasts to develop a total of 12  
20 initial scenarios of forecasted fuel costs and environmental compliance costs.  
21 Then, after examining the different scenarios, FPL removed from further  
22 consideration three scenarios comprised of a low natural gas cost forecast and  
23 medium-to-high environmental compliance cost forecasts for CO<sub>2</sub> based on

1 FPL's belief that medium-to-high environmental compliance costs for CO<sub>2</sub>  
2 will result in upward pressure on natural gas prices. In other words, an  
3 assumption of medium-to-high environmental compliance costs for CO<sub>2</sub> is  
4 incompatible with an assumption of low natural gas prices. Each of the  
5 remaining 9 scenarios was then utilized separately in both the economic and  
6 non-economic analyses of the three resource plans.

7  
8 Because the fuel cost forecasts are designated as High Gas Cost, Medium Gas  
9 Cost, and Low Gas Cost, and the environmental compliance cost forecasts are  
10 designated as Env I through Env IV, the 9 scenarios of fuel costs and  
11 environmental compliance costs are designated as High Gas Cost Env I  
12 through High Gas Cost Env IV, Medium Gas Cost Env I through Medium Gas  
13 Cost Env IV, and Low Gas Cost Env I. (The three eliminated scenarios are  
14 Low Gas Cost Env II, Low Gas Cost Env III, and Low Gas Cost Env IV.)

## 15 16 **VII. RESULTS OF THE ECONOMIC ANALYSES**

17  
18 **Q. You previously indicated that FPL's IRP process was used in these**  
19 **analyses. How does the economic analysis used to compare these three**  
20 **resource plans compare to the economic analyses used in previous FPL**  
21 **determination of need filings?**

22 **A. The economic analysis approach utilized for analyzing the addition of two**  
23 **new nuclear units to FPL's system consisted of two steps. The first step is to**

1 develop and then compare the CPVRR costs for the Plan with Nuclear, the  
2 Plan without Nuclear – CC, and the Plan without Nuclear - IGCC. The  
3 analysis approach used in this step was virtually identical to the approach used  
4 in FPL’s most recent Need filings (i.e., the filings for the Turkey Point 5, the  
5 WCEC 1 and 2, and the advanced technology coal generating units) and that is  
6 being used in FPL’s current Need filing for capacity uprates at FPL’s four  
7 existing nuclear generating units. However, there are two differences in this  
8 analysis approach step as applied for Turkey Point 6 & 7 when compared to  
9 this approach as utilized in the most recent Need filings.

10  
11 The first difference is that the cost of transmission losses for the resource  
12 plans is not included because there are no known sites for the CC and IGCC  
13 units selected to compete with the new nuclear units in 2018 and 2020.  
14 Consequently, it is not possible to calculate losses for the two alternate Plans  
15 without Nuclear.

16  
17 The second difference in the economic analysis approach step that developed  
18 CPVRR costs for the resource plans is that no generation or transmission  
19 capital costs associated with Turkey Point 6 & 7 were included in the analysis.

20  
21 The reason for this is that FPL does not believe it is currently possible to  
22 develop a precise projection of the capital costs associated with new nuclear  
23 units with in-service dates of 2018 – on. FPL witness Scroggs’ testimony



1 addresses the subject of FPL's current projection of capital costs for new  
2 nuclear units in more detail. Consequently, FPL's economic analysis  
3 approach normally used to evaluate generation options has been modified to  
4 include a second step in the economic analysis.

5  
6 The second step in the economic analysis used to compare the Plan with  
7 Nuclear with the alternate Plans without Nuclear consists of taking the  
8 CPVRR cost differential between the Plan with Nuclear and one of the Plans  
9 without Nuclear for a given scenario of fuel costs and environmental  
10 compliance costs, then using this differential to determine the capital cost  
11 (generation and transmission) of the two nuclear units that could be spent so  
12 that the CPVRR costs for the two plans would be identical. In other words, a  
13 "breakeven" capital cost for the nuclear units versus both CC and IGCC units  
14 is determined for each of the 9 scenarios versus both CC and IGCC capacity  
15 that might otherwise be added. These breakeven costs are presented in terms  
16 of \$/kW in 2007\$.

17  
18 In summary, the objective of this two-step economic analysis is to allow FPL  
19 to determine a breakeven capital cost range of potential generation and  
20 transmission capital costs for Turkey Point 6 & 7 in which these new nuclear  
21 units are projected to be equal to the cost of alternative, non-nuclear  
22 generating technologies. Later in my testimony I will discuss how this  
23 breakeven capital cost range of potential generation and transmission capital

1 costs compares to FPL's current non-binding capital cost estimate range for  
2 Turkey Point 6 & 7. FPL witness Scroggs' testimony addresses this non-  
3 binding cost estimate range based upon currently available information. FPL's  
4 capital cost estimate range will become more refined as the project continues  
5 to develop, especially as contracts are negotiated. Both the breakeven capital  
6 cost range and FPL's capital cost estimate range for the new units will  
7 continue to be updated as capital costs, fuel costs, environmental compliance  
8 costs, etc. evolve. This will provide ongoing points of comparison for FPL  
9 and the Commission as the project continues to develop.

10 **Q. What costs are included in the first step of the economic analysis?**

11 A. The first step of the economic analysis addresses total system costs for the  
12 FPL system including all fixed and variable costs, upstream gas costs, and  
13 cost of capital impacts for the two Plans without Nuclear. All of these costs,  
14 except for capital costs for the new nuclear units in the Plan with Nuclear as  
15 discussed above, were addressed in the analyses for all three resource plans.

16  
17 However, for the three resource plans in this analysis, there were no upstream  
18 gas costs and cost of capital impacts (i.e., net equity adjustment) were not  
19 included. The upstream gas cost adder is essentially used to account for any  
20 additional gas transportation infrastructure cost resulting from the combined  
21 effect of one or more gas-fired option that is offered to FPL from an outside  
22 party for use in a resource plan (such as when bids are received by FPL in  
23 response to a Request for Proposals). Because FPL was assumed to supply all

1 of the gas-fired units in each resource plan and the amount of gas needed by,  
2 and the timing of, those units were known in advance when creating the  
3 resource plans, all gas-related costs were accounted for in the unit and fuel  
4 cost information and no upstream cost adders were needed.

5  
6 Likewise, all cost of capital impacts were already accounted for by assuming  
7 an incremental 55.8% equity / 44.2% debt investment for the new units  
8 assumed in each resource plan.

9  
10 In order to show that the cost categories that were addressed in these  
11 economic analyses are similar to those addressed in FPL's recent Need filings  
12 (with the exception of capital costs for the new nuclear units), Exhibit SRS-5  
13 presents the economic evaluation results for the three resource plans for one  
14 fuel cost and environmental compliance cost scenario, the High Gas Cost Env  
15 I scenario, using the same presentation format that FPL used in its most recent  
16 Need filings. As discussed above, because the costs for Upstream Gas  
17 Pipeline and Net Equity Adjustment are zero for each of the three resource  
18 plans, these cost categories are not shown.

19 **Q. How were the environmental compliance costs captured in the economic**  
20 **analyses?**

21 A. The environmental compliance costs were captured in the economic analyses  
22 through four steps. First, for each fuel cost and environmental compliance  
23 cost forecast scenario, the production costing analyses carried out with the P-

1 MArea model include a projection of the cost of allowances for each  
2 applicable emission category. Using the emission rates for each generation  
3 unit in FPL's system, P-MArea incorporates the allowance costs for each  
4 emission into the dispatch cost for each generating unit and dispatches the  
5 generating units on an economic basis to minimize system production costs.

6  
7 Second, once the production cost projection was completed, the costs of the  
8 allowances included in the production costs were subtracted from the  
9 production cost projection. Third, the projected annual system emission levels  
10 were extracted from the P-MArea results and compared to a projection of the  
11 allowance levels for each emission that are assumed to be granted to FPL.  
12 (For purposes of these analyses, FPL assumed that no CO<sub>2</sub> allowances would  
13 be granted.) The annual differences between emissions and allowances for  
14 each emission type are then calculated.

15  
16 Finally, for each year in which FPL's allowances are less than the projected  
17 amount of emissions for each emission type, the net deficit amount of  
18 allowances needed to cover emissions is multiplied by that year's projected  
19 allowance cost to derive a compliance cost for that year. Conversely, for each  
20 year in which FPL's allowances exceed the projected amount of emissions,  
21 the net excess amount of allowances is multiplied by that year's projected  
22 allowance cost to derive the value of the excess allowances that could be sold.  
23 This value is entered as a negative compliance cost for that year. If the

1 amount of allowances exactly equals the projected emissions for a given year,  
2 there is no net deficit or excess allowances for the year and, therefore, a zero  
3 compliance cost is entered for that year. The compliance costs – positive,  
4 negative, or zero – for each year are then summed over the analysis period and  
5 the present value of that sum is calculated. This present value amount is then  
6 added to P-MArea's fuel and variable O&M costs to derive the System  
7 Variable Costs for that scenario.

8 **Q. What conclusions can be drawn from these results shown in Exhibit SRS-**  
9 **5?**

10 A. It is important to remember that the results shown in Exhibit SRS-5 provide a  
11 comparison of the costs for the three resource plans under only one of the 9  
12 fuel cost and environmental compliance cost scenarios, the High Gas Cost  
13 Env I scenario.

14  
15 Exhibit SRS-5 shows that the Plan with Nuclear is approximately \$12.1  
16 billion CPVRR in 2007\$ less expensive than the Plan without Nuclear – CC,  
17 and approximately \$13.3 billion CPVRR in 2007\$ less expensive than the  
18 Plan without Nuclear – IGCC for this scenario.

19  
20 Although these results are valid for only one of the 9 fuel cost and  
21 environmental compliance cost scenarios, these values do indicate two cost  
22 results that will hold true for all of the analyses to follow involving the  
23 remaining 8 scenarios.

1 The first such result is that the Plan with Nuclear has lower fixed costs, lower  
2 variable costs, and lower total costs than does either of the alternate Plans  
3 without Nuclear. This is expected because, as previously discussed, the Plan  
4 with Nuclear contains no capital costs for the two new nuclear units.  
5 Therefore, the Plan with Nuclear is expected to have lower fixed costs.  
6 Nuclear units also have lower energy costs than CC or IGCC units so a  
7 resource plan containing new nuclear units is expected to have lower variable  
8 costs than a comparable plan without nuclear units. The second such result is  
9 that the System Fixed Costs for a specific plan are established solely by the  
10 generation capacity additions in that resource plan and will not change as fuel  
11 costs and/or environmental compliance costs change. Therefore, the System  
12 Fixed Costs shown in Exhibit SRS-5 for the three resource plans will remain  
13 unchanged for all 9 fuel cost and environmental compliance cost scenarios  
14 while the System Variable Costs will change from one scenario to another.

15 **Q. Please explain the nature of the Transmission System costs that are**  
16 **included in the analyses of the resource plans.**

17 A. In practice, transmission capital expenditures are required when new power  
18 plants are built due to the need for new transmission facilities required to  
19 connect the new power plant additions to the transmission grid and to allow  
20 the transmittal of the new plant's output throughout the transmission system.  
21 These costs are referred to, respectively, as transmission interconnection and  
22 integration costs. In the economic analyses that FPL has performed, certain  
23 representative transmission interconnection capital costs are assumed, but no

1 transmission integration capital costs were assumed for the 2011 – 2017  
2 power plant additions that are identical in each of the three resource plans  
3 because no sites are known for the power plant additions assumed for analysis  
4 purposes. A designation of sites would be necessary in order to determine  
5 transmission integration costs. Similarly, for the filler units that appear in  
6 each of the plans for the 2021 – on time period, no transmission integration  
7 capital costs are assumed for the same reason.

8  
9 In the Plan without Nuclear – CC and the Plan without Nuclear – IGCC, a  
10 total transmission capital cost addressing both transmission interconnection  
11 and integration of \$500 million is assumed for the 2018 and 2020 capacity  
12 additions. This approach was taken because FPL’s non-binding cost estimate  
13 range for Turkey Point 6 & 7 does include a similar total transmission capital  
14 cost estimate. Therefore, the inclusion of transmission capital costs for the  
15 2018 and 2020 CC and IGCC capacity additions allows the calculation of  
16 breakeven capital costs for Turkey Point 6 & 7, and the subsequent  
17 comparison to the non-binding estimates, to be more meaningful. Given that  
18 these generating additions are of similar capacity in the same years, it is  
19 reasonable to assign a similar magnitude of cost for transmission capital costs.

20  
21 In discussing the transmission facilities that are initially projected for Turkey  
22 Point 6 & 7, FPL witness Sanchez’s testimony generally addresses how

1 transmission analyses are carried out and what requirements are examined in  
2 these analyses.

3

4 Finally, as previously discussed, the cost of losses for the three resource plans  
5 are not included because sites for these assumed future generating unit  
6 additions are not known.

7 **Q. What were the results of the first step of the economic analyses in which**  
8 **all 9 of the fuel cost and environmental compliance cost scenarios were**  
9 **included?**

10 A. Exhibit SRS-6 presents the total costs for the three resource plans for all 9 of  
11 these scenarios. In addition, the total cost differences between the three plans  
12 are also shown. The total cost results shown on this document for High Gas  
13 Cost Env I scenario for the resource plans are the same as the total cost results  
14 presented for the resource plans in Exhibit SRS-5.

15

16 The total cost results shown on Exhibit SRS-6 for the remaining 8 scenarios  
17 have not been previously presented. However, by examining Exhibits SRS-5  
18 and SRS-6 and considering that the System Fixed Costs shown on Exhibit  
19 SRS-5 do not change as the scenarios change, it is clear that all of the cost  
20 differences shown on Exhibit SRS-6 are due to the System Variable Cost  
21 category on Exhibit SRS-5. In other words, all of the differences are from  
22 changes in the fuel costs and/or environmental compliance costs.



1 In regard to the columns titled Total Cost Difference in Exhibit SRS-6, a  
2 negative value indicates that the costs for the Plan with Nuclear are lower than  
3 those of the alternate Plan without Nuclear to which the Plan with Nuclear is  
4 being compared (while a positive value would indicate that the costs for the  
5 Plan with Nuclear are higher than those of the comparable Plan without  
6 Nuclear).

7  
8 Exhibit SRS-6 shows that, as expected for the first step of the economic  
9 analysis, the Plan with Nuclear has a lower CPVRR cost under all scenarios of  
10 fuel cost forecasts and environmental compliance cost forecasts. This is  
11 because the capital cost of the new nuclear units is assumed to be zero for this  
12 first analysis step and the Plan with Nuclear will have lower variable costs.

13  
14 Exhibit SRS-6 provides a significant amount of cost and cost differential data  
15 for the three resource plans. In order to simplify this comparison of costs for  
16 the plans, the cost differentials for the plans that are shown in Exhibit SRS-6  
17 are reorganized and presented again in matrix format in Exhibit SRS-7. The  
18 intent is to provide a somewhat more easily understood summary of the Total  
19 Cost Difference column results in Exhibit SRS-6, particularly as the results  
20 relate to the different fuel cost and environmental compliance cost forecasts.

21 **Q. How would you summarize the information for each resource plan that is**  
22 **presented in Exhibit SRS-7?**

1           A.     First, as previously mentioned, these results of the first step in the economic  
2                   analysis show the expected result: that the Plan with Nuclear (that assumes no  
3                   capital costs for the new nuclear units) has a lower CPVRR cost for all  
4                   scenarios than do either of the Plans without Nuclear. Second, the CPVRR  
5                   cost advantage of the Plan with Nuclear versus the Plan without Nuclear – CC  
6                   is greater on the left side of the matrix presented in Exhibit SRS-7 due to the  
7                   higher gas cost forecasts on the left hand side. Also, the CPVRR cost  
8                   advantage of the Plan with Nuclear versus either of the Plans without Nuclear  
9                   are greater nearer the bottom of the matrix due to the higher environmental  
10                  compliance costs nearer the bottom of the matrix and the fact that operation of  
11                  the new nuclear units will result in essentially no SO<sub>2</sub>, NO<sub>x</sub>, Hg, or CO<sub>2</sub>  
12                  emissions.

13

14                  Exhibit SRS-7 summarizes the results at the conclusion of the first step of the  
15                  economic analysis. These results are then used to determine the breakeven  
16                  capital costs of the new nuclear units.

17           **Q.     How did the second step of the economic analysis convert the results**  
18                   **presented in Exhibit SRS-7 into breakeven nuclear capital costs?**

19           A.     Having determined the CPVRR cost differentials between the three plans for  
20                   all 9 scenarios in the first step of the economic analysis, FPL then developed an  
21                   estimated projection of the recovery schedule of nuclear capital costs prior to  
22                   the in-service dates of Turkey Point 6 & 7. This information, when combined  
23                   with the traditional recovery of annual revenue requirements after the in-

1 service dates for the two nuclear units, allows the calculation of how a \$1/kW  
2 capital cost in 2007\$ translates into a CPVRR capital cost. Appendix H of the  
3 Need Study Document presents this projection and CPVRR calculation. This  
4 calculation shows that a new nuclear unit cost of \$1/kW in 2007\$ equates to  
5 \$1.973 million CPVRR in 2007\$.

6  
7 Using the CPVRR cost differentials for each scenario presented in Exhibit  
8 SRS-7, and the above-mentioned \$1.973 million CPVRR capital cost  
9 calculated in Appendix H, a nuclear capital breakeven cost was calculated for  
10 each of the 9 scenarios versus the alternate Plans without Nuclear. The  
11 calculation consists of dividing the CPVRR differences in Exhibit SRS-7 (the  
12 differences are presented in terms of millions of dollars) by 1.973 (also in  
13 terms of millions of dollars) to obtain the breakeven capital cost in \$/kW in  
14 2007\$.

15 **Q. What were the results of this second step of the nuclear capital cost**  
16 **breakeven analysis?**

17 A. The nuclear breakeven capital costs are presented in Exhibit SRS-8. These  
18 breakeven capital costs range from \$3,206/kW to \$7,281/kW in 2007\$ versus  
19 the Plan without Nuclear – CC, and ranged from \$5,921/kW to \$9,450/kW in  
20 2007\$ versus the Plan without Nuclear - IGCC. As expected from the  
21 CPVRR cost differences presented in Exhibit SRS-7, the higher breakeven  
22 costs were calculated for the scenarios on the left hand side of the matrices

1 due to higher gas costs and nearer the bottom of the matrices due to higher  
2 environmental compliance cost forecasts.

3 **Q. What conclusions did FPL draw from these economic analysis results?**

4 A. The breakeven nuclear capital cost ranges show the current projection for the  
5 range of nuclear capital costs that would allow the addition of two new  
6 nuclear units, one in 2018 and one in 2020, to yield identical CPVRR system  
7 costs over a 40-year period versus a comparable amount of CC or IGCC  
8 capacity added in the same years.

9  
10 These two breakeven cost ranges are generally higher than FPL's current non-  
11 binding capital cost estimate range for new nuclear units; i.e., the non-binding  
12 cost estimate of \$3,108/kW to \$4,540/kW in 2007\$. Consequently, FPL  
13 believes it is reasonable to begin making expenditures in order to continue to  
14 obtain refined cost and performance projections for new nuclear units; i.e., to  
15 retain the option of adding new nuclear generating capacity, Turkey Point 6 &  
16 7, by the 2018 – 2020 time period.

17 **Q. Are there comparative aspects between the three resource plans that FPL**  
18 **has not quantified in these economic analyses results that would further**  
19 **favor the addition of Turkey Point 6 & 7?**

20 A. Yes. There are four comparative aspects of the resource plans that have not  
21 been quantified in the economic analyses presented in these exhibits. All four  
22 of these comparative aspects would be expected to further favor the addition  
23 of Turkey Point 6 & 7. FPL has quantified one of these four comparative

1 aspects. The remaining three comparative aspects have not been quantified  
2 for reasons that will be discussed shortly.

3 **Q. Please discuss the one comparative aspect that FPL has quantified.**

4 A. This comparative aspect involves the difference in CO<sub>2</sub> emissions between the  
5 nuclear, CC, and IGCC options. The economic analysis results presented in  
6 Exhibits SRS-5 through SRS-8 take this difference in CO<sub>2</sub> emissions into  
7 account by utilizing the CO<sub>2</sub> compliance costs from the different  
8 environmental compliance cost forecasts. The annual costs of CO<sub>2</sub>  
9 compliance for the CC unit, and even more so for the higher CO<sub>2</sub>-emitting  
10 IGCC unit, are increased by the inclusion of these CO<sub>2</sub> compliance costs.

11  
12 However, it is expected that another way to address CO<sub>2</sub> emissions will  
13 ultimately become an option: carbon capture and sequestration (CCS) which  
14 would result in physically preventing, at least to a significant degree, CO<sub>2</sub>  
15 emissions during power plant operation. Although this approach will result in  
16 lower CO<sub>2</sub> emissions, it will also result in higher capital and operating costs  
17 for the generating unit which utilizes CCS. In order to project what the  
18 overall cost impact of CCS might be on the breakeven capital cost estimates  
19 for Turkey Point 6 & 7 presented in Exhibit SRS-8, FPL reevaluated the Plan  
20 without Nuclear – IGCC after assuming that the 2018 and 2020 IGCC units  
21 would have CCS capability.

1           The capital and operating cost impacts of CCS are not currently known with  
2           any significant level of precision, so the actual values by which the breakeven  
3           costs are projected to change with the inclusion of CCS should be taken with  
4           reservations. It is for this reason that FPL has not presented the economic  
5           analysis results with CCS in the same format as Exhibits SRS-5 through SRS-  
6           8. However, the direction and approximate magnitude of these changes in the  
7           breakeven costs for Turkey Point 6 & 7 are meaningful.

8  
9           When the Plan without Nuclear – IGCC was reevaluated with CCS costs, the  
10          breakeven previously presented in Exhibit SRS-8 increased significantly in  
11          each of the 9 scenarios. The range of increase in the breakeven costs ranged  
12          from a low of approximately \$374/kW for the Medium Gas Cost Env IV  
13          scenario which features high CO<sub>2</sub> compliance costs to \$2,836/kW for the Low  
14          Gas Cost Env I scenario which features low CO<sub>2</sub> compliance costs. In the  
15          Low Gas Cost Env I scenario, the higher capital and operating costs  
16          associated with CCS are not offset to any significant degree with reduced CO<sub>2</sub>  
17          compliance costs. In the Medium Gas Cost Env IV scenario, the high CO<sub>2</sub>  
18          compliance costs avoided by the CCS equipment at least partially offsets the  
19          higher CCS costs.

20  
21          Exhibit SRS-8 already shows that, for all 9 scenarios, the breakeven costs for  
22          Turkey Point 6 & 7 versus IGCC capacity are already higher than the non-  
23          binding cost estimate range for new nuclear units. The inclusion of CCS costs

1 would significantly increase these breakeven costs. Consequently, Turkey  
2 Point 6 & 7 are projected to be even more cost-effective versus IGCC capacity  
3 with CCS than versus IGCC capacity without CCS.

4 **Q. What are the three remaining comparative aspects between the resource**  
5 **plans that FPL has not quantified?**

6 A. These three comparative aspects include: (1) the differential in costs to  
7 maintain an on-site operating fuel supply between the nuclear, CC, and IGCC  
8 technologies; (2) the cost of losses; and (3) a periodic system concern in  
9 FPL's resource planning, a recurring imbalance between generation and  
10 demand in the Southeastern Florida region.

11

12 The first of these comparative aspects, on-site fuel supply, highlights the fact  
13 that although a significant amount of on-site fuel supply is inherent in the  
14 design of, and included in the cost estimates for, the IGCC and Turkey Point 6  
15 & 7 units (60 days of supply for the IGCC and up to 18 months for Turkey  
16 Point 6 & 7), the on-site fuel supply for the CC units is for three to four days  
17 of backup fuel oil supply. Therefore, the Turkey Point 6 & 7 units offer a  
18 very substantial advantage over CC units in terms of fuel supply reliability.  
19 This advantage is difficult to quantify, however, because the amount of  
20 unburned fuel remaining in a nuclear generating unit declines steadily over the  
21 course of an operating cycle and hence there is no fixed, consistent level of  
22 nuclear fuel "reserve" on-site from which to calculate the cost of equivalent  
23 fuel supply at a CC unit. In any event, FPL's analyses show that the Plan with

1 Nuclear appears to be at least as economic as the Plan without Nuclear – CC  
2 even without including a quantified benefit for the inherent on-site fuel supply  
3 at a nuclear unit.

4  
5 The second comparative aspect that was not quantified is the cost of losses.  
6 As previously discussed, the cost of losses was not included in the economic  
7 analyses due to lack of knowledge regarding where new CC or IGCC units  
8 might be built in 2018 and 2020. However, if the costs of losses were to be  
9 calculated, the Turkey Point site for the new nuclear units would likely result  
10 in a significant advantage for the new nuclear units due to the proximity of the  
11 Turkey Point site to FPL’s load center.

12  
13 In addition, the fact that the Turkey Point site is located in the Southeastern  
14 Florida region means that Turkey Point 6 & 7 would likely also have an  
15 advantage in regard to the third comparative aspect that has not been  
16 quantified: the recurring regional imbalance between generation and load in  
17 the Southeastern Florida region. As mentioned earlier in my testimony,  
18 concern regarding this imbalance has been addressed for a number of years in  
19 the immediate future with the addition of the Turkey Point Unit 5 (added in  
20 2007) and the addition of WCEC Units 1 and 2 (to be added in 2009 and  
21 2010, respectively). However, as the electrical load continues to grow,  
22 additional generation will subsequently need to be built in Southeastern  
23 Florida or additional transmission facilities that increase the ability to import



1 power into the region will have to be built. The addition of two large units,  
2 such as Turkey Point 6 & 7, in Southeastern Florida would certainly be  
3 helpful in addressing this imbalance.

4  
5 Therefore, while neither the inherent on-site fuel supply benefits of Turkey  
6 Point 6 & 7, nor the benefits in regard to losses and regional imbalance  
7 associated with siting new nuclear units at Turkey Point, have been quantified  
8 in the economic analyses, these advantages are real. If a quantification of  
9 these advantages of Turkey Point 6 & 7 had been made, the projected nuclear  
10 breakeven capital costs for Turkey Point 6 & 7 would be increased beyond  
11 what is presented in Exhibits SRS-5 through SRS-8.

12 **Q. What is the approximate magnitude of the impacts to FPL's customers'**  
13 **bills that can be expected from Turkey Point 6 & 7?**

14 A. At this time it is not possible to precisely project bill impacts due to  
15 uncertainty in a number of key factors including, but not limited to, the capital  
16 costs for Turkey Point 6 & 7, the fuel costs, and the environmental  
17 compliance costs as has been previously discussed. However, monthly bills  
18 for FPL's customers can be expected to increase in years preceding the in-  
19 service dates of Turkey Point 6 & 7 as capital costs are recovered with no  
20 system fuel or environmental compliance cost savings yet occurring. Once  
21 the new nuclear units begin to come in-service and provide system fuel and  
22 environmental compliance cost savings, these savings begin to offset the  
23 capital and fixed operating costs. Over time, as the annual capital cost

1 recovery amounts decline due to depreciation and the annual fuel and  
2 environmental compliance cost savings are expected to increase as these costs  
3 rise, the projected increased bill amounts will steadily decrease and then turn  
4 into bill savings.

5  
6 In order to present a representative bill impact projection, FPL has assumed a  
7 capital cost of \$3,800/kW in 2007\$ for both Turkey Point 6 & 7. This  
8 assumed capital cost value falls in the middle of FPL's projected range of  
9 non-binding cost estimates for these new units. Then, an approximate  
10 customer bill impact has been calculated for the years 2009 – 2021 for one of  
11 the fuel cost and environmental compliance cost forecast scenarios, Medium  
12 Gas Cost Env II, and is presented in Exhibit SRS-9. The range of years 2009  
13 – 2021 begin with the first year in which recovery of capital costs for the new  
14 nuclear units is projected through 2021 that is the first full year in which the  
15 two new nuclear units are projected to be in operation.

16  
17 The calculation is based on a system average rate differential for each year  
18 between the Plan with Nuclear and one of the alternate Plans without Nuclear,  
19 the Plan without Nuclear - CC. The difference in the annual revenue  
20 requirements between the Plan with Nuclear and the Plan without Nuclear –  
21 CC is calculated first. Then this annual revenue requirement differential is  
22 divided by the projected annual sales amount to develop a system average rate  
23 differential for each year. Finally, this system average rate differential is

1 multiplied by 1,000 kWh to develop an approximate customer bill impact  
2 between the two plans.

3

4 As shown in Exhibit SRS-9 the results of that calculation for a 1,000 kWh bill  
5 range from \$0.43 to \$5.80 for 2009 through 2020. For 2021, the first year in  
6 which both new nuclear units are in-service for a full year, the projected 1,000  
7 kWh bill impact is -\$0.36, a reduction.

8 **Q. Has FPL projected the annualized base revenue requirements for the first**  
9 **12 months of operation of Turkey Point 6 & 7?**

10 A. Yes. However, it is not possible at this time to precisely project the  
11 annualized base revenue requirements, also referred to as non-fuel costs,  
12 because the capital costs for Turkey Point 6 & 7 are not yet known. As  
13 indicated throughout FPL's filing, FPL's current non-binding capital cost  
14 estimate for the new nuclear units ranges from \$3,108/kw in 2007\$ to  
15 \$4,540/kw in 2007\$. For purposes of providing a projection of the non-fuel  
16 costs for the first 12 months of operation of Turkey Point 6 & 7, FPL assumed  
17 the same capital cost value of \$3,800/kW in 2007\$ for both Turkey Point 6 &  
18 7 that was used in the customer bill impact projection. This assumed capital  
19 cost value falls in the middle of FPL's projected range of non-binding cost  
20 estimates for these new units. Using this capital cost assumption and the  
21 assumption that both units will go in-service on June 1 of their respective in-  
22 service years, the approximate non-fuel costs for the first 12 months of  
23 operation are \$1,242 million for Turkey Point 6 and \$761 million for Turkey

1 Point 7. Both of these values include the non-fuel costs for the 7 months of  
2 operation in the in-service year (2018 for Turkey Point 6 and 2020 for Turkey  
3 Point 7) and for 5 months of the following year.

4  
5 These cost projections are based on the in-service dates, the mid-range single  
6 point capital cost estimate, the projected fixed O&M and capital replacement  
7 costs, and the financial/economic assumptions used in the economic analyses.  
8 If the actual values are different for one or more of these assumptions, then  
9 these projected cost values may also change.

10 **Q. You mentioned earlier that FPL's analyses assumed a 55.8% equity /**  
11 **44.2% debt capital structure. What is the basis for this assumption?**

12 A. This capital structure represents FPL's projection of its capital structure over  
13 the long-term. This projection also uses the 11.75% return on equity value  
14 reflected in FPL's last base rate settlement agreement.

15 **Q. Is it possible that additional risk may be attributed to the construction**  
16 **and permitting of new nuclear generating units, thus affecting FPL's**  
17 **present long-term capital structure and return on equity assumptions?**

18 A. Yes, it is possible. However, it is not possible at this time to accurately gauge  
19 the level of additional risk that will be attributed to the construction of new  
20 nuclear units in Florida compared to other forms of generation to which  
21 nuclear might be compared and what the economic impact of that risk would  
22 be. FPL's filing is basically intended to provide a first cut at how the cost of  
23 new nuclear units would compare to other generating units that might be built.

1 FPL believes its analytical approach of looking at a broad range of breakeven  
2 costs for new nuclear units provides a reasonable comparison of the capital  
3 costs of new nuclear units to those of non-nuclear generation options.

4

5 **VIII. RESULTS OF THE SYSTEM NON-ECONOMIC ANALYSES**

6

7 **Q. How were the effects of the three plans on FPL's system fuel diversity**  
8 **evaluated?**

9 A. The effects of the three resource plans on FPL's system fuel diversity were  
10 evaluated by projecting the annual percentage of system energy that is  
11 supplied by each fuel type - coal/petroleum coke, natural gas, oil, nuclear, and  
12 other (primarily purchases such as from waste-to-energy facilities) - for the  
13 resource plans for the 2018 - 2021 time period; i.e., a system fuel mix  
14 projection. This four-year time frame was chosen because it addresses the  
15 time period starting when the first nuclear unit is assumed to come in-service  
16 (2018) through the first year that both nuclear units are in-service for a full  
17 year (2021).

18

19 Generation unit dispatch is affected by the types of generating units available,  
20 the fuels they use, and the relative fuel costs and/or environmental compliance  
21 costs. Because unit dispatch determines the relative amount of energy that is  
22 supplied by each unit, and consequently by each fuel type, the system fuel mix  
23 is also affected by the types of generating units available, the fuels they use,

1 and the relative fuel costs and/or environmental compliance costs.  
2 Consequently, the fuel diversity results will be presented for each resource  
3 plan for two scenarios, High Gas Cost Env III and Low Gas Cost Env I,  
4 selected to represent a range of fuel cost forecasts and environmental  
5 compliance cost forecast scenarios.

6 **Q. What were the differences in the FPL system fuel mix between the three**  
7 **resource plans?**

8 A. Exhibit SRS-10 presents the annual projection for 2018 - 2021 of the  
9 percentage of energy produced by coal/petroleum coke (coal), natural gas, oil,  
10 nuclear, and other for the resource plans for the two scenarios mentioned  
11 above.

12  
13 As shown in Exhibit SRS-10, the Plan with Nuclear holds a significant  
14 advantage in regard to fuel diversity compared to the Plan without Nuclear –  
15 CC, and has a similar fuel diversity impact to the Plan without Nuclear -  
16 IGCC. When looking at the results for the High Gas Cost Env III scenario for  
17 the year 2021 for nuclear, natural gas, and coal/petroleum coke, it is projected  
18 that the Plan with Nuclear will result in FPL's system supplying  
19 approximately 27% of its energy with nuclear, 65% with natural gas, and 7%  
20 with coal/petroleum coke. By comparison, it is projected that the Plan without  
21 Nuclear - CC will result in FPL's system supplying only 16% of its energy  
22 with nuclear, 75% with natural gas, and 7% with coal and the Plan without  
23 Nuclear – IGCC will result in FPL's system supplying only 16% with nuclear,

1           64% with natural gas, and 17% with coal. The contributions of oil and other  
2           fuel remain essentially unchanged at 2% and less than 1%, respectively, for all  
3           three plans.

4  
5           For the Low Gas Cost Env I scenario, the relative fuel mix percentages for the  
6           various fuels are relatively unchanged for the three resource plans.

7  
8           Therefore, the Plan with Nuclear is projected to have a significant fuel  
9           diversity advantage, as measured by its approximately 10% higher reliance on  
10          nuclear energy and 10% lower dependence upon natural gas, over the Plan  
11          without Nuclear – CC and has a similar fuel diversity advantage as the Plan  
12          without Nuclear - IGCC.

13  
14          An increase of 10% in nuclear’s contribution to the system annual fuel mix on  
15          a utility system the size of FPL’s system is definitely meaningful. This is  
16          more readily apparent when the difference is translated into terms of increased  
17          MWh supplied by the new nuclear units, and the equivalent number of  
18          residential customers whose total annual energy usage could be supplied by  
19          the additional energy output from these units.

20  
21          For 2021, the first full year in which both new nuclear units are in-service, the  
22          Plan with Nuclear will provide an increase of approximately 17.64 million  
23          MWh from nuclear compared to the two alternate Plans without Nuclear.

1 Taking into account that FPL's average residential customer is projected to  
2 use approximately 16,400 kWh in 2021, the increased nuclear energy  
3 generation from Turkey Point 6 & 7 would serve the total electricity needs of  
4 about 1,075,000 residential customers in 2013.

5 **Q. Another perspective would be to examine how much fossil fuel would be**  
6 **consumed if the annual output of the new nuclear units were to be**  
7 **provided by conventional fossil fuel generating units. If FPL were to**  
8 **generate the Turkey Point 6 & 7 projected annual energy output with**  
9 **such units, how much oil, coal, or natural gas would be needed?**

10 A. If this same amount of annual energy were to be produced by existing units in  
11 2021, the projected amount of oil consumed would be approximately 27.6  
12 million barrels of oil if the energy were solely produced with oil units, 7.1  
13 million tons of coal if the energy were solely produced with coal, and 123.5  
14 billion cubic feet (BCF) of natural gas if the energy were solely produced with  
15 natural gas. Taking into account the projected 40 year life of the Turkey Point  
16 6 & 7 units, these annual amounts would increase to the following  
17 approximate amounts over this 40 year period: 1.1 billion barrels of oil, 284  
18 million tons of coal, and 4,900 BCF of natural gas.

19 **Q. How were the effects of the three plans on FPL system emissions of CO<sub>2</sub>**  
20 **evaluated?**

21 A. The effects of the three resource plans on FPL's projected CO<sub>2</sub> emission  
22 levels were evaluated by projecting the annual CO<sub>2</sub> emission levels for the  
23 resource plans for the 2007 - 2021 time period.



1       **Q.     What were the results of the CO<sub>2</sub> emission analysis?**

2       **A.**     The results of this analysis are presented in Exhibit SRS-11. As expected,  
3             there are no differences between the three plans for the years 2007 through  
4             2017 because the plans are identical. However, starting in 2018, there are  
5             significant differences in CO<sub>2</sub> emissions between the plans. The Plan with  
6             Nuclear shows dramatically lower CO<sub>2</sub> emissions in the 2018 – 2021 time  
7             period due to the fact that nuclear power plant operation results in essentially  
8             zero CO<sub>2</sub> emissions as further discussed in the testimony of FPL witness  
9             Kosky.

10

11            For 2021, the first year for which the 2018 and 2020 unit additions are  
12            operating for a full year, the projected FPL system CO<sub>2</sub> emissions for the three  
13            plans are as follows:

14

15                    - Plan with Nuclear = 64.9 million tons

16                    - Plan without Nuclear – CC = 71.8 million tons

17                    - Plan without Nuclear – IGCC = 82.4 million tons

18

19            Comparing these values shows that the CO<sub>2</sub> emission projection for 2021 for  
20            the Plan with Nuclear is 6.9 million tons per year lower than for the Plan  
21            without Nuclear – CC. Also for 2021, the Plan with Nuclear is 17.5 million  
22            tons per year lower than for the Plan without Nuclear - IGCC.

1 From a percentage perspective for 2021, the Plan with Nuclear would result in  
2 approximately a 10% reduction in annual CO<sub>2</sub> emissions compared to the Plan  
3 without Nuclear – CC and approximately a 21% reduction in annual CO<sub>2</sub>  
4 emissions compared to the Plan without Nuclear – IGCC.

5 **Q. Would these CO<sub>2</sub> emission reductions for the Plan with Nuclear be**  
6 **sustained for years after 2021?**

7 A. Yes. Assuming that the post-2021 capacity additions for each of the three  
8 plans would be identical, the projected CO<sub>2</sub> emission differentials between the  
9 three plans would be maintained for the life of Turkey Point 6 & 7.

10 **Q. Please summarize the results of the non-economic analyses of the three**  
11 **plans.**

12 A. In regard to system fuel diversity, the Plan with Nuclear is projected to have a  
13 significant advantage over the Plan without Nuclear – CC and a comparable  
14 result to the Plan without Nuclear – IGCC. The increased nuclear energy  
15 generation from Turkey Point 6 & 7 would serve the total electricity needs of  
16 about 1,075,000 residential customers in 2021. In regard to system CO<sub>2</sub>  
17 emissions, the Plan with Nuclear has significant advantage over both alternate  
18 plans. By 2021 the Plan with Nuclear has an advantage of 6.9 million tons per  
19 year (or a 10% reduction) compared to the Plan without Nuclear – CC and an  
20 even larger advantage, 17.5 million tons per year (or a 21% reduction),  
21 compared to the Plan without Nuclear – IGCC.

1                   **IX. ADVERSE CONSEQUENCES OF NOT APPROVING**

2                                   **TURKEY POINT 6 & 7**

3

4       **Q.     Would there be adverse consequences if a Need Determination for**  
5           **Turkey Point 6 & 7 is not approved?**

6       A.     Yes. If FPL's request for a Need Determination for Turkey Point 6 & 7 is not  
7           approved, FPL's ability to pursue the option of capacity additions from new  
8           nuclear units would be seriously hampered. As discussed in the previous  
9           section, this would likely lead to adverse consequences in regard to  
10          economics. This is evidenced by the favorable projections of breakeven  
11          capital costs for new nuclear units compared to FPL's non-binding cost  
12          estimates for such units.

13

14           In addition, a decision not to approve the Need petition for Turkey Point 6 & 7  
15           would definitely lead to adverse consequences in regard to promoting fuel  
16           diversity and lowering CO<sub>2</sub> emissions in the long-term for FPL's system.  
17           This is evidenced by the projections of significant gains in system fuel  
18           diversity and reduced system CO<sub>2</sub> emissions from Turkey Point 6 & 7.

19       **Q.     How would FPL's ability to pursue the option of capacity additions from**  
20           **new nuclear units be affected if a Need Determination for Turkey Point 6**  
21           **& 7 were not approved?**

22       A.     If a Need Determination for Turkey Point 6 & 7 is not approved, FPL would  
23           not be able to obtain needed information regarding the costs and performance

1 for new nuclear units and to proceed with the necessary licensing steps for  
2 approval of new nuclear units. Delay in pursuing the option of new nuclear  
3 generating units would be inevitable. This would greatly restrict FPL's  
4 options in regard to reliably and economically meeting future capacity needs  
5 with generating options that could also significantly increase system fuel  
6 diversity and lower system CO<sub>2</sub> emissions.

## 8 X. CONCLUSIONS

9  
10 **Q. Would you please explain the conclusions you draw from the analyses**  
11 **previously discussed?**

12 **A.** Yes. I draw the following four conclusions from the results of these analyses:

13 1) The range of breakeven capital costs for new nuclear units at Turkey  
14 Point is a broad one that encompasses FPL's current range of non-  
15 binding cost estimates for new nuclear units. Therefore, it appears  
16 there is a strong likelihood that new nuclear units at Turkey Point can  
17 be constructed at a cost that would allow the units to be economic  
18 compared to CC and/or IGCC units that might otherwise be  
19 constructed.

20 2) The Plan with Nuclear has a significant advantage in regard to system  
21 fuel diversity compared to the Plan without Nuclear – CC and has  
22 similar fuel diversity advantages to the Plan without Nuclear - IGCC.  
23 The increased nuclear energy generation from Turkey Point 6 & 7

1                    would serve the total electricity needs of about 1,075,000 residential  
2                    customers in 2021.

3                    3) The Plan with Nuclear has a significant advantage in regard to system  
4                    CO<sub>2</sub> emissions compared to the Plan without Nuclear – CC and an  
5                    even larger advantage compared to the Plan without Nuclear – IGCC.

6                    4) Failure to obtain Need approval for Turkey Point 6 & 7 will, at the  
7                    very least, significantly delay FPL from pursuing the option of  
8                    obtaining capacity addition from new nuclear units. This would  
9                    greatly restrict FPL's options in regard to reliably and economically  
10                   meeting future capacity needs with generating options that could also  
11                   significantly increase system fuel diversity and lower system CO<sub>2</sub>  
12                   emissions.

13

14                   Based on these four results from the analyses, my overall conclusion is that  
15                   FPL's Need Determination petition should be approved so that FPL can  
16                   pursue the option of capacity and energy from new nuclear units at the Turkey  
17                   Point site for the benefit of its customers.

18                   **Q.    Would your conclusion be the same if the in-service dates of Turkey Point**  
19                   **6 & 7 were different from those used in the analyses?**

20                   A.    Yes. The projected economic and non-economic advantages of the new  
21                   nuclear units as analyzed are significant and their addition should benefit  
22                   FPL's customers regardless of the in-service date.

1       **Q.**     **Does this conclude your testimony?**

2       **A.**     **Yes.**

1 BY MR. ANDERSON:

2 Q Dr. Sim, have you prepared a summary of your direct  
3 testimony?

4 A Yes, sir.

5 Q Please provide your summary to the Commission.

6 A Good morning, Chairman Carter and Commissioners.

7 A projection of FPL's capacity needs identified an  
8 additional resource need by the year 2020 of over 6,100  
9 megawatts if those resources were provided by supply options or  
10 over 5,100 megawatts if they were to be supplied by DSM.  
11 However, this resource need projection already includes all of  
12 the cost-effective DSM known to FPL, approximately  
13 1,900 megawatts. Therefore, this significant resource need  
14 projected through 2020 will largely need to be addressed by new  
15 supply options. New nuclear units are one option that could  
16 address this resource need starting in 2018.

17 Our approach for analyzing the option of new nuclear  
18 units was to create three resource plans with comparable  
19 amounts of new capacity added in the years 2018 and 2020. One  
20 plan added Turkey Point 6 and 7 nuclear units, a second plan  
21 added a comparable amount of combined cycle capacity, and a  
22 third plan, a comparable amount of IGCC capacity.

23 We then conducted both economic and noneconomic  
24 analyses of these three resource plans, and in those analyses  
25 we utilized nine scenarios of forecasted fuel costs and

1 environmental compliance costs.

2 In the economic analysis, FPL first determined the  
3 break-even capital cost for new nuclear units versus combined  
4 cycle and IGCC for each scenario, then compared the break-even  
5 cost to a current capital cost range for new nuclear units that  
6 range from approximately \$3,100 a kW to \$4,500 a kW in 2007.

7 In the noneconomic analyses we compared the three  
8 plans of the three types of capacity options in regard to FPL's  
9 system fuel diversity or fuel mix and in regard to CO2  
10 emissions.

11 The results of the economic analysis were that the  
12 break-even costs for Turkey Point 6 and 7 were higher than the  
13 current capital cost range for new nuclear units in nine of  
14 nine scenarios versus IGCC, in eight of nine scenarios versus  
15 combined cycle, and in the remaining one scenario for combined  
16 cycle within the current cost range for new nuclear units.

17 The results of the noneconomic analysis were as  
18 follows. In regard to system fuel diversity, Turkey  
19 Point 6 and 7 would result in approximately a 10 percent less  
20 dependence on natural gas by the year 2021 versus combined  
21 cycles. In regard to system CO2 emissions, Turkey Point  
22 6 and 7 would significantly reduce FPL's annual CO2 emissions,  
23 approximately a 7 million ton per year reduction versus  
24 combined cycle or a 17 million ton per year reduction versus  
25 IGCC. And these equate to approximately a 10 percent reduction



1 annually versus combined cycle and 21 percent versus IGCC.

2           In conclusion, the Turkey Point 6 and 7 units are  
3 currently projected to be the economically competitive capacity  
4 option for addressing our capacity needs in 2018 through 2020  
5 to lower dependency on natural gas by 10 percent starting in  
6 2021 and to annually reduce CO2 emissions by seven to  
7 17 million tons starting in the same year. Therefore, FPL's  
8 need determination petition should be approved so that FPL can  
9 pursue the option of capacity and energy from new nuclear units  
10 at the Turkey Point site for the benefit of its customers.  
11 Thank you.

12           MR. ANDERSON: Dr. Sim is available for  
13 cross-examination.

14           CHAIRMAN CARTER: Let me -- before we start our  
15 cross-examination, Dr. Sim -- and forgive me if I sometimes say  
16 Sims. I'm so used to playing Sim City.

17           Just kind of a generic question. I want you to  
18 assume just temporarily that I'm a Martian with about a  
19 five-minute attention span and I wouldn't know SOx from NOx and  
20 wouldn't know a megawatt from a kilowatt and you had five  
21 minutes to explain to me why this plant is needed, these plants  
22 are needed. Could you explain it to me based upon that set of  
23 factors? The reason I ask you that is that a lot of times what  
24 we do here at the Commission sounds like inside baseball to the  
25 public. So if you could break it down like that, then I think

1 that will be something that people can legitimately listen to  
2 and hear.

3 THE WITNESS: I'll try to do it in a couple of  
4 points, Chairman Carter.

5 CHAIRMAN CARTER: Great.

6 THE WITNESS: Number one, we have a significant  
7 capacity need ongoing through the analysis years that we looked  
8 at capacity needs through 2020, and nuclear units are one  
9 option that we believe we can bring online in 2018. So,  
10 therefore, it was one competing option that we looked at.

11 Our analysis has shown that there is a very strong  
12 likelihood that it is the economically competitive choice  
13 versus the competing options of combined cycle or IGCC, number  
14 one; number two, that it would greatly reduce the dependency of  
15 our system on natural gas; and, number three, it would  
16 significantly reduce emissions on our system, CO2, SO2 and NOx.

17 CHAIRMAN CARTER: Thank you so kindly. That was not  
18 a cross-examination. That was just a general question. Again,  
19 as I say, a lot of times what we do here at the Commission to  
20 the average person on the street sounds like, you know,  
21 gobbledygook. So I just wanted to put something on the record  
22 just in case so that the people in Palatka or like my aunt in  
23 Pompano Beach could read this and understand it. So just, just  
24 kind of for the people.

25 Mr. Beck, you're recognized.

1 MR. BECK: Thank you, Mr. Chairman. I have no  
2 questions.

3 CHAIRMAN CARTER: Okay. Is it Mr. or Mrs. this time?

4 MR. KRASOWSKI: It's Mr. this time.

5 CHAIRMAN CARTER: Mr. this time. Mr. Krasowski.

6 MR. KRASOWSKI: Thank you, Mr. Chairman.

7 CROSS EXAMINATION

8 BY MR. KRASOWSKI:

9 Q Hello, Dr. Sim. Nice to see you again.

10 A Yes, sir. Nice to see you again as well.

11 Q I'm Bob Krasowski here with Jan Krasowski, and we're  
12 participating in this hearing so as to learn more about your  
13 comments in your testimony and have a chance to speak to you  
14 about it, to ask questions of you.

15 Our greatest interest is represented in your  
16 testimony, Page 59 through 61, and how your comments here  
17 impact what is on your, one of your exhibits, and that's  
18 exhibit SR, excuse me, SPS-9 (sic.). If you could find that.

19 So you speak about how this project may impact FPL  
20 rates charged to the customers. Okay? So on this chart, your  
21 SPS-9, in the final column if we look down -- it's SRS-9.  
22 Sorry. If we look down that column, it shows the impacts that,  
23 what might be considered your expectation of the impacts on  
24 rates to customers, and this is an additional charge on their  
25 monthly bill and it goes from 2009 down to 2021. But at 2018,

1 as you note in your testimony, the increase, the annual  
2 increase in the rate then starts to, it starts to decline. And  
3 you identify the year 2019 as being a time -- okay. Okay.

4 Could you please explain to us the main variables you're  
5 monitoring when you calculate your projection of future rates?

6 A Let me try to answer the question in regard to how  
7 the calculation was done, and I believe that will answer your  
8 question, sir.

9 First, we took a look at the annual revenue  
10 requirements both for the plan with nuclear units and the plan  
11 without nuclear units but with combined cycles being built in  
12 2018 and 2020. We looked at the total annual revenue  
13 requirements for each plan and then compared the differential  
14 between the two plans in regard to the annual revenue  
15 requirements.

16 We then divided that difference in, shown in  
17 Column 3 by the total, projected total sales after DSM is  
18 accounted for in Column 4, and that provided us with a  
19 differential in the average rate between the two plans shown in  
20 Column 5. Then we simply multiplied that value, which is in  
21 Column 5 ranging from, I believe, a high of .58 cents per  
22 kilowatt hour times 1,000 kilowatt hours to derive the values  
23 in Column 6. And what's occurring over this range of years,  
24 Commissioners, is that the nuclear units are fairly unique in  
25 that there is such a long lead time in regard to the

1 construction before the units come online. Expenditures are  
2 made much earlier for nuclear units than they are for other  
3 units. And as we see, if we were to go back and use as a  
4 starting point a combustion turbine, we would see a couple of  
5 years of capital cost expenditure before the unit came online  
6 and had a chance to provide any fuel savings to the system.

7           If we were to move from a combustion turbine to a  
8 combined cycle, we'd see a couple of more years of upfront  
9 capital costs that would tend to result, all things equal with  
10 the nuclear analysis, in higher rates before the unit went in  
11 service and fuel savings began to take over.

12           If we were to go to a coal unit, we would again, if  
13 the costs were treated the same way they're treated for a  
14 nuclear unit with early recovery, we'd see even more years,  
15 probably up to seven or eight years of capital costs. With a  
16 nuclear unit it's longer still, about ten. So we're seeing a  
17 more capital intensive project with a longer lead time and  
18 early recovery over those years that tends to lead to increases  
19 in customer bills during the early years and then it turns  
20 around dramatically once both nuclear units are in and the fuel  
21 savings take over.

22           Q     Thank you. That helps a lot. One minute, please.

23                     (Pause.)

24                     Now is CO2, the cost of CO2 part of the, one of the  
25 variables you use in considering the projected costs to the

1 customer in the future?

2 A Yes. The environmental compliance costs that are  
3 presented in Appendix F are part of the annual revenue  
4 requirements that are captured here.

5 Q And that's pretty much what I'm trying to understand.  
6 Okay. In the, in that last column at the year 2018, and you  
7 mentioned this in your testimony, that the drop in rates that's  
8 identified there starting '18 and then the drop continues  
9 through 2019 and 2020, that that is dependent on environmental  
10 cost factors kicking in. Is that not correct?

11 A Could you point me to that passage in my testimony,  
12 please?

13 Q Okay. Let's see. It's on Page 59 starting on  
14 Line 18. Excuse me. The sentence starts at the end of Line 17  
15 and it goes through to Line 20. Okay. And then if we continue  
16 on to Line 21 through 23, that's, that's where you specifically  
17 say that the nuclear units begin to come in-service and provide  
18 system fuel and environmental compliance cost savings. And  
19 you're speaking specifically, I understand, to the 2019 drop in  
20 rates to the customers.

21 A Beginning in 2018 on when the first new nuclear unit  
22 comes into effect or comes into service we do see reductions in  
23 both fuel and environmental compliance costs.

24 Q Okay. Now what are the environmental compliance  
25 costs that you expect to occur that will cause this reduction

1 in rates to occur in relation to CO2?

2 A Okay.

3 Q Greenhouse gases. I'm sorry.

4 A What's occurring in the exhibit is that the two  
5 expansion plans, the one with nuclear and the one without  
6 nuclear and combined cycle instead, are identical through 2017.  
7 So there are no changes in system fuel and no, or no  
8 differences in system fuel and system emissions through 2017  
9 between the two plans. However, once the plan with nuclear has  
10 its first unit come in in 2018 and the first combined cycle in  
11 the plan without nuclear comes in in 2018, we begin to see  
12 dramatic savings in fuel and dramatic reductions in CO2, SO2  
13 and NOx. And we have applied the cost for those emissions that  
14 are shown in Appendix F of our Need Study.

15 Q Okay. So are you saying that in the year 2017  
16 regardless of what technology you use there will be an increase  
17 of \$5.80 to the customer bill as you show in the -- are you  
18 saying that?

19 A No, sir. What we are saying is when you compare a  
20 plan in which nuclear will be built in 2018 and you are  
21 recovering the capital costs early, from, say, 2010 on, your  
22 bill is affected by the selection of the nuclear unit that  
23 comes in service in 2018. If we had selected another  
24 technology and compared it to the combined cycle plan, we would  
25 not be seeing that early increase in, in customer bills.

1 However, we would then also not be seeing the dramatic fuel  
2 savings and the dramatic savings in emission and in emission  
3 costs that we see from 2018 on once the nuclear units come  
4 in-service.

5 Q Thank you. I appreciate your answers. I'm, I'm  
6 developing an understanding of what you're talking about.  
7 Let's see if I understand it though.

8 Will this -- let's use, let's use 2017, which shows a  
9 \$5.80 a month increase per 1,000 kilowatt hours to the  
10 ratepayer bill. And if I understand correctly, please correct  
11 me if I'm wrong, that this represents only the nuclear  
12 scenario.

13 A No, sir, not quite. What it represents is the  
14 difference between two resource plans: One in which we are  
15 assuming we're building nuclear in 2018 and 2020, and the other  
16 in which instead of building nuclear we're building a  
17 comparable amount of combined cycle capacity in 2018 and 2020.

18 Q And for my purpose of understanding is combined cycle  
19 coal or gas?

20 A Natural gas-fired.

21 Q Natural gas.

22 A Yes.

23 Q Okay. So you've not provided an analysis if you were  
24 to use more IGCC coal?

25 A On this page we did not provide that analysis.



1 However, I believe that a staff interrogatory -- if memory  
2 serves me correct, it was Number 19 -- did ask for an analysis  
3 similar to these, in fact, extending further out through 2035,  
4 I believe, against both combined cycle and IGCC.

5           And, for example, in the IGCC case, where we show  
6 here the analysis was truncated or stopped in the year 2021 and  
7 showed we were, the customers were seeing bill savings of about  
8 36 cents, if we had extended that out through 2035 as in the  
9 interrogatory, I believe, against combined cycle, we were  
10 seeing savings on the bill of about \$6.60 approximately and  
11 against IGCC it was roughly \$8.90, I believe, subject to check.

12           Q     Okay. Thank you. Now what I'd like to understand is  
13 what you identify as environmental cost factors kicking in.  
14 Okay. So are those environmental cost factors dependent on  
15 projected future legislation as it determines a charge for CO2  
16 emissions and other greenhouse gases?

17           A     I'd say ultimately yes, although we were not relying  
18 on any one specific piece of legislation. We were relying on  
19 the range of SO2, NOx, mercury and CO2 costs that are presented  
20 in FPL's Appendix F.

21           Q     So would I be correct in understanding that these  
22 rate projections are not dependent on what you perceive to be  
23 future CO2 costs?

24           A     The future rate projections are based on a, in this  
25 case, in Exhibit SRS-9 we were looking at a medium gas, a

1 scenario of medium gas costs and the environmental II,  
2 environmental compliance costs.

3           So to perhaps assist you, if one were to take the CO2  
4 cost range for any year you would pick, let's say 2018, and we  
5 were to look at that cost for CO2 in the dollars per ton, what  
6 we would do is between the plan with nuclear and the plan  
7 without nuclear we would look at the difference in the  
8 emissions of CO2, X million tons of CO2. We would take that  
9 difference, the savings that would come from nuclear, and we  
10 would say that that times the 2018 cost for CO2 that's  
11 shown in Appendix F would be worth some amount of money, say  
12 Y millions of dollars. That number would be accounted for in  
13 Columns 1 and Column 2.

14           Q     So I would be correct to adjust my thinking to -- I'd  
15 be correct to say that the projected costs of CO2 is a factor  
16 in what you identify here as a decrease in the cost to the  
17 customer in electric rates?

18           A     Yes. It is a factor, as is the even larger fuel  
19 savings that would be experienced with a nuclear unit. For  
20 example, starting in 2021 when we have both nuclear units  
21 projected to come online, the annual fuel savings in nominal  
22 dollars is over a billion dollars. That number grows over  
23 time. So in the projected 40-year life of the plant in nominal  
24 dollars, if you add up each year, you come to about \$94 billion  
25 in fuel savings from the two units. So fuel savings in this

1 calculation is an even larger component than the environmental  
2 compliance costs, but environmental compliance costs are  
3 included.

4 Q I have in front of me Appendix F. I think you've  
5 been referring to it. But I have here Appendix F of Florida  
6 Power & Light Company, description of staff's exhibit. But on  
7 Page 3 of 4 -- do you have that with you?

8 A Are you referring to the late-filed exhibit that was  
9 given out this morning?

10 Q Yes.

11 A Yes, I have that.

12 Q Okay. Thank you. This, this will help me understand  
13 what you're saying. So you did refer already to the year 2018,  
14 I believe, and environment, ENV II column, we move down and  
15 there's a 19. That would represent \$19 per ton of CO2  
16 emissions.

17 A That is correct.

18 Q And this estimate is based on what you perceive to be  
19 legislation that will be passed that would attribute this cost  
20 per ton of CO2; is that correct?

21 A In general terms, yes. But, again, I would not  
22 characterize this as being tied to one particular piece of  
23 legislation, although there is a tie if you go back to the  
24 starting point for FPL's derivation of Appendix F in the ICF  
25 report.

1 Q Okay.

2 A So I don't think of it in terms of a particular piece  
3 of legislation. I look at it as one scenario of CO2 costs.

4 Q I appreciate that and I understand that.

5 Okay. What I want -- okay. So I'd be correct, would  
6 you agree that I'd be correct in understanding this as an  
7 estimate of what is projected to occur when you're considering  
8 the full range of legislation available that will attribute a  
9 dollar amount to the cost of CO2 emissions in the future?

10 A Taken in total, the Environmental I through  
11 Environmental IV, yes, FPL believes that encompasses a  
12 reasonable range of the projections of CO2, of future CO2  
13 costs.

14 Q Okay. So back to SRS-9 where you identify the  
15 decrease in ratepayers' costs as a result of what you perceive  
16 to be a reasonable expectation for environmental cost factors,  
17 this is what you're talking about, what's represented in this  
18 chart, your projection that in 2018 the range of probable  
19 CO2 costs will fit within the parameters you show here under  
20 Environment I, II, III and IV.

21 A Actually this page is using only one scenario, that  
22 of the medium gas cost and Environmental II.

23 Q Okay. Okay. Yeah. Fair enough. Okay. So I  
24 understand that.

25 So my question is now what if there is no legislation

1 to attribute a cost to CO2, what happens to the ratepayers'  
2 cost if you go ahead and build this plant?

3 A There would be less savings than we are currently  
4 projecting due to the fact there would be no CO2 compliance  
5 costs. However, there would still be, as I earlier indicated,  
6 annual fuel savings of a billion dollars increasing every year  
7 from 2021 on. So there would still be massive fuel savings  
8 from the nuclear units even if there were no CO2 legislation.

9 Q Okay. And the fuel costs represent the difference  
10 between the nuclear fuel and the gas fuel in this, in this  
11 scenario?

12 A It would -- it represents the different -- there's a  
13 slight distinction I'll make. It represents a, the difference  
14 between the entire FPL system with the two nuclear units versus  
15 the entire FPL system without the nuclear units but with a  
16 comparable amount of natural gas-fired combined cycle on it.  
17 So these are system costs, not one unit versus another.

18 Q Okay. And we're talking FPL's system Florida?

19 A Yes, sir.

20 Q Okay. Okay. Great. Okay. Thank you for that. I  
21 appreciate that. It's helped quite a bit.

22 Have you considered -- is there a page number there?  
23 We're on Page 59, Line 19, you mention capital costs. In your,  
24 in your considerations and analysis of capital costs have you  
25 been monitoring the construction of new nuclear power plants in

1 other parts of the world?

2 A I have not.

3 Q Okay. Thank you.

4 A However, there are others in our company that I'm  
5 certain keep track of that with, with great interest.

6 Q Are you, are you, have you considered potential cost  
7 overruns in the capital costs? I'll just pull that back. I  
8 think you have, so.

9 Okay. In your assessment of costs have you  
10 considered the possibility of increased costs involved in  
11 making payments to the Department of Energy for their surcharge  
12 for handling spent fuel into future?

13 A Specifically, no, we have not looked at individual  
14 components and said what if this were to rise by X percent.  
15 What we have tried to do in this analysis is in looking at the  
16 costs for combined cycle and IGCC we've used the latest  
17 information we have regarding those costs and we've used what  
18 we think is a reasonable estimate of the heat rate and fixed  
19 O&M and fuel cost for nuclear units and then tried to work into  
20 a calculation of what the capital cost for nuclear units would  
21 be in order to break even versus either combined cycle or IGCC.  
22 We do not as a normal matter of course look at what if one  
23 particular cost component for nuclear or another cost component  
24 for IGCC or combined cycle were to increase by 10 percent, how  
25 would that change the result. It would be an endless series of

1 calculations. And what we are trying to do here is to take a  
2 look at what we think the, both the economic and noneconomic  
3 position of nuclear is projected out versus the likely  
4 competitors of combined cycle and IGCC, and to us it looks very  
5 favorable.

6 Q Okay. But wouldn't you identify what you've done in  
7 the greenhouse gas computation as being a projection into the  
8 future of possible costs?

9 A Yes. We've taken a scenario approach that we do not  
10 know what the CO2 costs would be. So we've come up with a  
11 fairly wide range that we think is representative of the costs  
12 that are likely to occur with legislation that may be enacted.

13 Q But there was, there was no -- but, but you haven't  
14 done the same for any potential increase in the cost of  
15 handling, of paying a fee for the future handling of the waste.  
16 You found that unnecessary.

17 A At this point in our analysis I would say that that  
18 would, would not be needed. We are simply trying to take a  
19 look as to whether it makes sense for FPL to keep the option of  
20 new nuclear units open by taking a broad look at the likely  
21 competitors, a wide range of costs for nuclear units and a wide  
22 range of fuel and environmental compliance costs. And, again,  
23 we come out of the analysis with a clear indication that new  
24 nuclear units are an option that is certainly in the best  
25 interest of our customers to keep open.

1           Q     Do you think in the future you'll be analyzing the  
2 cost to the customers if, in fact, Congress cannot get together  
3 to act on identifying costs for CO2 release, for CO2 and  
4 greenhouse gas emissions?

5           A     Yes. Again, for the answer I've mentioned before,  
6 the significant billion dollar a year starting in 2021 and  
7 increasing from nuclear, that in and of itself would make it a  
8 viable option for FPL to consider for its customers, and for  
9 its ability to not only save fuel but to significantly lessen  
10 our system's dependence upon natural gas. Which if we go with  
11 a gas-only build-out plan between now and 2020, we're looking  
12 at 75 percent of our energy would be supplied by natural gas.  
13 We can significantly cut back on that in regard to going  
14 forward with nuclear.

15          Q     Okay. Could I have just a second here, a couple of  
16 seconds, a minute?

17                     (Pause.)

18                     That's all the questions we have of you, Dr. Sim.  
19 Thank you very much for your information.

20          A     Thank you.

21                     COMMISSIONER EDGAR: Thank you. Commissioners, any  
22 questions at this time? No?

23                     Are there questions from staff?

24                     MS. KLANCKE: Yes. There -- we have a few questions  
25 for this witness.



1 COMMISSIONER EDGAR: Thank you.

2 CROSS EXAMINATION

3 BY MS. KLANCKE:

4 Q Good morning, Dr. Sim.

5 A Good morning.

6 Q My name is Caroline Klancke, appearing for Commission  
7 staff.

8 Dr. Sim, are you familiar with Witness Scroggs'  
9 Exhibit SDS-7 entitled "Comparison of Cost Estimate Range to  
10 Break Even Capital Cost Range Combined Cycle"?

11 A I believe so. Is that the one that I was asked to  
12 take a look at in the deposition?

13 Q Yes, sir.

14 A Yes. I do not have it in front of me, but I  
15 generally remember it.

16 Q I believe that we may have an extra copy of that to  
17 provide to you.

18 MR. BUTLER: We have one.

19 MS. KLANCKE: Excellent. Thank you.

20 BY MS. KLANCKE:

21 Q To the best of your knowledge, could you briefly  
22 explain the information that's encapsulated within SDS-7?

23 A On the left-hand side of SDS-7 we provide the range  
24 of \$3,108 per kW to \$4,540 per kW as the, what's termed here  
25 the nonbinding cost range for new nuclear units. It's FPL's

1 current view of what the construction costs would be for new  
2 nuclear units.

3 On the right-hand side the numbers that range from a  
4 low of 3,206 to a high of 7,281 represent the results of our  
5 analysis of the break-even capital costs for the scenarios that  
6 we analyzed as to how, how high the nuclear capital costs could  
7 be in 2007 dollars and break even at the end of the analysis  
8 period with either combined cycle or IGCC.

9 Q Now the analysis used to derive the break-even  
10 capital costs shown in Exhibit SDS-7 go through the year 2060;  
11 is that correct?

12 A That is correct.

13 Q Were you present during the testimony of Mr. Kosky  
14 yesterday and this morning?

15 A During parts of it.

16 Q Are you familiar with the 2007 ICF report that was  
17 discussed earlier this morning?

18 A I'm not familiar with it. I know the document  
19 exists. In fact, it was handed to me at breakfast this  
20 morning. But I have not looked at the document.

21 Q Are you familiar with FP&L's late-filed Exhibit 99  
22 and the information contained therein?

23 A That's the two-pager that was handed in this morning?

24 Q Yes, sir.

25 A Yes, I'm familiar with it.

1 Q Could you comment upon how this 2007 ICF report  
2 impacts the analysis reflected in Exhibit SDS-7?

3 A Literally speaking, it doesn't impact it because it  
4 was not used in the analyses that led to SDS-7. However, if it  
5 had been used, what would occur is that the break-even costs  
6 that are shown on the right-hand side of this, of this exhibit  
7 would be higher than the way, than what is shown in the exhibit  
8 currently because the CO2 compliance costs are, are higher than  
9 what were used in the analyses.

10 Q Now pursuant to your deposition you were asked to  
11 file three late-filed exhibits. I'd like to turn your  
12 attention to late-filed Exhibit Number 1.

13 And, Commissioners, this is Exhibit 15, Tab 14. It's  
14 Bate stamped numbered 000550 just for your point of reference.

15 CHAIRMAN CARTER: Let's start all over again and back  
16 up to the exhibit number.

17 MS. KLANCKE: This is Exhibit Number 15, staff's  
18 composite exhibit.

19 CHAIRMAN CARTER: Okay.

20 MS. KLANCKE: Tab 14. And it's Bate stamp number  
21 000550.

22 CHAIRMAN CARTER: One moment, please. One moment,  
23 please.

24 Commissioner Argenziano, are you there?

25 COMMISSIONER ARGENZIANO: Yes, Mr. Chair. I have to

1 hit the mute button when you talk to me because I don't want  
2 you to hear me coughing.

3 CHAIRMAN CARTER: Okay. This morning we were given a  
4 plethora of late-filed exhibits and things of that nature.

5 COMMISSIONER ARGENZIANO: I've gathered that.

6 CHAIRMAN CARTER: And it's, it's piling up. And I  
7 know that we need to proceed and all, but I need to look at  
8 some of this stuff before we go further on this.

9 COMMISSIONER ARGENZIANO: Absolutely.

10 CHAIRMAN CARTER: It's just too much stuff. We  
11 had -- I mean, now we're flipping on staff's exhibit and it's  
12 like a Chinese checkerboard here. I've got a -- Commissioner,  
13 I know that you've been there with us all week and you're not  
14 feeling well. I'm going to, just going to break for lunch so  
15 we can go through all these documents. I need to see all of  
16 this stuff because it's getting squirrely here.

17 COMMISSIONER ARGENZIANO: Certainly, Mr. Chair. And  
18 perhaps I can get in touch with Larry then and he can kind of  
19 fill me in on everything.

20 CHAIRMAN CARTER: Okay. So I've got 11:21. We'll  
21 come back at around 12:30. We're on lunch.

22 COMMISSIONER ARGENZIANO: Thank you.

23 (Recess taken.)

24 (Transcript continues in sequence with Volume 8.)

25

1 STATE OF FLORIDA        )  
                                   :  
 2 COUNTY OF LEON         )

## CERTIFICATE OF REPORTER

3

4               I, LINDA BOLES, RPR, CRR, Official Commission  
 Reporter, do hereby certify that the foregoing proceeding was  
 5 heard at the time and place herein stated.

6               IT IS FURTHER CERTIFIED that I stenographically  
 reported the said proceedings; that the same has been  
 7 transcribed under my direct supervision; and that this  
 transcript constitutes a true transcription of my notes of said  
 8 proceedings.

9               I FURTHER CERTIFY that I am not a relative, employee,  
 attorney or counsel of any of the parties, nor am I a relative  
 10 or employee of any of the parties' attorneys or counsel  
 connected with the action, nor am I financially interested in  
 11 the action.

12               DATED THIS 4/13 day of February, 2008.

13

14

*Linda Boles*

15

\_\_\_\_\_  
 LINDA BOLES, RPR, CRR  
 FPSC Official Commission Reporter  
 (850) 413-6734

16

17

18

19

20

21

22

23

24

25