


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 080503-EI

In the Matter of:

ESTABLISHMENT OF RULE ON RENEWABLE
PORTFOLIO STANDARD.



PROCEEDINGS: WORKSHOP

BEFORE: CHAIRMAN MATTHEW M. CARTER, II
 COMMISSIONER LISA POLAK EDGAR
 COMMISSIONER KATRINA J. McMURRIAN
 COMMISSIONER NANCY ARGENZIANO
 COMMISSIONER NATHAN A. SKOP

DATE: Wednesday, December 3, 2008

TIME: Commenced at 9:30 a.m.
 Concluded at 5:05 p.m.

PLACE: Betty Easley Conference Center
 Room 148
 4075 Esplanade Way
 Tallahassee, Florida

REPORTED BY: MARY ALLEN NEEL, RPR, FPR

DOCUMENT NUMBER-DATE

11510 DEC 12 8

FLORIDA PUBLIC SERVICE COMMISSION

FPSC-COMMISSION CLERK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PARTICIPATING:

DAVID BESSETTE, FlaSEIA.

SUZANNE BROWNLESS, for Florida Solar Coalition.

GEORGE CAVROS, Southern Alliance for Clean Energy.

SUSAN CLARK, Rady, Yon & Clark, for FPL, TECO, Progress Energy Florida, and Gulf Power.

JIM DEAN, Florida Pulp & Paper Association.

MICHAEL DOBSON, FREPA.

LEON JACOBS, Southern Alliance for Clean Energy and Natural Resources Defense Fund.

DELL JONES, Regenesi Power.

JERRY KARNAS, Environmental Defense Fund.

RYAN KATOFISKY, JAY PAIDIPATI, and MATT STANBERRY, Navigant Consulting.

JOSEPH MCGLOTHLIN, Office of Public Counsel.

JOHN MOYLE, for Wheelabrator.

ROY RATNER, FARE

BOB REEDY, Florida Solar Energy Center.

GWEN ROSE, Vote Solar Initiative.

MARK SINCLAIR, Clean Energy Group.

THOMAS SUTTON, Sunshine State Solar Power.

MIKE TWOMEY, for AARP.

WAYNE WALLACE, FARE.

TOM BALLINGER, MARK FUTRELL, CINDY MILLER, RYDER RUDD, and BOB TRAPP, Florida Public Service Commission staff.

P R O C E E D I N G S

1
2 CHAIRMAN CARTER: Good morning. I would like
3 to call this workshop to order.

4 Commissioner Argenziano?

5 COMMISSIONER ARGENZIANO: Good morning.

6 CHAIRMAN CARTER: Good morning to you. It
7 worked. The system worked.

8 COMMISSIONER ARGENZIANO: Yes, it did.

9 CHAIRMAN CARTER: First of all, I want to
10 thank everyone for being here this morning. And some of
11 you from out of town, welcome to Tallahassee, and some
12 of you from out of state, welcome to Florida. Please
13 stay and spend a lot of money.

14 Staff, would you please read the notice.

15 MS. MILLER: I'm Cindy Miller with the General
16 Counsel Office. Pursuant to notice issued November 14,
17 2008, this time and place were set for the workshop on a
18 renewable portfolio standard rule in Docket 080503-EI.

19 CHAIRMAN CARTER: Good morning to one and all.
20 The Public Service Commission has a longstanding policy
21 of promoting the use of renewable energy in Florida.
22 Today's workshop is a continuation of the Commission's
23 exploration of our renewable portfolio standard, a
24 policy which will further encourage the development of a
25 market for renewables in Florida.

1 The Commission must submit a draft rule
2 addressing renewable portfolio standards to the
3 Legislature by February 1, 2009. In developing the
4 draft rule, the Commission was asked by the Legislature
5 to evaluate the current and forecasted cost and
6 availability of renewables through 2020. To this end,
7 Navigant Consulting was contracted to prepare a Florida
8 renewables assessment.

9 The purpose of this workshop is to discuss the
10 results of the study. We will also hear presentations
11 from our staff regarding additional information that was
12 requested by the Commission at the October 14th agenda
13 conference. We'll have an opportunity for Commissioners
14 and workshop attendees to ask questions of Navigant
15 Consulting and our staff and to hear public comments.

16 The February 1 deadline to deliver a draft
17 rule to the Legislature puts us on a tight time frame.
18 I would like to stress that this will be our final
19 scheduled Commission workshop. Accordingly, this will
20 be our final opportunity to provide direction to staff.
21 Staff is scheduled to file recommendations and a draft
22 rule on December 29th of this year for our consideration
23 at a January 9, 2009, special agenda conference.

24 Commissioners, this is our opportunity to
25 explore technical and economic potential for renewables

1 in this state and to discuss how we believe the results
2 of Navigant Consulting's study should affect our RPS
3 policy. We want a full discussion of the issues so that
4 we can give staff directions.

5 And with that, Ms. Miller, you're recognized.

6 MS. MILLER: We have Judy Harlow with a
7 sign-up sheet, and let's see if she could stand up to
8 show you -- there she is. So if you're planning to
9 participate in public comment this afternoon, please
10 sign up with her.

11 Let's see if there are any other housekeeping
12 matters. Also, we have a sign-up sheet in the back by
13 the door.

14 Thank you.

15 CHAIRMAN CARTER: Okay. Commissioners,
16 anything further before we proceed? I want to give as
17 much time as possible to the Navigant study, so at this
18 time, I want you to welcome -- give me a shot, Jay. Let
19 me try it. Okay? Jay Paidipati, Ryan Katofsky, and
20 Matt Stanberry of Navigant Consulting. They'll provide
21 a presentation of the results of Navigant Consulting's
22 assessment of the technical and economic potentials for
23 renewables in Florida.

24 Following Navigant Consulting's presentation,
25 we'll have an opportunity for commissioners and staff,

1 as well as workshop participants, to ask questions
2 regarding the study.

3 Good morning, gentlemen. You're recognized.

4 MR. PAIDIPATI: Good morning, Commissioners,
5 Florida Public Service Commission staff, Governor's
6 Energy Office staff, and other interested parties.
7 Thank you for inviting us here to discuss the results of
8 our draft study. And we will be presenting the
9 executive summary of our study.

10 As Commissioner Carter mentioned, I'm Jay
11 Paidipati with Navigant Consulting. I'm accompanied by
12 Matt Stanberry and Ryan Katofsky. So with that, I will
13 start discussing the executive summary.

14 This study was sponsored through a subcontract
15 from Lawrence Berkeley National Labs, who received the
16 funding from the U.S. Department of Energy's Office of
17 Electricity Delivery and Energy Reliability.

18 So the next slide, this is the table of
19 contents for the full study. And as I mentioned, I will
20 just be -- or we will just be going over the executive
21 summary today. It's a very long report, but we're just
22 going to go through the beginning to give the high level
23 overview and the results.

24 So the purpose of this study, the purpose of
25 this study was to examine the technical potential for

1 renewable energy in Florida, first through 2020, the
2 scope of our study, then to bound potential renewable
3 energy adoption under various scenarios. At this point,
4 I would like to point out that the scenarios are not
5 predictive. What they are we will be discussing later
6 on in our presentation.

7 And so the intent of this study was to not
8 provide recommendations for what the renewable portfolio
9 standards target should be, as we believe a statewide
10 integrated resource planning process would be necessary
11 first to be undertaken to understand how renewable energy
12 can fit in with Florida's current assets on the ground,
13 planned generation assets already in the ten-year site
14 plan, then also Florida's current transmission
15 infrastructure, and then potential future transmission
16 requirements, and then finally, the reliability
17 requirements in Florida, and then future energy needs as
18 the state may grow in the future.

19 So with that, I just wanted to go over our
20 scope of work from Lawrence Berkeley National Labs. The
21 first was to identify which resources, renewable energy
22 resources are currently operating in Florida and then
23 that could be developed through the year 2020.

24 The second task is to quantify what we call
25 the -- I'll describe it in a few minutes, the economic

1 and performance characteristics, items such as quantity,
2 cost, and performance of resources that are currently
3 operating in Florida, and then again, that could be
4 developed through the year 2020.

5 Then task 3 was to compare the economics on a
6 levelized cost of energy basis of renewable energy to
7 traditional generation right now.

8 And then finally, task 4, conduct a scenario
9 analysis to look at various external economic impacts on
10 how much renewable energy to be developed in the state.

11 So before we go into the body of the executive
12 summary, there's a few key terms that we'll be using
13 throughout the report that I wanted to go over here just
14 to make sure we're all on the same page. The first is
15 what I just mentioned of economic and performance
16 characteristics. These are characteristics specific to
17 each technology that drive their competitiveness over
18 time, so these would be things such as O&M costs,
19 installed costs, efficiency, capacity factors,
20 et cetera.

21 The next is the technical potential. This
22 is -- for a given technology, the technical potential
23 represents all the what we call nameplate capacity or
24 capacity. In this case, it's truly nameplate capacity
25 that could be developed. And here the key phrase is

1 "independent of economics through the scope of this
2 study, which is 2020." This accounts for things such as
3 the availability of resources, where the technology is
4 in its development stage, is it ready for deployment in
5 Florida, is it not ready for deployment in Florida, then
6 also competing uses for that space. Obviously, there's
7 a finite amount of land in the state, so we wanted to
8 make sure those things were accounted for.

9 The next is the scenario, and Matt will be
10 discussing further what those are, but this is --
11 there's a lot of other variables out there such as cost
12 of fuel, cost of natural gas, et cetera, the
13 availability of credit, that we'll discuss in a little
14 bit that will influence how renewable energy -- how
15 competitive renewable energy will be in the future.

16 The fourth term is the levelized cost of
17 electricity. We define that as the revenue per unit of
18 energy required to recoup a plant's initial investment,
19 cover the annual costs, and then provide debt and equity
20 investors their expected rate of return.

21 But something I want to mention here is that
22 we will be reporting LCOEs with the incentives and RECs
23 factored in. Sometimes RECs are not shown in the
24 levelized cost of electricity. We do that here, but we
25 try to denote where that happens.

1 Second to last point is simple payback. This
2 is of interest for our customer-sited PV systems. We've
3 found in the past that the best way of looking at how
4 customer-sited PV will be adopted is looking at the
5 simple payback of the system, so the number of years
6 required to pay back the initial investment where you're
7 paying it back through electric bill savings.

8 And finally, the last one is -- what we're
9 going to use is the phrase "technology adoption," or how
10 much renewable energy is actually installed and
11 operating in the state.

12 So how do we go about doing this? We took
13 eight steps to do so. The first step is define what
14 technologies will and will not be covered by the study.
15 There's many renewable energy options that exist, but
16 given Florida's resources in certain areas, not all of
17 them are viable within the state, so we'll go through
18 that.

19 Next, compile economic and performance
20 characteristics for each technology. This was driven
21 primarily by stakeholder data collected by the Public
22 Service Commission staff, but then also where there was
23 gaps, backed up by our work in this area as well, and
24 then further interviews with stakeholders to discuss
25 what the characteristics are. And then during this

1 step, we also surveyed what's currently installed for
2 renewable energy in the State of Florida.

3 Next, Step 3 -- and we'll go into more detail
4 in the next slides -- is assessing what is the technical
5 potential in Florida through 2020. And we used various
6 means, depending on the technology, to do that.

7 Step 4, develop the -- so Steps 1 through 3
8 are really getting at what could happen, and then Steps
9 4 through 8 are looking at, given other variables that
10 influence renewable energy, how much could actually be
11 adopted in the state. So Step 4 is developing some
12 scenarios around different ways that those external
13 variables might happen.

14 Step 5 is developing the actual inputs, the
15 costs, et cetera, that might happen.

16 And then Step 6 is looking at how does
17 renewable energy compete over time in those scenarios.
18 For most technologies we used the levelized cost of
19 electricity, and we assumed that the technology becomes
20 competitive when the renewable energy technology LCOE
21 becomes less than the LCOE of its competing traditional
22 technology.

23 And then as I just mentioned, for
24 customer-sited PV, we're using a simple payback period.
25 And how that works is, we have a payback acceptance

1 curve, because there is a certain amount of elasticity
2 for demand in PV, different amounts of customers are
3 willing to adopt PV at different payback periods. Some
4 early adopters are willing to accept longer payback
5 periods than others, so we used what's called a payback
6 acceptance curve that looks at, for a given payback,
7 what percentage of the market will likely adopt PV.

8 And then also in Step 6, we looked at each
9 scenario with and without RECs to look at the impact of
10 what does a renewable portfolio standard -- what is the
11 impact of having a renewable portfolio standard.

12 Step 7. In Step 6 we looked at the
13 competitiveness. And just because the technology
14 becomes competitive in a given year doesn't mean all the
15 technical potential can be developed. There's a certain
16 amount of inertia, if you will, of actually getting
17 plants installed, and it takes time to do so. So we use
18 what we refer to as technology adoption curves that are
19 empirically based curves that look at historically how
20 other technologies have been adopted over time, and we
21 adapted those for use in renewable energy in Florida.
22 So that gives you -- so Step 7 gives you the nameplate
23 capacity of renewables installed over time for the given
24 scenarios.

25 Then the last step is to, using the capacity

1 factors calculated in Step 2 or gathered in Step 2,
2 calculate what is the generation each year for renewable
3 energy in Florida.

4 And then we also spent a lot of time looking
5 at what is the selling price for RECs going to be in the
6 state. As the staff's draft legislation has it right
7 now, 75 percent of the REC expenditures are to go
8 towards wind and solar, the other 25 percent going
9 towards the remaining technologies. So we took that
10 into account and looked at, well, what REC prices will
11 likely unfold over time. So that also -- then using
12 that information, you can combine that with the
13 generation to figure out what is the total REC
14 expenditures in a given year.

15 And we bounded those by -- also in the staff's
16 draft legislation, they cite a 2 percent cap on the
17 IOU's retail revenue per year going towards RECs. We
18 varied that number depending on the scenario, but you
19 can look at where do actually REC expenditures fall
20 relative to that cap.

21 Okay. So on to the first step. The first
22 step was looking at what technologies are we going to
23 cover in the study, and what's feasible given Florida's
24 resource characteristics.

25 So the first is photovoltaics, short for --

1 the short is PV. Here we focused on three areas. The
2 first is residential rooftops, the second is commercial
3 rooftops, and then the third is ground-mounted
4 applications.

5 Next is concentrating solar power. These are
6 also referred to as solar thermal electric technologies.
7 Given the resources in Florida -- a lot of concentrating
8 solar power development is happening in areas of the
9 country and the world with slightly different solar
10 characteristics than the state of Florida. For
11 concentrating solar power technologies, they require
12 what is called direct normal insolation, so sunlight not
13 filtered by clouds, not scattered off anything. And
14 given the humidity and cloud cover characteristics in
15 Florida, the resource characteristics are between 40 and
16 60 percent lower than areas that are seeing a lot of
17 development activity in concentrating solar power. So
18 because of that, we focused on a certain application of
19 concentrating solar power where the -- instead of just
20 the stand-alone concentrating solar power system, here
21 the system collects heat and then provides it to the
22 steam cycle portion of a combined cycle plant.

23 Next the solar water heating. Here, our study
24 only covers systems greater than 2 megawatts thermal in
25 size. Less than that, 2 megawatts thermal, is being

1 covered by a separate study that's going on somewhat in
2 parallel in support of the Florida Energy Efficiency and
3 Conservation Act, or FEECA, that is being done by a
4 study by a team of KEMA and Itron, and I believe those
5 results are going to be available later on in December
6 sometime.

7 Okay. Great.

8 Next -- so those are the three technologies we
9 focused on. Next, wind, first onshore. We focused on
10 Class 2 and above resources. In the wind industry
11 there's a rating system that essentially looks at the
12 average wind speeds. It's Class through -- I believe 7
13 is the maximum, and so Class 2 is on the lower end.
14 Class 1 resources, the technology really isn't developed
15 and optimized to capture Class 1 resources. And then
16 the economics, when the wind blows less, you recover
17 your costs slower, so we only focused on Class 2 and
18 above resources.

19 Then we also looked at offshore wind, and
20 here, given the extra costs because of installing it
21 offshore, the economics really don't make sense, and the
22 technology is not really developed for Class 4 and
23 above, so we focused there. So that's wind.

24 Next, three sort of distinct areas of biomass.
25 The first is solid biomass, and Ryan will go into more

1 detail on that. But we examined a broad range of
2 feedstocks present in Florida, and then also there's
3 different technologies for converting that feedstock
4 into electricity we looked at. And then also, I wanted
5 to note here that this is also where we included
6 municipal solid waste, in this category.

7 The next is landfill gas. There's already a
8 fair amount, as Ryan will show in a few slides, of that
9 developed in the state, but we looked at future
10 potential.

11 Then anaerobic digester gas, this is where you
12 take the gas resulting from anaerobic processes and
13 convert it into electricity.

14 Next is waste heat -- I'm sorry. Those are
15 the three biomass areas we focused on.

16 Next the waste heat. The staff's draft rule
17 or legislation as is lists waste heat or electricity
18 generated from waste heat resulting from the sulfuric
19 acid conversion process, which is used in fertilizer
20 manufacturing in the state. That electricity is
21 eligible for the RPS, so we looked at that. And there's
22 already a fair amount of it developed in the state, and
23 we looked at further potential that could be developed.

24 Next, there's four areas. I would say this is
25 the most undeveloped yet technology, that of ocean

1 energy. So there's four different technologies in ocean
2 energy we looked at. The first is wave energy, which
3 captures essentially the up-and-down motion of waves.

4 The next is ocean current, which captures
5 essentially the -- in Florida, it would be the Gulf
6 Stream, the motion of currents in the ocean.

7 Next is called thermal electric conversion.
8 This takes advantage of the temperature differential.
9 If you think of the surface of the ocean, and then
10 farther down, there's a strong temperature differential,
11 so you can utilize that to generate electricity.

12 And then tidal energy is deployed in areas
13 where the tide rises a significant amount during the day
14 such that you can draw electricity through a turbine.
15 Okay? So those are the technologies looked at, and
16 we're going to discuss the technical potential of those
17 in a few moments.

18 The next slide is the economic and performance
19 -- this is also -- so that was the first step, defining
20 what we were going to look at. The second step was,
21 okay, what are the characteristics of those technologies
22 that will affect their economic competitiveness? So the
23 next step or Step 2, we collected what I refer to as
24 economic and performance characteristics for each
25 technology. This again was primarily driven by

1 stakeholder data that the staff collected several months
2 ago, and then augmented by our knowledge in the area and
3 then further interviews with stakeholders.

4 So these are things that will affect the
5 competitiveness of technologies, things including the
6 installed cost, operation and maintenance costs, the
7 capacity factor, and then emissions characteristics for
8 either markets that exist, such as NO_x and SO_x, and then
9 some that might exist in the future, such as carbon.

10 And some of the things I wanted to note here,
11 we use the phrase summer peak and winter peak. This is
12 just kind of a minor point, but we collected data on the
13 peak output during those seasons as opposed to what's
14 commonly thought of as the demand offset during peak
15 times during those seasons.

16 And with that, I'll turn it over to Ryan to
17 discuss the currently installed base in Florida.

18 MR. KATOFISKY: Thanks, Jay. Good morning.
19 I'll just briefly review the data that we collected on
20 the installed renewable energy capacity in Florida.
21 There is approximately 1,600 megawatts installed, and it
22 breaks down as follows: There's about 1.8 megawatts of
23 PV, and that's on the AC output basis, not on the DC
24 rating for the systems. There's close to 1,100
25 megawatts of solid biomass, and that breaks down --

1 there's about a dozen waste-to-energy plants burning
2 municipal solid waste generating 520 megawatts. There's
3 close to 200 megawatts using agricultural by-products,
4 and this is primarily the bagasse from the sugar cane
5 industry. These are the fibers that remain after you
6 extract the sugar from the cane.

7 And then there's about 380 megawatts in the
8 forest products industry, and the bulk of that is what's
9 known as black liquor. This is basically the spent
10 pulping liquors from the paper making process. There's
11 also some -- there will be bark and other solid woody
12 materials, but a lot of that is what's known as black
13 liquor. And I think there was some back and forth on
14 previous calls as to how our number was higher than what
15 was collected through the PSC, and I have a feeling that
16 it's that category of the black liquor where the data
17 was missing from the PSC information. And there's
18 details in the main deck showing you those by unit.

19 So total solid biomass is about 1,100
20 megawatts. It's important to note that the municipal
21 solid waste, of course, feeds the grid. The bulk of the
22 other output in that category is used behind the meter.
23 It's industrial cogeneration, and essentially, most of
24 it is used by the facilities that are producing those
25 biomass residues as part of their manufacturing

1 processes.

2 There's about 55 megawatts of installed
3 landfill gas capacity, 370 megawatts of existing waste
4 heat capacity, and about 55 megawatts of hydro. So when
5 you add it all up, you get just a little less than 1,600
6 megawatts.

7 MR. PAIDIPATI: Okay. Thank you, Ryan. So
8 that concluded Step 2. So Step 3 was working towards
9 what are the technical potentials for these technologies
10 and resources in the State of Florida, so I'm going to
11 go through the solar.

12 First was PV, photovoltaics. And as I
13 mentioned, we looked at residential rooftop, commercial
14 rooftop, and, ground-mounted, systems.

15 For rooftop systems, it was really getting at
16 the question of how much rooftop is available in the
17 State of Florida for these systems, because not all of
18 it is accessible for PV. There's items like HVAC
19 systems. Some of the roofs don't face the right
20 direction, et cetera, and there's shading, and then the
21 question of, well, for a given area, how much PV can you
22 actually fit in there. So we worked with various data
23 sources to develop that and had some access factors
24 developed of how much roof space is actually available.

25 Then we looked at what are the efficiencies of

1 photovoltaic systems right now, and then what are they
2 likely going to be in the future. So that gave us a
3 number of, by 2020, roughly 52 gigawatts, again of
4 technical potential, not economic potential.

5 Then ground-mounted systems, we looked at what
6 areas of the state are available that don't have trees,
7 that's not developed for agriculture, that's not a
8 wetland, that's not a forest preserve, that's not a
9 national park, that's not a state park, et cetera, and
10 narrowed it down to a few land use categories. Each
11 water management district, the five water management
12 districts in Florida have land use data, so we conducted
13 a GIS analysis and screened out the land that was not
14 suitable for PV, and then again looked at that question
15 of how much PV can you fit in a given area, and then how
16 will that likely change over time as -- the photovoltaic
17 industry, as you may know, the efficiencies are changing
18 constantly and constantly improving. So that led us to
19 roughly 37 gigawatts again of technical potential by
20 2020.

21 Next, concentrating solar power. Here again,
22 we were focusing on this hybrid design of the
23 concentrating solar power system provides heat to the
24 steam cycle, and here we found that the only areas where
25 it really makes sense is, (a), you have to have land

1 around the facility to do this, because it takes up
2 quite a bit of land. And then it doesn't make sense to
3 do that unless there's a duct firing system installed
4 with the plant, because the power plant needs to be able
5 to change its output over time, depending on whether or
6 not the sun is there or not.

7 So we worked with the utilities to figure out
8 which facilities are suitable for this, and we also used
9 some public databases and arrived at a number of 380
10 megawatts, which is quite a bit smaller compared to some
11 of these other solar technologies. But as I described
12 earlier, the solar resource in Florida is not that well
13 suited for concentrating solar power relative to some of
14 the other technologies.

15 Finally, solar water heating. As I mentioned,
16 our scope of work was only to look at systems greater
17 than 2 megawatts in size, so here we ran into a data
18 issue of -- and this is also a national issue as well.
19 There's not a lot of data on water heating requirements
20 by building type or water heating requirements, usage
21 patterns, et cetera. So as a proxy, we looked at the
22 number of buildings that would likely have a greater
23 than 2 megawatt heating load and came to about a
24 gigawatt of capacity. Again, this is megawatts thermal,
25 so it's not really of electricity, but it's more

1 megawatts thermal in heat.

2 So that's the solar technologies. Next I will
3 turn it over to Matt for wind.

4 MR. STANBERRY: Thanks, Jay. Good morning.

5 For wind, we looked at two different areas,
6 both onshore and offshore wind development. And as
7 you'll note at the top, there's a relatively large
8 technical potential for offshore wind, and for onshore
9 wind there is some potential potentially for Class 2
10 resources, although there is a need for a high
11 resolution mapping study to confirm that.

12 Our method for looking at the onshore
13 resource, we focused on areas identified in a previous
14 report as having the potential for Class 2 resource. We
15 used the water management district GIS data again that
16 Jay mentioned before, looked for land areas that were
17 available within 30 meters of the coast line, because
18 within these areas identified by the report, the report
19 also identified that the potential for utility scale
20 systems was within 300 meters within these areas. And
21 then we applied a wind farm density factor which takes
22 into account the necessary spacing for turbines.

23 For the offshore resource, we looked at data
24 provided by the National Renewable Energy Laboratory.
25 It's in a prepublication report that they're planning to

1 come out with in the next month or two. And we looked
2 at the potential both off of the western part of the
3 state and off of eastern part of the state, again
4 conducted a GIS assessment to help us screen down that
5 data based on exclusion factors which cover things like
6 shipping lanes, local opposition to projects within
7 sight of the shoreline, marine sanctuaries and coral
8 reefs.

9 And with that, I'll hand it over to Ryan to
10 cover the biomass.

11 MR. KATOFSKY: I hope everybody brought their
12 magnifying glass for this one.

13 Biomass is quite different from other
14 resources, in that it's a very diverse resource base,
15 and you have to look at each type essentially on its own
16 when you're doing this analysis. But what I like to do
17 is, I like to group biomass resources into three broad
18 categories.

19 The first category is biomass that essentially
20 you already collect or you generate on-site, and there's
21 four resources in that category.

22 The first is mill residues. And as I showed
23 just a few minutes ago, the existing sugar and forest
24 products industries already generate several hundred
25 megawatts using those residues. What's shown here is

1 what's left over. Essentially, the industry uses
2 greater than 99 percent of the residues that it
3 currently produces, so that what's left is only about
4 2,000 dry tons per year as estimated by the U.S. Forest
5 Service, so very minimal quantities.

6 The other category, the other resource is
7 municipal solid waste. The estimate here of 15 to 26
8 million wet tons a year is based on some cases that we
9 developed looking forward to 2020 on how much municipal
10 solid waste might be generated and available on an
11 incremental basis for waste-to-energy facilities, taking
12 into account the fact that the state has a 75 percent
13 recycling goal for 2020.

14 Another category here is animal waste, and for
15 solid biomass, I just looked at poultry litter and horse
16 manure. There are other animal wastes, but those are
17 covered in the anaerobic digestion category. And for
18 this one, there is about 400- to 800,000 wet tons a
19 year.

20 And then the last resource in this category
21 are wastewater treatment plant residuals. These are the
22 biosolids that are left over after wastewater treatment.
23 Current uses include land application as fertilizer, or
24 it's even dried and bagged and sold as fertilizer. And
25 there's about 130 to 790 thousand tons, depending on

1 which types of residuals you consider.

2 And actually, let me make a quick note. The
3 ranges that are presented for generation and capacity
4 are based on a couple of things. One is the fact that
5 in some of these resource categories, we have ranges of
6 tonnages that are available. The other is that we've
7 assumed a range of efficiencies. As Jay mentioned,
8 there are different conversion technologies for biomass,
9 and they have different efficiencies. And we've applied
10 sort of a low and a high efficiency conversion to bound
11 the technical potential here. So that's why you see
12 ranges, and in some cases, fairly large ranges, because
13 of those two factors.

14 So those are the biomass resources that are
15 essentially already collected or generated on-site. The
16 largest one there obviously is municipal solid waste.
17 It's a very sizable resource, you know, on the order of
18 15 to 25 million tons a year by 2020.

19 The next category is comprised of biomass that
20 is available, but is not currently being collected
21 typically, and logging residues is a very good example
22 of that. These are the tops and limbs and other
23 portions of the tree that are essentially left in the
24 forest through normal harvesting operations. And we
25 used U.S. Forest Service data for 2006. They do

1 estimate these quantities, and we estimate that at about
2 2.3 million dry tons per year.

3 The other one is agricultural residues. This
4 would be things like orchard trimmings, wheat straw,
5 things that are left in the field after harvest. And we
6 have a very wide range there based on a couple of
7 different estimates that had been made. I think this is
8 perhaps one category that deserves some closer
9 evaluation to really understand better what the
10 potential is, I think particularly for things like, you
11 know, citrus orchard trimmings, given that you have a
12 fairly large amount of acreage of that in the state. So
13 that's the second category.

14 The third category is biomass that is what I
15 term as potentially available. In some cases, this is
16 biomass that is growing today, but is just typically not
17 harvested, or also is comprised of various energy crops,
18 things that you would actually go out and plant for the
19 purpose of producing an energy feedstock. And let me
20 just walk through some of those categories so you
21 understand some of the differences there.

22 The first two categories are what's called the
23 net change in the volume of trees in the forest. So if
24 you look at a forest, a forest will have growth over the
25 course of the year, and then there will be removals

1 through timber operations. And essentially, the
2 difference between the net growth and the removals is
3 what's known as the net change. And if that number is
4 positive, it means that the forest added more biomass
5 than was removed, and if that's the case, then that
6 biomass is theoretically available for use.

7 And then there are some terminology issues
8 with Forest Service data. There's something called the
9 growing stock, and these are trees that are considered
10 commercial species of sufficient quality for the timber
11 industry, and then there is nongrowing stock, which is
12 sort of everything else in the forest, if you will,
13 noncommercial species or deformed trees or rough trees,
14 things that don't have a commercial value. And between
15 the two of those categories, there's about 4 million dry
16 tons per year currently accumulating in the forest.

17 I think it's important to note that this
18 number is expected to decrease in the future, all else
19 equal, for a couple of reasons. The main reason is that
20 the rate of tree planting peaked in the late '80s and
21 has declined quite a bit since then, which means that
22 the trees that were planted in the late '80s are being
23 harvested now, and there weren't as many trees planted
24 since then, so forest growth is going to decrease, all
25 else equal. And, of course, there's interest in

1 bioenergy development today that's not reflected in this
2 2006 data, so as those plants come on line, that may
3 decrease this number. But currently the forest is
4 producing a net positive growth.

5 The remaining categories are different forms
6 of energy crops. One option is to take existing planted
7 pine forest and apply more intensive management to
8 increase growth rates for greater biomass production,
9 and then other options are to plant other types of
10 energy crops, whether it's Eucalyptus or perennial
11 grasses or energy cane on various types of land. We
12 looked at the reclaimed phosphate mining land and
13 existing farmland. And as you can see, if you compare
14 the numbers, it's really the energy crops that provide
15 very significant potential. Of course, it will take
16 time to realize that potential because you have to have
17 people incentivized to plant those, and then it takes
18 time to grow that material.

19 So when you add all that up, you've got a
20 technical potential ranging from about 6 gigawatts to
21 close to 14 gigawatts of capacity.

22 There's a couple of other categories where we
23 looked, but didn't find enough data. One is what's
24 termed the forest understory. This might be small
25 diameter trees, shrubs, other things that are growing in

1 the forest that are potentially available. And there is
2 a study that's starting with the Division of Forestry
3 and the University of Florida that's going to try and
4 look at this in a bit more detail.

5 And then the last one is algae. There's a lot
6 of interest in algae for biodiesel production as a
7 transportation fuel. But by weight, the algae that
8 grows is about 30 or 40 percent oils, which is what's
9 used for the biodiesel production, so the remaining
10 biomass that grows in this algae is potentially
11 available for other uses, one of which would be
12 electricity generation. This technology is still in
13 development, and the scale of how it would be deployed
14 is still highly uncertain, but something to monitor and
15 try to understand a little bit better as time goes on.

16 So that's the summary of the biomass technical
17 potential.

18 MR. PAIDIPATI: All right. Thank you, Ryan.

19 So for the remaining technologies we looked
20 at, the first was landfill gas. And if you recall,
21 there's currently 55 megawatts of nameplate capacity
22 already developed in the state, so we looked at the
23 potential for new landfill gas to energy sites, and here
24 we used state data from the Florida Department of
25 Environmental Protection, and then the federal, the EPA

1 have data. They maintain databases on potential sites
2 for new landfill gas, and that came to 100 megawatts by
3 2020.

4 Next is what we call anaerobic digester gas,
5 gas that is used for energy production resulting from
6 anaerobic processes. The staff's draft legislation
7 listed three main sources, farm waste, wastewater
8 treatment facilities, and then food waste. Food waste
9 generally is used -- has other purposes, competing uses
10 right now in the state, so that wasn't one we looked at.
11 But we looked at farm waste and wastewater treatment
12 facilities, again with various federal and state data
13 sources. That only came to about 35 megawatts of
14 technical potential by 2020.

15 Next is waste heat, as I mentioned, resulting
16 from the -- that can be used to generate electricity
17 resulting from the sulfuric acid conversion processes,
18 and we worked in the trade group in the state in that
19 area to develop a technical potential of new capacity of
20 140 megawatts.

21 Then finally was the ocean category. If you
22 recall, there were four technologies I discussed. The
23 first was wave energy. And there is a lot of activity
24 going on worldwide, but it's happening in areas that
25 have a higher wave resource than off the coast of

1 Florida. So within the 2020 time frame, those
2 technologies really aren't going to be optimized for the
3 wave resources off the coast of Florida, so we didn't
4 see that going in in the time frame of the study.

5 The next was ocean thermal electric
6 conversion. Again, there, there is activity happening
7 throughout the world, but given the resources off
8 Florida, it's most likely that the development is going
9 to take place in other places. And really, given the
10 time line required for development, it's not going to
11 happen by 2020.

12 The third was tidal conversion, which again
13 relies on areas where there's a high tide, and that
14 really isn't present in Florida.

15 But the last technology, current, ocean
16 current, has actually a very large potential. But given
17 the time frame of the study, 2020, we worked with
18 Florida Atlantic University and developed really only a
19 technical potential of 750 megawatts by 2020. That
20 number will grow past that point, because as you may
21 know, the currents off the coast of Florida in the Gulf
22 Stream are quite strong and pretty stable as well.

23 So before we move on to the next section, I
24 just wanted to recap. Some of the larger technologies,
25 technologies with the larger technical potential are PV,

1 offshore wind, and solid biomass. I just wanted to keep
2 that in everyone's mind before we go forward.

3 MR. STANBERRY: All right. Now I'll walk you
4 through the process of developing scenarios. As I
5 start, this is Step 4 in our process. As I start, I
6 want to reiterate a point that Jay made before.
7 Scenarios are not a tool for a forecast. They do not
8 predict the actual value.

9 What we did was devise three scenarios. And
10 the creation of scenarios is a bit of an art form, and
11 one of the best ways to do it is to look at the most
12 important drivers for renewable energy adoption. And if
13 you look at the graph presented, this is one of the
14 better ways to help determine what those key drivers
15 are. And if you look at that Y axis, you're looking at
16 the drivers -- the relative impact of drivers on
17 renewable energy adoption, and if you look at the X
18 axis, you're looking at the relative uncertainty
19 surrounding the actual values that those drivers will
20 take.

21 So to give you an example, for clarity, fossil
22 fuel prices is a great place to look. They clearly have
23 a very large impact on renewable energy adoption, but
24 there's very little certainty, as we've seen over the
25 last six months, about the actual prices that those

1 fossil fuels will take.

2 So if you look in the upper right-hand corner
3 of your graph, those are the five drivers that we have
4 identified as the most important drivers for renewable
5 energy adoption going forward, and they include fossil
6 fuel prices, greenhouse gas policy, the credit markets,
7 which looks at both the cost of debt and equity, as well
8 as the availability of debt. This is an issue that has
9 arisen within the last six months and has important
10 consequences. And then we look at renewable energy
11 financial incentives, both at the state and federal
12 level, always an important driver for renewables, and
13 then the renewable energy regulatory framework, which
14 primarily covers the design of the RPS.

15 So if you flip then to the next slide, how do
16 you take these key drivers and turn them into scenarios?
17 You look at how you can attach values under the
18 different scenarios to variables within those drivers.
19 So just at the broad level, what we're doing here is
20 creating three scenarios, one of which is a scenario
21 which is more favorable for renewable energy adoption,
22 one of which is a mid case, and the final, which is a
23 relatively less favorable scenario for renewable
24 adoption.

25 So to get into how the actual values are

1 placed for these variables within the drivers, let's
2 look at CO₂ pricing under greenhouse gas policy.
3 Essentially, what we're doing here is assigning
4 different values to the price of carbon under the
5 different scenarios. Again, we're not making -- one
6 important point here is that we're not making judgment
7 on how that price will be created, whether it's a
8 federal cap and trade, any sort of state level action.
9 What we're doing is actually just assigning the price of
10 carbon under the different scenarios.

11 So then the other key ones, as mentioned
12 before, were credit markets, which Jay will cover on the
13 next slide in a little more detail, fossil fuel costs,
14 which were primarily derived from stakeholder data from
15 the utilities that present different prices for natural
16 gas and coal, and then a range of renewable energy
17 financial incentives. This includes primarily the
18 federal investment tax credit, the federal production
19 tax credit, and a suite of state programs. And then the
20 final is the renewable energy regulatory framework,
21 which, as I mentioned before, focuses primarily on the
22 RPS.

23 And one thing to note here is that we're
24 looking at a variance in what the REC spending cap is
25 under the scenarios, and one important subnote to that

1 is, again, as Jay mentioned before, we're looking at a
2 situation where 75 percent of the REC expenditures are
3 determined for Class 1 resources, wind and solar, and
4 25 percent of the expenditures are for the Class 2
5 resources.

6 And with that, I will turn it over to Jay for
7 a little more detail on the credit markets.

8 MR. PAIDIPATI: Great. Thanks, Matt.

9 So as Matt mentioned, the availability of
10 credit influences -- in turn influences the levelized
11 cost of electricity, of renewable energy, which then
12 influences their competitiveness. So that can be looked
13 at in two ways. First is the cost of debt from banks.
14 As credit markets get tighter, the cost of debt goes up.
15 The same thing with the cost of equity. Especially in
16 certain technologies, tax credit investors get in for
17 the tax equity. And then also the availability of debt
18 or how much debt a project developer could get for a
19 project is influenced by the availability of credit.
20 Now, that varies across scenarios.

21 Then also we looked at, by technology,
22 investors, both banks and equity investors usually have
23 higher rate of return requirements for a technology
24 given its stage of development. So I won't go through
25 each one, but we looked at a range across the scenarios

1 and across technologies.

2 Okay. Ryan will go to the next slide.

3 MR. KATOFSKY: Thanks, Jay.

4 There are some other variables that need to be
5 considered in the different scenarios. These are not
6 drivers as Matt has defined them, but are still inputs
7 that require some values so that we can conduct the
8 analysis, and they relate primarily to the biomass.

9 The first is how much of that technical
10 potential is considered accessible. And we basically
11 just looked at each of the individual resource types and
12 applied some percentages, if you will, to the different
13 categories to come up with a low, medium, and high
14 biomass availability by the three scenarios. There's
15 also the cost of that biomass, and we varied that price
16 from a low of \$40 a dry ton to \$60 a dry ton. And here
17 the logic was that in a favorable scenario, there's
18 going to be higher demand for biomass, which would tend
19 to drive the price higher. And just to give you a sense
20 of what these numbers mean, \$40 a dry ton is roughly
21 \$2.50 a million Btu, just to give you a rough
22 conversion.

23 We also looked at a range for the tipping fee
24 for municipal solid waste. And it's important to note
25 that for this feedstock, a tipping fee is actually a

1 revenue for the waste-to-energy plant, not a fuel cost.
2 And we looked at historical data for Florida, and talked
3 with some people as well, and came up with a range here
4 of 30 to \$70 a ton. Again, the idea here in a scenario
5 more favorable to renewable development, there would be
6 higher tipping fees because there was perhaps a desire
7 or a policy that would create more incentives for
8 waste-to-energy implementation.

9 And then Jay also talked about technology
10 adoption, and I think Matt is going to go into this in a
11 bit more detail later, but we have three different
12 technology adoption curves, one that takes a longer time
13 view, a mid time view, and a short time view, to achieve
14 the saturation of that market potential.

15 MR. PAIDIPATI: Okay. Thanks, Ryan.

16 So now we've gone through and defined -- we've
17 defined the technical potentials, we've defined the
18 scenarios, so the next step is to look at, well, how
19 does renewable energy compete in these various
20 scenarios. So for all technologies except for the
21 customer-sited PV, which I'll discuss in a second, we
22 compared the levelized cost of electricity of that
23 renewable energy technology to that of the traditional
24 technology it would likely compete against and assumed
25 that adoption really started when the renewable energy

1 technology's LCOE was less than that of the competing
2 traditional technology's LCOE, and we used combined
3 cycle plants, combustion turbine plants, et cetera.

4 And there's two I want to note. One is
5 anaerobic digester gas technologies at wastewater
6 treatment plants and farm waste facilities. That's
7 really not competing on the wholesale market. It's
8 competing against grid-supplied electricity.

9 And then solar water heating, again, when you
10 look at 2 megawatts and above, it's typically a
11 gas-fired boiler, and right now, in that industry, the
12 average efficiency is about 80 percent efficient, so we
13 compared the economics of a solar water heating system
14 to that of a natural gas-fired heater.

15 Okay. So that's the levelized cost of
16 electricity. We used that for all technologies except
17 for customer-sited PV. As I discussed earlier, what we
18 found is the best way to look at adoption is again
19 looking at the simple payback, because certain segments
20 of the market are willing to adopt PV at a higher
21 payback, because there is a certain amount of demand
22 elasticity. So we have a market penetration we've
23 developed over several years, and this takes into
24 account several things that influence payback, like
25 installed costs, the incentives, both state and federal,

1 the output of the PV system, taking into account the
2 solar resources in Florida, the load required by the
3 building. And then we also got utility rate profiles
4 from each utility and accounted for things like
5 time-of-use rates, seasonal changes in rates, et cetera.

6 So folding that all together, you get a simple
7 payback by different scenario. And then we used what I
8 referred to as a payback acceptance curve that looks at,
9 for a given payback period, what percentage of the
10 market will likely adopt, and then we varied that across
11 -- we ran this model for each scenario to develop what
12 would likely be the market penetration of customer-sited
13 PV in each case.

14 And as I mentioned earlier, just because the
15 technology becomes competitive on a certain day doesn't
16 mean everyone is going to go out and adopt it that day.
17 There's what I would think of as a certain amount of
18 inertia to do this. You know, the supply isn't there to
19 meet the demand. There could be certain barriers,
20 noneconomic barriers that take time to develop, to get
21 worked out.

22 So the best way we found to do this is to use
23 technology adoption curves, or in some other industries
24 it's called S-curves, that estimate the diffusion based
25 upon characteristics of the technology the market is

1 playing with, et cetera.

2 So the factors we focused on for each
3 technology is the level of past development, because if
4 a supply chain already exists, ramping up development
5 can be much quicker and easier. Then the technology
6 risk is investors' and consumers' perception of risk
7 about the technology might create a longer time horizon
8 for development. And then the third one is barriers or
9 complexity in the technology's market, whether it be
10 technical, economic, et cetera.

11 So taking those three things into account, we
12 used a family of technology adoption curves referred to
13 as Fisher and Pry, named after two economists that
14 looked at this at one point. And it's an empirically
15 based model that looks at other similar industries,
16 where it's a substitution effect, where a consumer or
17 investor is replacing one technology with another, so
18 here it was replacing a traditional technology with a
19 renewable technology. And we assumed that -- you have
20 to start somewhere with the curve, because you see it's
21 a function of years of introduction on the right.

22 So for technologies that really aren't in the
23 Florida market yet, we assumed that that curve was
24 anchored, if you will, in the year when the technology
25 becomes economic. But there are some technologies we've

1 discussed, like waste heat, landfill gas, solid biomass,
2 that are already present in Florida, so we used when
3 those technologies really started in Florida as the
4 anchor year, if you will.

5 Okay. So now that brings us to -- so just to
6 recap where we've come from, we looked at what
7 technologies we're going to look at, the economic
8 characteristics of those technologies, the scenarios to
9 look at them in, and then the technical potentials, and
10 then looked at the competitiveness, and then applied
11 these technology adoption curves.

12 So here's what it gets you. This is nameplate
13 capacity of adoption in Florida under the various
14 scenarios, and you can see there's quite a bit of range,
15 as you might imagine, by the different scenarios,
16 ranging from in the unfavorable scenario without RECs,
17 not a lot of additional adoption, to in the most
18 favorable scenario with an RPS, of in the neighborhood
19 of 18 gigawatts.

20 And what this is comprised of, if you recall
21 earlier, I mentioned that the primary technical
22 potentials lie in solid biomass, PV, and wind. Again,
23 the actual projected nameplate capacities mostly
24 comprised of solar, biomass, and in some cases, onshore
25 and even offshore wind as well.

1 I guess there's a lot here to look at, but I
2 guess those are probably some of the main takeaways, is
3 that there is a very large range of potential adoption.

4 Okay. Going on to what does that mean in
5 terms of an RPS, the staff provided us with projections
6 of the four IOUs' retail sales, and we folded in the
7 capacity factor data of how much will a given renewable
8 technology actually generate over the course of a year
9 and figured out what that was in gigawatt-hours and then
10 compared that to the projection of retail sales provided
11 by the PSC staff. And again, as you might imagine, the
12 bounds are pretty large, again, from not much extra
13 development of renewables to approaching 27 percent
14 renewables by 2020. And again, a lot of this is driven
15 by solar and wind, but again, that's partially reflected
16 by the structure of the draft ruling that we have thus
17 far, or the draft legislation we have thus far of
18 75 percent of the RECs going towards solar and wind, so
19 that helps drive that to some degree, but then also the
20 biomass technologies are in there.

21 So if you recall, we looked at all these
22 scenarios with and without RECs to understand, well,
23 what does an RPS do, how much extra generation does that
24 get you. So here is by the different scenarios the REC
25 expenditures, which are set at -- there's a ceiling, a

1 cap, if you will, again, as we mentioned, based upon the
2 percentage of the retail sales of the IOUs, so you can
3 see that here on the top line of each graph. And then
4 the second line is, well, how much extra generation does
5 that get you. So it ranges from about 2 gigawatt-hours
6 in the unfavorable case up to 23 gigawatt-hours in the
7 high case. So again, there's a large range of where
8 that gets us.

9 Oh, I'm sorry. Yes, that's terawatt-hours,
10 not gigawatt-hours.

11 So some key takeaways we got from this, we
12 found that wind technologies, given the resource
13 characteristics, as Matt mentioned, really are in the
14 Class 2 range onshore and then higher offshore, but the
15 costs are greater offshore. They really came into play
16 under the RPS as it's drafted now not to say that wind
17 shouldn't be developed in Florida, but just that it
18 generally would require some level of subsidy to compete
19 relative to traditional costs.

20 Now, there are some technologies, though, that
21 were competitive in all cases with or without RECs, and
22 these are things that are currently -- waste heat and
23 landfill gas, that are already present in Florida.
24 They're already operating. They've already been
25 developed. And there are some other ones, repowering

1 coal facilities with biomass, or what's called co-firing
2 biomass, we didn't discuss it too much today, but
3 there's discussion of that in the full report. And then
4 some of the anaerobic digester facilities and wastewater
5 treatment plants, those are competitive in all cases.

6 Ground-mounted PV is another one, with the
7 exception of the unfavorable without RECs, we have
8 ground-mounted PV going in in all scenarios by 2020.

9 And then another interesting thing we found
10 was that because of the structure of 75 percent of the
11 RECs going towards wind and solar and the remaining 25
12 percent going towards the other technology, combined
13 with the fact that there are, as Ryan discussed, on the
14 order of 1.5 gigawatts of renewables, primarily which
15 are Class 2, biomass, waste heat, et cetera, the demand,
16 if you will, or the pool of Class 2 renewables was such
17 that the REC price wasn't very high and didn't create a
18 very large impact in those cases, just because of how
19 the draft legislation is structured right now.

20 And then the last point I wanted to emphasize
21 is that, as you mentioned several times, solar water
22 heating systems less than 2 megawatts are not covered by
23 the study, but could potentially be an important part of
24 an RPS in Florida. Unfortunately, that study that's
25 looking at that, less than 2 megawatts, is somewhat in

1 parallel with our study, but the results are actually
2 due after our study is done. So when looking at this,
3 it's important to understand that there could be a
4 potential -- there will be a potential from solar water
5 heating less than 2 megawatts, which would in turn --
6 it's hard to say what that would do. It might bring
7 down the REC price for Class 1 renewables, but it might
8 not, and it would create overall more renewable energy
9 in Florida likely. But again, the results of that study
10 aren't due for several more weeks.

11 I think with that, that was the extent of the
12 executive summary we wanted to discuss, so, Cindy, I'm
13 not sure what the next step is.

14 CHAIRMAN CARTER: Commissioners, at this point
15 in time, we're going to defer to the bench, and then
16 Commissioners will have their questions, and after we've
17 finished our questions, we'll go to staff, and then
18 we'll go to the stakeholders. Is that our order, Cindy?

19 MS. MILLER: Mr. Chairman, at some point we
20 were suggesting a break. I don't know if you want it
21 now.

22 CHAIRMAN CARTER: Oh, yes, that's right.
23 We've only got one court reporter. Why don't we -- this
24 seems like a good breaking point, since these guys have
25 just finished their presentation, by the way, gentlemen.

1 Let's take a break now, and then when we come back,
2 we'll start with questions from the bench, and then
3 we'll go with questions from staff, and after questions
4 from staff, we'll go with questions from the
5 stakeholders. Okay? We'll come back at quarter of by
6 the clock on my left. We're on recess.

7 (Short recess.)

8 CHAIRMAN CARTER: Would you take your seats,
9 please. We are back on the record, and when we left, we
10 were getting ready to go into the questioning by the
11 Commissioners, and then we'll go with questioning by the
12 staff. After staff completes their questions, I'll ask
13 you to give directions to the stakeholders as they come
14 up to make their questions and all. So at this point in
15 time, Commissioners, we're back to the bench, and we'll
16 start with questions here.

17 Why don't we just -- you want to just defer to
18 staff first, and we'll come back to the bench?

19 Staff, you're recognized.

20 MR. FUTRELL: Thank you, Mr. Chairman. I'm
21 Mark Futrell with the Commission staff, and I've got a
22 few questions for Navigant Consulting staff that worked
23 on the project.

24 In developing a draft RPS rule, the Florida
25 Statutes on RPS, Section 366.92, requires the Commission

1 to assess the availability and levelized costs of
2 renewables through 2020. And in your opinion, does this
3 report provide that information?

4 MR. PAIDIPATI: Yes, it does.

5 MR. FUTRELL: Thank you. Now, in the second
6 phase of the study, the first phase being the technical
7 potential, which was, as we understand it, a fairly
8 unconstrained view of the potential for renewables, in
9 the second phase, you compared the cost of renewables to
10 traditional utility generation technologies with similar
11 performance characteristics; is that correct?

12 MR. PAIDIPATI: That's correct.

13 MR. FUTRELL: Okay. And this exercise would
14 be similar to a screening analysis that is normally done
15 in planning, where the capacity costs of renewable
16 generating technologies are compared to like,
17 traditional technologies. For example, a resource that
18 is primarily peak intensive like solar would be compared
19 to combustion turbine, and a biomass resource that may
20 be intermediate or base load in nature would be compared
21 to a coal or a nuclear unit; is that correct?

22 MR. PAIDIPATI: That's correct, yes.

23 MR. FUTRELL: Okay. Now, if we could go to --
24 I think you guys may have the clicker. If you could go
25 to slide 16 -- I'm sorry, 15. And again, this is where

1 you're getting into the scenarios that you used to
2 analyze, further analyze the economic potential of
3 renewables. Would you agree that in what you did, the
4 fossil fuel price impact has the greatest potential
5 impact on renewable development?

6 MR. PAIDIPATI: Yes, that's true.

7 MR. FUTRELL: Okay. And that would be
8 followed by these other variables as far as their
9 relative impact on renewable potential development?

10 MR. PAIDIPATI: Correct.

11 MR. FUTRELL: Okay. And then on slide 16, if
12 you go to the next slide, here we see again, as you
13 described, the scenarios with the -- the three scenarios
14 with the various drivers you've got. These drivers and
15 the values you assigned to the drivers would be
16 considered fixed, in that you didn't do any kind of
17 cross-checking of, for example, allowing the greenhouse
18 gas price to stay low, whereas the fossil price to
19 increase, or REC prices to go into --

20 MR. PAIDIPATI: Correct. I would refer to
21 that as a sensitivity analysis, and unfortunately, that
22 was outside the scope of work that we looked at, was to
23 do what we call a sensitivity analysis, or some call it
24 -- you could think of it as a Monte Carlo analysis, if
25 you will, where you vary lots of different variables and

1 see what shakes out, if you will. We just looked at
2 just these scenarios as defined.

3 MR. FUTRELL: Okay. Now, in calculating the
4 levelized costs for the various renewables in the
5 report, as I understand it, and correct me if I'm wrong,
6 the levelized costs you arrived at represent the rate
7 required by the renewable developer to meet equity and
8 debt requirements and essentially stay in business; is
9 that correct.

10 MR. PAIDIPATI: That's correct, yes.

11 MR. FUTRELL: Okay. Now if we could go to
12 page 21 of the executive summary. Now, here you show
13 the potential nameplate capacity that could be developed
14 under the various scenarios with and without RECs.
15 Would you agree that this estimate of capacity does not
16 take into consideration Florida's existing generation
17 mix of traditional utility generation, renewables, and
18 other resources?

19 MR. PAIDIPATI: Correct, yes. At the
20 beginning of the presentation, I tried to emphasize that
21 this was not an integrated resource planning process.
22 This was looking at the bounds of what could happen
23 underneath the scenarios we developed.

24 MR. FUTRELL: And it doesn't take into
25 consideration the need for power?

1 MR. PAIDIPATI: Correct, correct.

2 MR. FUTRELL: Now, finally, if we could go to
3 page 22 -- and this will be my last question. Again,
4 this shows renewable energy as percentage of the
5 utility's retail sales under various scenarios; correct?

6 MR. PAIDIPATI: Correct.

7 MR. FUTRELL: And so this shows that
8 approximately -- the favorable scenario with RECs would
9 be approximately 20 percent in 2020.

10 MR. PAIDIPATI: 27 percent, yes.

11 MR. FUTRELL: And that would require all the
12 drivers in that scenario to occur?

13 MR. PAIDIPATI: To occur, correct, yes, the
14 favorable scenario where every variable is -- or every
15 factor unfolds as we've defined it in the favorable
16 scenario, yes.

17 MR. FUTRELL: And another observation would be
18 that the next line at 2020 would be the favorable
19 without RECs. So that shows a differential of -- again,
20 it gives you a relative sense of the impact RECs would
21 have on the potential for renewables?

22 MR. PAIDIPATI: Correct.

23 MR. TRAPP: Thank you, Jay. Bob Trapp,
24 Commission staff.

25 Could I turn your attention to slide 24,

1 please?

2 MR. PAIDIPATI: Okay.

3 MR. TRAPP: This shows key results of your
4 analysis, and it seems to indicate that different
5 renewable technologies require different levels of cost
6 or contract costs in order to go into business. Does
7 that lead one to the conclusion that perhaps a sound
8 policy to both encourage renewables, while at the same
9 time minimizing cost to ratepayers, might lead one to a
10 scenario of contracts available out there at different
11 pricing levels matched more or less to the needs, the
12 cost needs of each type of renewable?

13 MR. PAIDIPATI: I would say that's definitely
14 a method used in other parts of the country that might
15 be of interest to Florida. I wouldn't say we can
16 endorse one methodology or not. But, yes, it indicates
17 that, obviously, each of these technologies has
18 inherently different characteristics, whether it be
19 capacity factor, installed cost, et cetera, that lead
20 them to have different levelized costs of electricity.

21 MR. TRAPP: Thank you.

22 MS. MILLER: Mr. Chairman, what we thought was
23 that the stakeholders who have questions could come up
24 to the microphones. And we need you to identify your
25 name and who you're with for our court reporter. Also,

1 we need you to be considerate of the fact that we have
2 many of you, and so we can't just have unlimited
3 questions. We thought we would just start at one end
4 and go down the row if that works.

5 MS. CLARK: Mr. Chairman, I'm Susan Clark.
6 I'm with the law firm of Rady, Thomas, Yon & Clark, and
7 I'm here on behalf of four of the IOUs, Tampa Electric
8 Company, Progress Energy, Gulf Power, and Florida Power
9 & Light. And we do have some questions that we would
10 like to ask.

11 First, I would like to make some introductory
12 remarks. First, we would like to thank Navigant
13 Consulting for its technical assessment report. We
14 recognize the effort involved in compiling this large
15 amount of data in a short period of time, and we expect
16 that Navigant will proceed with its limited scope report
17 and do a responsible report on the renewable energy
18 potential and penetration in Florida.

19 We do have a number of questions based on
20 Navigant's previous draft and the most recent draft,
21 which we had made available to us right before the
22 Thanksgiving holiday.

23 For example, we have questions regarding
24 Navigant's apparent assumption that very large
25 quantities of offshore wind generation can be

1 constructed in Florida, despite the fact that there is
2 no offshore wind generation as yet built or even begun
3 in the U.S. And we have questions regarding the
4 availability of land for the projection of 74- to 83,000
5 gigawatts-hours of PV, just to name a few.

6 Therefore, at the appropriate time, we would
7 like to understand from you all and from the staff what
8 the process will be going forward in responding to the
9 questions we have, and we would like an opportunity to
10 ask further questions based on -- once we have a more
11 thorough review of this most recent draft.

12 I would point out that through the process so
13 far, the opportunity to ask the questions has resulted
14 in improvements in the report, and we believe it will
15 make it a more useful tool.

16 In the interest of saving time today, we have
17 a written list of questions that relate to assumptions,
18 calculations, and methodologies which I will point out
19 -- which I will pass out to everyone rather than ask
20 them here today. The technical potential and economics
21 associated with each resource cannot be verified or
22 compared to other estimates of the technical or economic
23 potential for these various resources without this
24 information, and we hope Navigant can provide the needed
25 data to confirm their calculations.

1 Finally, before asking our specific questions,
2 I do want to comment on the scope of Navigant's report.
3 And they did cover this on their slide 4 that they just
4 spoke to you about. The study scope is limited, and it
5 is imperative to include all critical utility planning
6 variables when determining the feasibility of renewable
7 technologies in Florida, and I think one of staff's
8 questions touched on this. Integrated resource
9 planning, transmission loading, and cost impacts and
10 system operations will ultimately affect our system
11 reliability, and these things will need to be included
12 when assessing the viability of any technology in
13 Florida.

14 With that, I'll turn to my oral questions that
15 I have. And some of these, as I listened to Navigant's
16 report, I think they touched on those, so it might be a
17 quick process here.

18 One thing I would like clarification on, and I
19 noticed it in what they said today and in their draft.
20 They referred to staff's draft legislation. I take that
21 to mean staff's rule.

22 MR. PAIDIPATI: That's correct. We should
23 have said staff's draft rule, that's correct, yes.

24 MS. MILLER: Mr. Chairman, we're trying to
25 think about how this will fit into the record because of

1 the time frame. It could be that it could be filed in
2 the post-workshop comments, although that's a very short
3 turnaround there. The post-workshop comments will be
4 due on the 8th. So I'm not sure if -- since these
5 aren't being asked and answered here, how this will fit.
6 I mean, it may be that Navigant could respond in writing
7 or -- Mark?

8 CHAIRMAN CARTER: I don't know how that would
9 impact on our schedule.

10 MR. FUTRELL: Mr. Chairman, if I may.

11 CHAIRMAN CARTER: You're recognized.

12 MR. FUTRELL: Certainly, we don't have a
13 problem with parties, if they want to submit questions to
14 Navigant Consulting staff and Jay's team, and they can
15 take those questions under consideration and utilize the
16 information, the points you're bringing up. As you
17 mentioned, some of the questions that have been raised
18 have helped focus the report, and some of the revisions.

19 Again, the major part of the report and the
20 work is completed, but I don't think Navigant Consulting
21 would have a problem with considering some of the
22 questions, and then to the extent they can, work some of
23 that into the final report submitted and due on
24 January 1st. They can do that to the extent that it's
25 appropriate.

1 MR. TRAPP: If I could add to that,
2 Mr. Chairman.

3 CHAIRMAN CARTER: Mr. Trapp.

4 MR. TRAPP: You know, this study has been
5 basically publicly funded by the DOE, and we are close
6 to the limits of what that funding will allow. So I
7 would encourage the parties to try to focus their
8 questions, not get into an elaborate discovery process
9 of extracting every piece of information that was used
10 by Navigant. If we can get to real focused questions,
11 that would be very helpful, both for us and for them,
12 because of time and money.

13 CHAIRMAN CARTER: Thank you, Mr. Trapp. And
14 we do -- in these times that we're under, we are not in
15 a position to go over budget by any stretch of the
16 imagination. We've had several workshops. We've had
17 open dialogue with our staff. I mean, the questions
18 presented, we can look at those, but we're not going to
19 go over budget, and we're going to keep our time
20 schedule. We've got to adhere to our time schedule.
21 The Legislature has given us a mandate, and we will meet
22 it. We'll get to them. We've got a schedule. We added
23 this workshop as an additional -- it was not necessarily
24 on the schedule, but we added it for times like this.
25 So as much as possible, if we can kind of drill down to

1 what our specific issues are, we can take those into
2 consideration. But we will stay on schedule, we'll stay
3 on task, and we will stay on budget.

4 With that, Ms. Miller.

5 MS. CLARK: Yes. We do have some questions
6 that we would like to ask now that we thought had quick
7 answers to them. You know, what I passed out to you was
8 more or less asking for some of the data that they
9 relied on, and hopefully that will not be burdensome.
10 It will be simply a matter of directing the utilities to
11 where that information can be found.

12 CHAIRMAN CARTER: I don't think there will be
13 a problem with them giving it if you're requesting for
14 like citations for different aspects that are within the
15 document itself. Okay. That's not a problem.

16 MS. CLARK: With that, we do have a couple of
17 questions on the solar. We had a question about the
18 estimate of the availability of 600 square miles for the
19 solar potential. Our question is whether Navigant's
20 report takes into account the fact that most of the open
21 undeveloped land in Florida is not available because it
22 is either wetlands, part of the groundwater resource
23 percolation areas, or is home to protected species. And
24 when I listened to your report, I heard you touch on
25 some of those things, so if you could elaborate a little

1 bit more on how you came up with that 600 square miles.

2 MR. PAIDIPATI: Yes. We specifically screened
3 out areas such as wetlands, natural reserves, and some
4 of the other areas you mentioned. And we also looked
5 at, in addition to open land, abandoned mining lands as
6 well. So we tried -- we screened out those areas in
7 question.

8 MS. CLARK: Is that information of what you
9 screened out easily available?

10 MR. PAIDIPATI: Yes. We have a table in the
11 back of the report, in the appendix, that the water
12 management districts have 152 land use codes, and we
13 specifically cite which ones we used for solar and which
14 ones we did not, so I would refer you to that table to
15 do that, yes.

16 MS. CLARK: All right. And you may have
17 answered this question as well. This was the question
18 on using the solar generated steam to augment the output
19 of the natural gas combined cycle, and as you indicated,
20 you need duct heating to do that.

21 MR. PAIDIPATI: Yes.

22 MS. CLARK: Now, our question is, did you
23 screen out those that don't have duct heating?

24 MR. PAIDIPATI: Yes, yes, yes.

25 MS. CLARK: And do you have that information

1 so we can compare it with our information as to what
2 plants have that and what plants don't?

3 MR. PAIDIPATI: Some of that information was
4 given to me directly from the utilities, so I'll have to
5 discuss it with them before I can publicly cite that
6 information.

7 MS. CLARK: Okay.

8 MR. PAIDIPATI: You're obviously representing
9 the utilities. So I will discuss that with them each
10 individually, because I don't want to divulge any
11 confidential information.

12 MS. CLARK: I would appreciate that.

13 MR. PAIDIPATI: Okay. Sure, sure.

14 MS. CLARK: Turning to wind -- and you may
15 have answered this as well. I think you indicated -- I
16 thought I heard 300 meters offshore. How far out do
17 you --

18 MR. STANBERRY: That's onshore. Sorry.

19 MS. CLARK: All right. Well, let me ask you
20 this. How far out did you consider the offshore
21 facilities to be sited, and is it still within an area
22 that can be determined a Florida resource? In other
23 words, how far out do you go before it's no longer a
24 Florida resource?

25 MR. STANBERRY: The distinction that we made

1 was based on depth, because that is how the resource or
2 the technology is screened in terms of when it will be
3 available. And so through a variety of discussions with
4 developers and regulators and folks in the R&D business,
5 the estimate is that by 2020, you'll be able to go out
6 to 60 meters in depth. Now, that is not a distance from
7 shore marker, but rather a depth from the level of the
8 top of the ocean down to the seabed. And I think Jay
9 probably has a comment on what's in-state.

10 MR. PAIDIPATI: Yes. I would refer that
11 question back to the PSC staff in terms of what will
12 qualify as Florida. Generally international boundary
13 waters are, I believe, 12 miles, and state boundary
14 waters are usually three miles. So I would refer that
15 back to the staff and how that's decided upon in the
16 legislation.

17 MS. CLARK: Well, then just so I'm clear,
18 whatever you have cited for offshore wind, you don't
19 know if it's in or outside of the boundary, because you
20 only looked at the depth?

21 MR. STANBERRY: We didn't screen for that,
22 because it depends on how the actual regulation would be
23 written as to what would count towards the RPS. So we
24 haven't screened out that beyond the state boundaries.

25 MS. CLARK: Maybe I asked my question wrong.

1 Because you used a different method of determining what
2 would be available, you have no way of telling if it
3 would be within the boundary or not.

4 MR. STANBERRY: I actually have some
5 information on distances for the different technical
6 potentials. I actually sent that over to a couple of
7 the utilities, and I can absolutely make that available
8 to you.

9 MS. CLARK: Okay. Thank you.

10 MR. STANBERRY: Sure.

11 MS. CLARK: Now, turning to the biomass, it
12 appears to us that there was an assumption made that
13 biomass emits no CO₂; is that correct?

14 MR. KATOFISKY: The biomass that's consumed in
15 the plant, assuming that over some time frame is grown
16 back, would have essentially net zero CO₂. Now, there
17 would be some CO₂ associated with trucking and other
18 things, other activities, but this study was not a life
19 cycle assessment of biomass, so we didn't get into that.
20 We just assumed that for the plant itself, it's
21 essentially carbon neutral.

22 MS. CLARK: But you wouldn't know if it emits
23 CO₂ if it's going to be subject to regulations?

24 MR. KATOFISKY: Oh, in terms of, for example,
25 if there was a cost of carbon, you mean?

1 MS. CLARK: Right. If there were a
2 cap-and-trade on greenhouse gases, presumably if it
3 emits CO₂, it would be subject to the cap-and-trade.

4 MR. KATOFSKY: Not necessarily. Biomass is
5 looked at a little bit differently than other
6 combustible fuels because of this issue of basically the
7 growing biomass is reabsorbing carbon dioxide. So it --
8 I don't think there's a simple yes or no answer to that
9 one.

10 MS. CLARK: But your assumption of this is
11 zero CO₂ emissions for biomass?

12 MR. KATOFSKY: Correct.

13 MS. CLARK: Okay. Did you take into account
14 the use of groundwater for drinking and potable
15 purposes? It's my understanding that a great deal of
16 groundwater is used for those purposes, and it is our
17 view that the biomass crops that require water will
18 directly compete for this limited resource, and
19 therefore, your estimates of the biomass may be
20 overstated.

21 MR. KATOFSKY: Generally speaking, if you're
22 growing bioenergy crops for energy production, you're
23 selecting varieties that do not require substantial
24 irrigation, so you're picking varieties that are
25 suitable for the region in which they're being grown.

1 MS. CLARK: So I take it you assume no
2 competition between what is needed for drinking water
3 and potable purposes with the biomass product.

4 MR. KATOFISKY: That's correct.

5 MS. CLARK: Okay. You may know right now, or
6 maybe you can provide it later, what is the basis for
7 your conclusion that 14 percent of total farmland in the
8 state for biomass crop is feasible.

9 MR. KATOFISKY: I looked at total farmland in
10 the state and just made assumptions about how much of
11 that could be converted to energy crop production.
12 There's -- I think it remains to be seen how much of
13 that land ultimately would be converted. The bulk of
14 the land in farms, however, is rangeland and pasture and
15 woodland as opposed to acreage that's harvested on an
16 annual basis, so there's a fair bit of land that could
17 be potentially converted.

18 MS. CLARK: Can you provide us the assumptions
19 you used to come to that 14 percent?

20 MR. KATOFISKY: There might be -- there are
21 some details in the report, but I think we can probably
22 get you the additional details.

23 MS. MILLER: Ms. Clark, maybe we could proceed
24 down the line and then come back around, depending on
25 our time frame.

1 MS. CLARK: Okay. So you want to move on --

2 MS. MILLER: Uh-huh.

3 MS. CLARK: -- and give me a chance -- all
4 right. I can ask them later.

5 MS. MILLER: That sounds good.

6 MS. BROWNLESS: Good morning. I'm Suzanne
7 Brownless here today on behalf of the Florida Solar
8 Coalition. And with me is Gwen Rose from Vote Solar
9 Initiative, a member of the coalition, and Gwen will be
10 asking our questions this morning.

11 MS. ROSE: Hello. Thank you for the
12 opportunity to participate today. I wanted to make a
13 few observations and then ask a couple of quick
14 questions. First, we're really, I think, heartened by
15 the fact that the study shows that there is obviously
16 enough technical potential to get to a goal of 20
17 percent by 2020, but more importantly, that it shows
18 that with appropriately supportive policies, a 20
19 percent by 2020 goal is economically achievable. Just
20 consider that under the mid favorable and favorable
21 scenarios with RECs, meaning with an RPS, Navigant
22 demonstrates that Florida could obtain 12 percent to 27
23 percent renewables for a rate impact of 2 percent to 5
24 percent.

25 The Florida Solar Coalition performed an

1 analysis. We approached it very different, but we found
2 fairly similar results, that you could get 20 percent by
3 2020 with about a 4 percent rate impact.

4 Again, we've noted in the past that we
5 strongly believe that solar hot water under 2 megawatts
6 should be included in the technical and economic
7 analysis. It's eligible to participate in the RPS and
8 should lower the overall cost of getting to that goal.

9 Generally, we are supportive of the
10 projections for costs and capacity potential under mid
11 favorable and favorable RPS scenarios, but I do have a
12 couple of questions about some of the assumptions used.

13 And we also just wanted to point out that --
14 again, Navigant said this, but they use -- they assume
15 that each renewable technology will displace a
16 conventional resource whose output most closely matches
17 the renewable output, so as such, Navigant assumes that
18 solar displaces gas-fired combustion peaking generation.
19 And it's a common thing for people to assume that solar
20 should be compared to base load resources. There have
21 been a few media stories that have done this in the past
22 few weeks. However, we believe that Navigant's approach
23 is more appropriate and rightly recognizes that solar is
24 an important peaking resource.

25 And to that point, I don't know if you want to

1 refer to specific slides, but if you look at the
2 levelized cost of energy for renewables with RECs for
3 the mid favorable and favorable scenarios, PV is 14 to
4 13 cents a kilowatt-hour compared with 21 to 28 cents a
5 kilowatt-hour for a peaking resource, so it's already
6 more competitive than a peaking plant. In the mid
7 favorable scenario, PV is 12 to 21 cents a kilowatt-hour
8 compared with 17 to 23 cents, so again, in the mid
9 favorable scenario, it's also more competitive, unless
10 I'm misinterpreting that. Let me know. So, in other
11 words, solar is competitive with peaking plants.

12 I think that's generally my comments.

13 Questions for Navigant that I think are
14 probably easily answered, you use an assumption about
15 the capacity factor for peaker plants that's, I think,
16 15 percent. I would just note that in California it's
17 5 percent. Some similar analysis that we've done or
18 seen for the levelized cost of electricity has been
19 around 10 percent. So I'm wondering if you can tell us
20 why you used 15 percent and what you think that would --

21 MR. PAIDIPATI: We went with the upper end of
22 the range to be conservative, because going forward,
23 it's not easy to tell how the peaking resources will be
24 needed in the State of Florida, given its load profile,
25 so we went with the upper end of the range. Obviously,

1 the range is generally between 5 and 15 percent. We
2 went with the upper end. We saw in the ten-year site
3 plan a large amount of peaking facilities going in in
4 Florida and decided to use the upper end of the range,
5 under the assumption that potentially the peaking loads
6 would go up over time in Florida.

7 MS. ROSE: Okay. On slide 15, when you talk
8 about key drivers, there is an assumption about the
9 renewable energy adoption in relation to transmission
10 investment, and I'm just wondering -- you know, the
11 benefits of photovoltaics and solar hot water in terms
12 of, you know, when it's sited at the distribution level,
13 it reduces transmission losses and can in some cases
14 help defer transmission and distribution investment.
15 But you note there that it has a low impact, so I'm just
16 wondering if you could expand on that.

17 MR. PAIDIPATI: This is more on the investment
18 in transmission affecting the availability of renewable
19 energy.

20 MS. ROSE: Oh, okay.

21 MR. PAIDIPATI: Yeah, yeah, not the impact of
22 renewable energy on transmission. Looking at these what
23 I call T&D type effects was outside the scope of our
24 study, but definitely, I think if you looked further on,
25 there would be impacts of PV on those types of issues.

1 MS. ROSE: Right. The studies I've seen in
2 other states -- I don't think it has been done for
3 Florida -- do assign a pretty high value to the benefit
4 of photovoltaics to reduce transmission and distribution
5 benefits.

6 The last question, I'm wondering if you could
7 clarify. Your analysis seems to really heavily favor
8 central station photovoltaics over distributed
9 generation. For example, I think your favorable has
10 9,500 megawatts of PV versus, you know 13 or 14 hundred
11 megawatts for distributed generation under a favorable
12 scenario. I'm wondering if you could clarify.

13 MR. PAIDIPATI: I think it has to do with the
14 -- in the case of the central station PV, we're
15 comparing it directly to the combustion turbine plant.
16 But as I've discussed, for the customer-sited PV, we
17 used a slightly different methodology of using a market
18 penetration -- or a payback acceptance curve, so some of
19 those things could be accounted for in there. I think
20 that's probably the simplest explanation.

21 MS. ROSE: And do you include for the PV
22 adoption the value of avoiding future escalation in
23 retail rates?

24 MR. PAIDIPATI: Yes, yes, yes, yes. So in the
25 customer-sited case, we have the three scenarios where

1 the electricity -- the customers' electric bills do
2 increase per the natural gas prices we discussed in the
3 three scenarios. That's correct.

4 MS. ROSE: Okay. And then just one last
5 question. You note that -- you have assumptions in
6 there about the availability of state rebates. How much
7 does that affect the assumptions about PV adoption?

8 MR. PAIDIPATI: We found it wasn't very large
9 later on because there's a spending cap on the state
10 rebate right now of -- I believe it's in the
11 neighborhood of 5 million-ish dollars per year. I know
12 it's highly flexible and I think going up. But looking
13 at that relative to the overall demand for PV, if those
14 caps held, it did not make a huge difference, I would
15 say. But in the earlier, it does, because when there's
16 lower demand, it does make a very large difference,
17 because it's -- I believe it's \$4 a watt DC rebate.

18 MS. ROSE: It's very, very limited.

19 MR. PAIDIPATI: Yes, correct.

20 MS. ROSE: Okay. Thank you.

21 MS. MILLER: Mr. McGlothlin.

22 MR. MCGLOTHLIN: My name is Joe McGlothlin.
23 I'm with the Office of Public Counsel. Good morning to
24 the three of you.

25 Your first question is a toss-up. Back to

1 business. My first question does call for a bit of a
2 preface, and it will be short. And I'm sure the three
3 of you have been following the development of the rule
4 closely throughout each stage, and you'll recall that
5 the first step was a straw man proposal, the main body
6 of which made no distinction between one technology or
7 the other, but provided some options. One option was
8 called a multiplier effect, and the other option was
9 called a set-aside or carve-out.

10 And we've had several workshops, and during
11 the give-and-take dialogue among stakeholders and staff,
12 there is a dispute over whether the ultimate rule should
13 provide -- should contain provisions that favor certain
14 technologies in the allocation of the money available
15 for renewable energy credits on the one hand, or whether
16 instead there should be no such distinction, and there
17 should be one pot of money for which all of the
18 technologies vie to be the most cost-effective.

19 And with that bit of background, I've read
20 your document, and I heard you say this morning that
21 when you consider the scenarios, no credits, 1 percent
22 annual revenues, 2 percent annual revenues, up to
23 5 percent, in each such scenario you assumed that the
24 money available for renewable energy credits would be
25 allocated 75 percent to what's called Class 1, solar and

1 wind, and 25 percent to the other technologies. And if
2 I understand you correctly, there is no scenario in the
3 draft report to this point that examines the impact of
4 the alternative case, which would be a percentage of
5 annual revenues with no such allocation, with one pot of
6 dollars. Am I correct in that?

7 MR. PAIDIPATI: That is correct. We did not
8 look at that scenario.

9 MR. MCGLOTHLIN: Now, if you'll turn to one of
10 the slides in your executive summary -- I think it's
11 page 7. No, I'm sorry. It's the one that reports the
12 conclusions. And the conclusion states that the impact
13 on RECs -- of RECs on the Class 2 technology was small,
14 given the 25 percent allocation.

15 If you were to assume that no such allocation
16 was made, do you think the conclusion would differ with
17 respect to the Class 2 technologies?

18 MR. PAIDIPATI: That's a tough question to
19 answer without looking at the analysis. It's hard to
20 say. I don't think we can professionally answer that
21 question without digging into it a little bit.

22 MR. MCGLOTHLIN: Okay. Look at page 22 of the
23 executive summary, which shows the scenarios, all of
24 which include this 25-75 breakdown or allocation, and
25 depicts graphically the potential for renewable energy

1 for each scenario. Again, if you were to assume that
2 there's no allocation made to 25-75, do you think the
3 graph would look different?

4 MR. PAIDIPATI: Again, that's hard to answer
5 without actually running that scenario.

6 MR. MCGLOTHLIN: Okay. Now, I want to refer
7 you to a page that's not within the executive summary.
8 It's within the full study, if you have that available.
9 It's page 210.

10 MR. PAIDIPATI: Oh, boy.

11 MR. MCGLOTHLIN: And the caption is "Class 1
12 REC selling price by year."

13 MR. PAIDIPATI: Okay. Bear with me here when
14 I go to that page. We had it loaded up here. It will
15 take a second. It's a long report.

16 Oh, thank you. You just saved us five
17 minutes. Next page. That's okay.

18 Okay. Yes, correct. Yep.

19 MR. MCGLOTHLIN: There you go. And I'll
20 probably need some help from you in explaining what this
21 depicts, but as I understand it -- and first of all,
22 this is the renewable energy credit selling price for
23 the solar and wind --

24 MR. PAIDIPATI: Correct.

25 MR. MCGLOTHLIN: -- technologies in Class 1 --

1 MR. PAIDIPATI: Uh-huh.

2 MR. MCGLOTHLIN: -- by year. And in the early
3 years, you see values ranging from 145 to \$180 per
4 megawatt-hour. Now, is that in part a function of the
5 availability of 75 percent annual requirement?

6 MR. PAIDIPATI: Correct, yes.

7 MR. MCGLOTHLIN: So the allocation of
8 75 percent of the annual requirement pot of money would
9 under this scenario be steered to pay the solar
10 technologies up to \$180 per megawatt-hour for the energy
11 that they sell?

12 MR. PAIDIPATI: That's correct. The REC
13 selling price would be \$180 a megawatt-hour.

14 MR. MCGLOTHLIN: And that, of course, we
15 understand is above and in addition to any price for the
16 energy itself. This is just for the renewable credit.

17 MR. PAIDIPATI: Say the question again. It's
18 above the --

19 MR. MCGLOTHLIN: If this is the REC selling
20 price, I assume that is for the renewable attributes
21 only and not for the energy.

22 MR. PAIDIPATI: Yes, correct. That is just
23 for the renewable attributes, yes, yes, yes.

24 MR. MCGLOTHLIN: Now, if you'll turn to page
25 211, this is captioned the Class 2 REC selling price,

1 Class 2 being the technologies other than solar and
2 wind. It shows under the assumptions here, depending on
3 the scenario, selling prices ranging from 4 to \$18 per
4 megawatt-hour.

5 MR. PAIDIPATI: Correct.

6 MR. McGLOTHLIN: And is that a function of the
7 fact that under your assumptions, only 25 percent of the
8 available pot of money is spent for that purpose?

9 MR. PAIDIPATI: The staff draft rule had the
10 specification of 75-25.

11 MR. McGLOTHLIN: Yes.

12 MR. PAIDIPATI: And also, this is a function
13 of -- if you recall, there's already roughly 1.5
14 gigawatts of Class 2 renewables installed in the State
15 of Florida, so those technologies -- we made the
16 assumption that those technologies or those facilities
17 would qualify for the RPS, again per the staff's draft
18 rule. So those technologies would be eligible for the
19 RECs, and that would in turn create a larger pool for
20 the RECs in Class 2, so it would create an overall lower
21 REC price.

22 MR. McGLOTHLIN: So the price per REC is in
23 part a function of the larger universe of such projects?

24 MR. PAIDIPATI: Yes.

25 MR. McGLOTHLIN: But it's also a function of

1 the availability of only 25 percent of the pot of money;
2 correct?

3 MR. PAIDIPATI: Correct, yes.

4 MR. MCGLOTHLIN: So if there were no such
5 allocation, would you expect the selling price for the
6 Class 2 technologies to differ from what's shown here?

7 MR. PAIDIPATI: I believe it would increase,
8 but to what degree, I can't answer that.

9 MR. MCGLOTHLIN: You can't say how much, but
10 there would be an increase, and it could be a material
11 increase; would you agree with that?

12 MR. PAIDIPATI: I can't say, again, because
13 then it would probably drive more adoption of the
14 Class 2 RECs, so again, it might bring the REC price
15 back down. It's a balance, and it's hard to say where
16 that would go without actually looking at that scenario.

17 MR. MCGLOTHLIN: You mentioned a moment ago
18 that the draft rule contains a 75 and 25 allocation. Is
19 it for that reason that you built that assumption
20 into --

21 MR. PAIDIPATI: Correct, yes.

22 MR. MCGLOTHLIN: But the draft rule also
23 incorporates the renewable energy credits, does it not?

24 MR. PAIDIPATI: In what way?

25 MR. MCGLOTHLIN: It provides for a market for

1 renewable energy credits as a provision of the draft
2 rule, does it not?

3 MR. PAIDIPATI: The 75-25 is how the
4 expenditures for those credits are --

5 MR. MCGLOTHLIN: And the 75-25 is a subpart of
6 the renewable energy credit mechanism that is part of
7 the proposed rule.

8 MR. PAIDIPATI: Okay.

9 MR. MCGLOTHLIN: But you also examined
10 scenarios in which there are no RECs; correct?

11 MR. PAIDIPATI: Yes. Yes, that's correct.

12 MR. MCGLOTHLIN: So in that instance, you
13 departed from the draft rule?

14 MR. PAIDIPATI: That's correct.

15 MR. MCGLOTHLIN: And the draft rule calls for
16 the assumption of 2 percent of annual revenues.

17 MR. PAIDIPATI: Yes.

18 MR. MCGLOTHLIN: But you also examined cases
19 for 1 percent and 5 percent.

20 MR. PAIDIPATI: Correct, yes.

21 MR. MCGLOTHLIN: So my question, I suppose, is
22 that if you didn't feel that you were tied to those
23 aspects of the exercise, why did you limit the scenarios
24 to the 75-25 allocation?

25 MR. PAIDIPATI: We worked with the Florida

1 Public Service Commission staff to develop that scope.
2 I mean, it's an interesting thing we could consider of
3 going without that bound. I mean, we would have to
4 discuss it with the PSC staff, but we could take that
5 under consideration.

6 MR. MCGLOTHLIN: This is a point to be
7 followed by a question.

8 MR. PAIDIPATI: Okay.

9 MR. MCGLOTHLIN: The point is, there are those
10 of us among the stakeholders who would like to be able
11 to compare and contrast the effect of a rule that has
12 the 75-25, as in the proposed rule, on the one hand, and
13 a rule that makes no distinction among technologies and
14 says for the benefit of the ratepayers, chose the most
15 cost-effective, on the other. And is it fair to say
16 that in the document as it stands now, there's no
17 quantification --

18 MR. PAIDIPATI: Correct.

19 MR. MCGLOTHLIN: -- that would allow us to do
20 that?

21 MR. PAIDIPATI: Yes. I think that's something
22 we can take into consideration for the final report,
23 yes.

24 MR. MCGLOTHLIN: That's my question. Would it
25 be doable if it were perceived to be worthwhile?

1 MR. PAIDIPATI: We'll have to see, given the
2 time left to us, if we can fit that in. Obviously,
3 that's a large undertaking, and budget is another
4 concern.

5 MR. MCGLOTHLIN: All right. Well, I know I've
6 taken a little bit of time. I'll just ask -- I'm going
7 to change subjects now and ask you to elaborate on
8 something having to do with the Fisher-Pry substitution
9 curves.

10 MR. PAIDIPATI: Yes.

11 MR. MCGLOTHLIN: Now, it has been several
12 years, but I was involved in a case that involved the
13 application of the Fisher-Pry theory. And as I
14 understand it, the proposition is that when a new
15 technology enters the marketplace, after a relatively
16 short period of time, their rate of penetration becomes
17 constant, and when that constant rate of penetration can
18 be measured, it's then possible to predict by projecting
19 forward at that same constant rate the pace at which it
20 will take over the marketplace. Is that correct?

21 MR. PAIDIPATI: You can also look at the
22 characteristics of the technology in the market in which
23 it exists and project the rate of application as well.

24 MR. MCGLOTHLIN: Well, that's my question,
25 because as I understand it, the rate of penetration

1 would be specific to the particular technology.

2 MR. PAIDIPATI: Yes, yes.

3 MR. MCGLOTHLIN: By way of easy example, the
4 rate of penetration of microwave ovens is one value.

5 MR. PAIDIPATI: Yes.

6 MR. MCGLOTHLIN: The rate of penetration for
7 car-mounted GPS devices could be very different from
8 that.

9 MR. PAIDIPATI: Yes.

10 MR. MCGLOTHLIN: And don't you need sufficient
11 data for the individual technology to enable you to make
12 that prediction with confidence?

13 MR. PAIDIPATI: We did. We used several
14 different curves, depending on each technology's
15 characteristics.

16 If you look at the world of Fisher-Pry, you
17 can -- and I don't want to go into too much detail, but
18 there's curves A, B, C, D, and E that have varying
19 what's called saturation time, T to one-half, time to
20 one-half, and those are a function of the given industry
21 and market that that technology is playing in. And we
22 looked at those things, and for each technology, we made
23 a distinction of, given its past usage, which I
24 discussed, the market that it's playing in, which curve
25 we would most likely apply to that given technology.

1 MR. MCGLOTHLIN: Well, that's helpful, because
2 when I read hurriedly, of necessity, the description of
3 groupings and families of curves, it suggested to me
4 that you were using proxies rather than the data for the
5 specific technologies being measured.

6 MR. PAIDIPATI: Oh, okay. No, no. I guess we
7 needed to convey that better, but, no, we used different
8 curves for each technology, yes, yes.

9 MR. MCGLOTHLIN: Those are all the questions I
10 have. Thank you.

11 MR. PAIDIPATI: Thank you.

12 MS. MILLER: Are there any more stakeholders
13 who would like to ask questions?

14 Yes, Mr. Moyle.

15 MR. MOYLE: I don't want to cut in line. I'm
16 Jon Moyle. I'm with the Anchors Smith Grimsley firm. I
17 appreciate you all spending a lot of time on this
18 report. It was a lot of work. I represent Wheelabrator
19 Technologies, which is a waste-to-energy company. I
20 just had a couple of questions.

21 One, people have made brief comments, and I
22 think Mr. McGlothlin representing Public Counsel brought
23 out an interesting report, which, as I understood, your
24 charge was to do an analysis that would help inform not
25 only this Commission, but ultimately the Legislature,

1 because they have to ratify a rule and provide sort of a
2 state-of-the-art report to them. And I think his point
3 about your limitation where you looked at everything
4 assuming a 75 percent wind and solar and 25 percent
5 other may skew the results.

6 And I guess my first question would be, a lot
7 of times in the legislative arena, people are like, you
8 know, just give me your broad sense. But am I correct
9 in assuming that if you looked at that issue and said,
10 "Rather than 75-25, let's do a 50 percent-50 percent
11 split," so 50 percent of the moneys would go to wind and
12 solar and 50 percent would go to what you're calling
13 Class B, wouldn't that get you a higher number in terms
14 of renewables?

15 MR. PAIDIPATI: It's hard to say without
16 running the analysis. I think definitely
17 Mr. McGlothlin's comment is noted, and we'll discuss
18 that with the Commission staff.

19 MR. MOYLE: So you could do no split, and then
20 maybe a 50-50 split? Because it seems like your whole
21 report has that 25-75 split, which, you know, knowing
22 some of the folks in the Legislature, they may say,
23 "Look, we appreciate wind and solar, and we appreciate
24 the Governor encouraging that, and wind and solar is a
25 good thing, but what gives us our biggest bang for our

1 buck?" And I'm not sure there's anything that is in
2 that report that would tell you that.

3 MR. PAIDIPATI: Yeah, that's definitely
4 something we can look at, yeah.

5 MR. MOYLE: Okay. A couple of other
6 questions. On your biomass chart on page 13, you used a
7 85 percent capacity factor for municipal solid waste,
8 and I was wondering why you used that for all the
9 biomass.

10 MR. KATOFISKY: We used that to represent a
11 base load technology, so all the biomass technologies
12 are essentially base load, so that would be the average
13 annual capacity factor over the course of a year, taking
14 into account any downtime or part load operation.

15 MR. MOYLE: Is that a reasonable capacity
16 factor, in your view?

17 MR. KATOFISKY: I think it is, yes.

18 MR. MOYLE: On page 17, you had certain
19 financial assumptions. And I think this may be my last
20 question. You had this chart that talks about financial
21 assumptions, depending on the technology's commercial
22 status. Certain biomass products, as I understand it,
23 like the bioenergy crops, they do have a cost associated
24 with the input; correct?

25 MR. KATOFISKY: Correct.

1 MR. MOYLE: So to the extent that there's a
2 fuel cost associated with biomass and there's not a fuel
3 cost associated with things like wind and solar,
4 wouldn't that argue for an increased risk on the part of
5 an investor?

6 MR. PAIDIPATI: No, that's an interesting
7 point that was brought up earlier today. I think that's
8 something we need to take into consideration going
9 forward.

10 MR. MOYLE: And if it did have an additional
11 risk component, then I would assume that both the cost
12 of debt and the cost of equity would go up.

13 MR. PAIDIPATI: That's correct. That's an
14 interesting point that was brought up. Yes, I think
15 that's something we're going to take into account.

16 MR. MOYLE: So you would agree with that?

17 MR. PAIDIPATI: Yes, yes.

18 MR. MOYLE: All right. I think that does it.
19 Thanks again for all your hard work on this.

20 MR. PAIDIPATI: Thank you.

21 MS. MILLER: Thank you. And do we have other
22 speakers?

23 MR. KARNAS: Thank you. I'm Jerry Karnas,
24 Climate Project Director, Environmental Defense Fund. I
25 was a member of the Climate Action Team, and I'm trying

1 to get a sense -- have you guys been able to pinpoint
2 why your conclusions are so different from -- the energy
3 supply and demand section from the Climate Team's?

4 MR. PAIDIPATI: We have not compared those
5 sections as of yet, if you could recommend us where to
6 go.

7 MR. KARNAS: All right. I've tried to look at
8 it a little bit. It seems to me that -- so on the
9 natural gas pricing assumptions, am I correct that you
10 guys, that the worst-case scenario that you put forth
11 between now and 2020, that we've already been in that
12 for the past couple of years?

13 MR. PAIDIPATI: We had been in 13 to 14 MMBtu
14 range, yes.

15 MR. KARNAS: So if you did like a sensitivity
16 analysis -- am I reading it right that they're
17 projecting natural gas prices to basically be stable for
18 12 years?

19 MR. PAIDIPATI: It depends. We used a -- we
20 didn't use the increasing or decreasing. We bracketed
21 the price over that time frame.

22 MR. KARNAS: Right. I'm just trying to find
23 out why what we've been in for the past couple of years
24 would be considered the worst-case scenario. Do you
25 know what I'm saying? It would seem to me that 11 to

1 \$14 would be kind of a mid range case, and if you did
2 sensitivities of, you know, 3 percent, 5 percent, 7
3 percent, you're getting upwards of --

4 MR. STANBERRY: Part of the reason for that is
5 the steep drop that that has been experienced over the
6 last three months or so in natural gas prices, so that
7 \$13 is a much higher level now than it would have been
8 if we were doing the study back maybe six months ago.
9 And we actually have a natural gas pricing unit within
10 Navigant that tracks these prices, and we built our
11 assumption in consultation with some of their forecasts
12 as well.

13 MR. KARNAS: But that's a key assumption for
14 the support, you would agree, the natural gas prices? A
15 lot flows from that?

16 MR. PAIDIPATI: I would agree, yes.

17 MR. KARNAS: Right. And so if we did start
18 seeing volatility, that would change a lot of the
19 other --

20 MR. PAIDIPATI: Obviously, yes, the price of
21 natural gas we have as our number one key driver.

22 MR. KARNAS: And there are still some people
23 that are looking at \$200-a-barrel oil by 2030. You
24 know, there are still a lot of analysts that are still
25 talking about that. So if natural gas is one-sixth the

1 cost of a barrel of oil, if it's \$100 a barrel, it's
2 going to be \$20. You know, if it's \$200 -- right?

3 MR. STANBERRY: Actually, the two do not
4 necessarily track each other. They have over the last
5 couple of months for sure, but they don't necessarily
6 track each other over time. And what has happened in
7 the U.S., there has been a tremendous increase in the
8 supply of natural gas that has helped drop the price.

9 Do you know what the price is sitting at now?
10 Six? Yes, it's down to six now, or in that range.

11 MR. KARNAS: I agree. So if the global -- you
12 know, globally natural gas is trading at something
13 higher, we may have a little cushion there, but it's
14 still going to be --

15 MR. PAIDIPATI: I guess to get to the heart of
16 the question, if you have a set of assumptions you would
17 like us to look at, you can submit it to the PSC staff,
18 and we can take a look at that. And also, if you could,
19 provide the background to that set of assumptions.

20 MR. KARNAS: I will do that. Thank you.

21 Just building on Public Counsel's comments as
22 well, did you look at other scenarios in terms of the
23 construction of a REC market? For instance, did you
24 look at how the pricing of the assumptions would work if
25 the REC was not a tradeable REC, but a long-term kind of

1 contract REC at a fixed price?

2 MR. PAIDIPATI: No, no. We looked at a
3 flexible market.

4 MR. KARNAS: Do you have an opinion about what
5 that would do to the price?

6 MR. PAIDIPATI: No. I've never actually
7 modeled that before, so I don't know what that would do.
8 I understand the concept of locking in a long-term price
9 as used in other parts of the country. That's an
10 interesting proposal.

11 MR. KARNAS: And so I just have a question
12 about the RECs. It starts at 189; right?

13 MR. PAIDIPATI: Uh-huh.

14 MR. KARNAS: And then generally the levelized
15 cost I see from what the Action Team came up with of
16 like 134. You guys came up with what, 142 or something?

17 MR. PAIDIPATI: Yes.

18 MR. KARNAS: And so why would somebody pay
19 \$180 --

20 MR. PAIDIPATI: Up front?

21 MR. KARNAS: Yes, for the REC, when really the
22 value is \$134?

23 MR. PAIDIPATI: Because we reported the LCOE
24 with the REC included, so that actual value of the
25 energy is the LCOE, in those particular cases, plus the

1 value of the REC. So we have two sets of tables in the
2 report, with and without RECs for both scenarios, so I
3 would refer you back to those. It's roughly page 205.
4 I would refer you back to that to look at what the value
5 of the energy is.

6 MR. KARNAS: Okay. Thanks. I appreciate it.
7 Thank you.

8 MS. MILLER: Thank you. Mr. Reedy.

9 CHAIRMAN CARTER: Cindy, hang on a second.

10 Okay. Go ahead. I just wanted to say in a
11 minute -- let me just say to my colleagues how much I
12 appreciate us deferring to allow for as much input as
13 possible on that, but we will get back to the bench. I
14 just wanted to kind of give you a heads-up.

15 Ms. Miller.

16 MS. MILLER: Mr. Reedy.

17 MR. REEDY: Thank you. Bob Reedy with the
18 Florida Solar Energy Center.

19 We were in a lot of discussion about the cost
20 data and the feasibility data, and certainly it's a
21 massive amount of work. It probably relieved us a
22 little bit of trying to produce some of this. However,
23 as you can imagine, as I come back and review the
24 results, I do have some questions.

25 A particular question I do have regards the

1 large scale of customer-sited PV installations. We had
2 discussion about how difficult it was to establish what
3 that cost is even today, because those large scale
4 projects are just getting under way. But one that
5 really troubles me is that there is a significant
6 project in California that Southern California Edison
7 has done. I'm sure you're familiar with it.

8 MR. PAIDIPATI: Yep, yep.

9 MR. REEDY: And they are -- I've had direct
10 conversation with SCE about it, and they have, they're
11 very happy, 350 a watt for 250 megawatts. And that's
12 the answer right there, is that it's 250 megawatts and
13 not 500 kW.

14 And I -- it's somewhat of a rhetorical
15 question, but could you address maybe how we could
16 expect to see not the prices -- you have the prices in
17 2015 down in that range, but for 2008, which is today --

18 MR. PAIDIPATI: Well, the SoCal Edison program
19 I believe is staggered over a five-year period. They're
20 not installing -- I believe it's 50 megawatts a year
21 they're installing.

22 MR. REEDY: Right.

23 MR. PAIDIPATI: So that is taking -- and the
24 contracts they have with the module suppliers take that
25 time into account. So I don't believe -- they're not

1 installing it all in 2008. And then probably the answer
2 is, they are installing -- it is a bulk buy.

3 I don't know. We tried to capture the average
4 selling -- the average module -- the average system cost
5 in the State of Florida over a time period. I would say
6 that the SoCal Edison represents the lower bound, but
7 then there's also an upper bound in more fragmented
8 markets where the value chain is not as streamlined as
9 it is in the Southern California Edison territory at
10 this time. So I think we got to the midpoint of that
11 over this time period.

12 MR. KARNAS: So perhaps then it would be --
13 it's very reasonable to expect a serious project in
14 Florida to be down to those types of numbers?

15 MR. PAIDIPATI: There would definitely -- I
16 think it would be lower than what we reported, but I
17 can't say how low it would go. I'm not sure in terms of
18 all the details of the SoCal Edison project. Obviously,
19 like I said, we were reporting an average, a lot of that
20 driven by the stakeholder comments of what to use. But
21 there is definitely a possibility for lower or higher
22 for any of these technologies.

23 MR. REEDY: I recognize that there's
24 manufacturing in California as well, and that affects
25 some of the purchase price, but there's a lot of

1 interest in manufacturing in Florida, particularly as
2 this RPS goes forward, and there is a direct response
3 to --

4 MR. PAIDIPATI: No, I think for any of these
5 technologies, there's a possibility for higher or lower
6 costs. We tried to portray the middle of that range.

7 MR. REEDY: Thank you.

8 MS. MILLER: Mr. Chairman, I know it's noon,
9 and would you like to go back to Ms. Clark and have some
10 more and then to Commissioners?

11 Oh, I'm sorry, Mr. Cavros.

12 MR. CAVROS: George Cavros on behalf of
13 Southern Alliance for Clean Energy. I just had a few
14 quick questions.

15 On slide number 22, you show renewables at a
16 6 percent level, and I was wondering where that data
17 came from. I thought maybe we were closer more to the
18 3.6 percent level.

19 MR. PAIDIPATI: Some of that is what Ryan
20 mentioned, that the original data collection did not
21 include the pulp and paper industry inputs. And then
22 also, we're showing -- this number here is at the end of
23 2009, so this takes into account any installations
24 during the year 2009, so it might raise that number up.
25 So this is definitely something that's still, I would

1 say, a work in progress, and that will be resolved by
2 the final report.

3 MR. CAVROS: Okay. And your analysis, or your
4 scenarios you say you ran without RECs. Does that mean
5 without an RPS, or does that mean with an RPS but
6 without RECs?

7 MR. PAIDIPATI: We didn't distinguish between
8 the two, so, yes, it was without the economic benefits
9 of RECs that would be driven by the presence of an RPS.

10 MR. CAVROS: And on page 15 or slide 15 -- and
11 you've alluded to this before, but it looks like fossil
12 fuel prices has the highest relative impact on renewable
13 energy adoption, but it also has the highest relative
14 uncertainly as well; is that correct?

15 MR. PAIDIPATI: Yes, that's correct, yep, I
16 think as evidenced by what has happened in the last six
17 months.

18 MR. CAVROS: Sure.

19 MR. STANBERRY: It's uncertainty about what
20 price those fossil fuels would take.

21 MR. CAVROS: And in your modeling, were you
22 able to model for price sensitivities? And I think you
23 actually discussed this in your introduction, where you
24 could model for certain fossil fuels increasing at
25 certain levels at different times to come up with

1 different conclusions?

2 MR. PAIDIPATI: I think how I'm interpreting
3 that, if the fossil fuel prices changed relative to what
4 we've simulated it as, yes, then the results would
5 change, yes.

6 MR. CAVROS: Okay. Thanks. And did you model
7 for transmission and distribution savings for --

8 MR. PAIDIPATI: No, no. As to the earlier
9 comments, we did not look at the T&D savings or --
10 there's many phrases you can use, the external benefits
11 of certain technologies. We did not draw that into the
12 analysis.

13 MR. CAVROS: Sure. I assume there are
14 probably a host of external benefits that either maybe
15 haven't been easily quantified, you know, in past
16 studies, or can't be. Were you able to model, you know,
17 for water use, for instance?

18 MR. PAIDIPATI: In what way?

19 MR. CAVROS: In what way? You know, certain
20 distributed generation technologies, solar, for
21 instance, don't use water. Water is a commodity in
22 Florida.

23 MR. PAIDIPATI: No, we didn't directly --

24 MR. CAVROS: Is there a way to model for that?

25 MR. PAIDIPATI: We didn't assume a value, but

1 that would be included in the O&M costs of whatever
2 traditional technology it was competing against, so
3 impulsively it's in there, yes.

4 MR. CAVROS: Okay. And leading up to the RPS
5 rule, the Legislature and the legislative intent had
6 strong economic intent language. In other words, they
7 wanted to really promote investment in the State of
8 Florida through an RPS. Did you model for job creation?

9 MR. PAIDIPATI: No, but we've actually done a
10 lot of work in that area, and afterwards I can refer you
11 to a host of studies we've done in that area. But we
12 did not account for that in this study.

13 MR. CAVROS: All right. Thank you.

14 MR. PAIDIPATI: Uh-huh.

15 CHAIRMAN CARTER: Before we come back to the
16 bench, let me just see if there's -- I know Ms. Clark
17 had a couple more questions, but let me just see if
18 there's anyone else that didn't get an opportunity to
19 ask questions this morning, because I do want to give
20 ample opportunity, but I do want to allow my colleagues
21 to ask their questions.

22 Come on down, sir. Anyone else? Because we
23 do want to -- to my colleagues, I appreciate your
24 patience on this.

25 Good morning, or good afternoon.

1 MR. JONES: Thank you, Mr. Chairman. My name
2 is Dell Jones with Regenesi Power, and I just have just
3 a quick couple of questions regarding the scope and the
4 tasks.

5 Within the tasks, there was to identify the
6 renewable energy resources for Florida. And as you guys
7 know, it honed in on less than 2 megawatts for solar
8 thermal. And we've had this discussion before, but I
9 just want to kind of identify the practicality of solar
10 water heating as a technology. And I know it was not
11 within the scope of your tasks to do that.

12 My question to you would be, with 20/20
13 hindsight, knowing that it wasn't within your scope, you
14 weren't budgeted for it, do you think it would be
15 considered an oversight to not have evaluated
16 utility-deployed solar water heating programs into this?

17 MR. PAIDIPATI: I think that's going to be
18 captured by the parallel study, the impacts of that, so
19 I can't say whether or not it was an oversight or not.

20 MR. JONES: Just sort of looking at some of
21 the technical potential, if I look at the difference
22 between residential rooftop photovoltaic systems, and if
23 within the study residential solar water heating
24 programs deployed through utility programs, you know, I
25 guess my comment would be probably the order of

1 magnitude would be equal to what the residential --

2 MR. PAIDIPATI: Yes, the technical potential
3 would be much higher.

4 MR. JONES: So the point, it's probably at
5 least that, probably more.

6 MR. PAIDIPATI: It's hard to say.

7 MR. JONES: You know, given that it takes
8 about one-seventh of the area of a roof and puts out the
9 same amount of net energy or environmental result back
10 to the consumer.

11 MR. PAIDIPATI: It's hard to say without
12 modeling. I know I've never actually done solar water
13 heating market penetration. But obviously, the
14 technical potential would be much higher.

15 MR. JONES: Yes. And I guess what I'm really
16 trying to get an understanding or have it understood
17 that it wasn't really so much of a fault of yours of not
18 including it. It was within the scope. You weren't
19 budgeted for it or --

20 MR. PAIDIPATI: No, no, no. It's specifically
21 -- in our scope of work, we specifically did not -- we
22 were not tasked to look at 2 megawatts. They
23 specifically asked us not to look at 2 megawatts and
24 below, because that's looked at in the study in support
25 of the FEECA work.

1 MR. JONES: And again, despite the fact that
2 it represents a significant impact to the renewable
3 energy potential for Florida.

4 MR. PAIDIPATI: Yes. I would voice that
5 concern with the staff.

6 MR. JONES: I know. It's sort of -- the cow
7 is out of the barn now, so to speak.

8 But I guess just to the Commission, I just
9 wanted to make some points. Our company is in contract
10 with one fairly small utility, Lakeland, Florida, and
11 our independent engineer's report supported by our
12 funding institution, Citibank, concludes that we have a
13 potential generation capability just within Lakeland
14 alone of 80 megawatts. So again, that just represents
15 again a significant oversight of the potential for solar
16 water heating deployed through utility programs, not
17 projects, but programs for ongoing years, you know, a
18 significant technical potential. And that's all the
19 comments I wanted to make.

20 CHAIRMAN CARTER: Thank you for your comments.

21 Ms. Clark, we're back to -- oh, Ms. Brownless,
22 one itty-bitty one, and then we'll go to Ms. Clark.

23 MS. BROWNLESS: Very small.

24 CHAIRMAN CARTER: You're recognized.

25 MS. BROWNLESS: Thank you. The only thing

1 that I would follow up with on Mr. Jones's comments is
2 that residential solar hot water is included in the
3 technology within the proposed rule which could generate
4 RECs. And so the fact that you have a significant
5 impact that could have been made by the residential
6 solar hot water, but is not included in the study, and
7 therefore might have the potential, and we believe would
8 have the potential to lower the price for the RECs, is a
9 serious flaw.

10 And that's all I would like to say. Thank
11 you.

12 CHAIRMAN CARTER: Thank you. Ms. Clark.

13 MS. CLARK: Thank you, Mr. Chairman. I'll try
14 to be quick.

15 I wanted to go back to some of your
16 information on the biomass potential. And it's my
17 understanding that a lot of it comes from energy crops
18 and natural and induced forest growth. I also
19 understand that that same feedstock or the land used to
20 produce it could also be used for cellulosic ethanol
21 production.

22 So my question is, how do you take it -- and
23 the price for that is probably more in that market, so
24 how have you taken that into account when you estimate
25 the potential for renewable from that resource?

1 MR. KATOFSKY: We assumed that there would be
2 by 2020 demand for about 5 million dry tons of biomass
3 to go towards -- and I wouldn't even say cellulosic
4 ethanol. Let's just call it second generation biofuels,
5 because it's not all going to be necessarily ethanol
6 either. So we actually took that amount out of the
7 technical potential between now and -- growing from
8 essentially zero today to that 5 million dry tons by
9 2020. But in terms of the pricing, I can't say what --
10 you know, our pricing assumptions were stated earlier,
11 but we did factor in competing demand for that
12 feedstock.

13 I think it's worth noting that those
14 facilities will produce a certain amount of electricity
15 as well, which also is not factored in here, but that's
16 something to bear in mind.

17 MR. PAIDIPATI: If I could just follow up on
18 that. That 5 million dry tons comes from the Governor's
19 Action Team on Energy and Climate Change. They had
20 listed that as a target for 2020, the 5 million dry
21 tons, so that's where we took that from.

22 MS. CLARK: You also include biomass and
23 co-firing coal units. How are you accounting for the
24 effect on the fly ash?

25 MR. KATOFSKY: We did not -- I think that's

1 something that would need to be fleshed out a little bit
2 further to see how realizable that potential would be in
3 terms of the fly ash specifications. We did not factor
4 that into the analysis.

5 MS. CLARK: Okay.

6 MR. KATOFSKY: I'm not sure which plants do
7 and don't sell the fly ash. We didn't get to that level
8 of detail.

9 MS. CLARK: This is another question on the
10 interplay of these resources. Where in the process will
11 the overlaps between municipal solid waste and landfill
12 gas be addressed? It's similar to your recycling
13 scenario. Where you use it for one, it's not going to
14 be available to landfill and produce the gas, and where
15 have you taken into account that interplay.

16 MR. KATOFSKY: I'll have to double-check, but
17 I believe that the landfill gas potential is based upon
18 current landfill situations, and going forward, I think
19 those are expected to remain steady. But I -- I'm
20 sorry. Expected to remain steady. That's one I know
21 we're still researching. We got your question on the
22 original round.

23 MS. CLARK: But would you agree it may not
24 remain steady if you're landfilling this -- if you're
25 using what you would use to landfill for municipal solid

1 waste if you compete?

2 MR. KATOFISKY: It's possible that it could
3 decrease some in the future if you had a very high
4 degree of waste-to-energy penetration in the future.

5 MS. CLARK: Okay. Did you take into account
6 that additional generation may be needed to compensate
7 for when solar and wind technologies are not available
8 at peak?

9 MR. PAIDIPATI: No, we did not take into
10 account that.

11 MS. CLARK: Okay. I noticed your study goes
12 to 2020 only, and I believe the staff's recommendation
13 is to reach 20 percent by 2041. Will you be doing the
14 escalation to make the periods match?

15 MR. PAIDIPATI: No. We were not funded to go
16 out to 2041. I could do a quick commercial for Navigant
17 Consulting, but I won't try that.

18 MS. CLARK: And it's also our understanding
19 you're not considering what additional transmission and
20 grid investment which may be necessary to support --

21 MR. PAIDIPATI: We did not do that for both
22 the traditional technologies and the renewable
23 technologies. I mean, doing a detailed transmission
24 study was outside of our scope of work. The only body
25 of data we had was the ten-year site plan that has -- I

1 believe it's approximately 620 miles of transmission to
2 support the traditional technologies in the ten-year
3 site plan. We didn't think it was fair to include it
4 for one technology and not the other, so we looked at it
5 on a plant-by-plant basis.

6 MS. CLARK: And my last question is about your
7 electric consumption growth rates. And I understand
8 staff provided you with that, and you don't know if it
9 has taken into account recent economic conditions and --

10 MR. PAIDIPATI: I would refer that back to the
11 staff.

12 MR. BALLINGER: Tom Ballinger with staff. The
13 growth rates that we provided Navigant were the same
14 ones we got from the utilities with the data request to
15 give us your updated sales forecast. So if that took
16 into account recent economic conditions, that's what we
17 gave them.

18 MS. CLARK: So you used the same data request.
19 I think that's all we have, Mr. Chairman.
20 Thank you for allowing me more time.

21 CHAIRMAN CARTER: Thank you.

22 Commissioner Skop, you're recognized.

23 COMMISSIONER SKOP: Thank you, Mr. Chairman.
24 I'll make this brief, because I know the lunch hour is
25 hear.

1 But I just wanted to -- I had one question for
2 Navigant, and this is, I believe, on page 23 of the
3 report, or slide 23. At least from what I've heard, it
4 seems that Navigant is indicating that RPS is
5 inextricably intertwined with a REC market, and I was
6 just wondering if Navigant could provide some
7 explanation on that.

8 MR. PAIDIPATI: We assumed -- we made that
9 assumption linking the two. We didn't look at what
10 would happen if there was an RPS goal but no RECs
11 associated with that. I think that's another variable.
12 That's something that we didn't look at.

13 COMMISSIONER SKOP: Okay. Thank you. And
14 just as a general comment -- and in the interest of
15 time, I'm not going to go into the details, but I tend
16 to agree with most of the comments advanced by Ms. Clark
17 with the extent of the discussion of offshore wind
18 potential versus onshore, and I was wondering if --
19 certainly her comments are correct that there has never
20 been an offshore project sited or constructed in the
21 United States yet, and I just wanted Navigant to
22 elaborate a little bit more on that with respect to --

23 MR. PAIDIPATI: Sure.

24 COMMISSIONER SKOP: -- the greater potential,
25 but also the increased costs to the extent that

1 certainly doing it onshore would be a cheaper
2 alternative.

3 MR. STANBERRY: With respect to offshore
4 development, there has been some significant development
5 in Europe. And actually, just over the past four months
6 or so, there's been some PPAs signed along the eastern
7 seaboard for offshore wind projects.

8 So while there is not an installation under
9 way currently or construction underway, the feeling in
10 the development community and the regulatory community
11 and from folks that we've talked to in the industry is
12 that the technology is going to be available, certainly
13 within the 2020 time frame, and is actually close to
14 being available. It essentially needs conversion to the
15 U.S. market.

16 And the MMS, the Minerals Management Service,
17 when they come out with their final rulemaking on
18 permitting for offshore systems, which is slated to come
19 out by the end of this year, may drift into the early
20 part of next year, it will remove one of the primary
21 barriers to offshore development.

22 COMMISSIONER SKOP: So to those points,
23 Navigant would concur with the assertion that offshore
24 wind on an installed capacity basis is significantly
25 more expensive than its equivalent onshore --

1 MR. STANBERRY: Certainly, yes.

2 COMMISSIONER SKOP: And Navigant would also
3 concur that the offshore O&M costs would be
4 significantly higher than onshore?

5 MR. STANBERRY: That's correct, yes.

6 COMMISSIONER SKOP: And I guess with respect
7 to the MMS and the permitting side, I've been following
8 that closely. I used to work in the wind industry. You
9 know, the Cape Cod projects, the Delaware projects, none
10 of those have come to fruition, but at least, you know,
11 since I've been in law school, probably over five years,
12 they've been talked about substantially and
13 significantly opposed.

14 And I'm wondering -- what I sensed from the
15 Navigant study is that certainly the potential offshore
16 in terms of a wind resource is greater than within the
17 state. I don't dispute that. But I'm looking at the
18 costs, and I'm also looking at the fact that, you know,
19 if we're incurring delays in getting it done in terra
20 firma in the State of Florida right now, I mean, how are
21 we humanly going to possibly get it done offshore in a
22 timely manner to meet the Governor's stated goal of
23 20 percent by 2020?

24 MR. STANBERRY: There certainly is a longer
25 time frame associated with offshore, but not just in

1 getting -- you know, being ready to do installations,
2 given that you have to wait for MMS to come out with
3 their ruling. There's also a longer time frame for
4 development, which we took into account in our modeling
5 for when adoption could occur.

6 COMMISSIONER SKOP: And would Navigant, based
7 on its knowledge -- we have some feedback.

8 CHAIRMAN CARTER: Everybody hold on. We have
9 to do some technical voo-doo.

10 (Off the record briefly.)

11 COMMISSIONER SKOP: Thank you, Mr. Chairman.

12 Just following up on that, if by virtue of the
13 fact -- and looking at the comparative times for
14 installing the capacity for wind, would Navigant agree
15 that if a wand could be waved and we could get the
16 permitting issues associated with installing a wind farm
17 in South Florida or a demonstration project in South
18 Florida, if we could remove those barriers, would
19 Navigant concur that that demonstration project of
20 13 megawatts, or whatever it might be, could be up and
21 running within, say, a year as opposed to the
22 significant time frame of offshore, comparative offshore
23 installation?

24 MR. STANBERRY: Yes. The general time frame
25 that we use for onshore is about two years, but that

1 includes a permitting time frame and wind study time
2 frame. And if you're referring to the St. Lucie
3 project, that's been studied for wind speed, then you're
4 already cutting that down somewhat. So certainly you
5 could get an onshore project up faster than an offshore
6 project.

7 COMMISSIONER SKOP: And then just a
8 clarification, a point of clarification on the time
9 frame for offshore. I believe in the study I saw a time
10 span of five years instead of two. Would that be more
11 accurate?

12 MR. STANBERRY: Yes, five years, sorry. I
13 mean the onshore at two years. Yes, five years for
14 offshore.

15 COMMISSIONER SKOP: All right. Thank you for
16 that clarification.

17 Just one final observation. With respect to
18 the biomass and the net capacity factor, I guess a
19 concern came up from Wheelabrator with respect to the
20 value that was chosen. Can Navigant just briefly
21 comment on how that value was arrived at or why it's not
22 a little bit higher?

23 MR. KATOFSKY: I think it can be higher in any
24 given year. 85 percent is effectively our -- what's
25 called our standard assumption for biomass plants.

1 There is some scheduled downtime over the course of the
2 year. There are periods of time where it may not be
3 operating at full power for one reason or another. It's
4 just a -- call it is a typical assumption for a base
5 load power plant. In any one year, it may be higher or
6 it may be lower.

7 COMMISSIONER SKOP: Thank you.

8 CHAIRMAN CARTER: Thank you. First of all, I
9 know we ran over time, but it was our desire to hear
10 from all the stakeholders. As you know, during this
11 entire process, we've gone above and beyond to ensure
12 that everyone gets an opportunity to be heard. We thank
13 you for your input, and we are committed to having the
14 best RPS rule in the country. We are committed to
15 meeting our deadline with the Legislature, but we're
16 also committed to making sure that all voices are heard.
17 So I apologize to my colleagues for going over time, but
18 I did want to hear from everyone that had come to give
19 us input and feedback, because this is our last
20 workshop, and we'll be going from there.

21 So let me do this. Commissioners, we kind of
22 took the wind out of the sail for staff. I know they've
23 got to get ready for their presentations this afternoon.
24 Let me look at this one.

25 I had to get Bob Trapp to help me with my

1 sundial. Commissioners, we'll come back at 1:30. We're
2 on recess.

3 (Recess from 12:23 to 1:52 p.m.)

4 CHAIRMAN CARTER: We are back on the record.
5 And thank you to everyone that has participated with us
6 this morning. And before we kick off this afternoon's
7 session, Ms. Clark.

8 MS. CLARK: Mr. Chairman, I just wanted to
9 indicate I spoke to you and also to the folks from
10 Navigant about the questions. They indicated they could
11 provide us answers to those questions. I understand
12 that it might not be within the time to respond to them
13 in their comments, but we appreciate their providing
14 those answers, even if they are beyond that time frame.
15 Thank you.

16 CHAIRMAN CARTER: Thank you so kindly.

17 This afternoon we move into -- I started to
18 say Phase 2, but -- this morning we've been in like so
19 many phases, I think we've done phased out. This
20 afternoon we have some staff presentations. We'll begin
21 with Tom Ballinger.

22 Mr. Ballinger, good afternoon. You're
23 recognized.

24 MR. BALLINGER: Good afternoon, Commissioners.
25 My name is Tom Ballinger of the staff. I've got

1 something completely different for you this afternoon.
2 The purpose of my presentation is to provide you some
3 additional information on the integrated resource
4 planning process and how renewables can fit into that.

5 At the October 14th agenda, the Commissioners
6 specifically asked for additional information on
7 specific topics. Today I'll discuss two of those
8 topics. First I'll give you a general overview of the
9 IRP process and how this process may be impacted by the
10 adoption of an RPS policy for promoting renewable
11 generation.

12 It's important to understand this foundation,
13 because an IRP is the foundation for making sure we have
14 a balance between reliable and cost-effective power in
15 the state. And based on comments at the previous
16 workshops and the October 14th agenda conference, I will
17 discuss a relative comparison of four potential RPS
18 rollout strategies. This comparison will help clarify
19 the relative magnitude and cost differences between
20 various options, but care should be taken, not absolute
21 costs of each option. It's more for comparative
22 purposes. And I'll say that again.

23 Mr. Futrell's presentation later on will cover
24 the rest of the topics that were discussed at the
25 October 14th agenda conference.

1 First I'll give you a overview of the IRP
2 process. Really, the IRP process is a balancing act.
3 You have to balance cost and reliability. And it
4 incorporates both conservation, which are demand-side
5 alternatives such as attic insulation, appliance
6 efficiencies, load management, and generation side, from
7 utility generation to renewable generation to purchases
8 from other utilities and IPPS. And the key is to try to
9 balance reliable service at a least cost.

10 Now, this looks a little confusing, and it's
11 really not. Your basic IRP process starts with a load
12 forecast, and it's based on historic trends and
13 demographics and weather patterns. Included in this
14 load forecast is the impact of existing DSM, as you see
15 here. You also look at -- for example, if a load
16 management program was in place, utilities would look at
17 that program plus any additional customers added on in
18 doing its load forecast, because the program is in
19 place.

20 We also, as you know, we're going to be
21 starting a process for DSM goals. In this load
22 forecasting process, typically utilities will include a
23 kilowatt and kilowatt-hour savings accompanied with
24 goals that have been established as part of their load
25 forecast. That has already gone through a

1 cost-effectiveness screening, if you will, and that's
2 why it's included in the load forecast as well, but not
3 specific programs.

4 Also in the beginning phase, you look at
5 existing supply resources. You look at them from
6 changes in performance, their availability, their
7 maintenance schedules. You also look at existing
8 purchased power contracts and when their term ends and
9 do you have to replace that power.

10 And these are all put together to determine
11 what I call the reliability need, when do we need to add
12 something to the system to keep the lights on. And once
13 that's done, the utility considers several portfolios of
14 resource options, both supply-side and demand-side, to
15 determine which mix meets the least cost plan.

16 And the results of the IRP process, as you see
17 on the right side there, comes in to the Commission in
18 various forms. We have the ten-year site plan, we have
19 DSM goals, a variety of processes. And it's kind of an
20 iterative process. The ten-year site plan is the --
21 I'll call it the end result of a IRP process that the
22 Commission sees, but then it's also influenced by
23 decisions we do in docketed matters. For example, when
24 the Commission denied the need for the Glades coal
25 project for Florida Power & Light, that had to

1 completely revamp their IRP process, because that was no
2 longer an option in their plan. So that decision fed
3 back into the IRP loop, and we go around again. So they
4 interact with each other. What the Commission does and
5 what a utility is planning work together, and it's kind
6 of a continuous loop that goes on.

7 I'll go through this in a little bit more
8 detail in a few more slides. And really, that was
9 complicated, but I tried to make it simple. To me, IRP
10 is a three-legged stool. And if you're familiar with
11 three-legged stools, you take one leg out or push it up,
12 and it gets unbalanced real quick. It's kind of hard to
13 balance on a three-legged stool. And the utilities
14 should seek a balance between DSM and renewable
15 generation, because both of those are socially desirable
16 alternatives to utility generation. That's what the
17 customers are saying to us out there and what the
18 Legislature has also said to us.

19 I'll give you a little bit more detail on the
20 load side of the IRP process. There are really two
21 components that a utility must plan to serve, which is
22 your peak demand -- that's megawatts, and that
23 determines the timing and size of a new unit or new
24 resource. It may be a demand-side resource. And the
25 other component is net energy for load. That's the

1 energy over a period of time, and that will determine
2 more the type of the unit.

3 You'll see from this slide, and it will help
4 explain the difference in types. You've got two
5 different load shapes here that we typically see in
6 Florida.

7 The blue line is more of a winter peak that we
8 see in Florida. And you see typically we'll have two
9 peaks, one first thing in the morning when people get up
10 and they say, "Oh, my gosh, it's cold." I'll turn on
11 the heat, I turn on the shower, I get up there, and the
12 demand will spike up. And then it tapers off during the
13 day, and it jumps up again at night when they come home
14 and start cooking dinner and taking showers again.

15 The summer load is completely different, as
16 you can see in the more pink line. It slowly rises
17 through the morning as we get up, and then our air
18 conditioners kick on, and they run basically all day
19 long. From noon till about six or eight o'clock at
20 night, it's continuously growing. This load shape can
21 change dramatically if a thunderstorm comes through.
22 That can knock 2- or 300 megawatts off the load in an
23 instant.

24 So utilities have a challenge here that you've
25 got two different load shapes you have to serve with one

1 system. So you have to not only meet both of these
2 types of load shapes, but you only have one system to
3 work with, so you have to look at different needs that
4 you may need.

5 Now, here's a couple areas of load that a
6 utility really doesn't have any control over. I know
7 we've had a slowing economy and slowing growth in
8 Florida, but people are still coming to the Sunshine
9 State. And utilities, because of their obligation to
10 serve, must serve every customer that comes to their
11 service territory. Back in the late '80s, early '90s
12 when the economy was thriving, the average house size
13 increased about 30 percent. Those houses are not on
14 wheels. They're still here. People are still occupying
15 them, or even if they're vacant now, when the economy
16 rebounds, they'll be refilled. That's energy that a
17 utility is going to have to serve for 30 or 40 years
18 that will be there. It's an infrastructure that's in
19 place.

20 The good news is, there is some part that the
21 utility can influence. They do have DSM, and if they
22 can reduce the kilowatt and kilowatt-hours that
23 customers use, they require less resources to build to
24 serve that load.

25 And the way they do that is through FEECA.

1 FEECA requires the Commission to adopt goals that do
2 these four things, conserve expensive resources, reduce
3 and control the growth rates of electricity, reduce the
4 growth rate of weather-sensitive peak demand. And this
5 fourth goal was added this last legislative session, to
6 encourage the development of demand-side renewable
7 energy systems, such as rooftop PVs and solar water
8 heaters. And FEECA authorizes the PSC and requires the
9 utilities to develop plans to cost-effectively meet
10 these goals. And we're in the process now of starting
11 new goals. And as you've heard before, I think in 2009
12 we're going to have hearings and reset goals again to
13 take this into account.

14 As I mentioned earlier, each resource has a
15 different performance characteristic, and we have to
16 meet those two different load shapes, so we're trying to
17 figure out which one works best. So we determine our
18 reliability need. We find out that in the year 2015 or
19 whatever, we need some additional resources. I don't
20 know whether they're demand-side or supply-side yet, so
21 I've got to look at it. But each of my resources has a
22 total cost of capital, O&M and fuel on the side of
23 generation. It may not be fuel for demand-side.

24 And utilities typically look at a mix of
25 resources that minimize their costs and still meet the

1 reliability criteria, and that mix is demand-side
2 resources, it's purchased power, both from utility,
3 non-utility, and renewable generators, and on utility
4 generation. And it's during this part where units have
5 different characteristics. For example, a nuclear unit
6 can run 24 hours a day, seven days a week for a year,
7 year and a half at a time, and never shut down, where a
8 load management program might be very good at taking
9 that peak off, that winter peak in the morning, but if
10 you do it too long and interrupt people too often, the
11 program will sour, and people will leave the system, and
12 you've lost that benefit.

13 So all these resources have different
14 characteristics and different costs that have to be
15 balanced together into one portfolio. And it's during
16 this economic analysis that the balance between
17 reliability and cost first comes into play.

18 For considerations that are hard to quantify,
19 I like to call these strategic benefits. Some of them
20 are fuel diversity, which is really within the PSC's
21 domain, because we do look at a balanced fuel supply.
22 We try to look at the volatility of fuel and minimize
23 impact to ratepayers.

24 Quite frankly, some of the strategic
25 considerations may come at a premium. For example, you

1 might pay a little bit more for a solid fuel plant, be
2 it coal or nuclear, to achieve some fuel diversity in
3 your system to lower volatility of fuel price. It's a
4 lot like hedging. So it may not be truly a least cost,
5 but it is from the standpoint of looking at strategic
6 considerations.

7 Some other strategic considerations that
8 utilities look at that may not be in the PSC's
9 jurisdiction are, say, economic development and
10 environmental impacts, yet the utility takes that into
11 account in its IRP analysis. It looks at permitting,
12 availability of plants or resources. It looks at the
13 economic development in an area, will it be receptive,
14 you know, to that community, those types of things.

15 The way we typically look at it to try to
16 quantify these strategic considerations is look at
17 sensitivity studies. For example, fuel diversity,
18 you'll look at is a particular plan sensitive to price
19 fluctuations of one type of fuel, say, natural gas. If
20 a plan can sustain increases and decreases in natural
21 gas and still tells you, yes, this is the right resource
22 to pick, that's a pretty robust plan, and you get the
23 fuel diversity benefit. You've secured some risk. It's
24 kind of an insurance policy. If you see that it is
25 sensitive to fuel, you may want to look a little further

1 and do something different.

2 And here's what we're really talking about
3 now, is where does RPS fit into this. And I kind of
4 drew this because I'm not really sure where it's going
5 to go when we pick an RPS. If you pick a mandate, you
6 have taken out the economic part, if you will, of an IRP
7 process. They're not competing head to head, and that
8 may be okay. Like I said earlier, renewables are a
9 socially desirable alternative to utility generation.
10 There may be an incentive or a requirement to do a
11 premium to promote these technologies for other reasons,
12 other strategic benefits.

13 The problem comes in, though, if you've done
14 that, where do I put it in the process. If I put it in
15 before I do my economic analysis, I may be short
16 changing DSM, which might be even more cost-effective
17 and have even a better either environmental profile or
18 economic development profile than anything, because I've
19 done it in isolation. If I put the RPS after my least
20 cost resourcing analysis, then I'm having ratepayers
21 paying for something that may not be the least cost, and
22 am I really getting the benefit.

23 So I'm not sure where we need to factor in
24 RPS, but that's the fact. If we go to a mandate, that's
25 the impacts it could have on an integrated system. And

1 I guess the real key on this is not to look at RPS in a
2 vacuum, to try to look at it that it does impact other
3 things.

4 And now I'm going to move on to some of the
5 strategies that we discussed. Before I continue, I need
6 to point out, and it came up earlier in conversation,
7 that staff did ask for a data request from the IOUs for
8 their updated sales forecasts, because we had heard too
9 that sales were dropping and all that. In previous
10 workshops, we were relying on the ten-year site plan
11 data.

12 CHAIRMAN CARTER: Will you yield for a moment?

13 MR. BALLINGER: Sure.

14 CHAIRMAN CARTER: Commissioner Skop.

15 COMMISSIONER SKOP: Thank you, Mr. Chairman.

16 Just a quick question to Mr. Ballinger with
17 respect to the integrated resource planning presentation
18 portion of the presentation that you're giving.
19 Wouldn't there be, or do I correctly understand it that
20 there seems to be -- is staff advocating that there's an
21 inherent tension between integrated resource planning
22 capacity requirements and the installed capacity
23 necessary or that would be necessary to meet an
24 aggressive RPS implementation target?

25 MR. BALLINGER: If I understand your question,

1 later on in my rollout, I'll talk about how pricing out
2 renewables, we need to take into account the need for
3 capacity or the lack thereof. If we've already secured
4 a lot of our resources, that changes the energy price
5 paid to renewables, and hence the premium you would have
6 to pay to get there.

7 COMMISSIONER SKOP: Okay. I think previously
8 staff had indicated in a prior workshop that apparently
9 there was like 1,600 megawatts or something necessary
10 that might be freed up for renewables. But certainly
11 that installed capacity in that amount wouldn't be
12 sufficient to generate the RPS targets that we're
13 looking at; is that correct?

14 MR. BALLINGER: You're correct. I think --
15 okay. Now I understand. If we looked at it just from a
16 reliability standpoint, how many megawatts we would need
17 in addition. The number would be small for renewables
18 to get to any significant figure.

19 COMMISSIONER SKOP: Okay. Thank you.

20 MR. BALLINGER: Back to the strategies. With
21 the data request, we did get revised sales forecasts
22 from the utilities to recalculate the gigawatt-hours
23 that would be associated with a 20 percent RPS in a
24 certain year, things of this nature.

25 What came out of this was interesting. As

1 we've all been talking about, percentages of retail
2 sales, which is what's mandated, if you will, in the
3 statute, to look at an RPS as a percent of retail sales,
4 but just from the sheer fact of changing the load
5 forecasts because sales have declined, a number out in
6 2020 reduced by 5,500 gigawatt-hours. If you kept the
7 same percentage in 2020 from the ten-year site plan
8 forecast to the revised forecast, the gigawatt-hours
9 dropped 5,500.

10 That told me that maybe we want to consider
11 looking at RPS in terms of a fixed gigawatt-hour number,
12 not a percent of retail sales, because it can be
13 affected by load forecasts. They change. If you do
14 more DSM, it would be more easy to meet your RPS goal if
15 it's a percentage, because the gigawatt-hour is falling
16 out. So it's something that came about, and because of
17 this, we have to consider as we're going through this
18 how best to do that.

19 What we also found out is, with the reduced
20 sales and committed capacity, it looks like the next
21 ten-year site plans will show very little, if any,
22 additional capacity needs over the next ten years.
23 That's telling me, and we've said this before in earlier
24 workshops, it looks like we're pretty committed from
25 where we're at reducing load forecasts. It looks like

1 utilities have secured up resources to meet our
2 reliability needs. What that means to me is the most
3 likely result is that the payment to renewables for any
4 energy produced would be energy only, the as-available
5 energy only. And I'll take that into account in my
6 later slides and show you through the economics.

7 Okay. At the October 14th agenda, the
8 Commission asked for options, an aggressive RPS, a less
9 aggressive RPS, and things of this nature. So what I
10 did is, I developed basically three scenarios. And Case
11 D is a little different. Case A was a 20 percent RPS by
12 2020, Case B a 20 percent by 2030, Case C, 20 percent by
13 2041, which is basically the staff draft rule that you
14 saw on October 14th. That's not trickery there. I'm
15 just -- that's the way it fell out.

16 The cost figures you'll see later will show
17 you -- they don't have the benefits of an IRP process.
18 They're rough estimates, but I think they're useful to
19 give you bounds and orders of magnitude of what these
20 various strategies will require in terms of cost and
21 megawatts that need to be constructed. And finally,
22 I'll discuss the clean energy portfolio, and what I'll
23 do with that one is give you a snapshot in time of where
24 we're at.

25 I want to make two points with this slide,

1 first, that the majority of renewable generation in
2 Florida is municipal solid waste and biomass, much like
3 you heard from Navigant. And the 3.6 percent number
4 that you've seen and we've talked about, I want to make
5 it very clear, this number includes not only firm
6 purchases, or sales, I should say, but non-firm sales
7 and self-service generation.

8 Why that's important is, that's not typically
9 included when you see other pie charts where we've shown
10 you the percent of nuclear generation we have or the
11 percent of gas. That's done on a totally firm, net
12 energy for load basis.

13 So they're two completely different numbers,
14 and I want to make that clear, because I've seen where
15 this number has sometimes gone in the press or whatever
16 of how much we have. It's a true number, at least from
17 what we've gotten here, but it's not comparable to other
18 numbers that you see, and I just want to caution you on
19 that.

20 Again, it is different from what Navigant had.
21 We're trying to understand the difference, why. We've
22 done surveys for years on renewable generation, what's
23 out there, and we've come up with roughly the same
24 amount, about 1,000 megawatts of installed capacity.
25 And now we have 1,500, and we're trying to see why

1 weren't we finding out about these people before, and we
2 are looking into that. Not that I don't trust
3 Navigant's numbers. It's odd to me that they haven't
4 shown up yet with us.

5 Commissioner McMurrian.

6 COMMISSIONER McMURRIAN: Thank you. I just
7 wanted to ask you, what is the number that is comparable
8 to the other numbers with regard to -- is it around 1?

9 MR. BALLINGER: That's my next line.

10 COMMISSIONER McMURRIAN: Oh, okay. Sorry.
11 Thank you.

12 MR. BALLINGER: For example, FPL, their firm
13 resources are about 1.3 percent currently for
14 renewables. Those numbers should be in the ten-year
15 site plan review for all four utilities.

16 And this is data that I used in going through
17 this analysis that we got from the stakeholders as part
18 of the RPS data request. And I just picked solar and
19 biomass, because those seem to be the two typical ones
20 out there. And this is what we got from the Solar
21 Coalition for new rooftop PV, about \$196 per
22 megawatt-hour. This is a levelized cost by 2020. And
23 you see for biomass, it's about \$120 a megawatt-hour.

24 Now, this slide, we went round and round
25 in-house, because it is a little confusing, and

1 hopefully I can clarify it by doing this, because when I
2 tried to do it on a slide, the slide really got messy.
3 When you have these three different scenarios, Case A is
4 20 percent by 2020, Case B is 20 percent by 2030, and so
5 on. To get any kind of relative comparison, I had to
6 stop everything at 2020 to give you relative magnitudes
7 or how the dollars would change and the megawatts would
8 change. So if you can keep that in mind, it will help.

9 So what this tells you is that Case A, to get
10 the 20 percent by 2020, I need 44,500 gigawatt-hours of
11 energy from renewables. For solar, in order to produce
12 that much energy, I would need 26,000 megawatts of
13 capacity. That's because solar has a low capacity
14 factor. I assumed a 22 percent capacity factor, which
15 is what FPL has in its solar projects that it's
16 proposing.

17 You see there we have existing about 3
18 megawatt-hours of capacity from the prior slide. And
19 then to get the number of installations, I assumed a 4
20 kilowatt residential PV, which is about an average size.
21 Divided by the 26,000, that's 5.8 million residential
22 installations. As a point of reference, there's about
23 8.3 million customers today in Florida, so this is
24 telling me that about 70 percent of the existing
25 customers would have to install PV to reach this type of

1 RPS by 2020.

2 What this tells you, though, is that as you --
3 it's kind of intuitive, that as you push the goal out,
4 the amount of megawatts you would need by 2020
5 decreases, and the amount of money you would need to
6 spend by 2020 decreases. And those numbers at the
7 bottom are net present value in billions of dollars
8 based on the \$196 a megawatt-hour times the
9 megawatt-hours that would have to be produced by solar.
10 So if you took the 196 times the 44,500 and then do it
11 each year -- actually, we spread that over years,
12 because that 44,500 is a one-year number. It's not a
13 cumulative.

14 But what this tells you is that if you went
15 from a 20 percent by 2020 to 20 percent by 2030, it
16 would shave off about \$10 billion in present value by
17 the year 2020, and then so on as you push it a little
18 further out.

19 The installations I focused on, I look at
20 feasibility --

21 CHAIRMAN CARTER: Will you yield for a moment?

22 MR. BALLINGER: Sure.

23 CHAIRMAN CARTER: Commissioner Skop.

24 COMMISSIONER SKOP: Thank you. Mr. Ballinger,
25 just with respect to the estimated cost, again, being

1 clear, the cost was provided by the Solar -- what group
2 did you say?

3 MR. BALLINGER: I believe it was the Solar
4 Coalition.

5 COMMISSIONER SKOP: Okay. And if that cost on
6 your prior slide is \$196 per megawatt in terms of the
7 levelized cost, how does that comport to what New Jersey
8 is currently experiencing, where the price of their REC
9 alone is \$711? I mean, I'm trying to rationalize -- you
10 know, certainly there's different ways to advance
11 numbers, but I'm trying to, you know, understand what is
12 a realistic levelized cost, and I find that cost to be
13 somewhat low.

14 MR. BALLINGER: It may be. I don't know. I
15 will say that a REC price typically doesn't reflect the
16 cost of renewable generation. It tends to reflect the
17 price you'll pay for that renewable generation. So it
18 may be well above the cost of that facility. Again, I
19 took data that we had, that we got through this process
20 to try to lay it out and give you a sense of, depending
21 on what way you want to go, the relative magnitude.

22 I want to try to point out a couple of things,
23 the magnitude of megawatts, is it feasible, and the
24 relative cost savings you can get from deferring the
25 goal out.

1 COMMISSIONER SKOP: All right. Thank you.

2 MR. BALLINGER: Then I took another case and
3 tried to do it, all right, let's do 100 percent biomass,
4 because those are the two kind of competing technologies
5 we have. And as you heard from Navigant, they're a lot
6 less costly than solar. And as you can see here, they
7 have a higher capacity factor. I assumed an 80 percent
8 capacity factor for biomass, which is typical of what we
9 see with a base load plant. Again, that would require
10 much less megawatts to do the same job of 44,500
11 gigawatt-hours in the year 2020. You see we have 1,000
12 existing megawatts. So the number of installations by
13 2020 is about 66.

14 And based on some data we got from the
15 stakeholders, if all the municipal solid waste, which is
16 part of this biomass product, if all the municipal solid
17 waste that is currently being landfilled now were
18 converted into municipal solid waste for energy, we
19 would do about 1,600 megawatts. You see here, we need
20 to have over 5,000 megawatts installed between then. So
21 even -- what that's telling me is, even if all the waste
22 that's being landfilled were converted to energy, it
23 would not meet this goal of 20 by 2020. That's about 20
24 municipal solid waste plants, the 1,600 megawatts.

25 And again, I'm looking at this -- I'm trying

1 to say, all right, what's feasible, what's realistic,
2 what can be built in a reasonable time frame that's not
3 too overly aggressive. As you see here, and it's no
4 surprise, the net present value is much less, because
5 biomass was assumed at \$120 a megawatt-hour.

6 And then this slide tried to take part of what
7 staff did of recognizing this difference, that there may
8 be more room for development of biomass than solar just
9 based on economics, and split the RPS number, 25 percent
10 to solar, 75 percent to biomass, which is per our draft
11 rule. And what this shows you is it will help reduce
12 the amount of installations necessary from solar. It
13 goes from 5.8 million, I guess it was, to 1.4 million in
14 Case A. And it also reduces the number of biomass
15 installations required from 60 down to 46. This helps
16 make it a little bit more feasible in terms of
17 achievability, of reaching these goals. It's still
18 quite aggressive. But it does increase the cost a
19 little bit. If you go back a slide, the all biomass was
20 21 billion. The mixture here is 24.5 billion, so it's
21 somewhere in between if you do this mix.

22 Now I'm going to try to get to the rate cap.
23 Remember, those costs before were the total costs that
24 the renewable would require to stay in business, let's
25 say. But now I'm looking at, all right, to pay that

1 cost, where does the money come from? And it comes from
2 two sources. It comes from as-available energy prices,
3 which, if the renewable sells energy to the utility,
4 remember, there's no capacity payment because we've tied
5 up our needs. So it would be as-available energy, and
6 then there would be a REC on top of that, an adder,
7 which is what -- the draft rule has come out as an
8 avoided cost-plus kind of a concept.

9 So I looked at the difference between the
10 total cost of the 196 for solar, let's say, and the
11 as-available energy rate in that year, and that
12 difference became the REC price. And what this shows
13 you is what the revenue cap would have to be to meet
14 those prior scenarios.

15 So, for example, under Case A, if we did all
16 solar, we would start at a 4 percent rate cap and climb
17 to a 21 percent rate cap by 2020. And that again is
18 trying to meet a 20 percent RPS by the year 2020. And
19 obviously, as you get less and less aggressive with your
20 RPS, the rate caps come down.

21 As you can see by Case C, if I did it all
22 solar, it would be 4 percent in the year 2008, only
23 climbing to 10 percent by 2020. So it's a much more
24 gradual rate increase as we go through time, because you
25 have pushed out the need for the RPS farther in time.

1 It gives you a relative feel that an all-biomass plant,
2 again, it had a lower total cost, so it's going to have
3 a lower rate impact. It would climb from 1.5 percent
4 under Case A to 6.5 percent by 2020.

5 Before I move on, I'm going to get into the
6 clean energy portfolio. And I'll be here. You can ask
7 questions later, but please feel free to stop me
8 whenever. The clean energy portfolio, this has come up
9 in conversation a few times, and I would like to -- the
10 way I kind of view it is, there's really three parts of
11 statutes that the Commission takes into account when
12 looking at IRP and planning in general that help go to a
13 clean energy portfolio.

14 The first one you see, the statute there is
15 FEECA, and the basic tenet there is to promote
16 conservation, demand-side management, renewable energy
17 systems, and added this year is generator efficiency
18 improvements. The middle statute is the renewable
19 statute where the RPS came from to promote renewable
20 projects, which is more the larger scale renewable
21 projects. Then you have the final statute, 366.93,
22 which promotes nuclear and IGCC generation, and it
23 promotes that from a cost recovery standpoint of
24 allowing early cost recovery for those types of
25 projects.

1 But all three of those do have some
2 commonality in them. They all have the desire to
3 improve fuel diversity, the desire to reduce greenhouse
4 gas emissions, and the desire to minimize rates to
5 customers. So within all three of these statutes, you
6 have a common tenet.

7 And what I tried to do here is just give us a
8 snapshot of where we are with a clean energy portfolio.
9 And this one is a little different because of the DSM
10 component. Typically when you look at, as I said
11 earlier, percent generation by fuel type, it's on a net
12 firm basis, which means DSM has already been taken out.
13 Well, to do a clean energy portfolio, I have to put DSM
14 back in as far as how much generation would I have to
15 serve without DSM, and then recalculate the percentages.
16 That's why these will change a little bit. It's a minor
17 detail, but I want to make that clear.

18 What this does tell me is that -- this is
19 based on the 2008 ten-year site plan data. It only
20 includes firm renewable purchases that are contracted
21 for and when they fall out, and it does not include
22 FPL's new nuclear units, which don't come online until
23 2018 and 2020.

24 But what this tells you on the far right side
25 is that Florida Power & Light and Progress Energy are

1 already above 20 percent of their total mix in -- I'll
2 call it clean resources, DSM, renewable, and nuclear.
3 The other utilities, TECO and Gulf, are not, and it's
4 obvious, they don't have nuclear. And that's the other
5 part of this thing, is that nuclear in a clean energy
6 portfolio is a big chunk of the equation as far as
7 energy. Again, it's because it runs 24 hours a day,
8 seven days a week for a year, year and a half at a time.

9 An interesting thing here on that note is
10 generation efficiency improvements. That has also been
11 talked about in some components of the clean energy
12 portfolio, that that should be included. The trouble I
13 have with that one is, that's really measured in Btu's
14 of fuel saved, not kilowatt-hours. And I'm not quite
15 sure how to mix that in. That's why I've left it off
16 this chart. Bob Trapp and I went round and round to try
17 to figure it out, and I said, "No, let me just make it a
18 footnote, because I don't know how to do it."

19 And that's -- in conclusion, I would like to
20 say that I think that utilities need to do a balanced
21 approach to their IRP, to look at renewables and other
22 forms as well. I will say, though, if we go to a clean
23 energy portfolio, it does raise some questions, and it's
24 obvious here: Should utilities who have nuclear power
25 or access to it be required to share that resource with

1 other titles, should they be required to sell credits,
2 if you will, if we have some sort of a trading market,
3 if you will, for clean energy credits, and how generator
4 efficiency improvements be incorporated into it. Again,
5 I think if we don't take care to make sure the stool
6 stays balanced, we could end up upsetting the balance
7 between reliability and cost.

8 And again thank you for your patience, and
9 I'll be here for any additional questions. And I can
10 turn it over to Mark, if you would like, now.

11 CHAIRMAN CARTER: One moment, please.

12 Commissioner McMurrrian.

13 COMMISSIONER McMURRIAN: Thank you. Tom, on
14 page 21 -- and I know we've talked about this before,
15 but I just need -- I think I need a refresher. Can you
16 remind me how you calculate the percent revenue cap?
17 And maybe you just went through it, but if you could --

18 MR. BALLINGER: Okay.

19 COMMISSIONER McMURRIAN: For instance, with
20 Case A, the 25-75 split, you have the 2 percent and the
21 10 percent then by 2020.

22 MR. BALLINGER: Okay. What I did in Case A,
23 on that one, the 25-75 percent split, I first looked at
24 the total cost for solar -- I'm sorry. That was the
25 mix. So now you've made it really complicated, but

1 that's okay.

2 COMMISSIONER McMURRIAN: Well, pick one of the
3 others.

4 MR. BALLINGER: Let me pick the all solar.
5 The same methodology carries through.

6 COMMISSIONER McMURRIAN: Okay.

7 MR. BALLINGER: So for all solar, I would take
8 the \$196 a megawatt-hour times whatever megawatt-hours
9 were needed in that year. That gives me one value. And
10 from that I would subtract the as-available energy rate
11 times those megawatt-hours. Okay? That's where they
12 would get paid for the energy, and any remainder would
13 be what the revenue cap would have to be to get me up to
14 196. Does that make sense?

15 So, for example, if the rate for solar was 196
16 and the as-available energy rate happened to be 96, the
17 rate cap would have to be \$100 a megawatt-hour.

18 COMMISSIONER McMURRIAN: Okay.

19 MR. BALLINGER: And then I just did it as a
20 percent of utility revenues, because that's what we've
21 been talking about. And that same methodology applies
22 through for all.

23 COMMISSIONER McMURRIAN: And I guess one other
24 question. Earlier when you were talking about after you
25 got some information from the utilities with the data

1 request and we were looking at this, a percent of retail
2 sales, because that's what the statute said, and you
3 said that maybe some of the data you had suggested that
4 we should look at it on a gigawatt-hours basis. How
5 would we -- I mean, was that something you used for your
6 analysis, or are you saying that that may be something
7 that we might want to recommend, that it might be a
8 better way to go about it?

9 MR. BALLINGER: That might be a
10 recommendation. It's just something that we observed in
11 gathering this additional data. I was amazed at the
12 impact that a change in forecast would have. When
13 you're looking out, by the year 2020, 2030, a small
14 percentage change in a forecast can make a huge
15 difference in the amount of gigawatt-hours. And
16 gigawatt-hours is what actually gets built, I guess is
17 what I'm -- you know, what kind of dawned on me. But,
18 no, I kept it with percent of sales.

19 COMMISSIONER McMURRIAN: Okay. Thank you.
20 And I guess later when we hear from other folks, if they
21 have any input on that kind of approach, that would be
22 helpful.

23 CHAIRMAN CARTER: Thank you.

24 MS. CLARK: Mr. Chairman, while he has those
25 slides up, may I ask him just for a clarification on a

1 term he has used?

2 CHAIRMAN CARTER: No. Sure.

3 MS. CLARK: It's on page 4, and then also I
4 think on page 5. You used least cost basis and least
5 cost revenue requirements.

6 Isn't that a little simplistic in terms of
7 what you do? Because you're looking long-term, and
8 you're looking at the lowest rates overall, and you
9 would take into, as you call them, strategic issues that
10 you need to consider. I guess if you were looking at
11 the least cost at any time, you would just keep adding
12 peaking units.

13 MR. BALLINGER: It is a long-term, least-cost
14 plan, and you do have to take into account the impact on
15 rates. You do have to take into account the impact on
16 the environment, do I need fuel diversity, am I getting
17 too dependent on one fuel, which may cause you to add a
18 little bit more now, hopefully getting long-term
19 savings.

20 MS. CLARK: So it is least cost, taking into
21 account all those things you need to take into account,
22 where if you were doing it strictly on least cost, you
23 might do one thing, but when you want to assure
24 reliability, the need for base load, you come up with a
25 different number?

1 MR. BALLINGER: Yes.

2 CHAIRMAN CARTER: Okay. What I'm going to do
3 is, I'm going to ask the stakeholders if you could just
4 hold your questions. We gave you guys this morning our
5 time, so we won't give it to you this time.

6 MS. CLARK: I hear you, Mr. Chairman.

7 CHAIRMAN CARTER: Okay. And after we finish
8 our questions, then we'll go back and let you guys pick
9 up. You all can be cleanup. You all can bat cleanup
10 today, this afternoon. All right?

11 Okay. Mark.

12 But we'll come to you. We'll come to you at
13 the end.

14 MR. FUTRELL: Good afternoon, Commissioners.
15 I'm Mark Futrell with the Office of Strategic Analysis
16 and Governmental Affairs.

17 My presentation will continue our response to
18 questions raised at the October 14th agenda conference
19 on staff's draft RPS rule, the other issues related to
20 renewable portfolio standards and implementation tools
21 for encouraging renewable energy development. I'm going
22 to address the Commission's implementation of the RPS,
23 as well as regular review of the RPS and oversight of
24 costs associated with the RPS.

25 Another point that was raised at the October

1 14th agenda was about the recovery of costs associated
2 with renewable investments by the utilities and cost of
3 compliance with the RPS.

4 Next there were questions raised about
5 alternative compliance payments or ACPs. And these can
6 be used not only as a compliance mechanism, but also as
7 a cost mitigation tool. Now, ACPs were not included in
8 staff's draft rule, and I'm going to address why that
9 was done in that portion of the presentation.

10 Finally, I'll address feed-in tariffs, which
11 were raised at the October 14th agenda. Feed-in tariffs
12 is a mechanism that can be used essentially as an
13 implementation tool to encourage renewables, whether or
14 not an RPS regulatory structure is established.

15 Now, the first topic of my presentation is on
16 Commission implementation of an RPS, oversight and
17 review of the RPS standards set and oversight of RPS
18 costs to meet those standards. Again, my comments in
19 this section will be based on the staff's draft rule.

20 In this portion, I'm going to hit on four
21 topics. The first is the establishment and ongoing
22 review of the standards by the Commission, ongoing
23 review of the implementation plans by the utilities,
24 detailing how each utility would meet its RPS
25 requirements. Then I'll discuss how the Commission will

1 consider utility-owned renewable projects and provide
2 ongoing review of project costs. Finally, I'll address
3 the Commission's role in the review of contracts between
4 investor-owned utilities and renewable generators.

5 Now, as described in October in our
6 recommendation at the agenda conference, staff's draft
7 rule is based on the policies articulated by the
8 Legislature in Section 366.92 of the Florida Statutes.
9 And in trying to meet those requirements, the staff's
10 rule contemplated that initial RPS standards would be
11 established in the rulemaking proceeding. Again, the
12 RPS is defined as the minimum percentage of total annual
13 retail sales by an investor-owned utility to consumers
14 that are supplied by renewable projects in the State of
15 Florida. The draft rule contemplates again that the
16 Commission would establish RPS standards in a rule, as
17 directed by the statute.

18 And the draft rule included provisions
19 allowing for Commissioner oversight of the RPS
20 requirements in a proceeding at least every five years.
21 In that proceeding, the Commission would be able to take
22 data on utility compliance efforts, the cost of
23 compliance, analysis of the technical and economic
24 potential of renewables as required in the statute, and
25 an ability to determine whether utility compliance

1 actions were appropriate, and ultimately a review of the
2 standards themselves to determine whether or not any
3 changes needed to be made. Again, in this proceeding,
4 information through these processes would be developed,
5 providing the Commission a holistic view of the
6 performance of the utilities in meeting the RPS, the
7 status of renewable development and performance in
8 Florida.

9 The next part is the -- the draft rule allows
10 for Commission oversight of the RPS through ongoing
11 review of utility implementation plans. And the rule
12 contemplates that each utility will explain in its
13 implementation plan how they intend to meet the RPS.
14 This would be done initially after the rule becomes
15 final, and they would explain how they can meet the RPS
16 requirements through either utility-owned projects,
17 through contracts with renewable generators for capacity
18 and/or energy and RECs, or through contracts just to
19 purchase RECs only.

20 Again, the plans would be subject to
21 Commission approval when the RPS is initially set and
22 following the five-year review process. When the
23 Commission takes another look at the RPS, there would be
24 an opportunity for a look at the implementation plans.

25 Finally, these plans would be reported to the

1 Commission, and the results and compliance efforts will
2 be reported in the ten-year site plan filed annually,
3 and this will allow the Commission to review how
4 renewables are integrated into each IOU's plan to meet
5 customer electricity needs.

6 The next portion is, in the RPS statute,
7 366.92, it states that the Commission's rule shall
8 include methods of managing the cost of compliance with
9 the RPS, whether through direct supply or procurement of
10 renewable power or through the purchase of RECs,
11 renewable energy certificates. So the statute,
12 therefore, contemplates that an investor-owned utility
13 may supply renewable energy directly from utility-owned
14 projects.

15 And in our draft rule, we crafted language
16 that would provide that if a utility sought approval
17 from the Commission for recovery of costs associated
18 with a renewable project, it must select the resource
19 that most likely will result in the least cost option
20 for ratepayers. And we believe that this safeguard will
21 help ensure that the RPS requirements, coupled with the
22 opportunity to earn a return on a renewable investment,
23 will not result in a perverse incentive for utilities to
24 build renewable projects, but rely on a balance of
25 utility projects as well as purchases of RECs and energy

1 and capacity from other projects.

2 The IOUs also in our rule contemplate that
3 they must issue a request for proposals or RFP at least
4 every two years for renewable energy, essentially go out
5 and test the market to see what may be out there and may
6 be available. These results of the RFP must be reported
7 in the ten-year site plan. And when the Commission is
8 presented with a utility project for approval, this
9 information would give it some context as to what
10 relevant costs are out there and potential competing
11 costs to make sure that a project that is sought for
12 cost recovery is meeting the standard of providing the
13 least cost option for ratepayers.

14 Finally, the statute and the Commission's rule
15 provide -- the staff draft rule provides for authority
16 to provide for annual cost recovery. And we included in
17 the draft rule that costs associated with renewables and
18 the RPS compliance would be recovered in what we call
19 the renewable energy cost recovery clause, and I'll
20 discuss this in more detail later in the presentation.

21 Next I'll talk about -- the final portion of
22 this section of the presentation will be about approval
23 of contracts with renewable generators. Now, the
24 Commission has oversight of renewable project costs
25 through its review of contracts with renewable

1 generators and through annual cost recovery proceedings.
2 And renewable power contracts may include provisions for
3 payment for capacity or energy or RECs, or some
4 combination.

5 Now, since the early 1980s, the Commission has
6 provided oversight of purchased power contracts between
7 IOUs and cogenerators and renewable generators at costs
8 that do not exceed the utility's cost of generation. In
9 2005, the Legislature, in an effort to encourage more
10 renewable energy development, directed the utilities to
11 continuously offer a standard contract to purchase
12 renewable energy with a minimum ten-year term. Now, the
13 Commission annually reviews these contracts and approves
14 them for availability to potential developers. The
15 Commission also reviews negotiated contracts that are
16 brought before it and determines whether to approve for
17 cost recovery.

18 As I mentioned earlier, payment for RECs may
19 be bundled with capacity and/or energy payment or
20 purchased separately. This REC would essentially give a
21 renewable generator additional value above the utility's
22 cost of generation.

23 Finally, the staff draft rule would provide
24 for consideration of the costs of renewable purchased
25 power contracts and costs associated with the purchase

1 and sale of RECs in the new renewable energy cost
2 recovery clause. And we believe that a dedicated clause
3 like this would give the Commission further ability to
4 provide better oversight of all costs associated with
5 renewables, as well as the RPS compliance.

6 Now, the next question that came up in October
7 was about recovery of utility investments in renewables.
8 Again, the statute provides for Commission -- that the
9 Commission's rule would provide for annual recovery of
10 costs associated with the RPS. And again, we created
11 the record clause, if you will, which would provide for
12 annual review of costs associated with this laundry list
13 of items, including utility-owned resources, capacity
14 and energy purchases from renewables, as-available
15 energy purchases, purchase and sale of RECs, as well as
16 REC market administrative costs. And we believe this
17 type of approach would again facilitate the Commission's
18 ability to track compliance costs and continuously
19 evaluate cost recovery issues for renewables.

20 Now, in the staff's draft rule, we
21 contemplated that for a utility renewable investment,
22 the IOU would have an opportunity to earn a return on
23 investments in these projects. The IOUs could earn
24 additional returns on the rate base that would be
25 potentially larger, not just on the additional

1 investment, but the fact that a renewable investment may
2 in fact be at a higher cost than a traditional utility
3 investment, so there's an opportunity to earn an
4 additional return in that way.

5 Now, traditionally, costs associated with
6 utility investments would be recovered through base
7 rates, and this could be accomplished through a rate
8 case or some sort of limited rate proceeding. And in a
9 rate case, it involves typically a detailed analysis of
10 all the utility's investments and expenses. A rate
11 case, however, could create a disincentive for utilities
12 to pursue renewable projects due to the regulatory lag
13 of determining the exact costs appropriate for recovery,
14 as well as the rate case complexity and expense.

15 Also for consideration is that as an
16 alternative to a cost recovery clause, going to a
17 consideration of rate base recovery, is that depending
18 upon a utility's specific earnings position and level of
19 revenues and expenses, it could be able to absorb some
20 or all of the costs of a self-build renewable project
21 and still be able within its last authorized rate of
22 return.

23 Okay. The next question raised at agenda in
24 October was on alternative compliance payments or ACPs.
25 And essentially an ACP can be thought of as a compliance

1 mechanism, in that a utility may choose to pay the ACP
2 in lieu of producing or purchasing sufficient RECs to
3 meet the RPS. However, this decision is dependent upon
4 the structure of the RPS and some of the provisions.
5 Again, the devil is going to be in the details here. If
6 an ACP payment is set low relative to the price of RECs,
7 then it acts as a cost cap. If ACPs are set close to
8 the price of RECs, then the utility would be indifferent
9 to whether they're paying the ACP or actually purchasing
10 the RECs or investing in renewables. If the ACPs are
11 set above the price of RECs, then that would encourage
12 investment in renewables. So in other words, the key
13 there is where you set the ACP payment is very critical.

14 Also critical is the cost recovery provisions
15 of the ACP in the RPS. If it's recoverable from
16 ratepayers, then the ACP acts as a cost containment and
17 compliance measure. However, if it's not recoverable
18 from ratepayers, then it acts as a penalty to
19 shareholders for noncompliance with the RPS. So these
20 details here will be dependent upon the nature and how
21 an ACP can be used.

22 Another aspect of ACPs are that the funds
23 collected are typically sent to a designated agency,
24 which allocates those funds to one or more of the
25 following uses. Usually it's put into what may be

1 called a public benefits fund, and it can be used for
2 renewable energy programs as far as grants to encourage
3 projects, to help fund projects, also for renewable
4 research and development, or energy efficiency programs
5 or low income assistance, or even energy education
6 programs. It really varies from state to state, the
7 uses of these funds.

8 One thing to mention is again that staff did
9 not include this in our draft rule. We did have --
10 there is provisions in the statute for compliance
11 measures. And the problem we kept bumping up against
12 is, what do you do with the money from an ACP. There
13 really was nothing in the statute that was giving us
14 clear direction on, if an ACP was collected from the
15 utilities, what then would the Commission do with those
16 funds. There's no designated agency set up in the
17 statute to dispense with those funds. There's no
18 direction on, if such funds were collected, where those
19 funds would be directed. So we felt like because of
20 that lack of direction, we didn't feel like we could go
21 all the way down the road of developing ACP language, so
22 we kept it to where it was more just a compliance
23 mechanism of judging whether or not they complied with
24 the RPS, and then give the Commission the opportunity to
25 potentially set a penalty for noncompliance.

1 CHAIRMAN CARTER: One moment, Mark.

2 Commissioner McMurrian.

3 COMMISSIONER McMURRIAN: Thank you. I
4 appreciate that, Mark. Did -- and maybe this is putting
5 you on the spot a little bit too much, but did the staff
6 believe that the alternative compliance payment would be
7 a good way to go if you didn't have that issue of which
8 agency would deal with the money? We don't have any
9 authority to sort of answer that kind of part of the
10 question.

11 MR. FUTRELL: I guess personally, I felt like
12 there were still a lot of details as far as setting the
13 level of the ACP that would be very complicated and
14 would require us to go into a lot more -- we didn't feel
15 like we had the time to go into the depth to really
16 analyze and judge where you would need to set that ACP,
17 because, again, relative to the price of RECs, it's
18 going to be critical where you set that ACP and direct
19 how the ACP is going to be used by the utilities.
20 Certainly, the whole idea of the RPS is to encourage
21 renewable development, to assist those existing
22 renewables, and so it really is quite a Pandora's box
23 that requires a lot of time and thought to develop that.
24 So we felt like given what was in the statute and the
25 time frames we were under, we didn't go down that road.

1 COMMISSIONER McMURRIAN: And I guess as a
2 follow-up to that, we heard from a lot of the
3 stakeholders that they like the ACP mechanism, or at
4 least they were more familiar with how that worked
5 because it had been done in so many states. And I just
6 can't recall, but were a lot of the stakeholders that
7 were proponents of the ACP, did they also take a
8 position on whether or not it should be recoverable
9 through the RPS mechanism? Because as you pointed out,
10 you know, it could have different incentives on whether
11 or not it was recoverable from ratepayers. Do you
12 recall?

13 MR. FUTRELL: I believe generally they did.
14 Again, it can be viewed as not just a compliance measure
15 from the perspective of the utilities, but it also can
16 be viewed as a funding source for renewables. And so in
17 that respect, in many states they're indifferent to
18 whether it's an ACP or a REC payment or there's -- it's
19 a funding source. So from that perspective, it's
20 generally indifferent. But certainly recovery, to make
21 sure it's paid is critical.

22 COMMISSIONER McMURRIAN: Thank you. Thank
23 you, Chairman.

24 CHAIRMAN CARTER: I know when we went down --
25 it seems like forever ago when we first started this. I

1 had some questions about the public benefits fund. We
2 don't have one here in Florida. You know, without
3 having -- I'm just thinking aloud. Without having a
4 depository to put that in where we know that these
5 proceeds are going to go for renewable energy programs,
6 are going to go for research and development, energy
7 efficiency programs, low income assistance, education
8 and all, you know, it's hard to -- you know, to say
9 that, because if you go from the perspective that that's
10 what these funds need to be used for without having
11 actual legislative authority to do so, they could end up
12 in GR. You know what I mean? And then -- so that kind
13 of gave me the willies when I saw that.

14 But just from the standpoint of that, in the
15 context of -- when we originally started talking about
16 that some states have those public benefit funds. We
17 don't have one here in Florida, and maybe as we do go
18 further down the road and make some kind of
19 recommendations later on as we talk about some of the
20 issues that we may or may not have legislature authority
21 for, maybe we can talk about that as well.

22 Thank you. Any further questions?

23 COMMISSIONER McMURRIAN: No, I'm okay.

24 CHAIRMAN CARTER: Mark?

25 MR. FUTRELL: The final question that was

1 raised in the agenda was on feed-in tariffs. And again,
2 these are typically an implementation tool to further
3 encourage renewable generation, and it can be
4 established with or without an RPS structure. It's
5 typically a contract to purchase renewable energy of
6 differing types at a fixed rate over a longer term to
7 improve again the financial viability of getting
8 projects in the ground. Generally these rates exceed
9 the cost of the utility's generation and act to
10 subsidize resources.

11 Now, also, it should be noted that while it is
12 fixed and it's at an established rate, generally the
13 rates will ramp down over time, recognizing the
14 technology maturation and its cost decline, that it's
15 beginning to approach the cost of utility generation,
16 and the need for that premium declines over time.

17 CHAIRMAN CARTER: Mark, let me ask you a
18 question before I forget it as it relates to these
19 feed-in tariffs. I notice that in the background
20 information that these are primarily practiced in
21 Europe. And from what I've seen, we don't have any
22 state in the United States that are doing that.

23 MR. FUTRELL: Actually, while the history is
24 primarily in Europe, we're seeing more and more
25 development of these feed-in tariffs in the United

1 States. Certainly the most recent example close to home
2 is Gainesville Regional Utilities --

3 CHAIRMAN CARTER: Now, that was this year?

4 MR. FUTRELL: Just approved a program a couple
5 of weeks ago, yes, sir. And Bob mentioned that.

6 CHAIRMAN CARTER: Commissioner Skop.

7 COMMISSIONER SKOP: Thank you, Mr. Chairman.

8 Mr. Futrell can you also with respect to the GRU -- I
9 mean, although they're calling that a feed-in tariff, at
10 least my discussions with GRU have seemed to indicate
11 that unlike the feed-in tariffs in Europe, which are
12 basically a substantial payback on the investment, the
13 GRU feed-in, or what's being deemed a feed-in tariff by
14 GRU is in fact just monetizing the previously available
15 rebates that GRU offered to residential and commercial
16 ratepayers in lieu of the rebate program.

17 So effectively, what's being called a feed-in
18 tariff is 26 cents per kilowatt-hour, which is double
19 the retail rate, but certainly not consistent with some
20 of the feed-in tariff numbers that Navigant or others
21 have provided; is that correct?

22 MR. FUTRELL: That's correct. Certainly in
23 Germany specifically, we've seen that some of the rates
24 are on the order of three times retail rates, so you're
25 correct. But the structure of the Gainesville program

1 is like a feed-in tariff program.

2 COMMISSIONER SKOP: I recognize that. I'm a
3 GRU ratepayer, so I have a vested interest in making
4 sure that --

5 MR. FUTRELL: And also note that in
6 Gainesville they did retain some of the existing program
7 for residential customers and that they can still get a
8 rebate if they install a solar system, take advantage of
9 all the tax credits, and net meter. So they retain that
10 for residential customers. The concern that has been
11 evidently by larger customers that this feed-in tariff
12 system would be more beneficial to them as far as
13 guaranteeing a fixed payment over time.

14 CHAIRMAN CARTER: And the German feed-in
15 tariffs, they've gone through several iterations since
16 the first time.

17 MR. FUTRELL: Yes, sir.

18 CHAIRMAN CARTER: Can you talk about the
19 anticipated results and the actual results as they went
20 through that? Is that going to be part of what you're
21 going to --

22 MR. FUTRELL: Right.

23 CHAIRMAN CARTER: Okay. Can you say that now
24 so I won't forget it?

25 MR. FUTRELL: Sure. Right. Essentially, it

1 first began in 1990, and over time they've come up with
2 new laws or amended existing laws to try to develop the
3 industry more, as the rates and the programs they
4 established were not sufficiently stimulating the
5 market. And as recently as 2000, a law that was passed
6 substantially increased those level of payments, and it
7 has resulted in substantial growth in solar PV
8 installation. And I've got some numbers in the next
9 slide to talk about that. But, yes, the German program,
10 they have evolved it over time, and it has resulted in
11 substantial, again, PV installations.

12 CHAIRMAN CARTER: And this feed-in tariff is
13 pretty much a subsidy for different types of renewable
14 energy?

15 MR. FUTRELL: Right. Typically customers
16 would be charged -- have a surcharge on their bill, and
17 it would go to a fund, and from that fund, it would help
18 UBUs to make the payments associated with these
19 contracts that are signed.

20 CHAIRMAN CARTER: See, we're going back to the
21 fund deal again that we don't really have. You know,
22 that has been kind of a -- even the first time we went
23 down this road, our first workshop, when I asked that
24 first question about the public benefits funds. And
25 this kind of ties into that in the context where you've

1 got a subsidy to generate renewable energy, but where's
2 the place for the subsidies as they're collected? And
3 that's kind of -- I'm just thinking aloud on that one.
4 I still don't have my head around that one.

5 MR. FUTRELL: And again, this next slide kind
6 of addresses some of the things we've talked about.
7 Again, the customers pay a surcharge into a fund. This
8 gives you a relative sense of where German retail rates
9 are. They're roughly 20 Euro cents, which is about 25
10 cents American per kilowatt-hour. And then the solar PV
11 rate is about 57 cents. And again, this will decline
12 over time. That's built into the program.

13 And also, they have other rates, differing
14 rates for differing renewable resources. So while this
15 is probably the highest that's there, other resources
16 have lower rates. So just to get a relative sense, it's
17 not all the same price that's paid for other renewable
18 resources. It varies depending upon where those costs
19 are.

20 Again, between 2000 and 2006, as I mentioned
21 earlier, there has been a substantial increase in
22 generation from solar in Germany, from about 6.3 percent
23 to 11.6 percent.

24 And again, as I mentioned earlier, we are
25 seeing growth in interest in the United States.

1 Certainly Hawaii is looking at it and many other
2 jurisdictions, particularly municipal utilities are
3 looking at feed-in tariffs as a means of further
4 developing renewable energy, particularly solar.

5 That concludes my remarks, and I'll be glad to
6 take any questions.

7 CHAIRMAN CARTER: How does that -- excuse me.
8 How does that equate in terms of the rates over that
9 period of time? I noticed we spent a lot of time
10 talking about Germany, but how does that equate in terms
11 of rates for them? I notice they had -- you had
12 eligibility for hydro, wind, solar, geothermal, sanitary
13 landfill, sewage treatment, biomass and all. How does
14 that -- in terms of what they were paying before in
15 Germany and where they are now that they have the
16 feed-in tariffs for these different renewables.

17 MR. FUTRELL: There has been some rate impact
18 on the bill. I can't recall that data exactly, but
19 there has been an impact on rates.

20 MR. KARNAS: I know the exact number.

21 CHAIRMAN CARTER: Jerry, you know the exact
22 number?

23 MR. KARNAS: What happens when you blend all
24 the renewables together, Commissioners -- I'm Jerry
25 Karnas with the Environmental Defense Fund. What

1 happens when you blend them, the Germans put a priority
2 on PV because they saw that as the biggest job creation
3 potential for them, so they were willing to pay that.
4 But then they had tremendous wind potential, they had
5 tremendous geothermal potential, biogas, biomass, and so
6 that subsumed a lot of the costs.

7 So what the Germans have paid on average is
8 the equivalent of \$2.50 a month American to get the
9 success story that they've had, which is 50 percent
10 higher than what the current rule predicts for us. So
11 they've been able to achieve that with the equivalent of
12 the price of a loaf of bread in Germany.

13 CHAIRMAN CARTER: Okay. Commissioners, I'm
14 sorry I got off on that. I just had a bee in my bonnet
15 on that one.

16 COMMISSIONER McMURRIAN: I did have one other
17 one.

18 CHAIRMAN CARTER: Commissioner McMurrian,
19 you're recognized.

20 COMMISSIONER McMURRIAN: Thank you.

21 CHAIRMAN CARTER: Thank you, Jerry.
22 Appreciate that.

23 COMMISSIONER McMURRIAN: Mark, this was back
24 on page 6 when you were talking about the part about the
25 RPS standards will be reviewed at least once every five

1 years.

2 Some stakeholders have told me that they don't
3 believe -- and I think they've said that at some of the
4 workshops too, that they believe it should be reviewed
5 more frequently than that. And I realize by saying at
6 least once every five years, we could do it more often,
7 but has staff been kicking around is every five years,
8 at least every five years the right number or not?

9 MR. FUTRELL: I guess we felt like that was
10 similar to our FEECA process, in that we look at FEECA
11 goals every five years. And it certainly gives the
12 utilities time to develop a program, begin to implement
13 it, to at least have two cycle of RFPs for renewables to
14 see what's out there.

15 And again, sometimes these proceedings, as you
16 know, can go on for some time here at the Commission,
17 and it certainly gives them time to get -- but still
18 have our process for to us monitor what's going on. And
19 if we see that compliance is waning, or if there are
20 issues out there in the market, it gives us an
21 opportunity to react and begin our process sooner.

22 So it's kind of -- we're trying to strike a
23 balance between being over-prescriptive, over --
24 regulating too much or not enough. And so it's a
25 struggle, but that's kind of the number we settled on

1 that we felt like would be appropriate and still --

2 COMMISSIONER McMURRIAN: And I guess it
3 wouldn't just be the Commission that would be able to
4 decide that -- well, I suppose we would decide. But a
5 party or a stakeholder could come to the Commission and
6 say, "We think you need to review it sooner than the
7 five-year plan."

8 MR. FUTRELL: Right, certainly. Again, the
9 standards as we're contemplating them now would be in a
10 rule, so a party certainly could come and request, you
11 know, that the rule be opened and reviewed, and then the
12 Commission would have the ability to pass judgment on
13 that petition.

14 COMMISSIONER McMURRIAN: Thank you.

15 CHAIRMAN CARTER: Thank you. Anything further
16 from the bench?

17 Thank you, Mark.

18 MR. FUTRELL: Thank you, Chairman.

19 CHAIRMAN CARTER: Thank you very kindly. At
20 this point in time, we're going to -- let me check and
21 see how the court reporter is doing. Can you roll for a
22 little while?

23 Okay. Let's take five minutes so we can do
24 some technical legerdemain here. We'll come back at
25 five after. We're on recess.

1 (Short recess.)

2 CHAIRMAN CARTER: We are back on the record,
3 and here's the plan so you can govern yourselves and
4 organize your time. We're going to have -- I'm going to
5 recognize Commissioner Skop in a moment, and after that
6 we'll have a question and answer session. Once we
7 complete our question and answers, we'll have an
8 opportunity for public comment.

9 We do ask that you would limit your time,
10 because we want to hear from everyone. We are
11 scheduled -- but we will not go beyond -- we'll get
12 there. But again, if you've already made -- I know that
13 in school redundancy is appropriate, but here, you know,
14 if you've made your point, then just let it ride,
15 because we do want to hear from everyone in our public
16 comment section. We'll get back with you on the timing,
17 but when we do get to the public comment section, if you
18 could break it down to about five minutes, that way we
19 can be fair to everyone on that time.

20 With that, Commissioner Skop, you're
21 recognized, sir.

22 COMMISSIONER SKOP: Thank you, Mr. Chairman.
23 As Chairman Carter pointed out in his opening comments
24 this morning, the Legislature has mandated that the PSC
25 provide it with a draft RPS rule by February 2nd, 2009.

1 I'm confident that the Commission will meet this
2 deliverable requirement and will provide the Legislature
3 with the best draft rule possible.

4 I fully support Governor Crist's vision of
5 achieving a 20 percent RPS by 2020, and in furtherance
6 of this goal, I equally feel, as previously suggested by
7 Commissioner Argenziano, that it would be appropriate
8 for the Commission to provide the Legislature with
9 various options that they may wish to consider during
10 the ratification process. I recognize that I'm not the
11 ultimate policy maker, but as ratepayers, each us has a
12 shared vested interest in sound policy decisions.

13 My colleagues and I have participated in many
14 different workshops and listened attentively to each of
15 the respective stakeholders and their concerns. From my
16 perspective, I've tried to distill the best ideas from
17 the many competing interests and synthesize them into a
18 workable framework for implementation. With that in
19 mind, I would respectfully like to offer an alternative
20 RPS implementation plan that's based on a standard offer
21 contract approach.

22 Starting with the first slide, and I guess we
23 can skip the disclaimer, but these are just my personal
24 views. Next slide, please.

25 The key attributes of the implementation plan

1 would be the implementation target of 20 percent
2 renewables by 2020, consistent with Governor Crist's
3 vision. The plan would also adopt a revenue cap, as
4 suggested by Barry Moline, the Moline plan. The only
5 stakeholder I think that we have not heard from is
6 T. Boone Pickens. He has a plan. So I guess we can
7 call this the Skop plan.

8 But the plan would also adopt the avoided cost
9 plus model that staff has recommended, and that would be
10 energy capacity payments plus the inherent value of the
11 RECs. The plan would also include solar rebates
12 applicable to residential and commercial PV.

13 It would utilize standard offer contracts,
14 providing utilities with a self-build option, so
15 utilization of the existing framework that's well
16 understood by each of the stakeholders and inherently
17 flexible. Standard offer contracts are acknowledged by
18 the Commission, by the utilities, and by developers, and
19 they provide a stable revenue stream that's well
20 understood by the capital market that have to finance
21 such development projects.

22 Adoption of this proposed implementation plan
23 would also avoid substantial delay and cost associated
24 with developing a captive market for attributes. Next
25 slide, please.

1 The implementation of the plan would be as
2 follows. I have a graphical representation that we'll
3 get to in a second, but essentially, again, the
4 implementation target of 20 percent by 2020. We would
5 establish a revenue cap. We would fund solar rebates in
6 the amount of 5 percent from the revenue cap. We would
7 establish pricing for standard offer contracts. The
8 energy and attributes would be retained by the utility,
9 and the utility would be able to sell the attributes out
10 of state to offset ratepayer impact, as the attributes
11 would not be used for compliance.

12 And I want to explain this for a second,
13 because I think this is critically important. Staff had
14 advocated, you know, the change in ten-year site plan,
15 departing from the current legislative mandate of
16 percent of generation. Actually, the Legislature was
17 very innovative in the way they wrote the existing
18 statutory language. As I interpret the statute, the
19 statute requires compliance as a percent of prior year
20 generation.

21 So therefore, if we move forward with the RPS
22 plan, we essentially attract economic investment in the
23 State of Florida to the extent the generation must be in
24 Florida to qualify, and we get the energy portion of the
25 generation. And for all practical purposes, that's what

1 the statute requires.

2 Compliance can be done by the generation of
3 the energy. That frees up the attributes, which, you
4 know, for all practical purposes are -- you know,
5 attributes are -- they're a paper. The price of the
6 attributes is embedded in my plan in the cost of the
7 standard offer contract. So since the attributes are
8 not required for compliance, the utilities would be able
9 to theoretically sell the attribute out of state to
10 offset ratepayer impact. And I think although the value
11 would not be that of a compliance REC, they could be
12 sold certainly for voluntary RECs and out of state.

13 Additionally, this plan is readily
14 implemented. It could be implemented as soon as 2010,
15 to the extent that if there were legislative
16 ratification of a plan of this nature, implementation
17 plan, the Commission could go into the appropriate
18 procedural posture to again establish the revenue cap
19 and to establish pricing for the respective standard
20 offer contracts. Next slide, please. Thank you.

21 The next slide shows a graphical
22 representation of the implementation plan, and I would
23 like to -- sometimes a picture is worth a thousand
24 words. And I apologize to my colleague, Commissioner
25 Argenziano, that she's not able to see this. I've given

1 Larry a copy of it.

2 The first decisional tree step would be to
3 establish or recommend a revenue cap, and again, that
4 could vary. I know there's competing interests on that,
5 but I'm going to kind of skip the details and pitch the
6 concept. From that revenue cap, 5 percent, or a number
7 to be determined, would be taken and given in the form
8 of solar rebates. It could be the Energy Office or the
9 appropriate agency. Again, the details at this stage
10 are not important. Those rebates would be in the amount
11 of either 1,000 or 1,500 per kilowatt-hour, similar to
12 what the Energy Office currently has, and that would
13 support distributed solar generation at the residential
14 and commercial level.

15 Certainly there's a need for solar rebates, as
16 indicated by the backlog that the Energy Office
17 currently has. In the current budgetary environment,
18 it's doubtful that they would be fully funded with the
19 appropriation to support such rebates. And I think that
20 this implementation would help that on a recurring
21 basis, to the extent that they would have millions of
22 dollars to offer for rebates. And I think that's very
23 consistent with facilitating consumer adoption of
24 distributed solar PV generation throughout the state on
25 every rooftop, as indicated by Navigant and some of the

1 other stakeholders.

2 It's also very consistent with allowing
3 consumers to avail themselves of the Commission's net
4 metering rule, which each of my colleagues adopted, and
5 it's recognized as one of the best in the nation. So I
6 think that that helps in multiple regards.

7 Some may view that as a set-aside. I view it
8 as a fair rebate that encourages adoption of renewable
9 solar technology.

10 The majority of the money would be offered in
11 standard offer contracts, and this would be based on an
12 avoided cost plus model, very similar to -- and I'll get
13 to the standard offer. Very similar to what Pacific Gas
14 & Electric offers in terms of their short-run avoided
15 cost pricing.

16 Now, each of these standard offer contracts
17 would be appropriately priced by renewable type that
18 would be sufficient to attract investment, but not a
19 windfall. And again, trying to take the best ideas that
20 I've heard to date -- and again, the revenue cap came
21 from Barry Moline, the Moline plan. The standard offer
22 concept is familiar to the Commission. Had one not been
23 deferred yesterday, we would have, you know, acted on
24 that. But it's something that the Commission sees on a
25 regular basis. The utilities are equally familiar with

1 it, as are the developers.

2 In the standard offer contract model, again,
3 it would be appropriately priced by renewable. And I
4 think we've heard some comments today that suggest that
5 might be a rational alternative. But you would have one
6 for biomass and waste energy, one for waste heat, one
7 for wind, and one for solar.

8 And getting back to some of the best
9 practices, Mr. Twomey, AARP, as well as OPC have
10 advocated that in a resource constrained environment,
11 certainly getting the most bang for the buck and low
12 hanging fruit is attractive. And I think that, you
13 know, the appropriate signals can be sent where everyone
14 is marginally happy in such a scenario, to the extent
15 that if you have a standard offer contract that's
16 appropriately priced to attract investment, you're going
17 to get that investment. You may not get as much of it
18 as you want because of the resource constraints, but it
19 is what it is. But everyone shares in an appropriately
20 priced contract that would stimulate the adoption of
21 renewables within the state as well as promote economic
22 development.

23 The key part of this at the bottom left is
24 that the out-of-state sale of attributes may be able to
25 offset some ratepayer impact. I think that's an

1 innovative twist, to the extent that, again, my reading
2 of the statute, if we bring the deployment of renewables
3 to Florida, the economic investment, which is a value to
4 the State, the renewable clean energy, which is a value
5 to the State, what does the State really care about the
6 attributes? And if we can get what we need and have
7 attributes available that for all practical purposes are
8 thin air and sell them as voluntary RECs to other
9 markets, then certainly our ratepayers are not adversely
10 affected as they would be otherwise. So I think that
11 that's a nice upside.

12 Next slide, please.

13 With respect to the standard offer contracts,
14 again, it would be based on an avoided cost plus model
15 that's consistent with the staff recommendation. The
16 avoided cost pricing would be indexed to natural gas,
17 similar to the Pacific Gas & Electric SREC pricing.
18 That's readily available online if people would like to
19 take a look at that.

20 It also employs time of use. And I'm not
21 suggesting that we go that far, but certainly time of
22 use would be attractive to those renewables that
23 generate at peak. That could also be of interest. And
24 again, the point of this is to just present an
25 analytical framework for implementation, not to hash out

1 the details.

2 The standard offer contracts, as previously
3 mentioned, would be appropriately priced by renewable
4 type. The plus component would contribute to that
5 pricing. And in avoided cost under PURPA, you're
6 limited to avoided cost. That's energy and capacity
7 payments. The plus is the plug factor that makes the
8 standard offer contract economically viable to support
9 each respective renewable type. Again, as previously
10 mentioned, the standard offer contract would be
11 sufficient to attract investment. That would be capital
12 costs, plus O&M, plus ROE, plus fuel stock for biomass
13 or others. That one was inadvertently left off.

14 But mainly, a standard offer contract provides
15 a long-term, stable revenue stream which is required for
16 financing, particularly in light of the tight capital
17 markets. Next slide, please.

18 Under this proposal of standard offer
19 contract, the utility would also have the self-build
20 option. There are, I believe, utilities in the state --
21 and again, this is trying to recognize that some
22 utilities such as FPL have taken the initiative and
23 chosen to self-build projects. This recognizes that
24 desire, but equally recognizes that other utilities
25 within the state may desire a more turn-key solution,

1 and I think the standard offer contract provides that.

2 The energy and attributes again retained by
3 the utility. That's fair. The utility can sell the
4 attributes out of state to offset ratepayer impact.
5 Again, the attribute is not used for compliance. That's
6 a very subtle, but I think a very important concept.

7 Another big plus of this methodology is that
8 it utilizes an existing framework. It's well
9 understood, it's flexible, and it could be adaptable to
10 new technologies as they come into maturity.

11 The other point is that it avoids the
12 substantial delay and costs associated with developing a
13 captive market for attributes. And I think that we've
14 had a long, lengthy discussion on RPS. I can only
15 envision what the discussion would be about a market
16 that would have to stem from that. And effectively, if
17 you embed the cost of the plus factor, be it the RECs,
18 synthetic or virtual cost of the REC, into the standard
19 offer contract, then there's no need for a market. You
20 save millions of dollars and years of delay in market
21 implementation that is otherwise not needed in the
22 captive market. As I believe I've had some discussions
23 with Navigant, typically markets usually work best when
24 they're regional markets. And in Florida, with the
25 FRCC, we're of a peninsular nature, so again, there may

1 be some economies of scale there to the extent that if
2 we're spending millions to create a market, those moneys
3 may be better spent or deployed towards actual
4 renewables, towards meeting the goal.

5 Again, the final point is that this would be
6 readily implemented. Again, if the Legislature adopted
7 such a proposal, I'm confident that through rulemaking,
8 or whatever procedural mechanisms would be required,
9 that the Commission could establish the appropriate rate
10 cap and establish the appropriate standard offer pricing
11 for each renewable type that could -- whatever the
12 detailed mechanisms would be worked out, that could be
13 competitively bid under sealed envelope or what have
14 you. Those are details to be worked out.

15 But again, I think that the conceptual
16 framework is something that is certainly worthy of
17 consideration. If this framework were to gain traction,
18 it might be a viable methodology for implementing an
19 RPS. And I also think that each of these concepts I've
20 tried to articulate here briefly could be readily
21 reduced to draft rule should our staff be willing to do
22 so.

23 So with that, I think the last slide. And
24 again, I don't know if there are questions or what have
25 you. I can reserve those. I'm sure there's other

1 questions of staff. But I thought that this was an
2 innovative way of using an existing framework to try and
3 balance each of the respective competing interests and
4 synthesize those best ideas that I've heard and my
5 colleagues have heard from many hours of presentations.

6 Thank you.

7 CHAIRMAN CARTER: Thank you, Commissioner.
8 And let me just say to you, I know that you've been
9 involved from day one on this, and I appreciate the
10 amount of work and effort that you've put into this.
11 It's consistent with a lot of what we've talked about
12 here. Conceptually, I think it's a solid perspective
13 conceptually. As I said, the devil is in the details.
14 But I do want to say to you publicly that I appreciate
15 the efforts that you've put forth here. You've listened
16 to -- I mean, you've been here for each one of the
17 hearings, as we all have. You've listened to the
18 parties, both the stakeholders as well as the IOUs.
19 You've listened to the people from the renewable energy
20 community, as well as listened to what the Legislature
21 has told us to do in the context of providing them with
22 a draft rule by February of next year, and also taking
23 into consideration the time constraints that we're in,
24 as well as instead of reinventing the wheel, looking at
25 where we are and what we have to do. So I wanted to say

1 to you from the standpoint of your efforts, they are
2 Herculean in the concept here. And I did want to say
3 that to you before we got into whatever questions that
4 we may have on that, to say thank you for that.

5 COMMISSIONER SKOP: Thank you so much,
6 Mr. Chairman, for those kind comments. And also, too, I
7 do respect -- again, I'm just trying to throw out an
8 idea for a basis of discussion as we move forward in
9 trying to provide a draft rule to the Legislature. And
10 if Navigant is still here, it would be interesting to
11 hear from their perspective if they have any experience
12 with such standard offer contracts.

13 CHAIRMAN CARTER: Jay, you and Ryan and Matt,
14 are you guys still here? Why don't y'all come down for
15 a second, please.

16 While they're coming down, I do want to just
17 kind of -- as I was expressing my appreciation to my
18 colleague, Commissioner Skop, we did set this as a
19 workshop for the Commissioners, and we do appreciate the
20 comments that everyone has given us and people are still
21 giving to us. But we did want to get to the point --
22 you know, we've got to start drafting and moving
23 forward. But I did want to say that.

24 And let me do this. Commissioner McMurrian,
25 before we hear from the Three Amigos, do you want to

1 make a comment or anything? You're recognized ghost.

2 COMMISSIONER McMURRIAN: I think you said it
3 well, Chairman. I agree. I appreciate any good ideas
4 put forward, and definitely those of Commissioner Skop.
5 You can definitely tell he has taken a lot of the -- as
6 he said, a lot of the good proposals from different
7 parties. And I'm hoping we get some feedback from it
8 today. I'm sure that a lot of people, they're seeing it
9 or hearing about it for the first time, but I'm hoping
10 that we get some good feedback from folks on it. Thank
11 you.

12 CHAIRMAN CARTER: Thank you. Commissioner
13 Skop, you want to ask the questions?

14 COMMISSIONER SKOP: Thank you, Mr. Chairman.
15 Just to Navigant -- and I don't want to put Navigant on
16 the spot. And certainly, again, the scope of work --
17 and I don't want to get an extra bill for this.

18 CHAIRMAN CARTER: Yes, stay within the budget.

19 COMMISSIONER SKOP: The Chairman said we had
20 to stay on cost and on budget, but -- on schedule and on
21 budget. But I would think that Navigant would be
22 somewhat familiar with best prices that are used by
23 other major utilities and whether Navigant in fact was
24 familiar with Pacific Gas & Electric's short run avoided
25 cost SREC pricing for standard offer contracts.

1 MR. PAIDIPATI: Yes, we're familiar with
2 programs of that type, and they have been successful in
3 the past. And we've reviewed your proposal, and I think
4 it is something that could work in the State of Florida
5 and I think definitely warrants further study as a
6 possibility going forward for an RPS.

7 COMMISSIONER SKOP: Thank you.

8 CHAIRMAN CARTER: Thank you. Okay. Let me go
9 to -- you want to go to the parties first and then come
10 to staff, or what -- oh, Mr. McGlothlin, you're
11 recognized.

12 MR. MCGLOTHLIN: Yes, if it's my turn. Thank
13 you.

14 CHAIRMAN CARTER: It is now.

15 MR. MCGLOTHLIN: All right.

16 CHAIRMAN CARTER: And what we'll do -- before
17 Mr. McGlothlin starts, what we'll do is, we'll start
18 with Mr. McGlothlin and go to my right. Well, actually,
19 it will just be one, and then we'll start with
20 Mr. Twomey and go to my left.

21 MR. MCGLOTHLIN: Commissioner Skop, let me
22 also commend you for the initiative that this reflects.
23 I certainly appreciate it. It's obvious the amount of
24 attention that this has received.

25 And as I believe we've made everyone aware,

1 from our perspective, looking for the model that gives
2 the ratepayers the biggest bang for the energy buck, the
3 sticking point, or one sticking point in the existing
4 draft rule is the allocation of the revenue cap moneys
5 75-25. And as I look at your proposal, seeing that
6 95 percent of those revenues are steered toward the
7 technologies and 5 percent toward solar rebates, if I
8 understand correctly, this 5 percent is your version of
9 the effort to provide an additional incentive for the
10 solar technology compared to what was in the draft rule,
11 then we would see this as a vast improvement and
12 something that's very attractive as a starting point.

13 I do want to ask you to elaborate on what is
14 meant by standard offer contracts appropriately priced
15 by renewable type. And let me tell you what's on my
16 mind. Having been through the cogeneration QF wars, my
17 concept of a standard offer contract is one that's based
18 upon the utility's avoided cost translated into a stream
19 of capacity and energy payments to the QF that's
20 building something that is going to be the substitute
21 for the utility's unit.

22 And I'm familiar with the concept that you can
23 have a contract, the net present value of which is the
24 same, whether it's front loaded, whether it's heavier on
25 the capacity payments and the energy side, and you can

1 modify those components and the timing of those
2 components in a way that is attractive to one technology
3 versus the other without affecting the ultimate net
4 present value of payments that the ratepayers are having
5 to bear. And if that is what you meant by appropriately
6 priced by renewable type, then I see that as very
7 consistent with our desire to see the low cost effort.

8 If, on the other hand, it contemplates an
9 allocation of the revenues that are designed to buttress
10 one technology relative to another, then that would
11 appear to be the format of the existing proposed rule in
12 a different form. I hope I've articulated that in a way
13 you can understand.

14 COMMISSIONER SKOP: Mr. Chair, let me try and
15 elaborate briefly on each of those respective points.

16 With respect to the 5 percent that is slated
17 for solar rebates, again, that's just an arbitrary
18 number. It could be, you know, 10 percent. I just
19 picked 5 percent. You know, I tried to just use a
20 number again to advance consideration of a framework
21 that again is probably catching people by surprise. I
22 wish we didn't have some of the rules we did, because I
23 would love to go talk to everyone about it. But again,
24 it's something that I came up with recently.

25 The 5 percent again supports solar rebates,

1 which are not gross subsidies. They're rebates.
2 Consumers also have investment tax credits they can take
3 advantage of. They also have our world class net
4 metering rule that the Commission has enacted. So it's
5 win-win for consumers without being a gross subsidy
6 there.

7 It helps facilitate deployment of that
8 technology, which is good for the general body of
9 ratepayers, because it's not again a full payment or a
10 huge feed-in tariff. It's just merely one portion of
11 something that makes something a more compelling
12 investment. It also helps with distributed generation
13 to the extent that if you had widespread adoption,
14 theoretically, you could reduce transmission and
15 distribution costs, which is good for the general body
16 of ratepayers.

17 So that number is somewhat arbitrary. It
18 could go up or down slightly.

19 But obviously, there is a demand, consumer
20 demand for such, and obviously there's a funding problem
21 currently to the extent that there is no rebate funds
22 currently available, but there's a backlog of
23 applications seeking rebates. So I thought that might
24 be an innovative way to -- and addressing one of the
25 concerns I heard from the stakeholders, which was that

1 the small installer, the residential installer was being
2 left out in the cold and would not have any viable
3 participation in this RPS by virtue of the fact that it
4 would be gobbled up by the big installations, and all
5 the money would go to other places. So this tries to
6 look out for not only the residential and commercial,
7 but it's geared towards the concerns I heard about the
8 small installer. So I think it provides for them
9 adequately to the extent that it provides that stimulus,
10 which is equally good for the economy and equally good
11 for small business.

12 The 95 percent amount, again, that number is
13 not fixed. It's open to discussion. The devil is in
14 the details, as Mr. Twomey has often stated. Again, I'm
15 trying to advance a framework.

16 Each standard offer contract is appropriately
17 priced. I agree with you that in the traditional notion
18 of avoided cost, you have a -- using PG&E as an example,
19 because I'm familiar with such PPAs as I did in the wind
20 industry, 30-year contract, 10 years of capacity
21 payments, 30 years of energy payments indexed to natural
22 gas. It seems to me it comports well with Florida.
23 Since most of our generation is heavily dependent upon
24 natural gas, as gas increases, avoided cost goes up.
25 And that's fair to the developer and fair to the

1 ratepayers. I think everyone understands that.

2 Since each contract is appropriately priced
3 commensurate with the cost of making the project viable,
4 again, not a windfall, you know, pretty much basic
5 common sense. You have your capital investment, you
6 have your O&M costs on a recurring basis, you have your
7 required return on equity, and then in the cases of
8 biomass or other things, you might have a fuel charge.
9 So that's incorporated in the pricing. And again, a big
10 concern here, not a windfall.

11 But some renewals by virtue -- and the
12 Navigant study concludes, you know, pretty much what I
13 concluded. Some renewable types are inherently more
14 expensive than others. And again, as I stated
15 previously, I wish that I could wave a wand and make the
16 economics of solar better than they currently are. But
17 I can't do that. It is what it is. So we need to
18 recognize that those renewable types in a balanced
19 renewable portfolio standard are part of the equation.
20 It's just that affordability is a key driving concern.

21 So if you have the majority of money going
22 into standard offer contracts, obviously, and each
23 contract is appropriately priced for the resource, then
24 as I previously stated, there are going to be takers for
25 each contract, because it's going to be priced

1 appropriately to attract investment. But you will be
2 capacity limited because we're constrained by funding.

3 So you'll have some for solar, some for wind,
4 some for waste heat, and some for biomass. But
5 obviously, as you stated, biomass and waste energy and
6 waste heat are substantially more cost-effective than
7 some of the other renewable resources, and at least for
8 biomass, it's basically base load generation. You do
9 get a lot of bang for the buck, and that's consistent
10 with Mr. Twomey's low-hanging fruit concept. You get
11 the lowest cost alternative that meets the statutory
12 definition, and you incentive that. And that's also
13 equally very important to achieving the Governor's
14 stated goal, because again, if it's generation based,
15 the more generation you get, the easier it is to comply
16 with an RPS target.

17 So again, wind and solar, intermittent
18 resources, very important. The good thing about such
19 resources is that they are truly emission-free, where
20 biomass, again, there's competing arguments. But
21 everything, you know, is on the table. The devil is in
22 the details.

23 But again, what I was trying to avoid here is
24 substantial infighting between the various renewable
25 types, to the extent that their contract would be priced

1 such that they could take advantage of it without
2 pricing -- I mean, without concerns, and then -- you
3 know, again, not trying to get into too much details,
4 but another concern I've heard from consumer advocates,
5 Mr. Twomey, Retail Federation, and OPC, is that you want
6 to get the best overall cost, so you could have a Dutch
7 auction, a sealed bid auction where the price is
8 established, and those that come in under target price,
9 the cap, get the capacity award, and those that are
10 higher priced don't. But again, those details would
11 need to be worked out.

12 But I assure you that if a resource is
13 appropriately priced, it will attract that investment.
14 But I'm equally cognizant of the resource constraint
15 that's there. The more expensive the alternative, the
16 less capacity you're going to be able to afford.

17 MR. MCGLOTHLIN: Thank you for that. I
18 understand better now.

19 Given that the price is going to be different
20 under this concept for one technology than for another,
21 would that involve some decision as to how much of the
22 revenue cap to place on each standard contract?

23 COMMISSIONER SKOP: Yes, sir. Again, looking
24 at the graphical representation -- and I don't know if
25 the slide -- I don't see Chris. But the first decision

1 would be to set the revenue cap, and everything falls
2 out from there. You have a portion that goes to solar
3 rebates, and the remaining portion, the residual goes
4 into standard offer contracts, and that's a pool of
5 available money. And it would be appropriately driven
6 by the cost of each standard offer contract and the
7 capacity, and you would have to make a policy decision
8 on which of those -- obviously, wind and solar are
9 inherently more expensive than waste heat and biomass
10 and waste energy. So that's a policy decision on what
11 you need to do. And you may see some sort of balancing,
12 but again, I think that it's fair.

13 And to go back to your concept just briefly
14 about avoided cost and the PURPA ramifications of that,
15 the plus part of the avoided cost plus model comes from
16 the revenue cap. It is a consumer contribution. So
17 you're not in violation of PURPA, or you're not
18 violating avoided cost. Avoided cost is still there.
19 It's just that the cap money makes that renewable type
20 economically feasible. And you're paying for inherently
21 the attributes that later the utility could
22 theoretically sell in a voluntary market to help defray
23 some minor portion of that cost.

24 But again, I don't feel that the attributes
25 necessarily under the current statute have to be used

1 for compliance. If the goal is to attract economic
2 investment and to generate clean energy in Florida, I
3 think both of those requirements would be met pursuant
4 to the statute, leaving the attributes untainted and
5 therefore marketable. It's just that the consumer by
6 virtue of the standard offer contract using the avoided
7 cost plus model would be paying for that premium in
8 advance, and then you get what you get in the back end
9 of it by being able to sell the attributes that Florida
10 would not need.

11 MR. MCGLOTHLIN: And as you visualize it,
12 while these are deemed standard offer contracts, there
13 would be the ability or the opportunity to couple that
14 with an RFP process where you say, "This is a maximum.
15 To enhance your prospects, bid us the lowest you would
16 accept"?

17 COMMISSIONER SKOP: Certainly that would be a
18 detail that I would be open to. Again, I'm sure there
19 would be debates on both sides. But again, it seems to
20 me that competitive bids is a good thing by virtue of a
21 free market, and I think that we all strive to have the
22 lowest possible cost of incremental generation, and so I
23 think that inherently that would be a good idea. And
24 once the price cap or the pricing for each renewable
25 type was set, then certainly those that can be more

1 efficient are more likely to get that capacity award in
2 an RFP process.

3 CHAIRMAN CARTER: Thank you.

4 MR. McGLOTHLIN: Thank you, Commissioner.

5 CHAIRMAN CARTER: Mr. Moyle.

6 MR. MOYLE: Thank you. Jon Moyle on behalf of
7 Wheelabrator. And I too commend you for putting the
8 thought into this and recognize that it's a broad brush
9 approach and there are a lot of details to it. I have
10 just a few questions, maybe points of clarification.

11 Referring to your chart, which is helpful,
12 that has the implementation plan on it, I understand in
13 your discussion with Mr. McGlothlin that what will
14 likely happen is that the 95 percent that is shown going
15 into these four buckets will then be further divided in
16 some percentage into each of the four buckets; correct?

17 COMMISSIONER SKOP: It wouldn't be
18 percentagewise. It would be driven by -- the 95 percent
19 represents a pool of revenue resource, basically avoided
20 cost plus the revenue cap. So basically you have those
21 two together, and that basically allocates by renewable
22 type into how much capacity based on the pricing. And
23 obviously, you would want to avail yourselves, as
24 consumers and ratepayers would, of the most attractive
25 alternatives. I mean, without getting into the details,

1 do I think there will be adequate opportunity for both
2 waste heat and biomass and waste energy? Absolutely.

3 MR. MOYLE: But biomass or waste energy is not
4 going to be competing against solar in some kind of a,
5 you know, come in with your best bid; correct? They'll
6 be separate categories?

7 COMMISSIONER SKOP: Separate contract,
8 separate category.

9 MR. MOYLE: Okay. And currently standard
10 offer contracts are put out there, and oftentimes people
11 are able to negotiate off of those. If I understood
12 sort of the idea, it seems that that would be precluded,
13 because you would have at some point a competitive
14 bidding process for each of the renewable resources. Is
15 that correct, my assumption?

16 COMMISSIONER SKOP: I think one possible way
17 -- and again, I'm trying to refrain from getting into
18 the details so this doesn't turn into a lock-the-door
19 free-for-all. But one way I could envision it, if the
20 Legislature delegated the authority to the Commission to
21 set a reasonable price for each of the renewable types,
22 then the Commission could undertake that under a sealed,
23 you know, super secret type, here's the maximum price
24 possible. Then the utilities, who also may desire to
25 self-build in that scenario, obviously, they could not

1 be privy to the sealed price. Everyone is on equal
2 footing, everyone bids, and those bids that are lower
3 than the sealed price ceiling would be accepted up to a
4 certain capacity.

5 MR. MOYLE: From lowest to highest?

6 COMMISSIONER SKOP: Something like that, yes.

7 MR. MOYLE: And then with respect to setting
8 the price, that would be done by the PSC; correct?

9 COMMISSIONER SKOP: I could envision that one
10 alternative would be that the Legislature would delegate
11 the PSC with sole authority to do that, and that might
12 also prevent some of the infighting and protesting that
13 has gone on historically with renewable contracts.

14 And what I'm trying to do conceptually is, you
15 know, take all the various competing interests -- and
16 under the existing staff plan, there's just one slice of
17 pie, and so everyone is going to be fighting for a slice
18 of that pie under a renewable type. Here I'm trying to
19 break it out into standard offer contract that's
20 appropriately priced, so hopefully those that want to do
21 biomass aren't at the throats of those that want to do
22 solar. Everyone one is marginally happy, or should be
23 marginally happy.

24 CHAIRMAN CARTER: Commissioner McMurrian.

25 COMMISSIONER McMURRIAN: I want to follow up

1 on what Mr. Moyle is asking, or some of the points he's
2 raising, but not as well articulated. So if there's a
3 standard offer contract for waste heat and solar, or --
4 well, it really doesn't matter which ones, but we
5 definitely want solar in there versus waste heat. And
6 if a utility had, you know, just numerous offers for
7 waste heat as well as offers for solar, if they could
8 meet their 20 percent with waste heat alone and that
9 would probably be a cheaper option, would the utility
10 have to use all waste heat because that was the most
11 cost-effective option? Or have you not -- I mean, I'm
12 not trying to --

13 COMMISSIONER SKOP: No, that's an excellent
14 question, and I think I've fielded that question once.
15 And that's one of the details. Again, the devil is in
16 the details. Certainly, as I envision it, it could be
17 going with the cheapest alternative first, the
18 low-hanging fruit concept of Mr. Twomey.

19 But I think an equally viable methodology
20 would be that each of those respective categories would
21 have a certain capacity in each utility's service area,
22 and the utility would take, you know, the appropriate
23 amount of each, as perhaps mandated by the Commission.
24 You know, if the pricing is such that each renewable
25 attracts investment and you're constrained by dollars

1 available, then certainly a policy decision would need
2 to be made on where do you spread the money to get the
3 best bang for the buck, equally recognizing that
4 diversity in renewable sources is analogous to balanced
5 fuel supply. And some resources inherently are
6 significantly more expensive than biomass and
7 significantly have much lower capacity factors and are
8 intermittent resources as compared to other
9 alternatives.

10 So it's a value judgment that kind of works
11 itself out to the extent that everyone gets to
12 participate. It's just that those that desire to
13 participate more that are more costly may not get to
14 participate as much as they would like to in a resource
15 constrained world.

16 COMMISSIONER McMURRIAN: One other --

17 CHAIRMAN CARTER: You're recognized.

18 COMMISSIONER McMURRIAN: One other question.

19 And I doubt this would happen, and I guess it depends a
20 great deal on what the price, the appropriate price
21 would be set for each of these contracts. But what if
22 you had a utility that put out RFPs in all these areas
23 and they got nothing? Would they need to build
24 everything to meet their 20 percent then, or would there
25 be any kind of penalty?

1 COMMISSIONER SKOP: That's --

2 COMMISSIONER McMURRIAN: Is that more the
3 details?

4 COMMISSIONER SKOP: That's one of those
5 details, a "what if." I would think that if they were
6 appropriately priced, that one of two things would
7 happen. You know, certainly our respective IOUs are
8 very well managed throughout the state. Each of those
9 have their own technical expertise areas. Some again
10 have competencies in renewables that want to participate
11 actively in self-build, and I think others will be
12 looking for turn-key solutions. So I think if the
13 pricing is right, you'll attract investment, and I think
14 that's what we want in the state, not such that it's a
15 windfall, but, you know, build it and they will come.
16 So if you price it appropriately, you'll attract that
17 investment.

18 CHAIRMAN CARTER: Thank you. Mr. Moyle.

19 MR. MOYLE: Just one brief other area of
20 inquiry. Let me just sort of use an example and see if
21 I can understand. I believe the City of Tampa has a
22 waste-to-energy facility that they own. My client
23 operates it. The Legislature in its statute said that
24 one of the goals is to protect existing resources, so I
25 assume an existing waste-to-energy facility would be

1 able to avail itself of this standard offer contract;
2 correct?

3 COMMISSIONER SKOP: That would probably be a
4 legal question to the extent that those facilities that
5 are already legally bound to existing contracts, you
6 know, I don't know whether they would be able to avoid
7 their contract on the basis of a better offer. You
8 know, it's not retroactive ratemaking or retroactive
9 RPS. Certainly I think it would qualify, though, for
10 all new existing generation coming into the state.

11 MR. MOYLE: Okay. Making it easy maybe, let's
12 say the contract expired and they were up for a new
13 contract.

14 COMMISSIONER SKOP: Absolutely, absolutely.

15 MR. MOYLE: So the contract expires and
16 they're up for a new contract. If I heard you, the
17 pricing would be based on capital and O&M and return on
18 equity in terms of setting the standard offer price.
19 The curious part that I was trying to better understand
20 is the REC. You said that the REC would be embedded in
21 the price to be paid for the standard offer contract?

22 COMMISSIONER SKOP: Right. Let's just do an
23 illustrative example. I'm going to pick solar that's
24 near and dear to my heart. Let's say the avoided cost,
25 subject to check and on the basis of discussion, was

1 \$90 per megawatt-hour for avoided cost, energy and
2 capacity, all in. That's just hypothetical. But the
3 cost, the true cost of solar was \$250 per megawatt per
4 hour. Therefore, the revenue cap and the avoided cost
5 plus model would have to fund that incremental
6 difference between the 250 and the 90, which, if I think
7 I did my math right -- help me out, Mr. Chairman, but I
8 think it's \$160 per megawatt-hour. And that would be
9 funded from the cap.

10 So again, the economics start to work out that
11 some renewables that are more expensive again are going
12 to be driven by the amount of money available, whereas
13 other renewable sources, say, biomass was competitive at
14 90 or \$100 per megawatt-hour, again, it provides an
15 economically feasible alternative. I mean, if I had to
16 spread some numbers for sake of discussion, you know,
17 certainly biomass would have their fair share.

18 Waste heat, I'm not so sure we'll have any
19 more phosphate plants coming in, so again, waste heat
20 may be, you know, subject to reenlistment on expiring
21 contracts. I don't know.

22 Wind and solar are certainly emerging
23 technologies that are ripe for development within the
24 state, and they would get their appropriate share.

25 Again, those details would need to be worked

1 out, but, you know, I think that we're all looking to
2 try and get the best value for our investment, but be
3 fair to everyone such that everyone is marginally happy
4 and can live with the RPS that would be ratified.

5 MR. MOYLE: And I guess the --

6 CHAIRMAN CARTER: This will be your final
7 question. I want to get every --

8 MR. MOYLE: I hear you.

9 CHAIRMAN CARTER: I'm looking at the clock. I
10 want to get everyone in, so let this be your final
11 question.

12 MR. MOYLE: Okay. You talked about the REC as
13 being a piece of paper, and it's a property right. The
14 Tampa Bay facility does this. The REC embedded cost is
15 part of what it gets. Then does the utility -- let's
16 say it sells it to TECO. Does the utility have the
17 ability to say, "Hey, I got this REC as a result of this
18 standard offer contract," and then they go knock on the
19 door of Alabama Power and sell that REC to them, as
20 compared to, you know, Tampa Bay selling it directly to
21 them?

22 COMMISSIONER SKOP: As we've been through this
23 discussion in previous docketed matters, there's a
24 difference between a voluntary REC and a compliance REC,
25 and I think it would be dependent upon each respective

1 state's RPS, to the extent that, you know, what they
2 would consider a REC to be utilized.

3 As I view it, in Florida, as we require our
4 utilities to generate in-state, and if they were the
5 purchaser of the -- or the buyer on the standard offer
6 contract side, they would get the energy and the
7 attributes. To me, energy and the economic investment
8 are the two driving factors for compliance with the RPS,
9 which would leave the REC still in its virgin state such
10 that it could be theoretically sold as either a
11 voluntary or perhaps a compliance REC. It depends on
12 how liberal other states were in terms of their
13 policies, but certainly a compliance REC would warrant a
14 hefty premium over that of a voluntary market REC.

15 MR. MOYLE: Mr. Chairman, thank you for your
16 indulgence. That's all the questions I have.

17 CHAIRMAN CARTER: Thank you. Mr. Twomey. I'm
18 trying to make sure that I give everyone an opportunity.
19 I'm going to defer my questions to Commissioner Skop,
20 but I want to give you guys as much of an opportunity as
21 possible. Mr. Twomey, you're recognized.

22 MR. TWOMEY: Mr. Chairman, thank you. You
23 wanted us to keep our comments or reactions to his plan,
24 not the staff at this point?

25 CHAIRMAN CARTER: Well, here's what we can do.

1 Your comments to staff's plan, as you can --

2 MR. TWOMEY: I have a few just brief questions
3 of the staff, but I had the impression you didn't want
4 to intertangle that with comments on Commissioner Skop,
5 but it's your pleasure, of course.

6 CHAIRMAN CARTER: Well, let's do this. I
7 mean, this is -- what Commissioner Skop has presented is
8 new. Obviously, you know, our rule is here, so we don't
9 -- we just got it too, so it's -- we do want to hear
10 from that, but let me just kind of hear from you on his
11 plan, and we'll come back if we have appropriate time
12 and get your comments on staff's plan. If not, you can
13 give them to us in writing.

14 MR. TWOMEY: Okay. I had questions of the
15 staff, but with respect to Commissioner Skop's plan --
16 let me introduce myself. I'm Mike Twomey. I'm an
17 attorney for AARP, who still has over 3 million members
18 in the State of Florida, many of them served by the five
19 investor-owned utilities regulated by this Commission.

20 On behalf of AARP, I want to commend
21 Commissioner Skop for taking the time and effort to
22 prepare and present this plan. It represents a little
23 bit of thinking outside the box. We appreciate his
24 effort to meet the needs of most of the stakeholders in
25 this process.

1 And I think irrespective of where you come
2 down on the details, the numbers that go in the boxes
3 and how many boxes you want to have on the
4 implementation plan slide, there are advantages that
5 commend the plan, I think, that should be forwarded to
6 the Legislature in some form, because it deals -- like
7 he said, it deals with knowns, things that we're all
8 familiar with working with, the various forms of
9 contracts. There's an awareness of these and a
10 familiarity. And above all, it would speed the
11 implementation of the whole process, as he pointed out,
12 which is a key thing.

13 Very briefly, that said, and the devil being
14 in the details -- and I haven't had a chance to show
15 this to my client, of course, but again, it comes to the
16 numbers and the number boxes you have.

17 The 5 percent solar rebates on the surface is
18 not a huge number. It does sort of benefit the
19 installers and the like. It basically is a
20 substitution, if you will, or an addition to the
21 legislative program that provided rebates, for which
22 there's no longer adequate money and may not be funded
23 in the next session.

24 The 95 percent, of course, goes into those
25 four boxes, and I think as Public Counsel has said

1 before and I have said before on behalf of AARP, we
2 would prefer that instead of four boxes, there just be
3 one, and that all the remaining moneys -- and of course,
4 we agree with the cap and are sticking with the
5 1 percent cap because we think it's easier. First of
6 all, it's cheaper for the utility customers in this
7 state, especially in the hard times we face now and
8 going into the next year in the recession.

9 But you take the money -- we would just have
10 you take the money from that cap, the 95 percent that's
11 left in this example, and put it all in there and have
12 the competitive bidding, the Dutch auction, reverse
13 auction, however you want to describe it, where the
14 utilities would be required, they would be compelled to
15 seek out the least cost renewable for the benefit of
16 their customers at the least cost, the renewable at the
17 least cost.

18 So if Mr. Moyle's clients came in, there was
19 an RFP and they came in and they had undercut the other
20 renewables, they would get as much of the contracts as
21 they could supply. And if they didn't meet all of it
22 for a given utility, then whoever was the second least
23 expensive would get what they could supply, the third
24 least expensive, and so on. That's the way the free
25 market system works in this country, and it's the way it

1 should work here.

2 So again, we commend Commissioner Skop's
3 efforts on this. There are a lot of excellent features
4 to it. It should be advanced, I would say to you, to
5 the Legislature in some fashion or form. They're going
6 to be doing a lot of work at the Legislature anyway on
7 this whole process. And then we could talk about the
8 number of boxes and the number of percentages and
9 dollars that go in each box.

10 But we commend you for your efforts. Thank
11 you, sir.

12 CHAIRMAN CARTER: Thank you, Mr. Twomey.
13 Ms. Brownless.

14 MS. BROWNLESS: Thank you. Well, as you all
15 know, because we have spoken with each of you about our
16 idea with a standard offer contract, so we're very
17 supportive of this concept. We think it's workable. We
18 commend Commissioner Skop again for putting the time and
19 effort into it.

20 We have also done an economic study that
21 reinforces what Commissioner Skop has said. It's
22 doable, it's quick, it's instantly -- or not instantly,
23 but fairly instantly in the regulatory business, put
24 into effect.

25 A couple of points that I would just like to

1 make. With regard to the categories of facilities that
2 end up in the distributed generation pile, I assume, or
3 I would hope that there would be different categories
4 there, residential, commercial, so that the one-time
5 rebates would match different megawatts or
6 kilowatt-hours. Is that what you have in mind?

7 COMMISSIONER SKOP: Just briefly, it would be
8 tied, similar to current Energy Office rebate policy, I
9 believe that it was 1,000 or 1,500 per kilowatt
10 installed, so there would be rebates available up to
11 perhaps a maximum cap. I don't think they would be
12 unlimited. Again, that would be one of the details that
13 need to be worked out.

14 MS. BROWNLESS: So that might come under the
15 category of solar hot water under 2 megawatts or
16 something like that.

17 COMMISSIONER SKOP: I believe, at least from
18 what I've heard, again, I would be open-ended to
19 whatever is the best policy for the state. And
20 certainly solar hot water heaters are something I know
21 Commissioner Argenziano has expressed a desire in. I've
22 heard stakeholder input from them. I'm not opposed to
23 them, and to me it would be a fair rebate. So again,
24 I'm not overly critical of that, because it facilitates
25 deployment of those technologies to some degree, along

1 with the other federal tax incentives and the net
2 metering on the solar PV. So again, I think it's part
3 of the solution. It's not a windfall by any means. I
4 think everyone could live with whatever would be deemed
5 appropriate policy for the state. So if the Legislature
6 thought that solar hot water heaters, solar thermal
7 should be in there, then personally, I have no problem
8 with that.

9 MS. BROWNLESS: Okay. And if I could just ask
10 a few follow-up questions on the standard offer
11 contracts. We certainly support that concept. That's
12 what we advocated.

13 We agree with you that, obviously, if you're
14 going to incent somebody, you have to give them enough
15 money to build the type of technology they have, and
16 these technologies vary in cost, with solar and wind
17 being more expensive, obviously, as you've heard
18 everybody say.

19 Our idea would be that once you have these
20 standard offer contracts out there, they're out there,
21 and people can accept them or not accept them for each
22 investor-owned utility, and that the containment, the
23 cost containment factors would obviously be the amount
24 of revenue you had to spend, and also the number of
25 megawatts bid. So I don't know, I guess, that I think

1 there needs to be any elaborate extra separate pots set
2 aside. I think once the standard offer contract price
3 is set for each technology, that may work itself out in
4 the big scheme of things. There's only so many places
5 one can site large PV farms in the State of Florida.
6 There's only some much of that you can get, so that all
7 might work out.

8 So generally, we're extremely supportive of
9 this idea, and we appreciate your effort.

10 COMMISSIONER SKOP: Thank you.

11 CHAIRMAN CARTER: Thank you. Ms. Clark.

12 MS. CLARK: Mr. Chairman, we don't have any
13 questions. We certainly appreciate having it put out
14 there so we have time to look at it and digest the
15 concepts and what the details might be, so thank you.

16 CHAIRMAN CARTER: Okay. Mr. Karnas.

17 MR. KARNAS: Thank you, Chairman. I'll
18 combine my comments, because --

19 CHAIRMAN CARTER: Okay. That will be fine.

20 MR. KARNAS: -- they're very similar to what I
21 was going to talk about later.

22 This is a huge step forward in this
23 discussion. We're now moving, thanks to Commissioner
24 Skop, in the direction of where Chairman Carter set this
25 out, to get the best RPS in the nation.

1 The lessons that we've learned from renewable
2 policies over the past 20 years or so is that long-term,
3 fixed price contract RECs are what works. You know,
4 that's what 45 countries have done, 18 EU countries, and
5 now we have Hawaii, California, Illinois, Michigan and
6 Minnesota considering the same thing. Los Angeles and
7 Gainesville are doing something very similar as well.

8 And why are they doing this? Well, they're
9 doing this because -- I think this is what Commissioner
10 Skop has begun to understand, that every economist that
11 has looked at a tradeable REC program, an SREC program,
12 which is what the current rule is, to a long-term
13 contract REC program, has found that consumers get more
14 bang for their buck under a long-term contract scheme.

15 Lord Andrew -- Nicholas Stern did the climate
16 report for Britain, for the National Plan for Climate
17 Change, and found that this was the most cost-effective
18 renewable policy. Ernst & Young found the same thing.
19 The International Energy Agency found the same thing.
20 And unfortunately, Lehman Brothers and Goldman Sachs
21 found the same thing, but I'm certain that it wasn't
22 their energy analysts that sunk them, so don't use that
23 as a black mark.

24 And why would you go this route? Well, it
25 delivers more capacity. It delivers it more quickly.

1 And why does it do that? By enabling participation by
2 everybody.

3 So what are the problems with this tradeable
4 REC that we've been considering here? Well, the New
5 York Stock Exchange is not doing well, but largely
6 historically has been a pretty good market. It has
7 billions of trade. It has huge liquidity, and there's
8 millions of counterparties. In an SREC model for a
9 state like Florida, we're going to have minimal
10 counterparties, and we're going to have very little
11 liquidity, and we're going to have few trades, and you
12 have the potential to have quasi-monopolies, so we don't
13 get investment security. What Commissioner Skop has
14 provided us here is investment security.

15 A couple of different things on the proposal.
16 I don't think that there's any need to bifurcate for the
17 solar rebates. You can offer long-term contracts to
18 residential and commercial users as well. You don't
19 need -- that way, those folks can go out and get 90, 80
20 percent financing for their projects, so it makes the
21 rebates not as necessary because they have the long-term
22 contract.

23 Another thing that you could do, I do think
24 there should be more boxes, not less boxes. We should
25 be looking at wave and ocean technology in the State of

1 Florida. If people can provide projects, we should be
2 looking at it.

3 We also should be -- you know, added to this,
4 I believe, is just the general concept that's necessary
5 for renewable energy, which is priority access to the
6 grid.

7 It was interesting, you know, listening to the
8 discussion about Germany. The reason why they adopted
9 this policy was because a city called Aachen in 1993
10 adopted this policy themselves, and by 1997 they had
11 three problems. One, they had Vladimir Putin using
12 natural gas as a geopolitical weapon. Two, they had a
13 unification issue with eastern Germany, where they had a
14 terrible economy and a dragging sector from eastern
15 Germany. And three, they had climate and environmental
16 concerns.

17 So here in Florida, we have actually almost
18 the same mirror image. We have a municipality forging
19 the way on this type of proposal, we're in terrible
20 economic straits, we have climate concerns, and we also
21 import 90 percent of our energy. So this type of policy
22 is good for Florida. It's very similar to why this
23 happened in Germany. And what they really did in
24 Germany is, they went from 2 percent to what will be at
25 the end of this year 18 percent, so they really show

1 what's possible.

2 The other things to address, sort of what Mike
3 Twomey said, is that you could add an aggressive
4 digression scale to the standard offer contracts to
5 protect consumers. You know, that's something that --
6 you know, we've never mandated that for fossil fuels or
7 for any other conventional technology, but for
8 renewables, I believe people believe we can mature the
9 markets quickly enough that they can meet aggressive
10 digression pricing schedules. In Germany, they've
11 averaged 9 percent every time they set the price for PV.

12 So those are my comments, but I think this is
13 a big step in the right direction, and I thank the
14 Commissioner for putting it forward.

15 CHAIRMAN CARTER: Thank you. Commissioner
16 Skop.

17 COMMISSIONER SKOP: Thank you, Mr. Chairman.
18 And I would just like to thank Mr. Karnas for his
19 comments.

20 With respect to some of the concerns that he
21 raised, I would respectfully suggest that bifurcation
22 would be a good thing as opposed to not bifurcating, as
23 he suggested, just to the extent that it promotes the
24 existing net metering rule that the Commission has.
25 It's readily applicable to an existing framework

1 utilized by the Energy Office. It has undoubtedly been
2 successful to date, and would be even more successful if
3 appropriate resources were available for appropriate
4 funding to continue that effort.

5 And just briefly, to comment on the four
6 boxes, it's not limited to four boxes, but that's why
7 this model or framework is inherently flexible. As
8 those additional technologies that have promise mature,
9 such as tidal, current -- Florida probably doesn't -- as
10 Navigant stated, probably doesn't have good wave energy
11 potential. But as those technologies mature and are
12 worthy for deployment, then certainly additional boxes
13 could be added as they're appropriately priced. So
14 everyone wins. It's just that I focused on the mature
15 technologies that are readily viable in Florida today.

16 CHAIRMAN CARTER: Thank you.

17 MR. KARNAS: Just one comment on the
18 bifurcation.

19 CHAIRMAN CARTER: It's your final comment.

20 MR. KARNAS: Yes, the final one. There could
21 be a choice. Residential consumers could either choose
22 net metering, or they could choose to go to a long-term
23 standard offer contract at a fixed price. So I agree
24 with that. I think that --

25 COMMISSIONER SKOP: Agreed. I mean, the

1 details would need to be worked out. Thank you.

2 CHAIRMAN CARTER: Thank you. You're
3 recognized.

4 MR. REEDY: Bob Reedy from FSEC. I'll address
5 actually both the standard offer to begin with, and then
6 lead to just a comment, a few comments about the staff's
7 proposal.

8 And it would be to be caution everyone that
9 with solar energy, it's so modular and so incremental
10 that we get confused. I do it myself, having come from
11 the utility industry for many years. But we think of
12 large central station PV as the way that a utility
13 project would be. But, of course, as shown around the
14 country, Southern Cal Edison we talked about earlier,
15 you can electronically add these things up and make a
16 very large project out of very small incremental places.

17 So as we structure either one of these plans,
18 we need to be careful that we don't force ourselves to
19 say it has to be a large farm somewhere. In fact, as we
20 know, with land in Florida, that's not a very good idea,
21 because it covers the green things. So keep that in
22 mind as we wrestle through these.

23 And the rest of these comments also have to do
24 with sort of the solar doesn't fit model. And I'll
25 mention that we keep talking about cost. Tom

1 Ballinger's presentation showed \$196 a megawatt-hour.
2 That's okay maybe today, but everyone, Navigant, DOE,
3 FSEC, we all agree those costs are dropping very
4 rapidly, unlike all the other technologies that are
5 heavy in steel and labor and traditional commodity costs
6 that are trending upward. So when we do our economic
7 modeling, we're always confused with something that's
8 going down while everything else is going up, and we
9 have to work that through.

10 The other thing is the comparison of peak load
11 and base load. I don't mean to insult anyone by
12 reminding you, but the PV is on-peak, and really so is
13 solar thermal on-peak as opposed to base load.

14 That then leads to the final comment, and it's
15 a little off this docket, and that is a comment about
16 third party sales. We really have to address that very
17 soon. Ninety percent of the solar energy sold in 2009
18 is going to be under a PPA arrangement, but not Florida,
19 of course, because that's currently blocked by the PW
20 Ventures decision in the '80s, and even more recently by
21 net metering. The otherwise most excellent net metering
22 rule has a prohibition against third party ownership.

23 I actually endorse the idea that you should
24 not be allowed to cherrypick base load, which is what PW
25 Ventures, in my view, was mostly about. But here we're

1 talking about cherry -- not cherrypicking, but sour
2 orange picking. You know, you're taking away that worst
3 load that the utility doesn't want to serve, which is a
4 peak load in the afternoon. And it really calls for a
5 reassessment of that decision so that we can go forward
6 with something that makes sense for both considerations.

7 CHAIRMAN CARTER: Thank you. Commissioner
8 Skop.

9 COMMISSIONER SKOP: Thank you, Mr. Chairman.
10 Just a quick response to that question. Again, I tried
11 to consider the third party involved. I know that has
12 been a concern, but frankly, as the controlling law of
13 the State of Florida, I really don't see PW Ventures
14 being overturned. But I don't see how that would
15 preclude developers and participants from investing in
16 the State of Florida and supporting our economy,
17 because, again, the homeowners or the commercial
18 businesses that want to avail themselves of solar can do
19 so through the solar rebates.

20 And again, the percentage is not fixed at 5
21 percent. If I heard you correctly, I think that you
22 would advocate for more rebates. Well, rebates are
23 cheaper than standard offer contracts, at least from my
24 view, so again, there may be flexibility there.

25 But at least my understanding is that as part

1 of the regulatory compact, I mean, the utilities have
2 the inherent right to serve their load. And by entering
3 into a long-term standard offer contract, either with
4 developers, whether they source the site on top of the
5 roof of Wal-Mart or wherever, it's not a third party.
6 It's a standard offer contract. It's familiar. It
7 comports with Commission precedent and the laws of the
8 State of Florida.

9 And I think that's equally compelling for any
10 developer to have a long-term, stable revenue stream
11 that's necessary secure financing. I think that the
12 proposed solution adequately protects the interests of
13 all the individual stakeholders that I've heard advanced
14 and provides open and equal participation for all those
15 that would deem the desire to participate.

16 CHAIRMAN CARTER: Thank you. Mr. Jacobs.

17 MR. JACOBS: Thank you, Mr. Chairman. I'm
18 Leon Jacobs on behalf of the Southern Alliance for Clean
19 Energy and the Natural Resources Defense Council. We
20 again would like to thank Commissioner Skop for putting
21 forward a very insightful and thoughtful concept. We
22 believe it absolutely warrants further study and
23 probably serious consideration for sending forward.

24 Just two basic observations and one
25 clarification, if I may. One of the fundamental

1 decision points in establishing a revenue cap is that
2 you decide -- you make a value decision. You decide
3 that the protection of the community of revenues from
4 the industry is of some level of importance, maybe more
5 important than growth of a renewable market in Florida.
6 I'm not saying that that's the idea here, but I would
7 just urge you to be very careful in considering how to
8 incent the long-term growth of a renewables market. If
9 you're going to do any kind of a cap or cost restriction
10 concept, I think that's absolutely viable, absolutely
11 critical as you move forward.

12 One other idea that actually segues from
13 Mr. Reedy's point is that not only do I believe that you
14 can have -- that the third party idea has value, but the
15 idea of distributed generation in and of itself has
16 incredible value for Florida.

17 I may be mishearing, but I think that I'm
18 hearing somewhat of a priority on resources in this
19 proposal that have capacity features in addition to
20 energy features, and I would highly encourage you to
21 give some thought to the real honest-to-goodness
22 benefits of a distributed generation strategic
23 initiative. Where we have a state that has had serious
24 issues in storms, where we have a state that has very
25 serious issues with transmission, where we have a state

1 that has very serious issues in natural resources to
2 site new plants, the idea of motivating and promoting
3 distributed generation, which I think is very
4 conceivable in your concept, I would suggest to you
5 deserves further consideration.

6 And then finally, in earlier discussion when
7 we were talking about the RECs and whether or not a
8 utility could sell a REC to an out-of-state utility, is
9 it my understanding from what I read that that
10 particular REC would not be available for compliance in
11 Florida if that sale were to occur?

12 CHAIRMAN CARTER: Commissioner Skop.

13 COMMISSIONER SKOP: Thank you, Mr. Chairman.
14 Let me briefly respond. My understanding of the reading
15 of the statute, consistent with the legislative intent,
16 is one to encourage economic investment in the State of
17 Florida. That happens by virtue of the requirement that
18 the energy generated by the renewable resource be
19 generated within the State of Florida itself.

20 So if under a standard offer contract, the
21 utility gets the energy and the attributes, and the
22 compliance with the RPS target is based on a percentage
23 of past year generation, then the energy generated, the
24 clean energy, being the electric itself, to me comports
25 with the requirements of the statute itself. That

1 leaves the attribute that is being already paid for with
2 the premium of the avoided cost model in its virgin
3 state such that the utilities that own the energy and
4 the attribute are able to theoretically sell them either
5 as a voluntary REC or as a compliance REC, as they're
6 able to, to offset the ratepayer impact of the revenue
7 cap that the consumers feel.

8 So it's innovative in concept. It's based on
9 my interpretation of the statute. But I think it's
10 doable, because, to me, frankly, it comports with my
11 view of the statute as written, legislative intent, and
12 also benefits consumers. So I don't see why -- again,
13 I'm not the policy maker, but I can see attractiveness
14 in tough economic times of adopting that point of view.

15 With respect to your comment on supporting
16 distributed solar, I firmly support it on the right hand
17 of the slide. That's what the rebates are intended to
18 do. Again, the percentage is not fixed. It could be
19 more than that number.

20 But again, I encourage and want to facilitate
21 distributed generation, but by virtue of the fact of our
22 net metering rule, again, recognized as one of the best
23 in the nation, combined with federal investment tax
24 credits, I'm not willing to give a full, you know,
25 purchase price of an array. I think it's a stimulus to

1 encourage deployment and adoption of distributed
2 generation. And if it's appropriate, consumers will
3 move to that, because it benefits them in the long run,
4 and it also benefits the general body of ratepayers to
5 the extent that if there is widespread adoption, as
6 advocated by the Navigant report, then ultimately the
7 ratepayers should see some form of relief in
8 transmission and distribution costs on a long-term
9 basis.

10 Just two more quick comments in terms of the
11 incentive of the standard offer contract in attracting
12 investment. The incentive itself is inherent in the
13 pricing of those respective standard offer contracts
14 that are sufficient to attract investment, so I don't
15 see that being a barrier. Certainly if you have a
16 long-term contract, you know, you might be able to get a
17 better rate of return somewhere else in a different
18 state. But I still think Florida will be an attractive
19 place to invest if we do this right.

20 And finally, with respect to the revenue cap,
21 again, economic times are what they are. We need to be
22 equally cognizant of meeting the stated RPS targets, but
23 consideration of the cost. And, you know, the revenue
24 cap again might be flexible. You could establish a
25 floor that would never go below that, which ensures that

1 long-term, stable revenue stream necessary to attract
2 investment, and in better economic times, maybe on an
3 annual basis you could increase the cap.

4 Again, I like flexibility in a system. I
5 don't want to be bound, but again, I want to do the
6 right things and try and move forward and advance not
7 only the legislative intent of moving forward with an
8 RPS, but the Governor's vision of doing so also for the
9 benefit of the State of Florida and our environment.

10 CHAIRMAN CARTER: Thank you.

11 MR. JACOBS: Thank you, Mr. Chairman.

12 CHAIRMAN CARTER: You're recognized. Please
13 state your name for the record, please. Push the
14 button. There you go.

15 MR. SUTTON: Thomas Sutton, Sunshine State
16 Solar Power. I echo the sentiments of everyone else,
17 that this is a workable framework, and we appreciate the
18 effort of Nathan.

19 I think, as Commissioner Carter indicated,
20 though, that the devil is in the details. And given
21 that this is an eleventh-hour change, when are those
22 details going to be worked out, and who will be working
23 them out?

24 But sitting here certainly and hearing what
25 some others have said, you know, it would be very

1 concerning to me to have a single box or to have
2 multiple boxes without hard allocations to them. I had
3 planned on commenting earlier, you know, about the draft
4 proposal that had been in front us, and I think it's
5 clear that a lot of people focused on cost. And there
6 are instances where that's rightly so, but each
7 investment has two sides to an equation. There's costs
8 and benefits, and I think the reason that wind and solar
9 and other technologies have carve-outs is because they
10 provide benefits that aren't captured in a dollar per kW
11 or an LCOE comparison. And to have one bucket and lump
12 everything in and find out that we choose just biomass
13 or choose whatever is the smallest cost I think is a
14 disservice, and it doesn't recognize those valves. So
15 when we get to the details and sit down and talk about
16 that, I think we need to consider those points.

17 CHAIRMAN CARTER: Thank you. Commissioner
18 Skop.

19 COMMISSIONER SKOP: Thank you, Mr. Chairman.
20 Just in response to Mr. Sutton, thank you for your
21 comments. Again, the devil is in the details, and
22 again, I didn't propose by any means that this should be
23 a substitute for the staff draft rule in its current
24 form, just as an alternative. But again, equally, I
25 would inspire staff that the concepts that I did present

1 could be readily reduced to a draft rule should staff be
2 willing to do. And again, we're in a very tight lead
3 time, but again, I think at least from what I see in the
4 staff proposal, it just says that, you know, 25 percent
5 of the money is going to Tier 1 and 75 percent of the
6 money is going to Tier 2, or vice versa. I'm a little
7 dyslexic. I don't have it in front of me at the moment.
8 But that just is a slice of a pie, where it's a
9 free-for-all. And again, that could just tie things up
10 in litigation for years, or protests or what have you.

11 And again, what I'm trying to do is listen to
12 each of the respective best ideas from each of the
13 respective stakeholders that have varying competing
14 interests and synthesize that into something that's
15 workable, that makes everyone marginally happy so we can
16 move forward and attract that investment and stimulate
17 our economy, and move forward with meeting the
18 legislative goals and the Governor's goals.

19 CHAIRMAN CARTER: Thank you, Commissioner. We
20 have -- let me just say this before we go further. We
21 were scheduled for 4:30, and I think everybody got the
22 calendar, and it was noticed. The meeting was noticed
23 and all like that. We'll extend briefly, but I did want
24 to give you guys an opportunity for questions before we
25 head out.

1 I know that my colleagues may have some more
2 questions, but what I was going to do is at least
3 extend, Commissioners, for maybe ten more minutes and
4 get some further comments on that. But as I said, we
5 did have the meeting noticed for 4:30. We're already
6 beyond that. But out of -- my grandma taught me good
7 manners, so I will extend it for an additional ten
8 minutes, because there are some people that had not
9 spoken that did want to speak.

10 So let's do this. We'll have the gentleman in
11 the dynamic -- I started to say goldenrod shirt, but
12 it's actually yellow. And then we'll go back like a
13 ping-pong ball to my left, to this gentleman here, and
14 Mr. -- I'm drawing a blank. Wait till you get to be 56.
15 Mr. Dobson, we'll come to you next.

16 You're recognized, sir.

17 MR. BESSETTE: Thank you, Mr. Chairman. My
18 name is David Bessette, and I am the president of the
19 Florida Solar Industry Association and a solar
20 contractor that has been installing solar in the State
21 of Florida for 30 years.

22 And I do want to give credit to the solar
23 industry for building the solar industry to this point,
24 and we really are looking forward to, you know, the RPS
25 as it will come out. And I do thank Mr. Skop for the

1 plan that he has come up with. We do support it.

2 I just wanted to make the comment that in all
3 the programs that I've seen so far, the solar thermal
4 has basically taken a back seat. It seems like everyone
5 is recognizing solar is PV, photovoltaics. The most
6 cost-effective solar that's available on the market
7 today is solar thermal. And I can say that because
8 there's thousands of people that I put solar on, and I
9 know it's about one-third the cost of a solar PV array.
10 Not even the folks from Navigant alluded to -- solar
11 thermal could have been included, but they did not do
12 that. Mr. Ballinger in his report alluded to the use of
13 solar thermal, which would have brought his cost down
14 significantly.

15 So the overall cost, when we're looking at
16 cost-effectiveness, I would just urge the Commissioners
17 to incorporate solar thermal into whatever program is
18 adopted or the draft rule. I think it would only be --
19 it would show improved financial responsibility for you
20 all to include it.

21 Also, the solar industry is looking forward --
22 I think Governor Crist also was looking at the RPS as
23 creation -- I was thinking, and maybe I'm reading it
24 into it, but also creation of jobs. You get much more
25 creation of jobs -- there will be a lot more jobs

1 created when you implement distributed generation
2 throughout the state, installing systems on roofs, on
3 homeowners' roofs, small business roofs, and commercial
4 roofs rather than going to very large solar farms. And
5 I think even Mr. Reedy and others would agree that the
6 land is valuable. We have to go on rooftops.

7 And that's all I really have to say, and I
8 just appreciate your time. Thank you very much.

9 CHAIRMAN CARTER: Thank you for your courtesy.
10 Yes, sir. You're recognized, sir.

11 MR. SINCLAIR: Thanks. My name is Mark
12 Sinclair. I work for a nonprofit called the Clean
13 Energy Group, which works with many states in the
14 implementation challenges that they face with their RPS
15 programs.

16 I think that Commissioner Skop's standard
17 offer approach has a great deal of merit and should be
18 seriously considered because of the predictability it
19 provides for financing of renewables.

20 I have one observation about the proposal.
21 Again, it's fairly sketchy, so my concern may be
22 misplaced, but I think it would be important for a legal
23 review of one issue, and that is the concept that you
24 can sell the attributes from this program out of state
25 to offset ratepayer impact. I haven't looked at your

1 statute closely, but if this isn't going to be a
2 mandatory renewable portfolio standard and there's a
3 standard contract, I'm assuming you will be purchasing
4 energy capacity and the attributes. And if that's so
5 and it's meeting a mandatory goal in Florida, I'm not
6 sure you're going to be able to readily sell those
7 attributes out of the state without a double counting
8 problem. I think that should just be looked at closely.
9 And you may have looked at this, so you've got a great
10 answer, but that was the one red flag that occurred to
11 me.

12 The other issue I just wanted to address is
13 the issue of the aggressiveness of eventual targets and
14 the potential rate impacts. It's obvious to me that the
15 stakeholders and the Commissioners are rightfully
16 concerned about the potential cost impacts of adopting a
17 serious RPS program. I want to point out that there has
18 been -- a lot of states have had this concern. And
19 recent analysis by Lawrence Berkeley National Lab, who
20 my organization works with closely on RPS issues, has
21 indicated that the expected bounds of rate impacts from
22 state RPS laws are really going to be modest. I brought
23 some comments and some slides, which I won't bother you
24 with, but the studies are reflected in those comments.
25 You can get links to the -- the links are there for the

1 studies.

2 Let me just throw out two findings. One of
3 the studies looked at 30 distinct cost impact analyses
4 completed since 1998 through 2007 and looked at 18 RPS
5 states. The key findings showed that projected rate
6 impacts of those RPS laws -- and they're all very
7 different -- are generally and relatively modest. In
8 fact, 70 percent of the studies predict base case retail
9 electricity rate increases of no greater than 1 percent
10 in any of the years, even when the RPS policy reaches
11 its peak percentage targets. In six of those state
12 studies, electricity consumers are expected to
13 experience cost savings as a result of the RPS policy.
14 Now, those are estimates, so it's looking in a crystal
15 ball.

16 There is now, however, in 2008 a study by
17 Lawrence Berkeley National Lab that confirms that the
18 rate impacts of state RPS policies have been modest to
19 date. Though the results vary across states, in most
20 cases, the rate increases so far are estimated at less
21 than 1 percent in 2007, and those rate impacts are
22 probably biased upwards due to the use of short-term REC
23 prices to assess costs.

24 And then this study also found, Lawrence
25 Berkeley National Lab, which is an objective analysis

1 group, that in a number of states, there's growing
2 evidence that energy contracted, renewable energy
3 contracted in recent years has been priced competitively
4 with conventional sources of generation. In fact, in
5 California, the majority of the renewables bought under
6 contract by the state utilities since 2002 have been
7 signed at prices that are below the market price
8 referent, which is new gas-fired generation.

9 So I think you should be concerned about cost
10 impacts, but not overly so, and you should set an
11 aggressive target that says that Florida is open for
12 renewable energy business.

13 And with that, I'll close. Thanks for your
14 time.

15 CHAIRMAN CARTER: Thank you. Let me do this.
16 Commissioners, it just dawned on me that there were a
17 couple of people who had signed up that didn't get a
18 chance to speak. Jim Dean from the Florida Pulp and
19 Paper Association, we'll come back to you.

20 MR. DEAN: Thank you very much. I'm Jim Dean
21 representing the Florida Pulp and Paper Association. As
22 you know, we've been participating in this hearing
23 process for about six months. We came prepared to
24 comment on the staff's and Navigant's work. And I guess
25 while I'm intrigued by the proposal, I was wondering,

1 what would be the process for us to kind of look at the
2 devil in the details, as Commissioner Skop referred,
3 given this time period? Is there going to be a written
4 proposal forthcoming and an opportunity to comment? If
5 you could maybe give me some direction on how I can get
6 with my clients and --

7 CHAIRMAN CARTER: We'll make it part of the
8 record, and that will be available. I'll speak to that
9 in a moment. I'm trying to get you guys that were in
10 here -- I mean, we've already extended, but I'm still
11 trying to get everyone here to be heard. But the record
12 will be available. I appreciate our court reporter
13 hanging in here. And I have not given her a break.
14 I've given all you guys a break, but I have not given
15 her a break yet.

16 Commissioner Skop.

17 COMMISSIONER SKOP: Mr. Chair, I'll make this
18 really quick. With respect to the questions just
19 presented, certainly I think I would welcome, as well as
20 I think our staff would welcome comments on anything
21 that people would have on what was presented. If they
22 have ideas on what the numbers should be, certainly I
23 think we would be open to hearing those. As far as the
24 review process, again, we're in a tight time frame.

25 And just quickly to the previous comment about

1 the double counting of the RECs, again, my
2 interpretation of the statute would be that the
3 legislative intent is for the economic investment and
4 the generation Florida, the energy component being the
5 driving factor of compliance.

6 So in my view, that would not be double
7 counting. The REC would be in its virgin state and could
8 be sold theoretically out of state, either a compliance
9 or a voluntary form, similar to what's done nationally
10 now.

11 But to me at least, this was an innovative
12 approach and interpretation which favors the ratepayer
13 and makes this more cost-effective for the consumers.
14 Even if it wasn't done, again, it would still be a valid
15 approach. I'm just looking to make it as cost-effective
16 as possible.

17 And in parallel to that, one of the comments
18 that we've heard from one of the utilities is the notion
19 of buying out-of-state RECs to comply with the in-state
20 requirement, and there is no way, absolutely, that I'm
21 in support of that, and I could not ask consumers in
22 good faith to reach into their pockets and buy an
23 out-of-state REC, which is thin air, to the benefit of
24 the provider of the REC. It just does not make good
25 policy or economic sense to me in these hard economic

1 times.

2 Thank you.

3 CHAIRMAN CARTER: Thank you. George Carvros.
4 George?

5 MR. CAVROS: Yes, Commissioner. George Cavros
6 on behalf of the Southern Alliance for Clean Energy. I
7 just wanted to thank the staff for their outreach to the
8 stakeholders during the RPS process and to Navigant for
9 producing the study, and also to Commissioner Skop for
10 his thoughtful, well thought out plan.

11 I basically just want to -- we want to urge
12 the Commission to protect the interests of ratepayers by
13 adopting a 20 percent target by 2020, by diversifying
14 the portfolio with assets that aren't subject to fuel
15 price shocks, for instance, solar energy. And in the
16 instance of biomass, you certainly have a stable fuel
17 stock. In that respect, you insulate customers from the
18 massive price shocks and price fluctuations in the
19 prices that they've been experiencing. And by bringing
20 more renewables into the Florida energy mix, you create
21 more certainty for consumers, not less, and you provide
22 more relief for consumers, not less.

23 The Navigant report demonstrates that Florida
24 has the resource potential to meet the Governor's call
25 for 20 percent renewables by 2020. We think it's an

1 important goal. It shows that Florida is open for
2 business. And it's important to gain economies of
3 scale, to jump-start the renewable energy industry here
4 in Florida. And it's often better to have a stretch
5 goal of 20 percent by 2020. That will definitely incent
6 that kind of investment in the state, rather than taking
7 baby steps and being really constrained at the
8 beginning, which will choke off any kind of meaningful
9 investment at the beginning.

10 And also, the RPS needed to achieve the 20
11 percent renewable energy target by 2020 can be achieved
12 at a modest cost. Based on our analysis of Navigant's
13 report, the rate impact of a 20 percent by 2020 RPS
14 would be about \$3.50 per month for a typical household
15 using 1,000 kilowatts of electricity.

16 And it's important to consider that rate
17 impact not in a vacuum, but in the context of previous
18 rate impacts and also ongoing rate impacts. And I won't
19 dwell on those. Suffice it to say, they've been very
20 significant and will continue to be significant in the
21 future, and those are happening because of fuel price
22 spikes and also spiking capital construction costs for
23 new nuclear plants.

24 I would just kind of echo what Mr. Reedy said
25 earlier. You can place ratepayers on -- there's two

1 trends. Conventional energy, because of the commodities
2 that are involved in constructing new plants and the
3 price fuel shocks, are trending upwards. Renewables are
4 trending downwards. And this Commission has a clear
5 choice on which path you want to put ratepayers, on a
6 trend of upward costs or a trend of downward costs. And
7 we think by being ambitious and putting out a strong
8 RPS, you will be protecting the ratepayers of Florida.

9 And thanks so much.

10 CHAIRMAN CARTER: Thank you, George. Dell
11 Jones.

12 MR. JONES: I'll defer. Thank you.

13 CHAIRMAN CARTER: Thank you. David, David
14 Bessette. You already spoke, didn't you? Thank you.

15 Okay. Let me go back to my list. Wayne.
16 Wayne, you're my man. Go ahead.

17 MR. WALLACE: Thank you, Chairman. My name is
18 Wayne Wallace. I'm representing the Florida Alliance
19 for Renewable Energy today. And also I'm a solar
20 contractor and distributor here in Florida, and I, like
21 David Bessette, have installed thousands of solar water
22 heaters and numerous solar electric systems, and we're
23 very grateful to be a part of the development of
24 renewable energy in these workshops, so thank you.

25 We've heard a lot of good things here today,

1 and as I study some of these policy mechanisms myself
2 and read as much as we possibly can to see what everyone
3 else is doing, you know, instead of trying to reinvent
4 the wheel, I think that, well, here we have the Governor
5 that has ordered more renewable energy, we have
6 ratepayers in Florida -- I myself am a ratepayer. Many,
7 many of our constituents and customers and businesses
8 that we work with, everybody wants renewable energy.
9 Most people do.

10 So how do we go about that? Well, it seems
11 like if we could just simply find the least cost policy
12 mechanism that puts forth the most renewable energy, it
13 would kind of be that simple. Well, we do have 45
14 countries that have found that policy mechanism. And I
15 did see the presentation over here from one of your
16 staffers on the feed-in tariff, and we also see that
17 Gainesville is supporting the feed-in tariff policy, we
18 have Hawaii that's supporting it, we have Los Angeles,
19 the City of Los Angeles, the California Energy
20 Commission, the United Kingdom, Switzerland.

21 So when we heard Mr. Karnas say that here
22 we've had all this renewable energy installed in
23 Germany, gigawatts of energy just within the last 12
24 months for about \$2.50 per ratepayer, it seems like
25 they're on to something with some low cost policy

1 mechanism, and also, they put forth an advanced, a
2 tremendous amount of renewable energy, not only through
3 PV, but bio and methane and waste heat. You know, you
4 name it, Germany has done it. So I think they're like a
5 poster child for the rest of the world to learn from, to
6 see how to go about advancing renewable energy for the
7 lowest cost.

8 So I have some comments here. I would like to
9 pass this over to you, if I may.

10 CHAIRMAN CARTER: That would be fine. Staff.

11 MR. WALLACE: And I also am a ratepayer for
12 one of the investor-owned utilities. I only have four
13 of these, so thank you.

14 CHAIRMAN CARTER: You don't mind wrapping it
15 up, do you, Wayne?

16 MR. WALLACE: Yeah, I will. I'll just close
17 with this comment.

18 I read in the paper that I'm going to be
19 paying about \$9 a month on my bill for a nuclear plant
20 come January that's not even built. So I think, geeze,
21 why am I paying \$9 a month for a nuclear plant that's
22 not built yet, and here in Germany they have a renewable
23 energy program, and they're installing gigawatts of
24 energy, specifically, a nuclear plant, 1.1 gigawatt of
25 PV last year for \$2.50 a month. So it just seems as

1 though we're going the wrong way.

2 But anyway, I wanted to comment.

3 CHAIRMAN CARTER: Thank you.

4 MR. WALLACE: Thank you.

5 CHAIRMAN CARTER: Gwen Rose.

6 MS. BROWNLESS: She was our person.

7 CHAIRMAN CARTER: Thank you, thank you, thank
8 you. I want to try to be fair to everyone.

9 Thomas Sutton.

10 MR. SUTTON: I spoke.

11 CHAIRMAN CARTER: Thank you. All right. I'm
12 going down my list. We're already beyond our time, but
13 I want to make sure that the people that signed up at
14 least got an opportunity to be heard.

15 Roy Ratner.

16 MR. RATNER: I'll pass. I agree with Wayne
17 Wallace. Thank you.

18 CHAIRMAN CARTER: Okay. Mr. Dobson, you've
19 got two minutes. You can use it from right there.

20 MR. DOBSON: This is only going to take 30
21 seconds. I really don't have much, but I do want to
22 thank the Commission for all the work that it has done
23 over the last, frankly, two years, because I think we
24 started having a variety of presentations in 2007 on
25 this issue, and for the proposal by Commissioner Skop.

1 I think it really takes us in the right direction.

2 Let me back up a little. I represent the
3 Florida Renewable Energy Producers Association, and our
4 members consist of a variety of large-scale renewable
5 developers.

6 And I think when we first started this
7 process, I made the comment that from outside of Florida
8 and within Florida, in the renewable development
9 community, the sign is always saying, "Well, Florida is
10 closed for business." But what I'll tell you is that
11 what we've done today sends a signal that, well, you
12 know, we're beginning to be open for business. And
13 there's a lot more work to do at the next couple of
14 steps, but I just really want to thank you guys for all
15 the work, and I look forward to continuing to work with
16 you.

17 CHAIRMAN CARTER: Thank you. Commissioner
18 Skop.

19 COMMISSIONER SKOP: Thank you, Mr. Chairman.
20 Just real quick on the handout that staff just gave from
21 FARE, something that concerns me is that the footer
22 says, "Strictly confidential. For information purposes
23 only." I think they've disseminated it publicly, so I
24 think that would waive confidentiality. But that gives
25 me some pause, so I thought I would mention it. It's on

1 the left-hand side.

2 MR. WALLACE: That's fine.

3 COMMISSIONER SKOP: All right. Thank you.

4 CHAIRMAN CARTER: That's Wayne. You know
5 Wayne. Wayne's World, you know.

6 Mr. McGlothlin.

7 MR. MCGLOTHLIN: Yes, a quick request.

8 CHAIRMAN CARTER: Please.

9 MR. MCGLOTHLIN: It will be quick.

10 CHAIRMAN CARTER: Okay.

11 MR. MCGLOTHLIN: Still on the table is the
12 proposed draft rule, and the central or the most
13 fundamental debate with respect to that is whether to
14 have the 75-25 split or to have no split. The Navigant
15 studied one case of 75-25 and arrived at a value for the
16 energy from renewables that could be expected with that
17 assumption. They did not address the other case, and
18 the situation begs for Navigant to follow through and
19 modify its assumptions, turn the crank, and give us the
20 corresponding case for no allocation.

21 CHAIRMAN CARTER: Thank you, Mr. McGlothlin.
22 As I said to you this morning, you are consistent.
23 We've heard you.

24 Staff, I'm going to waive closing comments,
25 so, Ms. Miller, you can kind of bring everybody in for a

1 landing.

2 Commissioners, let me apologize to you. We
3 did go overtime, but I think we got a stimulating
4 discussion from all of the parties, and it was important
5 for us to hear from everyone that was here, and we did
6 hear from everyone that was here. As they say, it
7 wasn't pretty, but, hey, you know, a win a still a win.

8 MR. RUDD: Commissioner, with your permission.

9 CHAIRMAN CARTER: Mr. Rudd.

10 MR. RUDD: A lot of good points were brought
11 up today, and Commissioner Skop's proposal definitely
12 deserves merit. But with that, as everybody has pointed
13 out, the devil is in the details, and staff would
14 request, with your permission, to go ahead and proceed
15 working on those details and provide alternative rule
16 language to the current rule, as well as some
17 alternative concepts, such as the one that Commissioner
18 Skop has proposed.

19 CHAIRMAN CARTER: Absolutely, because I think
20 what Commissioner Skop did was, his comments kind of
21 flowed within the context of the rule, so that should be
22 easy to do. That should be easy to do.

23 Ms. Miller.

24 MS. MILLER: Yes. As we stated earlier,
25 post-workshop comments, if you have any, are due

1 December 8th. We need the comments to be filed in the
2 docket file at the Clerk's office. A transcript of the
3 workshop will be prepared and posted by December 12th.
4 We understand the situation, but we need the comments in
5 by the 8th.

6 MS. BROWNLESS: Is it possible that we could
7 turn our comments in by the 10th, which would be a week
8 from today, for those of us that have --

9 CHAIRMAN CARTER: No rest for the weary.

10 MR. FUTRELL: Mr. Chairman, one thing that may
11 be helpful to the parties is, we will make every effort
12 to try to get the audio file put up on the website, and
13 that may be done within the next day or two, and that
14 may assist the parties.

15 Again, as you have mentioned many times, we're
16 under a strict deadline, and we will begin working very
17 soon to meet, as Mr. Rudd summarized, the requirements
18 to give you a work product for January 9th. So as soon
19 as the parties can get us their comments, we'll be able
20 to incorporate those into our thinking.

21 CHAIRMAN CARTER: We have to adhere to our
22 time, because, really, we didn't even have this
23 scheduled. We did this out of courtesy, so -- I can't
24 be too much more courteous or we'll never get anything
25 done.

1 So let me just take a moment to express our
2 profound appreciation to our court reporter, who went
3 without a break. We usually give a break. We went
4 overtime, double time. But I want to thank you on
5 behalf of my colleagues here on the Florida Public
6 Service Commission for your going above and beyond the
7 call of duty.

8 Commissioners, I think that I'm going to waive
9 my post comments.

10 Ms. Miller, anything further?

11 MS. MILLER: Nothing further.

12 CHAIRMAN CARTER: Okay. With that, we are
13 adjourned.

14 (Proceedings concluded at 5:05 p.m.)
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER


STATE OF FLORIDA:

COUNTY OF LEON:

I, MARY ALLEN NEEL, Registered Professional Reporter, do hereby certify that the foregoing proceedings were taken before me at the time and place therein designated; that my shorthand notes were thereafter translated under my supervision; and the foregoing pages numbered 1 through 239 are a true and correct record of the aforesaid proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor relative or employee of such attorney or counsel, or financially interested in the foregoing action.

DATED THIS 12th day of December, 2008.


MARY ALLEN NEEL, RPR, FPR
2894-A Remington Green Lane
Tallahassee, Florida 32308
(850) 878-2221