

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 080317-EI

In the Matter of:

PETITION FOR RATE INCREASE BY
TAMPA ELECTRIC COMPANY.



VOLUME 12

Pages 1741 through 1948

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING.
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN MATTHEW M. CARTER, II
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER KATRINA J. McMURRIAN
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

DATE: Wednesday, January 28, 2009

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LORI DEZELL, RPR, CCR

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE

00736 JAN 29 8

FPSC-COMMISSION CLERK

INDEX

WITNESS	PAGE
---------	------

WILLIAM R. ASHBURN	
--------------------	--

Continued Cross-Examination by Ms. Kaufman	1744
Cross-Examination by Mr. Twomey	1798
Cross-Examination by Ms. Brown	1808

J. RANDALL WOOLRIDGE, Ph.D.	
-----------------------------	--

Direct Examination by Ms. Christensen	1852
---------------------------------------	------

CERTIFICATE OF REPORTER	1948
-------------------------	------

EXHIBITS

NUMBER		ID.	ADMT.
113	Load Research Report	1746	1840
114	Document titled Open Lines	1785	1840
115	(Late-Filed) 1250 kilowatt inversion point	1792	
116	(Late-Filed) Revision to TECO's Response to Interrogatory No. 230	1810	
31			1839
30 and 86			1839
117	(Late-Filed) RRA Report	1850	
118	TECO MFRs	1851	

P R O C E E D I N G S

CROSS-EXAMINATION (CONTINUED)**BY MS. KAUFMAN:**

Q Now, if you turn to your rebuttal testimony, actually at the bottom of page 4, going over to the top of page 5 there, you are talking about the difference in service characteristics in the three classes, correct?

A That's correct.

Q And I take your testimony there you -- you recognize that there are differences among the three classes but you don't think they're significant enough to prevent the combination that you're seeking in this case, right?

A Two -- two parts. That's one part, is that the significance of difference is not enough to justify keeping them separate. The second is that the rate design I'm proposing for the GSD recognizes many of the differences I'm describing here just in the rate design, and therefore they're captured within the rate design of GSD, so the differences aren't critical but it wouldn't be keeping an IS group separate anymore.

Q So you think there are significant differences, but you think that you have ameliorated those through the rate design --

A In part, yes.

1 **MS. KAUFMAN:** Mr. Chairman -- Madam Chairman,
2 excuse me. I'm distributing a document. If we
3 could have it identified, I guess it's -- I guess
4 it's 113.

5 **THE WITNESS:** Thank you.

6 **MS. KAUFMAN:** Sure. And I think we could call
7 it Load Research Report.

8 **COMMISSIONER EDGAR:** Okay. Let me --
9 Ms. Brown, I think I may have missed one of the
10 last ones, so hold on for just a second. What
11 number?

12 **MS. BROWN:** I have exhibits up to 113.

13 **COMMISSIONER EDGAR:** As do I. I thought maybe
14 I had missed one.

15 **MS. KAUFMAN:** I'm sorry. I missed one.

16 **COMMISSIONER EDGAR:** That's all right.

17 **MS. BROWN:** So we would be at 114.

18 **COMMISSIONER EDGAR:** Well, I think we decided
19 not to use 113.

20 **MS. BROWN:** That's right.

21 **COMMISSIONER EDGAR:** That's what I had, but
22 again -- so I think we're all on the same page, and
23 if I need corrected later we can do that. But as
24 we are now, we will mark this as Exhibit 113. And,
25 Ms. Kaufman, you said Load Research Report?

1 **MS. KAUFMAN:** Yes, ma'am.

2 **COMMISSIONER EDGAR:** Okay. We will so mark
3 and go from there. Thank you.

4 (Exhibit No. 113 was identified.)

5 **BY MS. KAUFMAN:**

6 **Q** Okay, Mr. Ashburn, you're familiar with this
7 document, are you not?

8 **A** I did not prepare it but I do know what it is,
9 yes.

10 **Q** Okay. You've seen it before?

11 **A** Yes.

12 **Q** And would you agree or accept subject to check
13 that Tampa Electric is required to file this report
14 pursuant to Commission rule?

15 **A** I agree, that's true.

16 **Q** And Tampa Electric files it every year,
17 correct?

18 **A** That is correct.

19 **Q** Take a look at -- I have not provided the
20 entire report, I've only provided the pages that I want
21 to talk to you about, so if you would flip to the second
22 page, which is actually Bates stamped 22.

23 **A** I have that.

24 **Q** Okay. And this page shows class total monthly
25 energy, right?

1 **A** That is what it shows.

2 **Q** And it shows the energy that is consumed by
3 each class, correct? By month?

4 **A** By month, yes.

5 **Q** Okay. And I guess we might just go down to
6 the total, though we could look at each month. You
7 would agree with me, would you not, that there is a
8 significant difference between the amount of energy
9 consumed by the IS class and the amount consumed by the
10 GSD class?

11 **A** There is certainly a difference, yes.

12 **Q** Take a look at the next page, which is Bates
13 stamped 23. And this shows us the customer average
14 monthly energy usage by kWh, correct?

15 **A** That's what it does.

16 **Q** Okay. And let's just look at December, though
17 I think we could really look at any month. And again,
18 there's a significant difference between the IS class
19 and the GSD class, correct?

20 **A** That is correct.

21 **Q** And the next page is page 24, which shows us
22 coincident peak load factor?

23 **A** That's what it shows.

24 **Q** Can you tell us what coincident peak load
25 factor is?

1 **A** It's looking at the coincident peak of the
2 class, which isn't necessarily that class's peak on its
3 own, and then compares that peak demand with the energy
4 use it consumes during that month. So that's why in
5 some cases the load factor can be higher than
6 100 percent because it's lower than the total system
7 peak of the -- the total peak of the class as a whole.

8 **Q** And you would agree, would you not, again, if
9 there's a pretty significant difference, for example,
10 between the GSD class and the IS class?

11 **A** There is a difference, yes.

12 **Q** Now, I take it from your summary that you are
13 familiar with Mr. Pollock's testimony, because you
14 referred to it several times?

15 **A** Yes.

16 **Q** Do you have Mr. Pollock's testimony with you?

17 **A** I think I do. Let me get it.

18 **Q** Thank you.

19 **A** I have it.

20 **Q** Okay. Take a look at -- if you flip back to
21 Mr. Pollock's exhibit, take a look at Exhibit JP-5 if
22 you would.

23 **A** I have that.

24 **Q** Okay. And in this exhibit, Mr. Pollock is --
25 he sets out the different usage characteristics of the

1 three classes that we're talking about; is that right?

2 **A** He sets out certain differences, yes.

3 **Q** Okay. We were talking a little bit earlier
4 about the sub-transmission customers, weren't we? Take
5 a look at line three of Mr. Pollock's exhibit, and would
6 you agree that over half of the IS customers take
7 service at the sub-transmission level?

8 **A** Yes, that is true.

9 **Q** And that's compared to one-half of one percent
10 of the GSLD customers, right?

11 **A** That is correct.

12 **Q** Now, in your rebuttal testimony, you attached
13 what you've called scattergrams?

14 **A** Yes, I did.

15 **Q** And, as I understand it, the purpose of those
16 scattergrams is to attempt to show the similarity among
17 the three classes?

18 **A** Well, they were intended to show -- intended
19 to show relationships among the groups of customers
20 within those classes, and to show the relationship
21 particular of monthly coincident factor with monthly
22 load factor, and show the relationship of those two
23 together to show the relationship of the whole group and
24 to show that there was some homogeneity within the
25 groups for the GSLD and GSD, but not so much homogeneity

1 within the IS group, and that there was therefore no
2 particular reason they should remain as a group, but
3 could be folded in with the GSLD and the GSD groups.

4 **Q** Can you -- can you turn to -- I guess this is
5 your rebuttal Exhibit WRA-2.

6 **A** Yes.

7 **Q** And there's three pages, but let's just look
8 at the first page, which is an example of the
9 scattergrams, correct?

10 **A** Yes.

11 **Q** Now, these charts or these scattergrams are by
12 customer account, correct?

13 **A** They are.

14 **Q** They are not by customer.

15 **A** That's correct. There are -- there are -- one
16 customer in particular has the vast majority -- not the
17 vast majority, a majority of the accounts within IS, and
18 there are a couple of other customers who have two
19 accounts. But this is by account, not by customer.

20 **Q** You anticipated my question and that is, it's
21 true, isn't it, that often in the interruptible class a
22 customer, one customer will have multiple accounts?

23 **A** Yes.

24 **Q** And --

25 **A** Well, let me -- let me caveat that. It used

1 to be frequent there were several customers who have
2 would have multiple accounts. Over the years those
3 several customers have acquired each other, and there's
4 now basically one customer that has the majority of
5 multiple accounts, and there's a couple that have one or
6 two.

7 **Q** Okay. And so because you've done this by
8 customer account as opposed to by customer, we can't
9 tell anything about the size of any particular customer
10 in these scattergrams?

11 **A** That is correct. This does not reflect size
12 of the customer's load. It just looks at load factor
13 and coincident factor, which is a percentage, and
14 therefore you can't see size.

15 **Q** And would you agree that the scattergrams that
16 you've provided would look different if you had done it
17 by customer as opposed to customer account?

18 **A** They would look different, I would agree. I'm
19 not sure they would have meaning but they would look
20 different.

21 **Q** Well, they would certainly tell us about the
22 size of the particular customers, right?

23 **A** Well, to us a customer account is a customer.
24 We do have a customer who has 20-something accounts, but
25 we do deal with each meter independently for purposes of

1 rate design, not by group.

2 **Q** Right. But I think that we've already
3 established, have we not, that you can have one
4 customer, one company, one interruptible enterprise that
5 might have multiple accounts are still one customer?

6 **A** That is true. We deal with one customer.

7 **Q** I want to switch gears a little bit on you,
8 Mr. Ashburn. We talked about this some in your
9 deposition. But you would agree with me generally,
10 wouldn't you, that production plants should be
11 classified to demand?

12 **A** Well, I wouldn't generally agree with that. I
13 would say that production plant absent other factors is
14 a demand-related cost, yes.

15 **Q** So absent some -- some special circumstance it
16 should be classified to demand, production plant?

17 **A** Well, for example, that's true, but when we do
18 certain allocations, for example, the Commission
19 requirement is to file a cost of service with a 12 CP
20 and 113th. So in that case 113th of that production
21 plant is classified and allocated on energy, and my
22 proposal is to increase that to 25 percent. So a
23 portion of that production plant that is -- you're
24 saying is generally called demand has some energy
25 allocation. And in addition, I'm identifying certain

1 pieces of equipment that should be allocated on energy
2 that are in the production area.

3 **Q** Understood. As a general rule, however,
4 production plant should be classified to demand?

5 **A** As a fallout if you don't have other factors I
6 would say that.

7 **Q** Now, when Tampa Electric builds a plant and it
8 seeks a determination of need from the Commission to
9 bring a new plant on line, it's doing so so that it can
10 provide reliable service to its firm customers and so
11 that it can meet its reserve margin requirements,
12 correct?

13 **A** In part. It's seeking to serve all of the
14 customer load in a reliable fashion, and that includes
15 at times of peak and providing energy in the most
16 cost-effective manner. So we do factor in all factors,
17 including energy that's going to be produced, into that
18 analysis.

19 **Q** I think when we started our discussion, you
20 did agree with me that you don't consider the demand of
21 interruptible customers when you're deciding what
22 capacity to bring on line?

23 **A** Yes, I told you we don't consider their peak
24 demand but we do consider their energy use.

25 **Q** I want to talk for a second about the

1 classification of the scrubber. And you're familiar
2 with that issue and the fact that you and Mr. Pollock
3 disagree on how that should be done?

4 **A** That is correct.

5 **Q** The scrubber removes emissions; is that
6 correct?

7 **A** Yes. Its function is to remove emissions from
8 the gases that come out from the combustion of coal at
9 the power plant.

10 **Q** And Mr. Pollock has recommended the scrubber
11 be classified to demand, and you've recommended that it
12 be classified to energy, correct?

13 **A** I'm recommending that it continue to be
14 classified to energy.

15 **Q** Did you hear Mr. Hornick's testimony? I think
16 it was yesterday.

17 **A** I may have still been driving up here. I
18 don't think I heard much of it.

19 **Q** I want to say yesterday. So you did not hear
20 his testimony?

21 **A** I don't believe I did.

22 **Q** Would you accept subject to check that
23 Mr. Hornick testified that once the SRCs are installed
24 on the Big Bend units that they will not be permitted to
25 run without the scrubbers?

1 **A** Are you talking about the SCRs?

2 **Q** What did I say? Yes, I'm talking about the
3 SCRs.

4 **A** I did not hear his testimony so I don't know
5 what he said.

6 **Q** Well, would you accept subject to check that
7 that was his testimony?

8 **A** I don't know what he said so I don't know the
9 context of the question or the answer, so I --

10 **Q** Well, I guess the record will speak for
11 itself. Those SCRs were put on -- were put on and are
12 being put on those plants in order to comply with the
13 settlement that the company entered into with the
14 federal DEP and the state DEP, correct?

15 **A** That's my understanding.

16 **Q** Okay. And in your testimony, your rebuttal,
17 at page 12, line 4, you're careful to say there that
18 there's no engineering requirement that the scrubber has
19 to operate for the unit to operate. Would you agree
20 that the scrubbers must be on the plants in order to
21 comply with your settlements with the two DEPs?

22 **A** That's why they're being installed is to
23 comply with those obligations, that's correct.

24 **Q** So -- so while they may be able to physically
25 operate they could not operate and be in compliance with

1 your settlement, correct?

2 **A** Absent -- absent other factors. There may be
3 emergencies or waivers or other things that could
4 require -- allow us to run them without them. We're not
5 required to run with them.

6 **Q** Well, absent some extraordinary circumstance
7 from -- in which you've received or sought a waiver in
8 accord with your settlement with the two environmental
9 agencies, in order for those plants to operate the
10 scrubbers have to be on them; is that right?

11 **A** I don't know all the details of exactly the
12 settlement. My understanding is they are intended to
13 operate with the SCRs on.

14 **Q** In your direct testimony you were talking
15 generally about rate design. I think that you said that
16 one of the criteria you used in designing rates was
17 revenue stability and continuity. Does that sound
18 right?

19 **A** That's one of them, yes.

20 **Q** And would you agree that that is certainly an
21 important element of rate design?

22 **A** That is one of the elements, yes.

23 **Q** And would you agree it's an element that the
24 Commission ought to consider in designing rates?

25 **A** I think the Commission probably has considered

1 that in the past when approving rate designs.

2 Q And would you agree they should consider it in
3 this case?

4 A Yes, they should take that into consideration.

5 Q Okay. Would you also agree with me that, once
6 base rates are set in this case, they -- the base rates
7 will remain the same until there's another rate
8 proceeding?

9 A Until the Commission changes the base rate,
10 the rates will stay the same. How the revenues are
11 collected may not, but the rates themselves would stay
12 the same.

13 Q So whatever the Commission decides in this
14 case, the rates will stay the same until the company
15 comes in for another rate case, correct?

16 A Until the Commission approves a change.

17 Q So the customers generally are going to know
18 what their base rates are and they're going to remain
19 fixed; would you agree with that?

20 A To the extent they understand base rates, yes,
21 they would know that.

22 Q Now, I want to talk about your -- what I'll
23 call your credit approach for the interruptible
24 customers. And, as I understand it -- and correct me if
25 I'm wrong -- the interruptible customers will be treated

1 as firm customers and then they will receive a credit to
2 reflect the fact that they can be interrupted in the --
3 I like to call it the inferior nature of their service;
4 is that right?

5 **A** Well, let me say it this way.

6 **Q** Well, if you could just answer yes or no.

7 **A** I would say no to what you said. Let me try
8 to say it and see if you'll agree with this way. What
9 my proposal is is to treat the current IS customers as
10 firm customers in the cost of service for purposes of
11 allocating cost to them and developing base rates, and
12 then the interruptible service would be recompensed
13 through the credit mechanism, through the GSLM-2 and 3.
14 But I think that's what -- I think that's fine. I think
15 you'd agree with that.

16 **Q** Okay. So -- just so that we are on the same
17 page with this --

18 **A** Right.

19 **Q** -- they -- it is your proposal that the
20 interruptible customers receive a credit to reflect the
21 nature of the service they're receiving?

22 **A** I would agree with that.

23 **Q** Okay. But rather than remaining fixed, like
24 base rates do as we've just discussed, that credit is
25 going to change and vary in between rate cases, correct?

1 **A** It may, yes.

2 **Q** Would you agree with me that fluctuation in
3 the credit is going to impact what the interruptible
4 customers will pay and their ability to predict what
5 they will pay?

6 **A** Try the question again. There's a lot of
7 elements there.

8 **Q** Let me try that. It was probably a compound
9 question. I think you would agree with me that the
10 credit that you're proposing to extend to the
11 interruptible customers is going to change and very
12 between rate cases, correct?

13 **A** I said it may. I mean, it's subject to a
14 proceeding and the credit was reset again last November
15 and it's subject to being reset every year. But it may
16 stay the same. I don't know what it will be in the
17 future.

18 **Q** But it may change too, correct?

19 **A** It could, just like base rates could change in
20 a rate case.

21 **Q** Okay. But the credit is not going to be
22 changing in base rates, right?

23 **A** That's correct. The proposal is it would
24 follow the credit mechanism we already have in place and
25 it's a conservation program and that's subject to change

1 in the conservation docket.

2 **Q** Okay. So since that credit is subject to
3 change and fluctuation or may be subject to change and
4 fluctuation, that is going to impact the interruptible
5 customers' ability to predict what they're going to pay;
6 isn't that right?

7 **A** What they're going to pay or what they're
8 going to get? I mean, they're going to get a credit.
9 They're not paying a credit.

10 **Q** Well --

11 **A** They're getting a credit.

12 **Q** Okay.

13 **A** But what they pay for their bill but what they
14 receive as a credit is what you meant, I think.

15 **Q** Yes. It's going to impact the bottom line --

16 **A** It -- it changes their ability to predict. On
17 the other hand they have to predict all the elements of
18 rates which change, including the clauses which change
19 every year in the same period of time.

20 **Q** But base rates don't change?

21 **A** That is correct, they do not change until a
22 rate case. Well, like we're in now, and that is subject
23 to a different uncertain future as well.

24 **Q** But the credit is, as you just said, is
25 uncertain and it will or may change between rate cases,

1 especially if we have a 16-year lag till we're all
2 together again?

3 **A** It may change. I will add also that the
4 GSLM-2 and 3 credit mechanism has a lock-in period, so
5 that once you have established the number that you're
6 going to have credited to you, it's set for a three-year
7 period, which -- which and then relock during that
8 three-year period if you feel the new credit that's
9 being provided by the company is a better credit or one
10 you'd prefer to set up. So to some extent they have a
11 little bit of control over what that rate is going to be
12 by whether they lock or don't lock that credit going
13 forward.

14 **Q** The maximum --

15 **A** Gives them a little bit of -- I'm sorry.
16 Gives them a little bit of control over what they're
17 going to receive as a credit.

18 **Q** The maximum period they can lock in the credit
19 though is three years, right?

20 **A** That is correct.

21 **Q** So if we -- if we go 16 years without a rate
22 case -- I hope I did my math here correctly -- the
23 credit could change six times?

24 **A** Well, the credit could change 16 times, but
25 their ability to lock and change would be, as you said,

1 six times.

2 **Q** Six times. You would agree with me that
3 certainly there would be greater rate stability if that
4 credit were fixed between rate cases, wouldn't there?

5 **A** It would provide rate stability for the
6 customer, but it may not be an appropriate mechanism to
7 reimburse them for the value of their interruptible
8 service.

9 **Q** And I think you already agreed as we began
10 this discussion that rate stability was a factor that
11 the Commission should look at in this case.

12 **A** Rate stability, meaning the rate structure
13 stability, that it stays the same. The rate level could
14 vary and so stability of that is also a value. But it
15 may not be more valuable than having the structure stay
16 the same.

17 **Q** Do you think it's important for customers to
18 have rate stability between rate cases?

19 **A** Say that question again.

20 **Q** Wouldn't you agree that it is important for
21 customers to have rate stability between rate cases?

22 **A** Well, they have rate stability between rate
23 cases. The rates stay the same until the next rate
24 case, so they do have that rate stability.

25 **Q** But they don't have that stability as to the

1 credit, correct?

2 **A** Until the next case, when the lock-in period
3 ends and they set the new case, the new number.

4 **Q** Right. But you're talking about a different
5 docket. I want to stay focused on the rate case. They
6 don't have the stability of knowing that the credit will
7 remain the same until the next time you come in for a
8 rate case?

9 **A** That is true. They also lose the opportunity
10 to get a bigger credit if the credit goes up.

11 **Q** You and Mr. Pollock also disagree over the
12 dollar amount of the credit, correct?

13 **A** Yes.

14 **Q** And you would agree with me, would you not,
15 that the credit that you -- that you are recommending is
16 based on avoiding a CT in -- is it in 2012?

17 **A** Well, first, I am not recommending the credit.
18 The credit has been approved in the prior docket by the
19 Commission in the conservation docket. I'm just
20 reporting what the current credit is. So I'm not
21 recommending the credit.

22 **Q** It's based on the avoidance of a CT, is it in
23 2012?

24 **A** I believe that's correct.

25 **Q** Okay. And we're in 2009 now, obviously. So

1 it doesn't assign any value for any plant that might be
2 avoided from 2009 till 2012, right?

3 **A** No. It looks at our next avoided unit, which
4 is the 2012 CT.

5 **Q** And it certainly doesn't assign any value for
6 any plant that has been avoided in the past, does it?

7 **A** No. Because the value to the ratepayers and
8 to the company of the interruptible service is what can
9 be avoided in the future.

10 **Q** But we've already agreed that interruptible
11 customers have certainly avoided plant in the past,
12 correct?

13 **A** But their value is going forward, because they
14 could tomorrow ask to become firm customers, and it's
15 what they're avoiding now is what's important.

16 **Q** I understand. But they have avoided plant in
17 the past, correct?

18 **A** We have not built some power plant because of
19 our interruptible service, that is correct.

20 **Q** I just have one other area that I'd like to
21 talk to you about, Mr. Ashburn, and that has to do with
22 your -- the inverted energy rate that you're proposing.

23 **A** The residential rate?

24 **Q** Right. I think you talked about that in your
25 direct at page 52.

1 **A** Yes.

2 **Q** And on that page at line 3, you talked about
3 the fact that the Commission has approved a similar
4 proposal for FPL and Progress, correct?

5 **A** That is correct.

6 **Q** Now, if I understand the way this works,
7 residential customers pay one rate up to a thousand kWh,
8 and on that first one thousand they receive a 10 percent
9 discount?

10 **A** No, that's not exactly right. The first
11 thousand kilowatt hours is set at a certain price.
12 At -- all kilowatt hours above a thousand kilowatt hours
13 are at that price plus one cent per kilowatt hour. So
14 it adds -- it's a higher block and the price jumps at a
15 thousand kilowatt hours the one cent, and then that
16 applies to all kilowatt hours past one thousand kilowatt
17 hours.

18 **Q** Okay. So over 1,000 you add the one cent?

19 **A** That's correct.

20 **Q** Is this supposed to be a conservation program?

21 **A** It's intended to provide a conservation
22 incentive to residential customers because it tells them
23 that the price of energy as you use more is more
24 expensive to the system, and so it gives them a price
25 signal to become more conservation-oriented. It gives

1 them an ability at the margin, particularly the larger
2 users, to have a higher price to compare against
3 investments they're going to make into new appliances
4 and weatherization of their homes and so forth. So it
5 makes it more cost-effective if they're going to be make
6 investments in their home or in their appliances.

7 **Q** I'm not sure I heard the answer. So does
8 Tampa Electric view this rate as some kind of
9 conservation program?

10 **A** No. It's a conservation pricing mechanism.
11 It's not a conservation program.

12 **Q** But it's -- it is intended to have residential
13 consumers reduce consumption?

14 **A** It's intended to give them appropriate price
15 signals and we're hoping they have a conservation
16 response to it, and therefore perhaps use less energy at
17 the higher end.

18 **Q** Do you expect this rate to lead to reduced
19 sales?

20 **A** We hope to.

21 **Q** And would it be correct that if it does and
22 sales decline you may need to come back for further rate
23 relief?

24 **A** That depends. It depends on if the decline is
25 enough to matter to cause us to have to recover the

1 cost. The other part of that is to the extent that they
2 use less energy, they may use less of it on peak, and
3 therefore we would not need to build that to any 2012
4 peak that you were talking about earlier, and therefore
5 the reduced cost of having to add that generator means
6 we don't have to come back.

7 **Q** Have you done any studies to figure out what
8 Tampa Electric projects the impact of this rate to be?

9 **A** No, we have not.

10 **Q** So you don't know what impact it's going to
11 have?

12 **A** We do not know, no.

13 **Q** Now, you would agree with me that a thousand
14 kilowatt hours is not the typical residential bill, is
15 it?

16 **A** The average residential bill is around 1250 or
17 so, so it's slightly below that.

18 **CHAIRMAN CARTER:** Commissioner Skop.

19 **COMMISSIONER SKOP:** Thank you, Mr. Chairman.
20 Good afternoon, Mr. Ashburn.

21 **THE WITNESS:** Good afternoon.

22 **COMMISSIONER SKOP:** With respect to the
23 question that was just asked, and we heard quite a
24 bit of consumer comment I think during the service
25 hearings with respect to the thousand is lower than

1 the average household consumption of a small
2 residence, is -- is a thousand an appropriate
3 number for that inversion point, or should it be
4 the average consumption? I know that we want to
5 incentivize conservation.

6 But again, if you're -- you know, particularly
7 for low income consumers that are using, you know,
8 1200 kilowatt hours or 1100 kilowatt hours per
9 month, I mean, they could see a higher increase for
10 that incremental consumption that is, you know,
11 with the thousand being below the average
12 consumption.

13 **THE WITNESS:** We chose a thousand in great
14 reason because that's what's been used with the
15 other companies, and it was certainly recognized
16 and utilized by those companies, some for many,
17 many years. Certainly it's below the average.
18 We -- I have not done any recent studies, but when
19 we talked about this many years ago here at the
20 Commission, we did some analysis that -- with the
21 staff, which did some determination about whether
22 income and energy use are associated. And it's
23 true that many people think that low income people
24 use less energy. It's not always true, as you
25 said. And so it's not really chosen to deal with

1 income values, and it's not intended to. It's
2 simply intended to give the price signal at an
3 appropriate point, and we picked a thousand because
4 it had been chosen before and -- by the other
5 companies and seems to have been accepted over
6 time.

7 **COMMISSIONER SKOP:** And just in response to
8 that, I think my concern would be to the extent
9 that the thousand does not represent the low end of
10 the average consumption, you know, that could be up
11 for discussion, but also to previously on that
12 thousand that's used as the benchmark, and I think
13 that's been the subject of discussion at Commission
14 proceedings to the extent that it doesn't reflect
15 the average bill impact because people use more
16 than the thousand, it's more like 1200, so it's so
17 much of a not true representation.

18 But I think also too historically, you know,
19 that -- at least when I grew up we had much smaller
20 houses than new construction today. I think my
21 parents' house was 1700 feet, which is a mere
22 pittance. I've seen apartments that big today.
23 But it was what it was back then in better times.

24 I just wanted to get some perspective on why
25 the thousand was appropriate, and I know that we've

1 had some consumer concern about that too, so it's
2 good to flush that out. Thank you.

3 **CHAIRMAN CARTER:** Let me go with Commissioner
4 Argenziano, then Commissioner McMurrian.

5 **COMMISSIONER ARGENZIANO:** Well, I have several
6 questions. But to that point, we flushed it out
7 but I'm not sure it does any good, because --

8 **THE WITNESS:** You're not sure if it's stopped
9 up or went down the drain.

10 **COMMISSIONER ARGENZIANO:** No. And to be very
11 blunt, but if you're using a thousand, if the
12 average is using a thousand, and of course you have
13 families of three and four children too, which I
14 think somehow get penalized for having more people,
15 and I guess the more you use. But if you're using
16 a thousand as the number and 1200 is the average,
17 well, isn't that a way just for the company simply
18 to make more money?

19 **THE WITNESS:** Well, no, it doesn't make any --
20 where we set the crossing point makes no difference
21 as far as the design, as far as we're collecting
22 the same amount of money. We would have changed
23 the different rate points if we had set it at 1250
24 or 1500 or any other amount to collect the same
25 amount of revenue.

1 **COMMISSIONER ARGENZIANO:** Okay. But, you
2 know, we've heard a lot of people out there, and I
3 understand that the Commission has set that for
4 other companies. I just don't know -- and you had
5 made a comment about some of the lower incomes not
6 always necessarily use less.

7 **THE WITNESS:** That's correct.

8 **COMMISSIONER ARGENZIANO:** That's probably
9 true. But I'd say probably from my experience, the
10 majority of lower incomes, like a lot of the senior
11 citizens on Social Security, which is a very fixed
12 income, I know a neighbor of mine, an elderly lady,
13 shuts off her water heater and puts it on every
14 time -- you know, like once a week before she takes
15 a shower because of necessity.

16 So -- and -- and I guess agreeing with you to
17 a very minimal degree, I'm sure all -- just because
18 you're lower income doesn't mean you're necessarily
19 conserving. But I want to add that probably the
20 majority of the people I met that are in lower
21 income, more restricted incomes, really have
22 conserved.

23 And my point is at that point, at the
24 thousand, if that's below the average, how much can
25 they really conserve without being penalized with

1 an addition -- you know, a higher rate?

2 **THE WITNESS:** Well, if we had -- like I said,
3 Commissioner, if we had reset -- if we had reset
4 the point at 1250 instead of a thousand, in order
5 to collect the same amount of money you have to
6 change the two rates. Even though there's a 1-cent
7 differential, it would have raised the lower one a
8 little bit because we're getting less kilowatt
9 hours at the 1-cent differential, because that
10 fixed amount of kilowatt hours doesn't change in
11 the test period.

12 So if we had raised it to 1250, both of the
13 rates would have gone up a little bit to make up
14 the difference. So the customers at the lower end
15 would have seen a little higher rate.

16 So if you think about it, if you go all the
17 way down to zero, and say the break point is zero,
18 it's all going to be the flat rate. And as you go
19 up, the two rates get changed, so you're going to
20 see that happen. So to some extent where you set
21 the point is going to have a little bit of
22 difference one way or the other.

23 Again, we picked a thousand because that's
24 been what has been used at the state for many years
25 now with the companies who have put in inverted

1 rates, and we just want to get that over with
2 before we start thinking you were going to change
3 where the crossover point was.

4 To be honest, we've been -- we have had a flat
5 rate for many years, and it's been very difficult
6 in comparisons with companies that have inverted
7 rates, and we've been very big on the bandstand to
8 newspapers and others saying, why don't you compare
9 1250 where the average is to compare to a thousand
10 to an inverted rate, and it's not that this is
11 making us change, but we recognize that that
12 difference occurs, but we thought one thousand was
13 where it had been for a while and we thought that
14 was a good place to start.

15 **COMMISSIONER ARGENZIANO:** Okay. Probably
16 something we should talk about in the future. And
17 I might as well ask the other I think two questions
18 that I have. I'm sorry, Commissioner Skop. While
19 I'm here I might as well.

20 I think on page -- let's see -- 42 of your
21 direct, and we're talking about, let's see,
22 describing the three new service charges, two of
23 the new charges provides a convenience service
24 option for customers seeking to reconnect electric
25 on service on an accelerated basis.

1 **THE WITNESS:** Yes, Commissioner.

2 **COMMISSIONER ARGENZIANO:** Or after normal
3 business hours, I guess.

4 **THE WITNESS:** Right.

5 **COMMISSIONER ARGENZIANO:** Question. It says
6 the connection charge will cost \$40 more than the
7 proposed fee for standard connection, but will
8 provide a convenience option for customers who are
9 in need of more immediate service. So are -- is
10 that telling me that for after-hours connections or
11 for the -- I'm sorry, for the standard connection
12 right now the connection fee right now during
13 business hours, is that going up \$40 also?

14 **THE WITNESS:** No, ma'am. In the -- in the --
15 when we find the right E schedule to show you what
16 the charges are.

17 **COMMISSIONER ARGENZIANO:** So the connection
18 charge will cost \$40 more than the proposed fee for
19 a standard connection?

20 **THE WITNESS:** Right. What I was meaning to
21 say is we proposed increases in the standard
22 charge. We reconnect people -- of course we have a
23 standard reconnect charge. We were reconnecting
24 people during business hours. And so what we're
25 proposing is the new reconnect charge, which is

1 proposed to go up, with this one, the after-hours
2 one is \$40 more than the newly reestablished level
3 that we're trying to propose for a reconnection
4 charge.

5 **COMMISSIONER ARGENZIANO:** That's what I'm
6 thinking about. What is your newly reestablished
7 level?

8 **THE WITNESS:** Well, let me find that.

9 **COMMISSIONER ARGENZIANO:** Okay. And while
10 you're looking at that I'll just read one other
11 line here that -- maybe it's confusing the way I'm
12 reading it. It says -- well, I'll wait for you to
13 do that.

14 **THE WITNESS:** Okay. That's the costs. Okay.
15 Reconnecting service, under regular hours we had a
16 proposed \$50 charge.

17 **COMMISSIONER ARGENZIANO:** So the proposed for
18 standard is \$50?

19 **THE WITNESS:** Yes.

20 **COMMISSIONER ARGENZIANO:** And this would be 40
21 more than the 50. Is that -- is that how to read
22 that?

23 **THE WITNESS:** Yes, but let me find that for
24 sure here. Okay. I'm sorry. Here it is. The
25 normal hour reestablishment of service is \$25,

1 okay?

2 **COMMISSIONER ARGENZIANO:** Okay.

3 **THE WITNESS:** And then the same day would be
4 \$65. That's the proposal. The current charge for
5 reconnecting a customer is \$16. We're proposing to
6 go up to 25.

7 **COMMISSIONER ARGENZIANO:** And that is during
8 business hours?

9 **THE WITNESS:** Yes.

10 **COMMISSIONER ARGENZIANO:** Okay. So you're
11 going from 16 to 25?

12 **THE WITNESS:** Sixteen to 25.

13 **COMMISSIONER ARGENZIANO:** Okay. And the \$40
14 more?

15 **THE WITNESS:** Is for that -- working in the
16 evening, getting it done the same day, and that's
17 the \$65 proposal.

18 **COMMISSIONER ARGENZIANO:** So that's getting it
19 done the same day. Then what is the second charge,
20 that reestablishment of service on -- oh, that's
21 just for Saturdays?

22 **THE WITNESS:** That's just for Saturdays.

23 **COMMISSIONER ARGENZIANO:** And that goes up
24 \$275 more?

25 **THE WITNESS:** We're proposing a charge of

1 \$300. This requires people to be called in from
2 home and work a certain number of hours. It's very
3 expensive to do. There's no question.

4 **COMMISSIONER ARGENZIANO:** Let me ask you,
5 though. In the event -- because I've heard this in
6 hearings -- in the event that it is the company's
7 error that the disconnection was disconnected, some
8 type of error, would that be reimbursed or would
9 there still be a charge, or how would a customer on
10 Saturday -- if it was the company's fault -- get
11 the electric back on, or would they be charged
12 that?

13 **THE WITNESS:** I don't believe we charge a
14 connection charge if it's our error. This is just
15 reconnecting service -- this is reconnecting after
16 disconnect. So --

17 **COMMISSIONER ARGENZIANO:** Right. And I've
18 heard on occasion that they've been disconnected
19 and there's been a mistake --

20 **THE WITNESS:** Right. If there's a mistake we
21 don't charge the customer.

22 **COMMISSIONER ARGENZIANO:** Okay. But otherwise
23 on Saturdays if somebody just needs a real quick
24 connection fee --

25 **THE WITNESS:** That was exactly the thought,

1 that somebody's coming from out of town and they're
2 only going to be here on a Saturday and sometimes
3 people call and ask us for that and we say we don't
4 do that and --

5 **COMMISSIONER ARGENZIANO:** Okay. So it's just
6 really for expediency --

7 **THE WITNESS:** It is, absolutely.

8 **COMMISSIONER ARGENZIANO:** -- and making it
9 available on Saturday.

10 **THE WITNESS:** That's correct. That's correct.

11 **COMMISSIONER ARGENZIANO:** Okay. The second
12 question I have is on the \$5 charge. On page 44,
13 and you can help me here, because maybe I'm just
14 not reading it right. It's not sinking in right.
15 I'm not sure what it tells me. And let me just
16 read that paragraph on 44, the first full
17 paragraph.

18 While there is no proposed change to the late
19 payment charge itself, the company is proposing
20 that a \$5 minimum charge be established for all
21 bills subject to a late payment of \$10 or more.

22 **THE WITNESS:** Yes.

23 **COMMISSIONER ARGENZIANO:** What does that mean,
24 the late payment of \$10 more gets additional \$5?
25 I'm not sure what the -- if you're proposing a late

1 payment charge -- not proposing I a late payment
2 charge itself, but you're proposing that a
3 \$5 minimum charge be established for all bills
4 subject to a late payment of \$10 or more, I'm not
5 sure -- does that mean a bill of \$10 or more?

6 **THE WITNESS:** A bill of \$10 or more. I
7 suspect the English wasn't so great on the
8 sentence.

9 **COMMISSIONER ARGENZIANO:** Okay. That makes a
10 lot more sense then.

11 **THE WITNESS:** Yes.

12 **COMMISSIONER ARGENZIANO:** Okay. Fine. Thank
13 you.

14 **CHAIRMAN CARTER:** Commissioner McMurrian.

15 **COMMISSIONER McMURRIAN:** Thank you. Mine's
16 back on the inverted rate discussion we were having
17 earlier. And first just I want to be clear on the
18 1250 you said was the average residential usage.
19 Is that just for TECO or is that some kind of
20 statewide number?

21 **THE WITNESS:** Well, that's about Tampa
22 Electric's number. I suspect the other companies
23 have a slightly different number than that. It's
24 probably not very far off, but ours is 1250, so --

25 **COMMISSIONER McMURRIAN:** Okay. Thank you.

1 And the other question I really had -- and maybe I
2 should ask it this way and maybe this makes sense,
3 but we might need to go at it a different way.

4 But if you assume the inverted rate proposal
5 that you put forward gets approved, and at the
6 break point of 1,000 kilowatt hours like the
7 other -- like the other utilities, or at least FPL
8 and Progress Energy, if a customer uses 900
9 kilowatt hours generally, a customer that uses
10 about that, clearly they'd be better off than
11 before if the Commission approved your proposal,
12 all other things equal, I suppose.

13 **THE WITNESS:** Well, they'd be better off under
14 the inverted rate than they would under a flat
15 rate.

16 **COMMISSIONER McMURRIAN:** Right. Right. And
17 I'm saying --

18 **THE WITNESS:** Because the rates are going up.
19 So, I mean, they might not be -- they may still
20 have to pay a little higher bill if these rates are
21 proposed than they would under our current rates,
22 because all rates are going up. But under an
23 inverted rate structure they will pay a lower bill
24 than if it was on a flat rate. And that's true for
25 something like 60 percent of our bills. So because

1 of the inversion an awful lot of the kilowatt hours
2 under a thousand are at 1 cent below the higher
3 rate, which is effectively halfway in between where
4 a flat rate would be.

5 So you see a lot of bills would be below a
6 thousand kilowatt hours and they would have a lower
7 bill under the inverted rate than they would under
8 a flat rate. And so this -- this rate design
9 benefits versus the flat rate about 60 percent of
10 the bills that we send out.

11 **COMMISSIONER McMURRIAN:** And I should have
12 said, and I think what I was meaning by all other
13 things equal, I wasn't also saying that we approved
14 an increase. I guess if you assume that today you
15 have the rates as they are that are in effect for
16 Tampa Electric, and let's say the only thing we
17 changed was the inverted -- we put in the inverted
18 rate as you proposed it.

19 **THE WITNESS:** Yes. Yes, they would --

20 **COMMISSIONER McMURRIAN:** The customer uses on
21 average 900 kilowatt hours --

22 **THE WITNESS:** They would be better off.

23 **COMMISSIONER McMURRIAN:** They would be better
24 off. Now, a customer that uses 2,000 kilowatt
25 hours, they would clearly be worse off, or at least

1 they would be paying more.

2 **THE WITNESS:** There's a crossing point where
3 that happens, but that's probably from that area.

4 **COMMISSIONER McMURRIAN:** And that's what I
5 want to get at. Where is the crossing point? I
6 know it's somewhere between a thousand and 2,000,
7 but where is that? And I guess I'm trying to get
8 at what we've been talking about, the average use
9 being 1250, is it possible that a customer who uses
10 1200 is actually better off under an inverted rate
11 proposal?

12 **THE WITNESS:** Yes, that's true. There is a
13 point where -- and, sorry, I don't know that I have
14 the numbers right here. But there is a point
15 where, as you have the higher rate and it's adding
16 on to the lower rate of the first block, there's a
17 point where it crosses over where you're -- versus
18 the flat rate you're right even. And I think it's
19 somewhere around 1700 or 1800. I'm looking around.
20 I don't remember the number. But it's somewhere in
21 that ballpark, and then it crosses over to being
22 worse off under the inverted rate than you would
23 have been under a flat rate.

24 But it's not exactly at a thousand, because
25 you've gotten that benefit for the first thousand

1 kilowatt hours and then the higher rate starts
2 eating into that benefit until it crosses over.

3 **COMMISSIONER McMURRIAN:** So if your average
4 usage is around 1250, at least customers who use
5 around that average usage amount --

6 **THE WITNESS:** They are still better off.

7 **COMMISSIONER McMURRIAN:** -- would be better
8 off?

9 **THE WITNESS:** Yes.

10 **COMMISSIONER McMURRIAN:** Okay. Thank you for
11 clarifying that.

12 **CHAIRMAN CARTER:** Commissioner Argenziano.

13 **COMMISSIONER ARGENZIANO:** I think you need to
14 better clarify that for me, because I don't
15 understand how, if an average customer at 1250 is
16 going to get a better deal on the inverted rate if
17 your first tier is at 900 kilowatts.

18 **THE WITNESS:** Right. If you're comparing
19 whether you're going to do the inverted rate or a
20 flat rate, which is I think what Commissioner
21 McMurrian was asking about, when we set up the
22 inverted rate, the first block is lower than what
23 the flat rate would be and the upper block is above
24 what the flat rate would be. So for the first
25 thousand kilowatt hours, obviously you're better

1 off, because you're below what a flat rate would
2 be.

3 **COMMISSIONER ARGENZIANO:** Right.

4 **THE WITNESS:** As you add kilowatt hours above
5 a thousand kilowatt hours, you're paying above what
6 the flat rate would be, a certain amount. That
7 accumulation, it takes a while before you've eaten
8 into the benefit that you had in the first thousand
9 kilowatt hours. So there's a point you cross over
10 where you would have been better off -- you're
11 effectively even. You would have been paying the
12 same bill under the flat rate as you would have
13 been under the inverted rate.

14 **COMMISSIONER ARGENZIANO:** Wouldn't you be
15 better off if you were an average customer under
16 the inverted rate at 1200 -- using 1200, wouldn't
17 you be just totally better off only using 900?

18 **THE WITNESS:** Certainly.

19 **COMMISSIONER ARGENZIANO:** Okay. That's what
20 I'm talking about.

21 **THE WITNESS:** That's true.

22 **COMMISSIONER ARGENZIANO:** Okay. Thank you.

23 **MR. WILLIS:** Commissioner, I'd also like to
24 point out that Exhibit No. 12 has an analysis of
25 that, and it is included in the record. And that

1 would be something that both you and Commissioner
2 McMurrian may want to refer to to help you
3 understand this crossover.

4 **CHAIRMAN CARTER:** Anything further from the
5 bench? Ms. Kaufman, you may proceed.

6 **MS. KAUFMAN:** Thank you, Mr. Chairman. I have
7 another exhibit that I wanted to distribute.

8 **CHAIRMAN CARTER:** Do you need it marked?

9 **MS. KAUFMAN:** Yes, sir.

10 **CHAIRMAN CARTER:** Commissioners, this will be
11 114.

12 **MS. KAUFMAN:** And I think we can call it Open
13 Lines.

14 **CHAIRMAN CARTER:** Open Lines?

15 **MS. KAUFMAN:** Yes, sir. That's what it's
16 titled.

17 **CHAIRMAN CARTER:** Okay. 114, Open Lines. You
18 may proceed. Wait, hang on a second for the
19 attorneys to get a copy. You may proceed.

20 (Exhibit No. 114 was identified.)

21 **BY MS. KAUFMAN:**

22 **Q** Mr. Ashburn, have you seen this before, this
23 document?

24 **A** I may have seen it. I know what Open Lines is
25 and what this is. I don't know that I saw this. I

1 might have.

2 **Q** Is this -- is this a bill stuffer that Tampa
3 Electric sends with its bills to its customers?

4 **A** That is exactly what it is.

5 **Q** Okay. And this was sent in November, correct,
6 to advise --

7 **A** That is the -- that is the date on it. I
8 assume that it was sent with the November bills.

9 **Q** To advise customers about what was going on
10 with your rate filing here at the Commission?

11 **A** It is a -- it is a several folded piece of
12 bill stuffer, so there's probably other information on
13 it. This may be one article in it.

14 **Q** And this article here relates -- is to advise
15 customers as to what is going on with your base rate
16 case?

17 **A** I think it talks about the base rate case. I
18 think it talks about the fuel as well.

19 **Q** Okay. If you take a look at the -- the middle
20 column, toward the bottom there it says, "With FPSC
21 approval of proposed base rates the overall increase for
22 a Tampa Electric residential customer using one thousand
23 kWh per month is anticipated to be approximately
24 8 percent," correct?

25 **A** That's what it says, yes.

1 Q Okay. And I think we've already discussed
2 that -- that a thousand kilowatt hours is not a typical
3 residential customer, correct?

4 A Well, I don't know -- you said typical.

5 Q Average.

6 A Average is 1250.

7 Q Okay. Would you also agree with me that this
8 8 percent increase doesn't include the 12 percent
9 increase that customers recently saw in the fuel case?

10 A I think that sentence is only talking about
11 the base rate increase, I believe.

12 Q And this 8 percent increase doesn't include,
13 for example, the addition of gross receipts tax?

14 A It would appear not to.

15 Q Do you know how much the gross receipts tax
16 is?

17 A I should. I don't know offhand the number.
18 It's a percentage.

19 Q Would you accept subject to check that it's
20 8 percent?

21 A Yes.

22 Q Okay. And it -- the approximate 8 percent
23 increase doesn't include city utility tax, does it?

24 A If you live in the city you pay a city utility
25 tax, but not all of our customers live in that city.

1 **Q** Right. But for those that do it's not
2 included in the 8 percent?

3 **A** It is not included in there. We don't put
4 city or franchise fees on these Open Lines
5 communications because they go to all our customers, and
6 many of our customers are not in areas with franchise
7 fees or city utility taxes.

8 **Q** Were -- I don't know if you were here. Were
9 you here at the very beginning of the hearing or did
10 you --

11 **A** I was not here.

12 **Q** -- or listen in? Okay.

13 **A** I was not here.

14 **Q** Did anyone tell you that the superintendent
15 for the Hillsborough County schools testified here?

16 **A** I have heard that. In fact, I did hear her
17 testimony.

18 **Q** Okay. And so you heard her say that her
19 increase would be about 25 percent, correct?

20 **A** Yes, that's what she said.

21 **Q** And you would agree with me, would you not,
22 that certainly this 8 percent number that you -- that
23 the company has referenced in this bill stuffer is not
24 what a typical increase will be if you get your full
25 revenue requirement?

1 **A** Well, you used the word typical again.

2 **Q** I can use average if that helps.

3 **A** Well, it certainly wouldn't be the increase
4 for a customer at 1250, if that would answer your
5 question.

6 **Q** And it won't be the increase for the
7 Hillsborough County schools either, will it?

8 **A** No. They are not a residential consumer.

9 **Q** And it won't be the increase for industrial
10 customers either, will it?

11 **A** Every -- every customer group, depending on
12 what rate class they're in and circumstances, would see
13 some difference in their increase, that's correct.

14 **Q** And so this 8 percent here only applies to a
15 residential customer using a thousand kilowatt hours per
16 month?

17 **A** That is what it says, yes, and that's what
18 it's intended to show.

19 **MS. KAUFMAN:** Thank you, Mr. Ashburn.

20 **THE WITNESS:** Thank you.

21 **CHAIRMAN CARTER:** Commissioner Skop.

22 **COMMISSIONER SKOP:** Thank you, Mr. Chairman.

23 With respect to that late-filed exhibit, page 5,
24 that shows the proposed monthly bill amounts,
25 assuming the inverted fuel and energy charges

1 versus the flat fuel and energy charge, and I think
2 that this has been useful because it does provide
3 some visual indication of the potential rate
4 impacts.

5 How would that change, that top graph or top
6 chart change if the inversion point was 1250, to
7 the extent of the percent of monthly --

8 **THE WITNESS:** I'm sorry, Commissioner. I
9 don't know what you're looking at.

10 **COMMISSIONER SKOP:** I'm sorry. I thought it
11 was something that Ms. Kaufman had directed. It
12 was page 5, Late-Filed Exhibit 12, page 5 of 5.
13 I'm sorry --

14 **MS. KAUFMAN:** I'm sorry, Commissioner, I --

15 **COMMISSIONER SKOP:** Okay. Let me refer to the
16 tab, because there's a lot of paper in front of me.
17 It's LFE 12, page 5, 5 of 5.

18 **THE WITNESS:** I don't have that, whatever it
19 is. I'm sorry.

20 **CHAIRMAN CARTER:** Exhibits attached to your
21 testimony?

22 **COMMISSIONER SKOP:** Testimony, prefiled.

23 **THE WITNESS:** Oh, on my testimony? I'm sorry.

24 **MR. MAUREY:** Is this hearing Exhibit 12?

25 **THE WITNESS:** Yes, I have this.

1 **COMMISSIONER SKOP:** Late-filed --

2 **THE WITNESS:** This is a late-filed exhibit to
3 the service hearings, so it wasn't attached to my
4 testimony. I do have it somewhere. But, yes, I
5 have that now.

6 **COMMISSIONER SKOP:** Okay. Let me wait a
7 second so my colleagues can have a copy of it. I
8 guess this provides a visual indication of the
9 differences between the flat rate and the inverted
10 fuel rate and the respective increases and percent
11 of monthly total increases based on the -- if they
12 were -- TECO were to be granted its requested
13 revenue requirement. How would that top graph
14 change if the inversion point was 1250 versus one
15 thousand in terms of the percentage?

16 **THE WITNESS:** Are you looking at page 5 again?

17 **COMMISSIONER SKOP:** Yes. Or could it be --
18 would it be possible or too much trouble to get a
19 late-filed exhibit showing what it would be at 1250
20 as the inversion point?

21 **THE WITNESS:** I'm sure it's not trouble to
22 redo the chart. I couldn't do it right here.

23 **COMMISSIONER SKOP:** Okay. Perhaps if we could
24 do that, Mr. Chair, that might be useful.

25 **CHAIRMAN CARTER:** It will be Exhibit No. --

1 Late-Filed No. 115. Let me push the button. For
2 the record, we'll put a placeholder. It'll be a
3 late-filed but it will be Exhibit No. 115.

4 **MS. BROWN:** Mr. Chairman, I think it's 114.

5 **CHAIRMAN CARTER:** No, no. 114 was marked for
6 Open Lines.

7 **MS. BROWN:** Okay. Sorry. I'm behind the
8 eight ball.

9 **CHAIRMAN CARTER:** Stay on your toes here. So
10 115, late-filed exhibit. Commissioners, do you
11 want to give us a title?

12 **COMMISSIONER SKOP:** Just late-filed exhibit
13 showing 1250-kilowatt inversion point. Would that
14 be acceptable, Mr. Ashburn?

15 **THE WITNESS:** Yes.

16 **CHAIRMAN CARTER:** Okay. 1250-kilowatt
17 inversion point.

18 (Late-Filed Exhibit No. 115 was marked for
19 identification.)

20 **CHAIRMAN CARTER:** Commissioner Argenziano?

21 **COMMISSIONER ARGENZIANO:** And if -- not at
22 this time but at some later point maybe someone can
23 get with Larry or staff can get with Larry.
24 Someone could tell me when the thousand kilowatt
25 hours was used. I think it may have been quite a

1 while ago when a thousand may have been the
2 average. Just want to know if it was picked, if
3 anybody knows, if that thousand was picked because
4 it was an average at that time.

5 **THE WITNESS:** Commissioner, I can give you a
6 little history. I don't know the exact date.

7 **COMMISSIONER ARGENZIANO:** Okay. Great.

8 **THE WITNESS:** I can give you a little bit. It
9 started out with FPL back in the '80s. And at that
10 point it was 750. At some point, and I must admit
11 I don't know the exact year, but it's somewhere
12 around -- I hate to say the turn of the century,
13 we're so far in now, but somewhere around the late
14 '90s, early 2000s, it was -- I think Progress came
15 in with an inverted, and I think they went to a
16 thousand and then FPL asked to switch to a thousand
17 as well.

18 **COMMISSIONER ARGENZIANO:** Do you know -- do
19 you know if it was based on the average use at that
20 time?

21 **THE WITNESS:** I don't know why they picked 750
22 back -- it was the early '80s. And it may have
23 been closer to the average for FPL at that time.
24 Part of it is lower use at that time.

25 **COMMISSIONER ARGENZIANO:** Sure.

1 **THE WITNESS:** FPL also typically has a little
2 bit lower average use than the other utilities
3 because of where their service area is. A lot of
4 the southern part of state doesn't have as high an
5 average use as we do, say in the middle of the
6 state, because it's not enough cooling load down
7 there. There just isn't any winter. So they don't
8 have as much an average because of the high
9 winters. But, again, time moves it around a little
10 bit.

11 **COMMISSIONER ARGENZIANO:** Okay.

12 **THE WITNESS:** And I would say, to the extent
13 that the inverted rate is successful and as we're
14 heading into more periods of time with customers
15 who are going to be doing more conservation, more
16 investment in efficiency, some customers are
17 putting in their own generators, renewable
18 generators and so forth, we probably are going to
19 see that average come down. I think there's
20 probably -- we talked about large housing stock.
21 Over time people are probably going to be building
22 smaller houses too. So I would think, even though
23 we're at 1250 now, over a period of time you're
24 going to see that average perhaps go down.

25 **COMMISSIONER ARGENZIANO:** Thank you.

1 **CHAIRMAN CARTER:** Commissioner Skop.

2 **COMMISSIONER SKOP:** Thank you. I think this
3 is a useful chart and I just think having that
4 additional data as a visual comparison I just think
5 would make the analysis crystal clear. So I
6 appreciate TECO's effort. Thank you.

7 **THE WITNESS:** Right. To make it clear, we're
8 going to have to do that at 1250. You want us to
9 redesign the energy rates for residential at 1250
10 to achieve the same revenue, and then apply that to
11 create the chart.

12 **COMMISSIONER SKOP:** I'm not -- just to be
13 clear, I'm not asking for a redesign or even saying
14 a redesign's appropriate. I'm just merely trying
15 to see the cause and effect of moving the inversion
16 point.

17 **THE WITNESS:** Well, that's what I'm trying to
18 say. By moving the inversion point, it will have
19 to redesign the rates to get to the same revenue.
20 So we'll have to redesign the rates at the new
21 inversion point and then we can produce this chart.

22 **COMMISSIONER SKOP:** All right. Thank you.

23 **CHAIRMAN CARTER:** Very good. Anything further
24 from the bench? Mr. -- wait a minute.

25 Commissioner McMurrian.

1 **COMMISSIONER McMURRIAN:** And I don't mean to
2 confuse it more, but is there some way, and I'm not
3 sure, I haven't looked all the way through
4 Late-Filed 12, but is there some way to see sort of
5 what I was asking before, because this, I think, if
6 I'm reading it right, would assume, when you have
7 the column, Proposed Monthly Bill as of May 7th,
8 that's assuming there's a rate increase?

9 **THE WITNESS:** Right.

10 **COMMISSIONER McMURRIAN:** Is there some way
11 that you could show, you know, a customer's bill
12 today, a customer's bill just with -- if you
13 applied an inverted rate to it but you didn't have
14 an increase in rates at all? Because I think that
15 confuses it more, quite frankly.

16 **THE WITNESS:** I think we can provide
17 information when we produce this to show you where
18 the crossover point is that you were asking about.

19 **COMMISSIONER McMURRIAN:** I think that would be
20 good, and it's fine to include that.

21 **CHAIRMAN CARTER:** Just make it a composite
22 exhibit?

23 **THE WITNESS:** Yes.

24 **CHAIRMAN CARTER:** Is that what you're saying?
25 Commissioner Argenziano.

1 **COMMISSIONER ARGENZIANO:** He may be able to
2 answer this now. But do you have an idea of the
3 percentage of people that are really -- I know it
4 sounds funny, but -- or maybe not the percentage.
5 The amount of people -- when we say an average of
6 1250, how many customers that represents in the
7 residential?

8 **THE WITNESS:** Well, it's the average, so
9 there's 50 percent above and --

10 **COMMISSIONER ARGENZIANO:** I know. Total
11 customers.

12 **THE WITNESS:** -- 50 percent below, around
13 1250, so that's kind of the average. I can give
14 you a count of how many bills there are above and
15 below, if that's what you're asking.

16 **COMMISSIONER ARGENZIANO:** Yeah. Because if
17 we're looking at total savings of that class, and
18 while I understand that if, you know, because
19 there's the first tier and they save on that first
20 900, and then when they go above --

21 **THE WITNESS:** Right.

22 **COMMISSIONER ARGENZIANO:** -- I just want to
23 know how many people now that maybe are conserving
24 and are using 1250 would be paying more because
25 they have to go above that thousand.

1 **THE WITNESS:** We can give you some bill
2 frequency. We call it bill frequency information,
3 how many bills are at the different levels.

4 **COMMISSIONER ARGENZIANO:** Sure.

5 **THE WITNESS:** And that might give you your
6 answer.

7 **COMMISSIONER ARGENZIANO:** Thank you.

8 **CHAIRMAN CARTER:** Anything else from the
9 bench? Mr. Wright?

10 **MR. WRIGHT:** Thank you, Mr. Chairman. It is
11 very tempting, but I'm sure that you and
12 Mr. Ashburn will appreciate the fact that I have no
13 questions for him.

14 **CHAIRMAN CARTER:** Thank you, Mr. Wright.
15 Mr. Twomey, you're recognized.

16 **CROSS-EXAMINATION**

17 **BY MR. TWOMEY:**

18 **Q** Thank you, Mr. Chairman. Good afternoon,
19 Mr. Ashburn.

20 **A** Good afternoon.

21 **Q** Ms. Kaufman started out discussing with you
22 the fact that generally a rate case is a step --
23 two-step process that consists of establishing the
24 revenue requirement first and then allocating that
25 revenue responsibility to several customer classes,

1 correct?

2 **A** That's correct.

3 **Q** I like to over the years analogize that
4 process, the first part being to baking a revenue
5 responsibility pie and the second portion, dividing the
6 pie up amongst the various customer classes to determine
7 what their rates will be going forward. Is that a
8 useful analogy?

9 **A** That is certainly one analogy that could be
10 used.

11 **Q** But it's not used. Okay. Thank you. You're
12 a good witness, Mr. Ashburn.

13 Now, isn't it true that as a generally -- a
14 generally-accepted historical fact that not all
15 customers cost the same to serve?

16 **A** That is true.

17 **Q** That's why we have different classes of
18 customers, correct?

19 **A** We -- we attempt to aggregate customers of
20 like cost of service together. Certainly within those
21 groups we also have customers who have different cost of
22 service within the group but, yes, we attempt to do
23 that.

24 **Q** Right. And consistent with that overall plan,
25 isn't it generally your goal to match the cost of

1 providing service, that is the rates, to the cost of
2 providing service to each group of customers?

3 **A** Yes.

4 **Q** As closely as possible?

5 **A** We -- we use that classification to help
6 allocate costs appropriately for those groups.

7 **Q** Now, you say at page 23 of your direct
8 testimony, "Cost of service studies are useful in the
9 design of rates to help ensure that the price the
10 customers pay for electric service bear a reasonable
11 relationship to the cost of providing that service,"
12 correct?

13 **A** Yes.

14 **Q** As I understand it, you and Tampa Electric
15 Company now believe you have a better methodology,
16 mainly the 12CP and 25 percent average demand
17 methodology, that you propose in lieu of the existing
18 12CP and one-thirteenth method; is that correct?

19 **A** That's our proposal, yes.

20 **Q** Now, as I understand it from page 29 of your
21 testimony, the distinction between the two methodologies
22 is that the old methodology put 92 percent of the
23 production demand classified costs on the -- allocated
24 on the 12CP methodology and only 8 percent on energy; is
25 that correct?

1 **A** That's correct.

2 **Q** The new methodology proposed would take and
3 shift that so that 75 percent of the production demand
4 classified costs were allocated on the 12CP and
5 25 percent on energy?

6 **A** That is correct.

7 **Q** Now, as I understand it, this has the general
8 effect of increasing the cost of the consumption of
9 energy; is that correct?

10 **A** I'm sorry, say that again.

11 **Q** This shift from one methodology to the other
12 generally increases the cost of consuming energy?

13 **A** It allocates greater cost to the energy
14 classification which has a tendency to then increase the
15 energy charge, if that's what you're heading towards.

16 **Q** Yes, yes.

17 **A** Okay.

18 **Q** I think that's why the industrial customers
19 don't like the methodology, right?

20 **A** You would have to ask them that.

21 **Q** Now, as I understand your testimony, you
22 believe as well that the 12CP and 25AD methodology more
23 appropriately matches rates for higher load factor
24 customers to the benefits they receive from your
25 installation of more base and intermediate load, that --

1 **MR. KAVANAUGH:** Excuse me, Mr. Chairman. I
2 feel compelled to interpose an objection here based
3 on your admonition against friendly
4 cross-examination. I think that Mr. Twomey is
5 simply asking Mr. Ashburn to expand upon what's
6 already in his testimony, and I think that's
7 inappropriate.

8 I think the parties have tried, I think, to
9 stay away from what you term friendly cross, so I'd
10 object.

11 **MR. TWOMEY:** Well, I'm --

12 **CHAIRMAN CARTER:** Mr. Twomey?

13 **MR. TWOMEY:** -- I'm very close to finishing up
14 so I will -- I mean, it's rare that people accuse
15 me of being friendly to utilities.

16 **CHAIRMAN CARTER:** That's why I was shocked. I
17 was trying to see if I could keep myself from
18 falling out of my chair.

19 **MR. TWOMEY:** But I'm almost -- I'm almost
20 there. So if I can go ahead and I'll finish up
21 very rapidly.

22 **CHAIRMAN CARTER:** How about I just give him a
23 caution, Ms. Kaufman, since this is such a
24 one-in-a-lifetime thing for Mr. Twomey.

25 **MS. KAUFMAN:** I don't want to argue with the

1 chairman.

2 **CHAIRMAN CARTER:** Okay. All right. Mr.
3 Twomey.

4 **MR. TWOMEY:** Thank you, Mr. Chair, I'm be
5 brief.

6 **BY MR. TWOMEY:**

7 **Q** Well, I want to know, there's -- there's a
8 cost to much of what you propose by your changes, right?

9 **A** There's a cost?

10 **Q** That is a cost to one class versus the other?

11 **A** There's a shift, yes, a cost responsibility
12 because of it, yes.

13 **Q** So I want to ask you if you would -- if you
14 would look at your document number 3 to your direct
15 testimony.

16 **A** Yes.

17 **Q** Does that table purport to show the
18 difference -- that is the shift in revenue
19 responsibility as a result of going from the one
20 methodology to the other?

21 **A** That's what it does, yes, sir.

22 **Q** And on line 1 essentially that's classified as
23 residential is the difference in the parens there of
24 6.892 million, does that reflect a reduction to the
25 residential class?

1 **A** Yes, it's a reduction in the revenue
2 requirement required for the residential class because
3 of the methodology change.

4 **MR. TWOMEY:** Okay. That's all on that,
5 Mr. Chairman.

6 **Q** Now, I have a -- another very short line of
7 questions that I wouldn't consider as friendly cross but
8 they're -- they're something that I think is a --
9 perhaps a -- an important aspect to study about this
10 vis-a-vis global warming and gas house -- greenhouse gas
11 reduction.

12 And that is, Mr. Ashburn, I wanted to explore
13 whether there could be a salutary greenhouse gas
14 reduction effect from, one, your proposed two-step
15 inverted rate structure change for the residential
16 customers; two, your use of a -- of the new methodology
17 we just discussed; and your continued classification of
18 the Big Bend 4 scrubber as energy related as well as
19 what I understand is your proposal that's new of
20 classifying the gasifier at Polk 1 on an energy basis.

21 And that is, the questions are, as I
22 understand it, purported global warming is tied
23 largely to the production of greenhouse gases; is that a
24 correct assumption as you understand it?

25 **A** That's what I understand many scientists are

1 saying, yes.

2 **Q** Okay. And I understand as well that the
3 production of greenhouse gases from fossil-fired
4 generation is tied directly to consumption of energy,
5 not to the capacity of those generators?

6 **MS. KAUFMAN:** I'm sorry, Mr. Chairman, I have
7 to object again on two grounds. Number one, I
8 think this is outside the scope of -- I don't
9 recall Mr. Ashburn saying anything about greenhouse
10 gases. I might have missed it. I do --

11 **CHAIRMAN CARTER:** Yeah, you're right, he did
12 not. And Mr. Twomey, what else -- go to your other
13 list, the third list.

14 **MR. TWOMEY:** Well, yes, sir. The -- I would
15 just say -- I will, but I'll just say that to
16 respond to Ms. Kaufman --

17 **CHAIRMAN CARTER:** Oh, you're recognized.

18 **MR. TWOMEY:** -- that, through you, is that she
19 asked the witness if the inverted rate structure
20 wasn't a purported conservation methodology to
21 reduce energy. And this is precisely what my
22 questioning is about here, is the -- is I took
23 great care to include the rate structure that she
24 talked about vis-a-vis conservation and what I'm
25 asking -- trying to ask now.

1 And the goal here is, if I can tell it to you,
2 is to suggest and get the answers from Mr. Ashburn,
3 on whether these three or four different changes
4 TECO is requesting wouldn't end up as a result of
5 making energy more expensive, reduce the overall
6 energy consumption and thereby with it the
7 reduction of -- provide a reduction in greenhouse
8 gases which would serve a salutary conservation
9 effect. And with it, in this case, a reduction in
10 greenhouse gases.

11 **CHAIRMAN CARTER:** Okay. One -- one moment.
12 Ms. Helton, did you understand all of that?

13 **MS. HELTON:** I wish I could say I understood
14 all of that. I'm trying to reflect back to the --
15 to the line of questions from not just Ms. Kaufman
16 but I know there were quite a few questions from
17 the bench as well concerning the inverted rate
18 structure. And I may have heard the term
19 conservation used once or twice, but that was not
20 how I understood Ms. Kaufman's line of questions.
21 And I -- I don't believe that I have heard the
22 witness today talk about greenhouse gases. I think
23 that was first brought up by Mr. Twomey.

24 **CHAIRMAN CARTER:** Okay. Well, I'm going to --
25 I'm going to sustain the objection, Mr. Twomey.

1 Just kind of rephrase.

2 **COMMISSIONER ARGENZIANO:** Mr. Twomey's got to
3 get a gold star for trying. That was a good one.

4 **CHAIRMAN CARTER:** You can rephrase and then --
5 I mean, based upon the --

6 **MR. TWOMEY:** I'm not going to push my luck,
7 Mr. Chairman. I may have to ask somebody else this
8 question, or try to. That's all I have.

9 **CHAIRMAN CARTER:** You did get your
10 once-in-a-lifetime get-out-of-jail free waiver on
11 the objection though, for the record.

12 Commissioner Argenziano.

13 **COMMISSIONER ARGENZIANO:** I have a question
14 for OPC. Given the -- I'm sorry, that was just
15 really good. Given the testimony we just heard
16 from Mr. Twomey about the new methodology, and it's
17 not greenhouse gases, on the shift -- the shifting
18 to consumers or the possibility of the shifting to
19 consumers, does OPC take a position at all?

20 **MS. CHRISTENSEN:** Commissioners, we're very
21 careful when it comes to rate design issues because
22 we represent all consumers in the state of Florida.
23 So we represent the industrial customers, the
24 Retail Federation customers as well as the
25 residential customers. And so it's one of those

1 that we would be pitting one of our constituencies
2 against another one of our constituencies.

3 **COMMISSIONER ARGENZIANO:** Well, without
4 pitting them, I guess, there's no position on
5 whether you think he's correct or not?

6 **MS. CHRISTENSEN:** I have not formulated an
7 opinion as to whether or not I think he's correct,
8 and I have not truthfully taken an in-depth look at
9 that because of the reasons that I've just
10 explained.

11 **CHAIRMAN CARTER:** But you're right,
12 Commissioner. It did sound very good. Some of
13 Mr. Twomey's best work.

14 **COMMISSIONER ARGENZIANO:** Then OPC has no
15 position then?

16 **CHAIRMAN CARTER:** Right, no position.
17 Okay. I can go to the bench and then go to
18 staff or we can stay here and -- whatever you
19 prefer, Commissioners. Why don't I go to staff
20 first and come back. Staff, you're recognized.

21 **CROSS-EXAMINATION**

22 **BY MS. BROWN:**

23 **Q** Good afternoon, Mr. Ashburn.

24 **A** Good afternoon.

25 **Q** We have just a few questions on three

1 subjects, two of which came out of the customer hearing
2 and one of which is the inverted rate proposal but I'm
3 going to keep it really short because I don't want to
4 confuse anything.

5 **CHAIRMAN CARTER:** Don't give Mr. Twomey a
6 basis for it.

7 **Q** The other is on the separate rate for school
8 boards that came up at the customer hearings and that
9 Ms. Elia testified to here at the first -- the beginning
10 of the hearing, and the third is just a clarification
11 question on TECO's response to Staff Interrogatory No.
12 230. And I'm thinking perhaps we should take that first
13 since it seems to me to be the easiest one --

14 **A** All right.

15 **Q** -- to deal with. Do you have a copy of that
16 response to Staff's Interrogatory No. 230? It's titled
17 Impact to Interruptible Class.

18 **A** Let me get it out. I have it.

19 **Q** All right. On the bottom of the schedule
20 there is a line titled "Impact to IS Class." Do you see
21 that? It's page 7 --

22 **A** You're talking about page 7 of 7?

23 **Q** Yes. I'm sorry.

24 **A** Yes, yes.

25 **Q** It shows a percentage amount of 14 percent.

1 Is this correct?

2 **A** Staff called us about this a day or two ago
3 and we investigated the -- to confirm that this is the
4 right number. We did identify there is a math error in
5 the calculations and the percentage is around
6 11-and-a-half percent. And we're preparing a revised
7 version of this.

8 **Q** All right.

9 **MS. BROWN:** I think we should identify a
10 late-filed exhibit.

11 **CHAIRMAN CARTER:** Okay. Late-Filed Exhibit --
12 let's flip over here so I can give you a number for
13 it.

14 **MS. BROWN:** I think it should be 116.

15 **CHAIRMAN CARTER:** You're not wrong, it is 116.

16 **MS. BROWN:** I redeemed myself.

17 **CHAIRMAN CARTER:** You're back in it.

18 **MS. BROWN:** And we'll call this Revision to
19 Staff's -- TECO's Response to Interrogatory No.
20 230.

21 (Late-Filed Exhibit No. 116 was identified.)

22 **BY MS. BROWN:**

23 **Q** And one more question, Mr. Ashburn. What
24 would that 11 percent represent? That's what your
25 calculation is going to be, correct?

1 **A** Yes, yes. It will show the revised impact.
2 It's -- it's the impact on the IS class of the -- of the
3 rate case plus the CCB credits and all of the elements
4 of rates so it's showing what the increase will be to
5 the IS group.

6 **Q** Okay. Now to the inverted rate proposal. And
7 if you'll switch to your Late-Filed Exhibit 12 from the
8 service hearings.

9 **A** Yes, I have that.

10 **Q** And turn to page 2 at the bottom of the page,
11 the last sentence on that page, would you read that
12 sentence? And then it goes over to page 3.

13 **A** Yes. It says, "Based on this usage
14 information, the breakeven for customers under a
15 levelized design compared to an inverted rate design is
16 at approximately 1500 kilowatt hours. That is the
17 customers' rates with the same under both rate designs
18 current and proposed."

19 **Q** And read the next sentence too, please.

20 **A** "Furthermore, approximately two-thirds of
21 Tampa Electric's customers use less than 1500 kilowatt
22 hours per month and will benefit from the proposed
23 inverted rate."

24 **Q** Okay. Thank you.

25 **CHAIRMAN CARTER:** Excuse me, Ms. Brown, for

1 interrupting you. Have you -- did you ask about
2 the school board?

3 **MS. BROWN:** Just about to.

4 **CHAIRMAN CARTER:** Oh, I'm sorry. You may
5 proceed.

6 **BY MS. BROWN:**

7 **Q** All right. Switching now to questions about
8 the school board, during the customer service hearings
9 in Tampa, Ms. Elia, the Hillsborough superintendent of
10 schools, raised the issue about establishing a separate
11 rate for schools based on their usage characteristics.

12 What would be involved in designing a
13 cost-based rate schedule for schools? That is, what
14 information would the utility need to collect and how
15 would that information be used to design a separate
16 rate?

17 **A** In response to Interrogatory No. 226 of the
18 staff's 14th set, we set out some steps that would be
19 required to do that, to do it under the manner the
20 Commission usually looks at rates. And that includes
21 such things as we have to define the class and then we
22 have to determine what transfers would occur between
23 groups to that class, determine the billing
24 determinants, start gathering load research from a --
25 either the entire group or a statistically significant

1 sample of the group; prepare allocation factors. The
2 normal stuff going forward in a rate case. Prepare cost
3 of service and unit costs to derive a rate.

4 That's the way we would go about it, is to
5 derive a cost-based rate in the manner that we're doing
6 other rates here in this proceeding.

7 Q And that is your standard practice, practice
8 for establishing reasonable and prudent rates, correct?

9 A That's how we would establish a cost-based
10 rate for a retail group, yes.

11 Q Right. Based on your experience, do you
12 believe it is appropriate to establish a separate rate
13 for schools in this proceeding or is it possible to do
14 at this point?

15 A Well, we don't have enough information really
16 in the manner I just described to come up with a
17 cost-based rate class for the schools themselves as a
18 group. First we have to identify when we say schools,
19 who are they. I heard Ms. Elia's discussion, Elia's
20 discussion. And she represents the Hillsborough school
21 board. We do have several other school boards that we
22 serve, Polk County, Pasco and so forth. So would it
23 include them or not?

24 There are other types of schools than the
25 public schools. Do you include those schools or not?

1 I'm assuming we're talking about K through 12. I don't
2 know if it includes preschools. Does it include other
3 types of schools?

4 So we'd have to identify that group and get
5 guidance about that. Then gathering a sample of the
6 right load research for all of those different types of
7 schools would take some time. You have to then have a
8 sample in place for a period of years to gather data to
9 get the right kind of coincidence peak data and
10 non-coincident peak data and so forth, the group.

11 So it would take some time to gather the
12 information to do it in the manner that we normally do
13 rate designs for rates like we're doing in this
14 proceeding.

15 **Q** Ms. Elia, I think this was at the service
16 hearings. I don't think she mentioned that in this
17 proceeding. But she raised the issue of treating the
18 schools as a single customer or adding the usage of all
19 schools together for the purpose of determining the
20 appropriate rate schedule for billing. To your
21 knowledge, at this point, are all schools billed on the
22 same rate schedule?

23 **A** My understanding is they're not. We have --
24 for Hillsborough County Schools after Ms. Elia did her
25 presentation, we went and researched them particularly.

1 And they are some -- some of their schools are under our
2 current GSLD, some under our GSD. They have some
3 accounts under our GS schedule. They even have some
4 accounts under our residential schedule. Then of course
5 they have lighting. I assume lighting would not be part
6 of this. But that's -- they do have quite a few
7 lighting accounts as well.

8 So they're spread -- I don't believe any of
9 the Hillsborough County schools are interruptible, but
10 we do have one public school under the interruptible
11 schedules. So they're spread effectively through all of
12 our schedules and our entire cost of service.

13 **Q** If the usage for all county schools were to be
14 consolidated and billed at a single large customer rate,
15 what impact would that have on the relationship between
16 costs and rates for individual locations?

17 **A** I'm sorry, say the question again.

18 **Q** If you were to consolidate all of the schools
19 and bill them at a single large customer rate, what
20 impact would that have on the relationship between costs
21 and rates for individual locations?

22 **A** Well, one of the -- one of the difficulties in
23 trying to aggregate many accounts like that into one is
24 that each location loses its identity with regard to its
25 own energy use. It's one of the reasons why the

1 Commission many, many decades ago did away with
2 conjunctive billing.

3 The point is that if you send a bill for many,
4 many accounts to one home office, the local facilities
5 lose track of what their energy use. And the Commission
6 did away with conjunctive billing in part, maybe a
7 major part for that reason, to provide that those bills
8 go to the local site where the meter is so they can see
9 what their energy use and make decisions about that
10 energy use.

11 Some of our school boards, I don't know about
12 the Hillsborough one, but we've heard that some of our
13 school boards make sure the principal of the school gets
14 the bill and is responsible for that bill and therefore
15 they -- they contract what's happening in their schools.
16 They can walk around and make sure people are closing
17 doors and closing windows and setting thermostats right
18 and all of those things.

19 If you do conjunctive and it's all going to
20 one place at the school board, then you're kind of
21 relying on them to police all of the activities in the
22 various schools and the people who really are operating
23 the school don't have the -- the direct responsibility
24 to act and must be following some guidelines that they
25 may not be responsible for in the end.

1 So that's one of the reasons why we -- we
2 think having separate bills to the locations makes
3 sense. Also all of those schools are maybe served
4 differently. I don't know about their voltage levels
5 and other elements of the service they have.

6 **Q** So would the -- the possibility exists that
7 this practice would create a mismatch in revenues so
8 that schools with higher costs would be billed on a
9 lower aggregate rate?

10 **A** It could.

11 **Q** Prior to the beginning of this hearing,
12 Ms. Elia testified that you said you heard that
13 testimony?

14 **A** Yes. I heard that she spoke at one of the
15 service hearings and I went back to read her testimony
16 at the service hearing and then I did hear her testimony
17 earlier in the case.

18 **Q** And I think Ms. Kaufman brought up the fact
19 that she testified that the county schools would see an
20 approximate 25 percent increase in their bills,
21 including the increase in fuel that went into effect in
22 January. Can you tell us how much the fuel charges that
23 went into effect in January increased bills for the
24 county public schools?

25 **A** I don't know if I know the number offhand. I

1 know we've looked at the increase we were requesting in
2 base and looked at the fuel increase and her 25 percent
3 number was in the right -- right area. I think if you
4 look at the fuel, it was around 15 percent and the base
5 is around 10. So of her 25 percent that she was here
6 speaking about, I think 15 has already happened with the
7 fuel and other clause increases.

8 **Q** Have you done an analysis to calculate the
9 base rate impact on the county public schools if TECO's
10 requested rate increase in this proceeding gets
11 approved? You said you've looked at it but have you
12 done a written analysis to calculate that? What would
13 that increase be?

14 **A** Well, I think we looked at, we looked at
15 Hillsborough County schools to the extent we know --
16 know all of their accounts. And I think the 25 percent
17 was about the right number.

18 **Q** Okay. You already said that before.

19 **A** I think so.

20 **Q** Ms. Elia also testified that schools have
21 achieved a 10 percent reduction in electricity usage
22 with various energy saving tactics. Can you describe
23 some of the conservation measures that Tampa Electric
24 has available for its commercial customers including
25 public schools to reduce their bills?

1 **A** Yes. We provided an interrogatory on that as
2 well. I don't know -- I have to go look it up. But
3 generally nearly all of our commercial programs are
4 available to schools. We've talked with the schools on
5 a regular basis. We have a rep who talks to the schools
6 constantly, and all of those programs are available to
7 them.

8 And we have talked with them in the past about
9 going on load management, about putting in insulation,
10 about windows, doors, all of the various things you can
11 think of, and spoke to them about the various program.
12 All of those programs are available to them.

13 **CHAIRMAN CARTER:** Hang on a second.
14 Commissioner McMurrian and then Commissioner
15 Argenziano. Do you want to wait, Commissioner?
16 Commissioner Argenziano, you're recognized.

17 **COMMISSIONER ARGENZIANO:** This issue kind of
18 is a tough one for me. And I'm trying to
19 understand all sides of it. Let me ask you a
20 couple of questions first. Is there any -- and it
21 may be very simplistic but it's just the way I'm
22 going to have to ask the question.

23 Is there any government entity that gets a
24 break from any electric company or from TECO as far
25 as rates?

1 **THE WITNESS:** As far as discount because they
2 are who they are?

3 **COMMISSIONER ARGENZIANO:** Yeah, because
4 they're a government entity.

5 **THE WITNESS:** No, not really. I mean, other
6 than -- other than they don't pay taxes and those
7 kind of things. You know, they don't get assessed
8 certain city taxes or things like that.

9 **COMMISSIONER ARGENZIANO:** Right. I think
10 what's being asked from the school boards is, you
11 know, that -- we're kind of all in this jam, this
12 economic jam together. And when we say we don't
13 know who the schools are, we do, they're the people
14 who are teaching our children. And I know it's an
15 emotional thing and we're trying to be realistic in
16 the real world.

17 But I think when the issue of conservation
18 comes up, it kind of -- it gets frustrating because
19 I remember in the legislative process we used it
20 for years, and I think we've gotten to the point
21 where we've reached the point where the -- the
22 rising costs of everything plus electricity and the
23 slashed budgets have gone well beyond, you know,
24 are you conserving, are the windows open. I think
25 the doors have been closed and the windows have

1 been closed for a long time.

2 And as you indicated, you're saying that, you
3 know, you've gone to the schools, you've been
4 talking to them. If they had the money for the
5 insulation, they should have done it. And I know
6 many schools that have.

7 So I think we're beyond conservation, to be
8 honest with you, and that's my personal opinion.
9 We're beyond just conservation. I think they've
10 tried everything because they are desperate at a
11 point where the budgets have been slashed. So I
12 don't think the answer is simply closing the doors
13 and shutting the windows anymore.

14 I don't know -- I think from what I've read
15 and what I've heard and what staff has told me,
16 they're right in the sense that if you change their
17 classification, however you want to say it, that it
18 could possibly raise their rates.

19 Is there any -- any thought -- and I know that
20 you say there's different schools out there. But
21 when you're talking about trying to separate
22 private schools from public schools, there's a big
23 difference. Private schools are not subject to
24 slashed budgets, government budgets. Government
25 funded I think is a different story.

1 Is there anything that TECO or any company out
2 there listening or maybe wanting to listen could do
3 for our schools at a time we are all in this
4 together. I think that's as simple as I could put
5 it. I don't know if you could really answer that,
6 but maybe somebody listening can answer that.

7 **THE WITNESS:** Well, Commissioner, let me say
8 this. I'm a product of public schools. My kids
9 went to public schools. My wife was a substitute
10 teacher for many years. I feel for the public
11 schools. I really do.

12 My job is to try to design rates which provide
13 the right price signal for people to make a
14 decision about purchasing energy or not purchasing
15 energy.

16 To the extent we identify a group, and
17 certainly the schools are a worthy group and I
18 suspect there are other worthy groups, I suspect
19 other groups, the fire department, the police
20 department, other agencies are facing budget
21 slashes and would be equally here telling you
22 they're having problems and need help.

23 **COMMISSIONER ARGENZIANO:** They're not.

24 **THE WITNESS:** One came, I know. And I feel
25 for them and that -- that issue.

1 But by providing a benefit, let me tell you
2 the downside of it. Certainly the upside is easy.
3 It's helping their budget problem and helping them
4 get through a tough time. That's easy to see.

5 To the extent you do subsidize them, and
6 that's what she's asking for, is a subsidy for
7 circumstances, to the extent you subsidize them,
8 you're giving them an untrue price for the
9 electricity. You're basically reducing their cost
10 of electricity below what the cost is to serve them
11 and you're making the other ratepayers pick it up.
12 So, I mean, it's not just going to go away. It has
13 to get reallocated to the other classes for
14 recovery.

15 And I know in her testimony here, she was
16 concerned about that when asked about the tax
17 increase. That would get spread across to the
18 other people. Well, that's what's going to happen
19 with electric rates if we give them a subsidy as
20 well.

21 To the extent you reduce the price to them, it
22 gives them a benefit and gets them through a tough
23 time, but it also doesn't give them the price
24 signal to make change when they can make change.
25 And she is a busy woman and a very capable one, I'm

1 sure, and has many, many things on her plate. And
2 this is a big one now.

3 If you take it off her plate because we've
4 given her something, she now redirects her efforts
5 elsewhere, which are all fires that are burning as
6 well to deal with class size and other things.
7 Will she come back to it? Will she continue the
8 same focus on how do I get my energy use down
9 because now I've gotten a reduced price. That's
10 the other side of the argument.

11 So it's a policy question. It's a -- it's
12 a -- it's something in your area to deal with.
13 I'll tell you that that's the downside of it. We
14 have a harder time selling programs to people who
15 have lower rates because it's not as cost-effective
16 for them to make the investments or the change in
17 behavior to reduce their energy use.

18 I don't know for sure how much conservation
19 they have done. I just -- I'm not in that area.
20 We have a whole department that does that. And
21 they go and try to talk to them and try to suggest
22 things, but that's -- that's just the best I can
23 give you. To the extent you do take the price
24 signal away, the behavior changes and maybe it's
25 not reflecting the true cost of electric service to

1 them.

2 **COMMISSIONER ARGENZIANO:** I can say more but I
3 won't.

4 **CHAIRMAN CARTER:** Let me do this,
5 Commissioner. I'm going to go back to staff and
6 then I'm going to come back to Commissioner
7 McMurrian. Staff, you're recognized.

8 **BY MS. BROWN:**

9 **Q** That being said, Mr. Ashburn, Tampa Electric
10 will continue to work with the schools to see if they
11 can help them achieve further savings, correct?

12 **A** Yes, certainly. All the time.

13 **Q** Now, one more question. TECO's proposed GSD
14 rate offers an optional GSD rate which allows customers
15 to pay a higher energy charge in return for zero demand
16 charge.

17 **A** That's correct.

18 **Q** Would schools qualify for that optional GSD
19 rate?

20 **A** Yes, if they have a lower -- that -- that
21 optional rate is beneficial if your load factor is below
22 a certain percentage. And if a school is at a lower
23 load factor, then they are put on that rate.

24 **Q** Well, describe for me and the Commission what
25 would be a lower load factor.

1 **A** Around 27 to 30 percent, somewhere in that
2 range. One of the difficulties people have when they
3 look at schools -- and I'll be honest. I looked when
4 this came up and looked again and was surprised as well.
5 People talk about the schools and say, well, they're not
6 on on the weekend and they're not on all summer because
7 the school's out.

8 Well, if look at their load, many of them are
9 very high load factor. They are open well into the
10 evening for after-school events and for cleaning of the
11 buildings. They're there on weekends. During the
12 summer they have summer classes and things. They're a
13 relatively high load factor and very on peak again
14 because the schools open up early for class size. And I
15 know my kids were on split sessions. They were getting
16 up at six in the morning to get to a seven o'clock
17 class. They are often in the winter right on the middle
18 of our winter peak. And in the summer of course they've
19 got sessions that go late and they're on our summer peak
20 as well.

21 So it's very difficult on a cost basis to
22 justify a benefit to them because they are very on-peak
23 and relatively high load factor.

24 However, to the extent we find accounts for
25 the schools that are low load factor and would qualify

1 for that load -- the optional rate, we certainly put
2 them on that and that's a benefit to them.

3 **Q** And wouldn't that be a benefit to not
4 consolidating all of the schools' bills because some
5 schools might qualify for this while others might not?

6 **A** Right. If you are a non-demand customer
7 consolidating your loads from various sites doesn't help
8 because it's the demand rate that gets accumulated and
9 therefore you have the conjunctive billing benefit.

10 **MS. BROWN:** Thank you, Mr. Ashburn. We have
11 no further questions.

12 **CHAIRMAN CARTER:** Commissioner McMurrian.

13 **COMMISSIONER McMURRIAN:** Thank you. And my
14 questions are all on the same line, Mr. Ashburn,
15 and some of them probably have been answered but
16 I'm going to ask them I guess again just to make
17 sure I ask it the way I have it in my head.

18 I think you said that the schools have
19 different rate options available to them. And you
20 mentioned that some of the schools are on the GS
21 and some are on the GSD and some of those. Do they
22 have options of all of those rates including the
23 interruptible?

24 **THE WITNESS:** Yes. They -- we -- in fact,
25 that came up in I believe our '92 rate case where a

1 school that is currently on IS requested to go on
2 the interruptible rates, and there was a debate
3 whether they should be allowed to.

4 And at the time the Commission made the
5 decision, I thought it was based on the plea from
6 the school board saying -- many people were saying,
7 why are you going to an interruptible rate?
8 Somehow the company will turn you off in the middle
9 of some important event at the school and that's a
10 bad thing.

11 The school board said, give us the ability to
12 make a choice on our own. We are -- we're
13 grownups, we have our own people here and we know
14 what's best about educating kids. Just give us
15 choices and we'll make the right choices.

16 So the Commission I think rightly gave them
17 the option to get on the interruptible rate, and
18 one high school did. And has been on there since.

19 All of these are options that are available to
20 the school to choose. We make them available to
21 them. We can't force them on them. But they have
22 availability to go to time and use rates, we've
23 talked to them about that. They have looked at
24 investing in coal storage devices at certain
25 schools and taking advantage of time and use rates

1 to help reduce their costs. So we've talked to
2 them about many, many options and continue to all
3 the time. Clearly they are limited at times with
4 how much budget they have to invest in equipment or
5 make the kind of improvements that Commissioner
6 Argenziano was mentioning about. But we are
7 constantly working with them on options and helping
8 them find ways to find funds elsewhere as well.

9 **COMMISSIONER McMURRIAN:** Well, they don't get
10 any notice that they'll be interrupted, right, or
11 generally interruptible customers don't get a
12 notice before you interrupt them.

13 **THE WITNESS:** We don't have to under the
14 tariff. We do have a program for our
15 interruptible -- our IS customers where we send
16 them information on a day when we know there's a
17 high potential of interruption. Typically those
18 are days when either we know it's going to get
19 really hot and for some reason our generators are
20 off for maintenance or something like that and
21 there's a high likelihood we may not be able to buy
22 in the market. We know sometimes those things in
23 the morning. And we'll give them some information
24 which tells them, this is a high likelihood.

25 There's not much the schools can do about it.

1 They have schedules and they have to meet them.
2 But the larger industrial customers can sometimes
3 then change schedules of their operations and
4 therefore avoid having losses from their operations
5 because an interruption might occur. But we don't
6 have to and we're -- wherever we can, we give them
7 notice.

8 **COMMISSIONER McMURRIAN:** Now, you're proposing
9 to close at least one of your interruptible rates,
10 right, in this rate case?

11 **THE WITNESS:** Well, we're proposing to close
12 all of the IS rates and transfer the customers to
13 the open GSLM 2 and 3 which are interruptible
14 programs.

15 **COMMISSIONER McMURRIAN:** Okay.

16 **THE WITNESS:** So it's a restructuring of
17 those -- how those customers receive their
18 interruptible benefits.

19 **COMMISSIONER McMURRIAN:** Okay. And you talked
20 a lot about working with them to address their
21 needs. And I supposed you do energy audits for the
22 schools in the same way that you do the others.

23 **THE WITNESS:** We do.

24 **COMMISSIONER McMURRIAN:** And we've talked
25 about the conservation, and Commissioner

1 Argenziano's points are well taken.

2 But do you -- I think you said something about
3 needing to track information better or something.
4 Are you all working on ways to provide them with
5 more information about their usage maybe as
6 compared to other schools in the same school
7 district or, you know, Pasco High School in
8 Pasco County did this or changed to this rate and
9 it was beneficial to them and here's what we can
10 show you and perhaps you want to do that too?

11 **THE WITNESS:** I'm not certain how much
12 communication has happened but I'm pretty certain
13 Pasco has been very pleased with how they went on
14 interruptible rates. I think that some of their
15 high schools which are in Progress territory are
16 also on interruptible. The schools talk to each
17 other.

18 So I'm sure they know that Pasco schools, some
19 of them are on interruptible rates. I don't know
20 whether the Hillsborough Schools are aware of the
21 benefits for sure. They may be concerned about the
22 things we talked about back in '92 about I don't
23 want the power going off when something is
24 happening at the school. But we certainly make
25 them aware of all of their options.

1 **COMMISSIONER McMURRIAN:** Okay. And I guess
2 when you were talking about the -- needing the load
3 data, and I think that was another area where you
4 were talking about needing better information, how
5 different -- and I was listening when you were
6 talking about how high schools are really on later
7 than we all think and that they're on the weekends
8 too.

9 And I guess before you said that, I had it in
10 my mind that something like the University of Tampa
11 would have very different load data than a high
12 school or definitely an elementary school. But is
13 that not necessarily the case? Are they more
14 alike? Because I think of course they're having
15 night classes and all at the University of Tampa.

16 **THE WITNESS:** I really haven't compared the
17 universities with the high schools. I will say
18 that there's a wide range within the school
19 districts. So if you look at a high school versus
20 a middle school versus an elementary school,
21 certainly there's different load shapes and demand
22 and load factors and so forth between those groups.
23 But even within the same middle schools or the same
24 high schools, you'll see wide variation. And
25 that's because some of the high schools have more

1 programs than others or may be running a different
2 type of program there.

3 So it's -- it's -- there's no consistency in
4 the load data that I've seen for the schools.
5 Again we don't have 100 percent of the schools
6 under this load data. We have -- we can measure
7 their demand and their energy and their load factor
8 but their coincidence we can only look if we have
9 the load research type data.

10 We have that data for most of the high
11 schools. They're large enough that we have
12 recording meters on all of them so we have pretty
13 much all of the high schools recorded and a few of
14 the middle schools. And we even have a few of the
15 elementary schools. A couple of them have load
16 research meters but not enough to -- and it's not a
17 statistically valid sample of schools.

18 So we have some data. We're certainly welcome
19 to share that with them and show them how their use
20 is. I would say that I think they're very aware of
21 what's going on in their schools and they often
22 know what's going on as far as what's keeping the
23 lights on and so forth.

24 **COMMISSIONER McMURRIAN:** But as you mentioned,
25 I guess one comment is that they're so busy putting

1 out so many different fires, that perhaps they're
2 not -- I know they have organizations where they
3 talk to each other, but perhaps they're not really
4 sharing information among the schools and that you
5 all could help them with that maybe more.

6 **THE WITNESS:** Yes. It's true of most
7 businesses. I think an example where that's not
8 true is the phosphate business where they have an
9 energy manager who that's his only focus.

10 But most businesses are focused on their
11 business which is in this case educating students.
12 So they have, as Ms. Elia said, she has a
13 little hit team or SWAT team, I forget what she
14 called it, but she's got a group of some focused
15 people who are trying to look at the energy issue.
16 And I suspect until some of these things happen,
17 she may not have had that. And I'm not sure of
18 that.

19 But she's really focused on it now or may have
20 hired some people or directed some people to take
21 that on. And we work with them and we're willing
22 to share with them whatever data they need and help
23 them in their efforts.

24 **COMMISSIONER McMURRIAN:** Thank you,
25 Mr. Chairman, that was all I had.

1 **CHAIRMAN CARTER:** Commissioner Argenziano.

2 **COMMISSIONER ARGENZIANO:** It's great that you
3 can work with schools. My point was that they
4 pretty much most -- not all of them but most of
5 them have done everything they can do within the
6 constraints of their budget, and I think the
7 difference in comparing most businesses is that I
8 guess the only way to say it is that basically you
9 make a commercial profit on peoples' taxes. Our
10 schools, our governments.

11 And I'm not saying that one way it's a good or
12 bad thing, but I think that's a big difference.
13 And I think my point was that in, I guess, looking
14 at different classifications trying to understand
15 if certain government entities could get some type
16 of a different break. And I understand that that
17 would be the police and the firemen and so on and
18 so on. But I think there is a difference between
19 the -- the regular business that's out there and
20 the little guy that's, you know, paying his
21 electric bills too, the schools.

22 And once again I think my point is that I
23 don't know how much you can help a school as far as
24 rates, how much I guess the companies can do there.
25 You make healthy profits. We're all in this thing

1 together. I don't know how else to say it. And I
2 know that some things are more complicated than I
3 probably can imagine in the long run.

4 But I don't know what else you do as far as
5 helping the schools. Is there anything, any kind
6 of grants that you can give to certain schools for
7 insulation, for lighting?

8 **THE WITNESS:** I don't know enough about that
9 to answer directly. I think there are some
10 programs like that where we do grants.

11 I know that the company does have many of its
12 team members go off and teach at these teach-in
13 things at the schools. We'll spend a day at the
14 school and teach. So there's a lot of volunteering
15 going on of the people in our company with the
16 schools to help out. And certainly a vast, I don't
17 know if it's a majority, but many, many of our
18 employees of course have kids in the schools and
19 volunteer and bake sales and all of the normal
20 things you would expect from a parent. But the
21 company is very aware of the schools and trying to
22 help them at all times.

23 **COMMISSIONER ARGENZIANO:** If I can -- forgive
24 me because it is a commercial rate the schools are
25 paying, right?

1 **THE WITNESS:** It is -- it is a standard rate,
2 that is correct.

3 **COMMISSIONER ARGENZIANO:** And there's nothing
4 that can be done in looking at the possibility of
5 like a sub-commercial rate?

6 **THE WITNESS:** I'm not suggesting to you that
7 we don't have the ability to create a special
8 school rate and identify it for them in some manner
9 to subsidize them. I'm not saying you don't have
10 that power.

11 I'm telling you the downside of it, and the
12 downside of it is where do you stop. I mean, is it
13 just the schools and then you have more and more
14 and more. And the more that you do that and
15 subsidize a group, that subsidy gets passed on to
16 everybody else. And then as you increase the --
17 increase the rates for everybody else there, now
18 they have a problem. It's a problem that maybe a
19 lot -- a boulder-rolling-down-the-hill kind of
20 thing.

21 **COMMISSIONER ARGENZIANO:** I know. While that
22 ball is rolling as you say, everybody pays -- we're
23 paying for commercial rates for our kids to go to
24 public school. So everybody is paying. I don't
25 know.

1 But I appreciate it. And believe me, I really
2 appreciate the volunteers that go out from the
3 companies because I know they do and they do a lot
4 and that's wonderful that they do. God bless them
5 because I don't know what we'd do without them.

6 **THE WITNESS:** Yeah. I'll say our officers do
7 it as well. It's everybody.

8 **CHAIRMAN CARTER:** Commissioner Skop?

9 **COMMISSIONER SKOP:** Equally on that note, I
10 want to commend Florida's utilities, Progress, FPL
11 as well as TECO. I know that they've made inroads
12 in trying to put solar on schools and I think
13 that's commendable and hopefully we can do more of
14 that throughout the state because that very effort
15 by our utilities, bringing solar to the schools,
16 does help mitigate electrical consumption to some
17 extent, not as much as we'd like. But that
18 provides that educational opportunity to educate
19 students about energy conservation and renewable
20 energy. Thank you.

21 **CHAIRMAN CARTER:** Thank you. Commissioners,
22 anything further on the bench? Staff? Redirect?

23 **MR. WILLIS:** I have no redirect but I would
24 like to move Exhibits 30 and 86.

25 **CHAIRMAN CARTER:** Okay. Commissioners, that

1 will be Exhibit No. 30. Any objections? Without
2 objection, show it done, 30. And Exhibit 86, any
3 objections? Without objection, show it done.

4 Ms. Kaufman.

5 (Exhibits No. 30 and 86 admitted into the
6 record.)

7 **MS. KAUFMAN:** Thank you, Mr. Chairman. FIPUG
8 would move 113 and 114.

9 **CHAIRMAN CARTER:** Any objections?

10 **MR. WILLIS:** I have no objection to that. I
11 wanted to make sure.

12 **COMMISSIONER EDGAR:** Mr. Chairman, I'm
13 wondering if this is the appropriate time to take
14 up Exhibit 31, but I'll defer to TECO counsel.

15 **MR. WILLIS:** Yes, we would like to move
16 Exhibit 31.

17 **CHAIRMAN CARTER:** Thank you, Commissioner.
18 Any objections? Without objection, show it done.
19 Thank you.

20 (Exhibit No. 31 admitted into the record.)

21 **CHAIRMAN CARTER:** There's so many pages here
22 it's hard to keep track of them. You were
23 thinking -- Mr. Willis, you were just taking a
24 moment on 113 and 114?

25 **MR. WILLIS:** We don't object to them.

1 **CHAIRMAN CARTER:** Okay. Without objection,
2 show it done.

3 (Exhibits Nos. 113 and 114 admitted into the
4 record.)

5 **CHAIRMAN CARTER:** Okay. Commissioners, we --
6 Mr. Moyle was saying something yesterday about a
7 biological break.

8 **MR. WILLIS:** Can we excuse Mr. Ashburn?

9 **CHAIRMAN CARTER:** No, let's make him suffer
10 with the rest of us. Sure, he may be excused.

11 **COMMISSIONER ARGENZIANO:** Equal opportunity
12 suffering.

13 **CHAIRMAN CARTER:** Yeah, equal opportunity
14 suffering.

15 Let me do this, Commissioners. We've been at
16 it a long -- you guys have not -- I mean, been true
17 troopers there. Let me give at least you guys a
18 biological break. We'll come back at a quarter
19 after.

20 (Break taken.)

21 **CHAIRMAN CARTER:** We are back on the record.
22 And before we proceed further, Staff, you're
23 recognized.

24 **MR. YOUNG:** Thank you, sir. Commissioners,
25 what was placed before you is an addendum to

1 Exhibit 96. I like to call it a supplement with
2 Exhibit 96.

3 **CHAIRMAN CARTER:** Supplement?

4 **MR. YOUNG:** Yes. I've spoken to the parties
5 and it's my understanding that no one has an
6 objection to it.

7 **CHAIRMAN CARTER:** And this was the information
8 that was requested yesterday, correct?

9 **MR. YOUNG:** Yes, sir.

10 **CHAIRMAN CARTER:** By a different sorting.
11 Mr. Wright?

12 **MR. WRIGHT:** Yes, sir, Mr. Chairman. Thank
13 you.

14 **CHAIRMAN CARTER:** Okay. Without objection.

15 **COMMISSIONER EDGAR:** Mr. Chairman, I do not
16 have an objection but I do have a question.

17 **CHAIRMAN CARTER:** Okay. You're recognized for
18 a question.

19 **COMMISSIONER EDGAR:** Thank you. And I'm not
20 sure if I should put this to staff or TECO or to
21 Mr. Wright. But refresh my memory if you would
22 what it was additionally that you asked for and/or
23 what are we getting now that is supplement to what
24 we were given with 93 and 96.

25 **MR. WRIGHT:** Yes. Ms. Chairman, Commissioner

1 Edgar. Last week I had asked for an additional
2 sort of the information that was originally present
3 by Mr. Gillette as Exhibit 94, and I had asked for
4 two sorts three. One into three groups of grouping
5 the state regulatory commission as ranked by
6 Regularly Research Associates into above average,
7 average and below average. And then I had also
8 asked for -- for ranking in date order.

9 What came in yesterday when we resumed was the
10 first part of what I had asked for but it did not
11 include a ranking and date order. Frankly, this
12 document is satisfactory to me. It's not really
13 what I asked for, which was all of them ranked in
14 straight-up date order.

15 What this does is it divides the three groups,
16 average, above average and below average state
17 commissions as ranked by RRA, and then ranks them
18 within date order within each of those ranking
19 groups.

20 This is okay with me. I'm satisfied. So --
21 is that an adequate explanation of what it is?

22 **COMMISSIONER EDGAR:** Yes. Thank you. And
23 then I just have one follow-up question.

24 **CHAIRMAN CARTER:** You're recognized.

25 **COMMISSIONER EDGAR:** And I guess I would pose

1 this to TECO since they're the ones who have
2 supplied this document.

3 Because we have some of the information by
4 date in different sorts, I'm wondering when I look
5 through the Florida information, I don't see the
6 most recent rate case that we have taken up as a
7 commission which was in early '08 with Florida
8 public utilities. And I -- since we do have
9 information by date, I'm wondering why that's not
10 included.

11 **MR. WILLIS:** I think it's because it's not in
12 the RRA data and we did not supplement it beyond
13 that data.

14 **COMMISSIONER EDGAR:** And do you know, is it
15 not included in the RRA information because of --
16 because it's just T&D or -- I mean, I guess what is
17 included and what is not, especially if we're
18 looking nationally? What -- what is -- what is the
19 classification of what is included versus utilities
20 in other states that would not be.

21 And again, just because we -- what I'm trying
22 to think through is we had some discussion about
23 the applicability of different dates realizing
24 changes in time and many change -- you know, many
25 unique case-by-case circumstances. So I'm just

1 trying to understand what I do have versus what I
2 don't.

3 **MR. WILLIS:** I think it's just because of when
4 that database was updated, and I'm told that it was
5 updated --

6 **COMMISSIONER EDGAR:** I don't want to be
7 argumentative but I think there may be some dates
8 on here that are more recent than that one.

9 **CHAIRMAN CARTER:** Mr. Wright?

10 **MR. WILLIS:** It's just simply not there.

11 **COMMISSIONER EDGAR:** It's just not there.

12 **CHAIRMAN CARTER:** Mr. Wright?

13 **MR. WRIGHT:** Thank you, Mr. Chairman. Just a
14 further response to Commissioner Edgar's question.
15 In my questioning of Mr. Gillette about this data,
16 and it's all the same data that was in his
17 Exhibit 94 which is in the record --

18 **COMMISSIONER EDGAR:** And actually I had a
19 question about that and I just didn't ask it then.
20 So since it came up again, I thought I would take
21 advantage of the opportunity.

22 **MR. WRIGHT:** He -- he said -- you know, of
23 course he was under oath and the transcript will
24 reflect what he said. My recollection is that he
25 said that he -- I asked him is this intended to be

1 a comprehensive list of all of the most current
2 rate decisions affecting pretty much all of the
3 investor-owned utilities subject to regulation in
4 the country. His response was, yes.

5 And he said, but I noticed that there's a
6 company that I know of that's not here and I don't
7 know why that is. And then I -- I believe I
8 clarified by asking him, well, is it your
9 understanding it's the intention that this be close
10 to as complete as possible and is it your
11 understanding that's what it is, and I believe he
12 said yes. So that's what we got.

13 There are some omissions. I think -- but I do
14 believe the omissions go beyond Florida public
15 utilities companies but --

16 **COMMISSIONER EDGAR:** Probably. I wouldn't
17 necessarily know of all of them. I just happen to
18 know of one obviously that was taken up in the past
19 year or so.

20 **MR. WRIGHT:** My understanding is it's intended
21 to be the most comprehensive list that anybody has
22 available.

23 **MR. YOUNG:** Mr. Chairman?

24 **CHAIRMAN CARTER:** Wait one second.
25 Commissioner Argenziano.

1 **COMMISSIONER ARGENZIANO:** And I agree it's
2 missing. But the numbers reflected are not -- not
3 accurate either. Because there are numbers that
4 are on here that are indicating a different ROE
5 than what is actually current.

6 So I don't know that you can rely on the
7 numbers for any of these because what could have
8 been stipulated somewhere is not reflected here.

9 If you look at the current ROEs for the
10 Florida companies, they're not correct. So
11 there's --

12 **CHAIRMAN CARTER:** Mr. Young, you wanted to be
13 heard or were you just trying to bring some clarity
14 to it? Mr. Willis.

15 **MR. WILLIS:** We were asked to produce the
16 information. We took it from the database without
17 making any changes in it and produced it straight
18 up. So for whatever it's worth --

19 **COMMISSIONER ARGENZIANO:** Right. And I'm not
20 blaming the company. You produced what you were
21 asked. I'm just indicating that if you're going to
22 rely on this, know that there's omissions and
23 incorrect numbers.

24 **CHAIRMAN CARTER:** Okay.

25 **MR. MOYLE:** Mr. Chairman?

1 **CHAIRMAN CARTER:** Mr. Moyle.

2 **MR. MOYLE:** Yesterday when we had this
3 discussion, I had indicated that I had asked a
4 question about the reference in the exhibit handed
5 out yesterday that seemed to suggest that RRA was
6 going to put together a special report that had the
7 listing of -- of all cases decided in 2007 and
8 2008, and I was going to try to check on that
9 because I think that, you know, would be a two-year
10 look and list them in chronological order, is how I
11 read the exhibit.

12 So I spent a little time on the Internet this
13 morning. I didn't make a lot of progress. But if
14 that can be something that can be identified and
15 say, hey, we're going to publish it Friday, then,
16 you know, maybe we can work with TECO to get that
17 information to you. I don't have a subscription to
18 RRA but I don't mind trying to find out when
19 actually it's coming out beyond what was
20 represented in their -- in their document, which
21 said the end of January 2009.

22 **CHAIRMAN CARTER:** What about it, Mr. Willis.

23 **MR. WILLIS:** Mr. Chairman, it just seems like
24 we have kind of beat this thing to death or beat it
25 as far as we can. We tried to get this information

1 and I think it just should have some closure to it.

2 **CHAIRMAN CARTER:** Okay. Well, what I think
3 we've got here is information from a --

4 **MR. YOUNG:** Mr. Chairman?

5 **CHAIRMAN CARTER:** Yes, sir. You're
6 recognized.

7 **MR. YOUNG:** Sorry for interrupting. I would
8 like to hand it over to our technical staff and he
9 can shed some light on this report. Andrew?

10 **MR. MAUREY:** Thank you. With respect to FPUC
11 is not in the RRA database. We checked with RRA.

12 **CHAIRMAN CARTER:** Pull your mic a little
13 closer.

14 **MR. MAUREY:** Oh, sorry. Is this good?

15 **CHAIRMAN CARTER:** That's better.

16 **MR. MAUREY:** We checked with RRA. They cover
17 the majority of IOUs in the country but there are
18 some, the smaller T&D only utilities. That doesn't
19 mean all T&Ds are excluded. Larger T&D utilities
20 are in the database but very small T&D utilities
21 like FPUC are not included.

22 The other question regarding the special
23 report that was to be issued in January, it has
24 been issued. We have a copy. But I think it was
25 asked for from the parties. But it is available,

1 is the --

2 **MR. MOYLE:** Is it in the record?

3 **MR. MAUREY:** No, not yet.

4 **MR. YOUNG:** Mr. Chairman, with your
5 permission, we can have someone get that report and
6 hand it out to all of the commissioners and the
7 parties.

8 **CHAIRMAN CARTER:** Why don't we just make it
9 part of the record and then everybody can see it.

10 **MR. WRIGHT:** I would make that request,
11 Mr. Chairman. We've already got -- the big report
12 came in already.

13 **CHAIRMAN CARTER:** Let's just make it part of
14 the record. We'll go ahead on and admit this 96 as
15 a composite. But let's go ahead and put on --
16 let's make it part of the record so everyone can
17 see it, the Commissioners can see it, the parties
18 can see it, and we'll save ourselves some time
19 instead of dancing around in the dark. Okay. So
20 that will be 117. And I just drew a brain cramp.
21 Give me the title.

22 **MR. YOUNG:** Staff's RRA report.

23 **CHAIRMAN CARTER:** Okay. And that will be a
24 late-filed.

25 **MR. YOUNG:** And that will be dated January

1 12th.

2 **CHAIRMAN CARTER:** Okay.

3 (Exhibit No. 117 was identified.)

4 **CHAIRMAN CARTER:** Oh, Commissioners, I'm
5 sorry, there's another preliminary matter I forgot.
6 I did not mention the dinner break, and that will
7 be -- my plans are to break around 6:00, from 6:00
8 to 6:30 for dinner. To the parties, the electronic
9 locks go on -- Chris, what time do they -- at 6:00.

10 So, you know, you may want to send out a
11 scouting party for grub so you can get back in
12 because those locks, the go on electronically and
13 if you don't have the swipe badge, it just won't
14 for you.

15 But we'll do that. We'll go from 6:00 to
16 6:30 for a dinner break and go from there. Okay.

17 **MR. WILLIS:** Mr. Chairman, I have one other
18 matter.

19 **CHAIRMAN CARTER:** You're recognized.

20 **MR. WILLIS:** Mr. Chairman, we have now gone
21 through an indemnification and support for all of
22 the minimum filing requirements. And I would
23 request that a number -- exhibit number be assigned
24 to the company's minimum filing requirements as
25 revised and as noted by the witnesses when they

1 came to the stand and that be given an exhibit
2 number for identification.

3 **CHAIRMAN CARTER:** Okay. Where are we? What
4 number has it been given?

5 **MR. WILLIS:** I think it's 118.

6 **CHAIRMAN CARTER:** Okay. Well, that means it's
7 a new one then. Okay. 118. You've got it.
8 Without objection, show it done.

9 **MR. WILLIS:** And we'd request that it be
10 received in evidence.

11 **CHAIRMAN CARTER:** Okay. I'm sure we all want
12 to see that, right, guys? Show it done.

13 (Exhibit No. 118 was identified and admitted
14 into the record.)

15 **MR. YOUNG:** So Mr. Chairman, that will be 118
16 TECO MFRs?

17 **CHAIRMAN CARTER:** You got it.

18 Okay. Any more preliminary matters before we
19 go further from any of the parties? Staff, any
20 more -- Ms. Brown.

21 **MS. BROWN:** Just to inform the Commission that
22 Mr. Maurey's staff is making copies of that RRA
23 report to pass out.

24 **CHAIRMAN CARTER:** All right then.
25 Ms. Christensen, you're up. You're recognized.

1 **MS. CHRISTENSEN:** We would like to call
2 Dr. Randy Woolridge to the stand and he's here.
3 Thereupon,

4 J. RANDALL WOOLRIDGE, Ph.D.
5 was called as a witness on behalf of OPC, and having
6 been duly sworn, testifies as follows:

7 **DIRECT EXAMINATION**

8 **BY MS. CHRISTENSEN:**

9 **Q** Can you please state your name and business
10 address for the record, please.

11 **A** My name is the initial J, Randall Woolridge.
12 That's spelled W-O-O-L-R-I-D-G-E. My business address
13 is 302 Business Building, University Park, Pennsylvania,
14 16802.

15 **Q** And did you cause to be prefiled in direct
16 testimony November 26, 2008? In this docket?

17 **A** Yes.

18 **Q** And do you have any changes to your prefiled
19 testimony?

20 **A** I have one change. There was an omission on
21 page 11 at line 4. I have a sixth screen which was
22 not -- it was part of this screening process and it was
23 in the work papers. It wasn't included on this line, on
24 line 4.

25 After Standard & Poor's there should be a

1 comma. And the sixth screen is -- should say "and 6,"
2 the number 6, "a three-year history of paying
3 dividends." I'll repeat that, and 6, a three-year
4 history of paying dividends.

5 That screen is simply intended because to use
6 the DCF model, you have to use companies that pay
7 dividends. And I think that in the end that eliminated
8 a couple of companies, Allegheny Energy which just
9 started paying dividends again, Portland General which
10 was sold off and just started paying dividends again, as
11 I remember.

12 But anyhow, that was one additional screen I
13 had had that was in the work papers. It wasn't put in
14 the testimony.

15 Q Okay. With that modification to your
16 testimony, if I were to ask you the questions in your
17 testimony today, would your answers be the same?

18 A Yes.

19 MS. CHRISTENSEN: I would ask that
20 Dr. Woolridge's testimony be inserted into the
21 record as though read.

22 CHAIRMAN CARTER: The prefiled testimony of
23 the witness will be inserted into the record as
24 though read.

25 BY MS. CHRISTENSEN:

1 **Q** And Dr. Rand -- or Dr. Woolridge, did your
2 prefiled testimony contain exhibits?

3 **A** Yes.

4 **Q** And those exhibits were appendix 1 and JRW-1
5 through JRW-13; is that correct?

6 **A** I think it goes through JRW-16.

7 **Q** Okay. Do you have any changes to any of your
8 exhibits?

9 **A** No.

10 **Q** Okay.

11 **MS. CHRISTENSEN:** I would ask -- I guess we
12 have them already identified for the record, No. 32
13 through 48.

14 **CHAIRMAN CARTER:** It's marked for the record,
15 identified for the record. Okay. 32 through 45 or
16 does it go beyond 45? Through 48.

17 Okay. You may proceed.

18

19

20

21

22

23

24

25

1 DIRECT TESTIMONY

2 OF

3 **DR. J. RANDALL WOOLRIDGE**

4 On Behalf of the Office of Public Counsel

5 Before the

6 Florida Public Service Commission

7 Docket No. 080317-EI

8

9 **Q. PLEASE STATE YOUR FULL NAME, ADDRESS, AND OCCUPATION**

10 A. My name is J. Randall Woolridge, and my business address is 120 Haymaker
11 Circle, State College, PA 16801. I am a Professor of Finance and the Goldman,
12 Sachs & Co. and Frank P. Smeal Endowed University Fellow in Business
13 Administration at the University Park Campus of the Pennsylvania State
14 University. I am also the Director of the Smeal College Trading Room and
15 President of the Nittany Lion Fund, LLC. A summary of my educational
16 background, research, and related business experience is provided in Appendix A.

17

18 **I. SUBJECT OF TESTIMONY AND SUMMARY OF**
19 **RECOMMENDATIONS**

20

21 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS**
22 **PROCEEDING?**

23 A. I have been asked by the Florida Office of People's Counsel ("OPC") to provide an
24 opinion as to the overall fair rate of return or cost of capital for the Tampa Electric

1 Company ("Tampa" or "Company") and to evaluate Tampa's rate of return
2 testimony in this proceeding.

3
4 **Q. HOW IS YOUR TESTIMONY ORGANIZED?**

5 A. First I will review my cost of capital recommendation for Tampa, and review the
6 primary areas of contention between Tampa's rate of return position and OPC.
7 Second, I provide an assessment of capital costs in today's capital markets. Third, I
8 discuss my proxy group of electric utility companies for estimating the cost of
9 capital for Tampa. Fourth, I present my recommendations for the Company's capital
10 structure and debt cost rate. Fifth, I discuss the concept of the cost of equity capital,
11 and then estimate the equity cost rate for Tampa. Finally, I critique Tampa's rate of
12 return analysis and testimony. I have a table of contents just after the title page for a
13 more detailed outline.

14 **Q. PLEASE REVIEW YOUR RECOMMENDATIONS REGARDING THE**
15 **APPROPRIATE RATE OF RETURN FOR TAMPA.**

16 A. I am developed a capital structure and debt cost rate for Tampa that reflects its
17 past and present capitalization. I have applied the Discounted Cash Flow Model
18 ("DCF") and the Capital Asset Pricing Model ("CAPM") to a proxy group of
19 publicly-held electric utility companies ("Electric Proxy Group"). My analysis
20 indicates an equity cost rate in the range of 8.2%-9.8% for Tampa. I have used an
21 equity cost rate at the upper end of the range, 9.75%, in recognition of the current
22 volatile capital market conditions. However, I reserve the right to update my

1 equity cost rate recommendations prior to hearings. This is because, in my
2 opinion, the current market conditions are in disequilibrium as investors attempt
3 to sort out the economic consequences of the collapse of the financial sector and
4 the unprecedented bail out by the U. S. government. In addition, certain financial
5 data have not been updated to reflect the current economic situation. Using my
6 capital structure and debt and equity cost rates, I am recommending an overall
7 rate of return of 7.33% for Tampa. These findings are summarized in Exhibit
8 JRW-1.

9 **Q. PLEASE SUMMARIZE THE PRIMARY ISSUES REGARDING RATE OF**
10 **RETURN IN THIS PROCEEDING.**

11 A. Mr. Gordon L. Gillette provides the Company's proposed capital structure and
12 debt cost rates and Dr. Donald A. Murry provides Tampa's proposed common
13 equity cost rate. My analysis suggests that the Company's recommended capital
14 structure with a common equity ratio of 55.3% is equity-rich when compared to
15 the actual capitalization of the Company as well as the capitalization of electric
16 utility companies. I have identified improper adjustments made by the Company
17 that serve to inflate the projected equity in the capital structure. I have adjusted
18 the Company's proposed debt cost rate to reflect market interest rates.

19

20 As for the equity cost rate, Dr. Murry's estimate is 12.0%, whereas my analysis
21 indicates an equity cost rate of 9.75% is appropriate for Tampa. We have both
22 used DCF and CAPM approaches to estimating an equity cost rate for the

1 Company. Dr. Murry has applied these approaches to a proxy group of electric
2 utility companies as well as to TECO Energy.

3
4 In terms of the DCF approaches, the two major areas of disagreement are (1) the
5 relevance of DCF equity cost rate results and (2) the estimation of the expected
6 growth rate. With respect to (1), Dr Murry has ignored the vast majority of his
7 own DCF results for the proxy group and TECO Energy in estimating a DCF
8 equity cost rate range of 11.12% to 13.27%. In this regard, he argues that he uses
9 the high end of his DCF range to account for flotation costs and market pressure.
10 I demonstrate that this represents an erroneous adjustment since these costs are
11 undocumented and unnecessary. With respect to (2), Dr. Murry has relied
12 exclusively on the forecasted earnings per share growth rates of Wall Street
13 analysts and *Value Line* in estimating a DCF equity cost rate. I have used both
14 historic and projected growth rate measures, and have evaluated growth in
15 dividends, book value, and earnings per share. A very significant factor that I
16 consider and highlight is the upwardly-biased expected earnings growth rates of
17 Wall Street analysts and *Value Line*.

18
19 The CAPM approach requires an estimate of the risk-free interest rate, beta, and
20 the equity risk premium. Whereas there is general agreement on the beta and
21 risk-free interest rate, we have significantly different views on the alternative
22 approaches to measuring the equity risk premium as well as the magnitude of
23 equity risk premium. As I highlight in my testimony, there are three procedures

1 for estimating an equity risk premium – historic returns, surveys, and expected
2 return models. Dr. Murry relies solely on historic measures of the equity risk
3 premium and has used equity risk premiums of 7.10% and 8.50% in his two
4 versions of the CAPM. I provide evidence that risk premiums based on historic
5 returns series are subject to a myriad of empirical flaws and, as a result, are
6 upwardly biased measures of expected risk premiums. I have used an equity risk
7 premium of 4.56% which (1) uses all three approaches to estimating an equity
8 premium and (2) employs the results of many studies of the equity risk premium.
9 As I note, my equity risk premium is consistent with the equity risk premiums (1)
10 discovered in recent academic studies by leading finance scholars, (2) employed
11 by leading investment banks and management consulting firms, and (3) found in
12 surveys of financial forecasters and corporate CFOs.

13
14 Dr. Murry and I also disagree on the need for a size premium adjustment to the
15 CAPM. The size premium is based on historical stock returns and, as discussed in
16 my testimony, there are a number of errors in using historical market returns to
17 compute risk premiums. In addition, I argue that any equity cost rate adjustment
18 based on the relative size of a public utility is inappropriate. One study noted in
19 my testimony tested for a size premium in utilities and concluded that, unlike
20 industrial stocks, utility stocks do not exhibit a significant size premium. The
21 primary reason that a size premium is not required for utilities is that utilities are
22 regulated closely by state and federal agencies and commissions, and hence, their

1 financial performance is monitored on an on-going basis by agencies of both the
2 state and federal governments.

3
4 In the end, the most significant areas of disagreement between Dr. Murry and me
5 with respect to the cost of equity are (1) the relevance of the DCF model and its
6 results in determining an equity cost rate for the Company, and (2) the
7 measurement and magnitude of the equity risk premium.

8
9 **II. CAPITAL COSTS IN TODAY'S MARKETS**

10 **Q. PLEASE DISCUSS CAPITAL COSTS IN TODAY'S MARKETS.**

11 A. Long-term capital cost rates for U.S. corporations are currently at their lowest
12 levels in more than four decades. Corporate capital cost rates are determined by
13 the level of interest rates and the risk premium demanded by investors to buy the
14 debt and equity capital of corporate issuers. The base level of long-term interest
15 rates in the U.S. economy is indicated by the rates on ten-year U.S. Treasury
16 bonds. The rates are provided in Exhibit JRW-2 from 1953 to the present. As
17 indicated, prior to the decline in rates that began in the year 2000, the 10-year
18 Treasury yield had not consistently been in the 4-5 percent range over an
19 extended period of time since the 1960s.

20

1 The second base component of the corporate capital cost rates is the risk
2 premium. The risk premium is the return premium required by investors to
3 purchase riskier securities. The equity risk premium is the return premium
4 required to purchase stocks as opposed to bonds. Since the equity risk premium is
5 not readily observable in the markets (as are bond risk premiums), and there are
6 alternative approaches to estimating the equity premium, it is the subject of much
7 debate. One way to estimate the equity risk premium is to compare the mean
8 returns on bonds and stocks over long historical periods. Measured in this
9 manner, the equity risk premium has been in the 5-7 percent range. But recent
10 studies by leading academics indicate the forward-looking equity risk premium is
11 in the 3-4 percent range. These authors indicate that historical equity risk
12 premiums are upwardly biased measures of expected equity risk premiums.
13 Jeremy Siegel, a Wharton finance professor and author of the book *Stocks for the*
14 *Long Term*, published a study entitled "The Shrinking Equity Risk Premium."¹
15 He concludes:

16 The degree of the equity risk premium calculated
17 from data estimated from 1926 is unlikely to persist
18 in the future. The real return on fixed-income assets
19 is likely to be significantly higher than estimated on
20 earlier data. This is confirmed by the yields
21 available on Treasury index-linked securities, which
22 currently exceed 4%. Furthermore, despite the
23 acceleration in earnings growth, the return on
24 equities is likely to fall from its historical level due
25 to the very high level of equity prices relative to
26 fundamentals.

¹ Jeremy J. Siegel, "The Shrinking Equity Risk Premium," *The Journal of Portfolio Management* (Fall, 1999), p. 15.

1
2 Alan Greenspan, the former Chairman of the Federal Reserve Board, indicated in
3 an October 14, 1999, speech on financial risk that the fact that equity risk
4 premiums declined during 1990s is "not in dispute." His assessment focused on
5 the relationship between information availability and equity risk premiums.

6 There can be little doubt that the dramatic
7 improvements in information technology in recent
8 years have altered our approach to risk. Some
9 analysts perceive that information technology has
10 permanently lowered equity premiums and, hence,
11 permanently raised the prices of the collateral that
12 underlies all financial assets.

13 The reason, of course, is that information is critical
14 to the evaluation of risk. The less that is known
15 about the current state of a market or a venture, the
16 less the ability to project future outcomes and,
17 hence, the more those potential outcomes will be
18 discounted.

19 The rise in the availability of real-time information
20 has reduced the uncertainties and thereby lowered
21 the variances that we employ to guide portfolio
22 decisions. At least part of the observed fall in equity
23 premiums in our economy and others over the past
24 five years does not appear to be the result of
25 ephemeral changes in perceptions. It is presumably
26 the result of a permanent technology-driven
27 increase in information availability, which by
28 definition reduces uncertainty and therefore risk
29 premiums. This decline is most evident in equity
30 risk premiums. It is less clear in the corporate bond
31 market, where relative supplies of corporate and
32 Treasury bonds and other factors we cannot easily
33 identify have outweighed the effects of more readily
34 available information about borrowers.²

² Alan Greenspan, "Measuring Financial Risk in the Twenty-First Century," Office of the Comptroller of the Currency Conference, October 14, 1999.

1 In sum, the relatively low interest rates in today's markets as well as the lower
2 risk premiums required by investors indicate that capital costs for U.S. companies
3 are the lowest in decades.

4
5 **Q. FINALLY, PLEASE DISCUSS THE IMPACT OF RECENT CAPITAL**
6 **MARKET VOLATILITY CONDITIONS ON THE EQUITY RISK**
7 **PREMIUM AND THE EQUITY COST RATE.**

8 A. The mortgage, subprime, and credit crises on Wall Street have led to increased
9 market volatility and the unprecedented actions by the U.S. government to resolve
10 the financial crisis. To assess the impact of recent capital market volatility on the
11 equity risk premium and the equity cost rate, one must look at the volatility of
12 stocks relative to bonds. I have performed such an analysis below. To compare
13 the volatility of stocks and bonds, one must standardize the volatility measure.
14 This is normally done by dividing the volatility measure, the standard deviation,
15 by the mean. This standardized volatility measure is known as the Coefficient of
16 Variation ("CV").

17
18 **Q. GIVEN THESE OBSERVATIONS, PLEASE PROVIDE YOUR**
19 **ASSESSMENT OF THE IMPACT OF RECENT CAPITAL MARKET**
20 **CONDITIONS ON THE EQUITY COST RATE.**

21 A. I have performed an analysis of the volatility of stocks relative to bonds since
22 1997. I have used the S&P 500 and the Bear Sterns Bond Price Index ("BSBPI")
23 and computed the CV using a 200-day mean and standard deviation. In Exhibit

1 JRW-5, I have graphed the ratio of the CV(Stock CV)/CV(Bond CV). Hence, this
2 graph shows the standardized volatility of stocks relative to bonds. Higher levels
3 of this ratio represent time periods when stock volatility is high relative to bond
4 volatility, and low levels of this ratio occur during time periods when stock
5 volatility is low relative to bonds. During the last two quarters of 2007, the
6 volatility of bonds increased relative to stocks due to the subprime mortgage
7 crisis. Through October of this year, stocks have increased in volatility relative to
8 bonds. On the relative CV measure, stocks reached a five-year high in terms of
9 relative volatility. As such, current market conditions suggest that stock volatility
10 is high relative to bond volatility.

11
12 **III. PROXY GROUP SELECTION**
13

14 **Q. PLEASE DESCRIBE YOUR APPROACH TO DEVELOPING A FAIR**
15 **RATE OF RETURN RECOMMENDATION FOR TAMPA.**

16 A. To develop a fair rate of return recommendation for Tampa, I have evaluated the
17 return requirements of investors on the common stock of a proxy group of
18 publicly-held electric utility companies.

19 **Q. PLEASE DESCRIBE YOUR PROXY GROUP OF ELECTRIC UTILITY**
20 **COMPANIES.**

21 A. My Electric Proxy Group consists of thirteen electric utility companies. These
22 companies met the following selection criteria: (1) listed as a Electric Utility in *AUS*

1 *Utility Reports*; (2) listed as a Electric Utility in the Standard Edition of the *Value*
2 *Line Investment Survey*; (3) at least 75% regulated electric revenues; (4) operating
3 revenues of less than \$10B; and (5) an investment grade bond rating by Moody's
4 and Standard & Poor's, ^{and (6) a three-year history of paying dividends.} Summary financial statistics for the Electric Proxy Group
5 are listed in Exhibit JRW-3. The average operating revenues and net plant for the
6 group are \$2,908.2M and \$5,173.3M, respectively. On average, the group receives
7 91% of revenues from regulated electric operations, has a 'Baa1' Moody's bond
8 rating, a current common equity ratio of 45%, and an earned return on common
9 equity of 8.9%.

11 **IV. CAPITAL STRUCTURE RATIOS AND DEBT COST RATES**

12 **Q. WHAT IS THE RECOMMENDED CAPITAL STRUCTURE OF THE**
13 **COMPANY?**

14 **A.** The Company's recommended capital structure is shown in Panel A of page 1 of
15 Exhibit JRW-4. The Company is requesting a capital structure consisting of
16 0.24% short-term debt, 42.11% long-term debt, and a 55.32% common equity.
17 This is a 2009 test-year capital structure average and includes a number of
18 adjustments as well as several equity infusions from TECO Energy.

19 **Q. IS THE COMPANY'S RECOMMENDED CAPITAL STRUCTURE**
20 **APPROPRIATE FOR TAMPA?**

21 **A.** No. This capital structure is not appropriate for Tampa for several reasons. First,
22 the proposed capital structure ratios do not reflect the actual capitalization of

1 Tampa Electric. Panel B of Exhibit JRW-4 shows the average capital structure
2 ratios for the Company over the past three years. The average common equity
3 ratio over this time period is 49.02%. Second, the proposed capital structure
4 ratios do not reflect the capitalization of electric utility companies. Panel C of
5 Exhibit JRW-4 shows the average capital structure ratios for the Electric Proxy
6 Group in 2008. The average common equity for the first eleven months of 2008
7 for the group is 45.7%. Third, the proposed capital structure includes a number of
8 adjustments as well as proposed infusions which serve to increase the equity in
9 the capital structure. The Company's proposed adjustments are discussed in the
10 rebuttal section of my testimony.

11 **Q. WHAT CAPITAL STRUCTURE ARE YOU EMPLOYING FOR TAMPA?**
12

13 A. Page 4 of Exhibit JRW-4 provides the Company's capitalization for the years
14 2007, 2008, and 2009. As discussed, the 2009 pro forma capital structure
15 includes a number of adjustments as well as proposed equity infusions. Some of
16 these adjustments are improper, as will be discussed in my rebuttal testimony. The
17 2007 and 2008 capital structures are provided in Panel D of Exhibit JRW-4.
18 These capital structures reflect the actual capitalizations of the company as it has
19 been financed. As such, I am using the average of the 2007 and 2008 capital
20 structures as my proposed capital structure ratios for Tampa. These figures are
21 shown in Panel E of Exhibit JRW-4.

1 **Q. WHY DO YOU BELIEVE THAT YOUR RECOMMENDED CAPITAL**
2 **STRUCTURE IS MORE APPROPRIATE THAN THE CAPITAL**
3 **STRUCTURE PROPOSED BY THE COMPANY?**

4 A. My capital structure is more appropriate for four reasons. My capital structure,
5 with a common equity ratio of 48.89%: (1) much more accurately reflects how the
6 Company has been financed in the past. The Company's average common equity
7 ratio over the past three years has been 49.02%; (2) much more closely reflects
8 the capitalizations of electric utility companies. The average capital structure
9 ratio for the Electric Proxy Group in 2008 is 45.7%; (3) does not include a
10 number of questionable and uncertain adjustments and equity injections; and (4)
11 much more accurately reflects the Company's capital structure as viewed by
12 investors.

13

14 **Q. WHAT SHORT-TERM DEBT COST RATES ARE YOU USING IN THE**
15 **COST OF CAPITAL FOR TAMPA?**

16 A. The Company's short-term debt cost rate is based on a short-term debt rate
17 assumption of 4.5%. This rate, in turn, is based on the historic London Interbank
18 Offered Rate ("LIBOR") between 1991-2008 (see Tampa response to OPC 3-60,
19 part 1) of 4.37% plus a program financing fee. This has very little to do with
20 current LIBOR rates. Page 5 of Exhibit JRW-4 shows LIBOR rates over the past
21 five years. During 2008, LIBOR rates declined to the 2.75% range early in the
22 summer in response to Federal Reserve actions to lower interest rates. These rates
23 increased dramatically to the 4.75% range in September in response to the

1 spreading credit crisis. However, the intervention of the Federal Reserve, the
2 Treasury Department, and U.S. government has resulted in a significant decline in
3 the LIBOR rate. As of November 13, 2008, the three-month LIBOR rate was
4 2.15%. Including the financing program fee of 18 basis points, I will use a short-
5 term debt cost rate of 2.33% ($2.15\% + 0.18\% = 2.33\%$).

6
7 **Q. WHAT LONG-TERM DEBT COST RATE ARE YOU USING IN THE**
8 **COST OF CAPITAL FOR TAMPA?**

9 A. The Company's long-term debt cost rate for rate year 2009 is 6.80%. Details of
10 the development of this debt cost rate were provided in Tampa's response to OPC
11 3-60, part 2. This is shown on page 6 of Exhibit JRW-4. This debt cost rate
12 includes a 2009 bond issue with a 6.90% coupon rate. I will adopt the Company's
13 long-term debt cost rate of 6.80%.

14
15 **V. THE COST OF COMMON EQUITY CAPITAL**

16 **A. Overview**

17 **Q. WHY MUST AN OVERALL COST OF CAPITAL OR FAIR RATE OF**
18 **RETURN BE ESTABLISHED FOR A PUBLIC UTILITY?**

19 A. In a competitive industry, the return on a firm's common equity capital is
20 determined through the competitive market for its goods and services. Due to the
21 capital requirements needed to provide utility services, however, and to the
22 economic benefit to society from avoiding duplication of these services, some
23 public utilities are monopolies. It is not appropriate to permit monopoly utilities to

1 set their own prices because of the lack of competition and the essential nature of
2 the services. Thus, regulation seeks to establish prices that are fair to consumers
3 and at the same time are sufficient to meet the operating and capital costs of the
4 utility (i.e., provide an adequate return on capital to attract investors).

5 **Q. PLEASE PROVIDE AN OVERVIEW OF THE COST OF CAPITAL IN**
6 **THE CONTEXT OF THE THEORY OF THE FIRM.**

7 A. The total cost of operating a business includes the cost of capital. The cost of
8 common equity capital is the expected return on a firm's common stock that the
9 marginal investor would deem sufficient to compensate for risk and the time value
10 of money. In equilibrium, the expected and required rates of return on a
11 company's common stock are equal.

12
13 Normative economic models of the firm, developed under very restrictive
14 assumptions, provide insight into the relationship between firm performance or
15 profitability, capital costs, and the value of the firm. Under the economist's ideal
16 model of perfect competition where entry and exit is costless, products are
17 undifferentiated, and there are increasing marginal costs of production, firms
18 produce up to the point where price equals marginal cost. Over time, a long-run
19 equilibrium is established where price equals average cost, including the firm's
20 capital costs. In equilibrium, total revenues equal total costs, and because capital
21 costs represent investors' required return on the firm's capital, actual returns equal

1 required returns and the market value and the book value of the firm's securities
2 must be equal.

3
4 In the real world, firms can achieve competitive advantage due to product market
5 imperfections. Most notably, companies can gain competitive advantage through
6 product differentiation (adding real or perceived value to products) and by
7 achieving economies of scale (decreasing marginal costs of production).
8 Competitive advantage allows firms to price products above average cost and
9 thereby earn accounting profits greater than those required to cover capital costs.
10 When these profits are in excess of that required by investors, or when a firm earns
11 a return on equity in excess of its cost of equity, investors respond by valuing the
12 firm's equity in excess of its book value.

13
14 James M. McTaggart, founder of the international management consulting firm
15 Marakon Associates, has described this essential relationship between the return on
16 equity, the cost of equity, and the market-to-book ratio in the following manner:³

17 Fundamentally, the value of a company is
18 determined by the cash flow it generates over time
19 for its owners, and the minimum acceptable rate of
20 return required by capital investors. This "cost of
21 equity capital" is used to discount the expected
22 equity cash flow, converting it to a present value.
23 The cash flow is, in turn, produced by the
24 interaction of a company's return on equity and the
25 annual rate of equity growth. High return on equity
26 (ROE) companies in low-growth markets, such as

³ James M. McTaggart, "The Ultimate Poison Pill: Closing the Value Gap," *Commentary* (Spring 1988), p. 2.

1 Kellogg, are prodigious generators of cash flow,
2 while low ROE companies in high-growth markets,
3 such as Texas Instruments, barely generate enough
4 cash flow to finance growth.

5 A company's ROE over time, relative to its cost of
6 equity, also determines whether it is worth more or
7 less than its book value. If its ROE is consistently
8 greater than the cost of equity capital (the investor's
9 minimum acceptable return), the business is
10 economically profitable and its market value will
11 exceed book value. If, however, the business earns
12 an ROE consistently less than its cost of equity, it is
13 economically unprofitable and its market value will
14 be less than book value.

15
16 As such, the relationship between a firm's return on equity, cost of equity, and
17 market-to-book ratio is relatively straightforward. A firm that earns a return on
18 equity above its cost of equity will see its common stock sell at a price above its
19 book value. Conversely, a firm that earns a return on equity below its cost of
20 equity will see its common stock sell at a price below its book value.

21 **Q. PLEASE PROVIDE ADDITIONAL INSIGHTS INTO THE**
22 **RELATIONSHIP BETWEEN RETURN ON EQUITY AND MARKET-TO-**
23 **BOOK RATIOS.**

24 **A.** This relationship is discussed in a classic Harvard Business School case study
25 entitled "A Note on Value Drivers." On page 2 of that case study, the author
26 describes the relationship very succinctly:⁴

27 For a given industry, more profitable firms – those able to
28 generate higher returns per dollar of equity – should have

⁴ Benjamin Esty, "A Note on Value Drivers," Harvard Business School, Case No. 9-297-082, April 7, 1997.

higher market-to-book ratios. Conversely, firms which are unable to generate returns in excess of their cost of equity should sell for less than book value.

<i>Profitability</i>	<i>Value</i>
<i>If ROE > K</i>	<i>then Market/Book > 1</i>
<i>If ROE = K</i>	<i>then Market/Book = 1</i>
<i>If ROE < K</i>	<i>then Market/Book < 1</i>

To assess the relationship by industry, as suggested above, I have performed a regression study between estimated return on equity and market-to-book ratios using natural gas distribution, electric utility and water utility companies. I used all companies in these three industries which are covered by *Value Line* and who have estimated return on equity and market-to-book ratio data. The results are presented in Panels A-C of Exhibit JRW-6. The average R-squares for the electric, gas, and water companies are 0.65, 0.60, and 0.92.⁵ This demonstrates the strong positive relationship between ROEs and market-to-book ratios for public utilities. This means that utilities with higher expected ROEs sell at higher market-to-book ratios.

Q. WHAT ECONOMIC FACTORS HAVE AFFECTED THE COST OF EQUITY CAPITAL FOR PUBLIC UTILITIES?

A. Exhibit JRW-7 provides indicators of public utility equity cost rates over the past decade. Page 1 shows the yields on 10-year 'A' rated public utility bonds. These yields peaked in the 1990s at 8.5%, then declined and again hit the 8.0 percent range in the year 2000. They subsequently declined, hovering in the 4.5 to 5.0

⁵ R-square measures the percent of variation in one variable (e.g., market-to-book ratios) explained by another variable (e.g., expected return on equity). R-squares vary between zero and 1.0, with values closer to 1.0 indicating a higher relationship between two variables.

1 percent range between 2003 and 2005. They increased to 6.0% in June 2006,
2 declined and then once again increased to over 6.0% in the summer of 2007.
3 They retreated to the 5.50% range by the end of 2007. Page 2 provides the
4 dividend yields for the fifteen utilities in the Dow Jones Utilities Average over the
5 past decade. These yields peaked in 1994 at 7.2% and have gradually declined
6 over the past decade. As of 2007, these yields were 3.35%.

7
8 Average earned returns on common equity and market-to-book ratios are given on
9 page 3 of Exhibit JRW-7. Over the past decade, earned returns on common
10 equity have consistently been in the 11.0%-13.0% range. The average ROE
11 peaked at 13.45% in 2001 and subsequently declined through the year 2006
12 before recovering in 2007. Over the past decade, market-to-book ratios for this
13 group have increased gradually but with several ups and downs. The market-to-
14 book average was 1.83 as of 2001, declined to 1.50 in 2003 and increased to 2.2
15 as of 2007.

16
17 The indicators in Exhibit JRW-7, coupled with the overall decrease in interest
18 rates, suggest that capital costs for the Dow Jones Utilities have decreased over
19 the past decade.

20 **Q. WHAT FACTORS DETERMINE INVESTORS' EXPECTED OR**
21 **REQUIRED RATE OF RETURN ON EQUITY?**

1 A. The expected or required rate of return on common stock is a function of
2 market-wide, as well as company-specific, factors. The most important market
3 factor is the time value of money as indicated by the level of interest rates in the
4 economy. Common stock investor requirements generally increase and decrease
5 with like changes in interest rates. The perceived risk of a firm is the predominant
6 factor that influences investor return requirements on a company-specific basis.
7 A firm's investment risk is often separated into business and financial risk.
8 Business risk encompasses all factors that affect a firm's operating revenues and
9 expenses. Financial risk results from incurring fixed obligations in the form of
10 debt in financing its assets.

11 **Q. HOW DOES THE INVESTMENT RISK OF PUBLIC UTILITY**
12 **COMPANIES COMPARE WITH THAT OF OTHER INDUSTRIES?**

13 A. Due to the essential nature of their service as well as their regulated status, public
14 utilities are exposed to a lesser degree of business risk than other, non-regulated
15 businesses. The relatively low level of business risk allows public utilities to
16 meet much of their capital requirements through borrowing in the financial
17 markets, thereby incurring greater than average financial risk. Nonetheless, the
18 overall investment risk of public utilities is below most other industries.

19
20 Exhibit JRW-8 provides an assessment of investment risk for 100 industries as
21 measured by beta, which according to modern capital market theory is the only
22 relevant measure of investment risk. These betas come from the *Value Line*

1 *Investment Survey* and are compiled by Aswath Damodaran of New York
2 University.⁶ The study shows that the investment risk of public utilities is
3 relatively low. The average beta for electric utility industry is 0.88. This figure
4 put electric utility companies in the bottom twenty percent of all industries and
5 well below the *Value Line* average of 1.24. As such, the cost of equity for the
6 electric utility industry is relatively low compared to other industries in the U.S.

7 **Q. HOW CAN THE EXPECTED OR REQUIRED RATE OF RETURN ON**
8 **COMMON EQUITY CAPITAL BE DETERMINED?**

9 A. The costs of debt and preferred stock are normally based on historical or book
10 values and can be determined with a great degree of accuracy. The cost of
11 common equity capital, however, cannot be determined precisely and must
12 instead be estimated from market data and informed judgment. This return to the
13 stockholder should be commensurate with returns on investments in other
14 enterprises having comparable risks.

15
16 According to valuation principles, the present value of an asset equals the
17 discounted value of its expected future cash flows. Investors discount these
18 expected cash flows at their required rate of return that, as noted above, reflect the
19 time value of money and the perceived riskiness of the expected future cash
20 flows. As such, the cost of common equity is the rate at which investors discount
21 expected cash flows associated with common stock ownership.

⁶ They may be found on the Internet at [http:// www.stern.nyu.edu/~adamodar](http://www.stern.nyu.edu/~adamodar).

1
2 Models have been developed to ascertain the cost of common equity capital for a
3 firm. Each model, however, has been developed using restrictive economic
4 assumptions. Consequently, judgment is required in selecting appropriate
5 financial valuation models to estimate a firm's cost of common equity capital, in
6 determining the data inputs for these models, and in interpreting the models'
7 results. All of these decisions must take into consideration the firm involved as
8 well as current conditions in the economy and the financial markets.

9 **Q. HOW DO YOU PLAN TO ESTIMATE THE COST OF EQUITY CAPITAL**
10 **FOR THE COMPANY?**

11 A. I rely primarily on the DCF model to estimate the cost of equity capital. Given
12 the investment valuation process and the relative stability of the utility business, I
13 believe that the DCF model provides the best measure of equity cost rates for
14 public utilities. It is my experience that this Commission has traditionally relied
15 on the DCF method. I have also performed a CAPM study, but I give these
16 results less weight because I believe that risk premium studies, of which the
17 CAPM is one form, provide a less reliable indication of equity cost rates for
18 public utilities.
19

20 **B. Discounted Cash Flow Analysis**

21 **Q. DESCRIBE THE THEORY BEHIND THE TRADITIONAL DCF MODEL.**

1 A. According to the DCF model, the current stock price is equal to the discounted
 2 value of all future dividends that investors expect to receive from investment in
 3 the firm. As such, stockholders' returns ultimately result from current as well as
 4 future dividends. As owners of a corporation, common stockholders are entitled
 5 to a pro-rata share of the firm's earnings. The DCF model presumes that earnings
 6 that are not paid out in the form of dividends are reinvested in the firm so as to
 7 provide for future growth in earnings and dividends. The rate at which investors
 8 discount future dividends, which reflects the timing and riskiness of the expected
 9 cash flows, is interpreted as the market's expected or required return on the
 10 common stock. Therefore, this discount rate represents the cost of common
 11 equity. Algebraically, the DCF model can be expressed as:

$$12 \quad P = \frac{D_1}{(1+k)^1} + \frac{D_2}{(1+k)^2} + \dots + \frac{D_n}{(1+k)^n}$$

13
 14
 15
 16 where P is the current stock price, D_n is the dividend in year n, and k is the cost of
 17 common equity.

18 **Q. IS THE DCF MODEL CONSISTENT WITH VALUATION TECHNIQUES**
 19 **EMPLOYED BY INVESTMENT FIRMS?**

20 A. Yes. Virtually all investment firms use some form of the DCF model as a
 21 valuation technique. One common application for investment firms is called the
 22 three-stage DCF or dividend discount model ("DDM"). The stages in a three-
 23 stage DCF model are presented in Exhibit JRW-9. This model presumes that a
 24 company's dividend payout progresses initially through a growth stage, then

1 proceeds through a transition stage, and finally assumes a steady-state stage. The
2 dividend-payment stage of a firm depends on the profitability of its internal
3 investments, which, in turn, is largely a function of the life cycle of the product or
4 service.

5
6 1. Growth stage: Characterized by rapidly expanding sales, high profit
7 margins, and abnormally high growth in earnings per share. Because of highly
8 profitable expected investment opportunities, the payout ratio is low. Competitors
9 are attracted by the unusually high earnings, leading to a decline in the growth
10 rate.

11
12 2. Transition stage: In later years, increased competition reduces profit
13 margins and earnings growth slows. With fewer new investment opportunities, the
14 company begins to pay out a larger percentage of earnings.

15
16 3. Maturity (steady-state) stage: Eventually the company reaches a position
17 where its new investment opportunities offer, on average, only slightly attractive
18 returns on equity. At that time its earnings growth rate, payout ratio, and return
19 on equity stabilize for the remainder of its life. The constant-growth DCF model is
20 appropriate when a firm is in the maturity stage of the life cycle.

21
22 In using this model to estimate a firm's cost of equity capital, dividends are
23 projected into the future using the different growth rates in the alternative stages,

1 and then the equity cost rate is the discount rate that equates the present value of
2 the future dividends to the current stock price.

3
4 **Q. HOW DO YOU ESTIMATE STOCKHOLDERS' EXPECTED OR**
5 **REQUIRED RATE OF RETURN USING THE DCF MODEL?**

6 A. Under certain assumptions, including a constant and infinite expected growth rate,
7 and constant dividend/earnings and price/earnings ratios, the DCF model can be
8 simplified to the following:

$$9 \qquad \qquad \qquad P \qquad = \qquad \frac{D_1}{k - g}$$

10
11
12
13 where D_1 represents the expected dividend over the coming year and g is the
14 expected growth rate of dividends. This is known as the constant-growth version
15 of the DCF model. To use the constant-growth DCF model to estimate a firm's
16 cost of equity, one solves for k in the above expression to obtain the following:

$$17 \qquad \qquad \qquad k \qquad = \qquad \frac{D_1}{P} \qquad + \qquad g$$

18
19
20
21 **Q. IN YOUR OPINION, IS THE CONSTANT-GROWTH DCF MODEL**
22 **APPROPRIATE FOR PUBLIC UTILITIES?**

23 A. Yes. The economics of the public utility business indicate that the industry is in
24 the steady-state or constant-growth stage of a three-stage DCF. The economics
25 include the relative stability of the utility business, the maturity of the demand for

1 public utility services, and the regulated status of public utilities (especially the
2 fact that their returns on investment are effectively set through the ratemaking
3 process). The DCF valuation procedure for companies in this stage is the
4 constant-growth DCF. In the constant-growth version of the DCF model, the
5 current dividend payment and stock price are directly observable. However, the
6 primary problem and controversy in applying the DCF model to estimate equity
7 cost rates entails estimating investors' expected dividend growth rate.

8 **Q. WHAT FACTORS SHOULD ONE CONSIDER WHEN APPLYING THE**
9 **DCF METHODOLOGY?**

10 A. One should be sensitive to several factors when using the DCF model to estimate
11 a firm's cost of equity capital. In general, one must recognize the assumptions
12 under which the DCF model was developed in estimating its components (the
13 dividend yield and expected growth rate). The dividend yield can be measured
14 precisely at any point in time, but tends to vary somewhat over time. Estimation
15 of expected growth is considerably more difficult. One must consider recent firm
16 performance, in conjunction with current economic developments and other
17 information available to investors, to accurately estimate investors' expectations.

18 **Q. PLEASE DISCUSS EXHIBIT JRW-10.**

19 A. My DCF analysis is provided in Exhibit JRW-10. The DCF summary is on page
20 1 of this Exhibit, and the supporting data and analysis for the dividend yield and
21 expected growth rate are provided on the following pages of the Exhibit.
22

1 **Q. WHAT DIVIDEND YIELDS ARE YOU EMPLOYING IN YOUR DCF**
2 **ANALYSIS FOR THE PROXY GROUP?**

3 A. The dividend yields on the common stock for the companies in the proxy group
4 are provided on page 2 of Exhibit JRW-10 for the six-month period ending
5 November 2008. For the DCF dividend yields for the group, I am using the
6 average of the six month and November 2008 dividend yields, which is 5.2%.

7
8 **Q. PLEASE DISCUSS THE APPROPRIATE ADJUSTMENT TO THE SPOT**
9 **DIVIDEND YIELD.**

10 A. According to the traditional DCF model, the dividend yield term relates to the
11 dividend yield over the coming period. As indicated by Professor Myron Gordon,
12 who is commonly associated with the development of the DCF model for popular
13 use, this is obtained by: (1) multiplying the expected dividend over the coming
14 quarter by 4 and (2) dividing this dividend by the current stock price to determine
15 the appropriate dividend yield for a firm, that pays dividends on a quarterly basis.⁷
16 In applying the DCF model, some analysts adjust the current dividend for growth
17 over the coming year as opposed to the coming quarter. This can be complicated
18 because firms tend to announce changes in dividends at different times during the
19 year. As such, the dividend yield computed based on presumed growth over the
20 coming quarter as opposed to the coming year can be quite different.

⁷ *Petition for Modification of Prescribed Rate of Return*, Federal Communications Commission, Docket No. 79-05, Direct Testimony of Myron J. Gordon and Lawrence I. Gould at 62 (April 1980).

1 Consequently, it is common for analysts to adjust the dividend yield by some
2 fraction of the long-term expected growth rate.

3
4 **Q. GIVEN THIS DISCUSSION, WHAT ADJUSTMENT FACTOR WILL**
5 **YOU USE FOR YOUR DIVIDEND YIELD?**

6 A. I will adjust the dividend yield by one-half (1/2) the expected growth so as to
7 reflect growth over the coming year.

8
9 **Q. PLEASE DISCUSS THE GROWTH RATE COMPONENT OF THE DCF**
10 **MODEL.**

11 A. There is much debate as to the proper methodology to employ in estimating the
12 growth component of the DCF model. By definition, this component is investors'
13 expectation of the long-term dividend growth rate. Presumably, investors use
14 some combination of historical and/or projected growth rates for earnings and
15 dividends per share and for internal or book value growth to assess long-term
16 potential.

17
18 **Q. WHAT GROWTH DATA HAVE YOU REVIEWED FOR THE PROXY**
19 **GROUP?**

20 A. I have analyzed a number of measures of growth for companies in the proxy
21 group. I have reviewed *Value Line*'s historical and projected growth rate estimates
22 for earnings per share ("EPS"), dividends per share ("DPS"), and book value per

1 share ("BVPS"). In addition, I have utilized the average EPS growth rate
2 forecasts of Wall Street analysts as provided by Bloomberg, and Zacks. These
3 services solicit five-year earnings growth rate projections from securities analysts,
4 and compile and publish the means and medians of these forecasts. Finally, I
5 have also assessed prospective growth as measured by prospective earnings
6 retention rates and earned returns on common equity.

7
8 **Q. PLEASE DISCUSS HISTORICAL GROWTH IN EARNINGS AND**
9 **DIVIDENDS AS WELL AS INTERNAL GROWTH.**

10 A. Historical growth rates for EPS, DPS, and BVPS are readily available to virtually
11 all investors and presumably an important ingredient in forming expectations
12 concerning future growth. However, one must use historical growth numbers as
13 measures of investors' expectations with caution. In some cases, past growth may
14 not reflect future growth potential. Also, employing a single growth rate number
15 (for example, for five or ten years), is unlikely to accurately measure investors'
16 expectations due to the sensitivity of a single growth rate figure to fluctuations in
17 individual firm performance as well as overall economic fluctuations (i.e.,
18 business cycles). However, one must appraise the context in which the growth
19 rate is being employed. According to the conventional DCF model, the expected
20 return on a security is equal to the sum of the dividend yield and the expected
21 long-term growth in dividends. Therefore, to best estimate the cost of common

1 equity capital using the conventional DCF model, one must look to long-term
2 growth rate expectations.

3
4 Internally generated growth is a function of the percentage of earnings retained
5 within the firm (the earnings retention rate) and the rate of return earned on those
6 earnings (the return on equity). The internal growth rate is computed as the
7 retention rate times the return on equity. Internal growth is significant in
8 determining long-run earnings and, therefore, dividends. Investors recognize the
9 importance of internally generated growth and pay premiums for stocks of
10 companies that retain earnings and earn high returns on internal investments.

11

12 **Q. WHY ARE YOU NOT RELYING EXCLUSIVELY ON THE EPS**
13 **FORECASTS OF WALL STREET ANALYSTS IN ARRIVING AT A DCF**
14 **GROWTH RATE FOR THE PROXY GROUP?**

15 A. There are several issues with using the EPS growth rate forecasts of Wall Street
16 analysts as DCF growth rates. First, the appropriate growth rate in the DCF
17 model is the dividend growth rate, not the earnings growth rate. Nonetheless,
18 over the very long-term, dividend and earnings will have to grow at a similar
19 growth rate. Therefore, in my opinion, consideration must be given to other
20 indicators of growth, including prospective dividend growth, internal growth, as
21 well as projected earnings growth. Second, and most significantly, it is well-
22 known that the EPS growth rate forecasts of Wall Street securities analysts are
23 overly optimistic and upwardly biased. Hence, using these growth rates as a DCF

1 growth rate will provide an overstated equity cost rate. This issue is discussed at
2 length in the rebuttal section of this testimony.
3

4 **Q. PLEASE DISCUSS THE HISTORICAL GROWTH OF THE COMPANIES**
5 **IN THE GROUP AS PROVIDED IN THE *VALUE LINE INVESTMENT***
6 ***SURVEY*.**

7 A. Historic growth rates for the companies in the group, as published in the *Value*
8 *Line Investment Survey*, are provided on page 3 of Exhibit JRW-10. Due to the
9 presence of outliers among the historic growth rate figures, both the mean and
10 medians are used in the analysis.⁸ The historical growth measures in EPS, DPS,
11 and BVPS for the Electric Proxy Group, as measured by the means and medians,
12 range from -2.3% to 3.0%, with an average of 1.0%.

13
14 **Q. PLEASE SUMMARIZE *VALUE LINE*'S PROJECTED GROWTH RATES**
15 **FOR THE COMPANIES IN THE PROXY GROUP.**

16 A. *Value Line*'s projections of EPS, DPS, and BVPS growth for the companies in the
17 proxy group are shown on page 4 of Exhibit JRW-10. As stated above, due to the
18 presence of outliers, both the mean and medians are used in the analysis. For the
19 Electric Proxy Group, the central tendency measures range from 1.0% to 6.3%,
20 with an average of 3.8%.

21

⁸ Outliers are observations that are much larger or smaller than the majority of the observations that are being evaluated.

1 Also provided on page 4 of Exhibit JRW-10 is prospective internal growth for the
2 proxy group as measured by *Value Line*'s average projected retention rate and
3 return on shareholders' equity. As noted above, internal growth is significant in a
4 primary driver of long-run earnings growth. For the Electric Proxy Group, the
5 average prospective internal growth rate is 3.6%.

6
7 **Q. PLEASE ASSESS GROWTH FOR THE PROXY GROUP AS MEASURED**
8 **BY ANALYSTS' FORECASTS OF EXPECTED 5-YEAR EPS GROWTH.**

9 A. Zacks, and Bloomberg collect, summarize, and publish Wall Street analysts' five-
10 year EPS growth rate forecasts for the companies in the proxy group. These
11 forecasts are provided for the companies in the proxy group on page 5 of Exhibit
12 JRW-10. The median of analysts' projected EPS growth rates for the Electric
13 Proxy Group is 6.13%.⁹

14
15 **Q. PLEASE SUMMARIZE YOUR ANALYSIS OF THE HISTORICAL AND**
16 **PROSPECTIVE GROWTH OF THE PROXY GROUP.**

17 A. Page 6 of Exhibit JRW-10 shows the summary DCF growth rate indicators for the
18 proxy group. The average of the historic and projected growth rate indicators for
19 the Electric Proxy Group is 3.63%. The average of the projected growth rate

⁹ Since there is considerable overlap in analyst coverage between the three services, and not all of the companies have forecasts from the different services, I have averaged the expected five-year EPS growth rates from the three services for each company to arrive at an expected EPS growth rate by company.

indicators and internal growth, excluding historical growth, is 4.5%. I will use this figure as the expected DCF growth rate for the Electric Proxy Group.

Q. BASED ON THE ABOVE ANALYSIS, WHAT ARE YOUR INDICATED COMMON EQUITY COST RATES FROM THE DCF MODEL FOR THE GROUP?

A. My DCF-derived equity cost rate for the group is summarized on page 1 of Exhibit JRW-10.

$$\text{DCF Equity Cost Rate (k)} = \frac{D}{P} + g$$

$$\text{DCF Equity Cost Rate (k)} = 5.3\% + 4.5\% = 9.8\%$$

C. Capital Asset Pricing Model Results

Q. PLEASE DISCUSS THE CAPITAL ASSET PRICING MODEL ("CAPM").

A. The CAPM is a risk premium approach to gauging a firm's cost of equity capital. According to the risk premium approach, the cost of equity is the sum of the interest rate on a risk-free bond (R_f) and a risk premium (RP), as in the following:

$$k = R_f + RP$$

The yield on long-term Treasury securities is normally used as R_f . Risk premiums are measured in different ways. The CAPM is a theory of the risk and expected returns of common stocks. In the CAPM, two types of risk are associated with a stock: firm-specific risk or unsystematic risk, and market or systematic risk, which is measured by a firm's beta. The only risk that investors receive a return for bearing is systematic risk.

According to the CAPM, the expected return on a company's stock, which is also the equity cost rate (K), is equal to:

$$K = (R_f) + \beta * [E(R_m) - (R_f)]$$

Where:

- K represents the estimated rate of return on the stock;
- $E(R_m)$ represents the expected return on the overall stock market. Frequently, the 'market' refers to the S&P 500;
- (R_f) represents the risk-free rate of interest;
- $[E(R_m) - (R_f)]$ represents the expected equity or market risk premium—the excess return that an investor expects to receive above the risk-free rate for investing in risky stocks; and
- Beta—(β) is a measure of the systematic risk of an asset.

To estimate the required return or cost of equity using the CAPM requires three inputs: the risk-free rate of interest (R_f), the beta (β), and the expected equity or market risk premium $[E(R_m) - (R_f)]$. R_f is the easiest of the inputs to measure – it is the yield on long-term Treasury bonds. β , the measure of systematic risk, is a little more difficult to measure because there are different opinions about what adjustments, if any, should be made to historical betas due to their tendency to

1 regress to 1.0 over time. And finally, an even more difficult input to measure is
2 the expected equity or market risk premium ($E(R_m) - (R_f)$). I will discuss each of
3 these inputs below.
4

5 **Q. PLEASE DISCUSS EXHIBIT JRW-11.**

6 A. Exhibit JRW-11 provides the summary results for my CAPM study. Page 1 shows
7 the results, and the following pages contain the supporting data.

8 **Q. PLEASE DISCUSS THE RISK-FREE INTEREST RATE.**

9 A. The yield on long-term U.S. Treasury bonds has usually been viewed as the risk-
10 free rate of interest in the CAPM. The yield on long-term U.S. Treasury bonds, in
11 turn, has been considered to be the yield on U.S. Treasury bonds with 30-year
12 maturities. However, when the Treasury's issuance of 30-year bonds was
13 interrupted for a period of time in recent years, the yield on 10-year U.S. Treasury
14 bonds replaced the yield on 30-year U.S. Treasury bonds as the benchmark long-
15 term Treasury rate. The 10-year U.S. Treasury yields over the past five years are
16 shown on page 2 of Exhibit JRW-11. These rates hit a 60-year low in the summer
17 of 2003 at 3.33%. They increased with the rebounding economy and fluctuated in
18 the 4.0-4.50 percent range in recent years until advancing to 5.0% in early 2006 in
19 response to a strong economy and increases in energy, commodity, and consumer
20 prices. In late 2006, long-term interest rates retreated to the 4.5 percent area as
21 commodity and energy prices declined and inflationary pressures subsided. These
22 rates rebounded to the 5.0% level in the first half of 2007. However, ten-year

1 Treasury yields have again fallen below 4.0 percent due to the housing and sub-
2 prime mortgage crises and its affect on the economy and financial markets.
3

4 **Q. WHAT RISK-FREE INTEREST RATE ARE YOU USING IN YOUR**
5 **CAPM?**

6 A. The U.S. Treasury began to issue the 30-year bond in the early 2000s as the U.S.
7 budget deficit increased. As such, the market has once again focused on its yield
8 as the benchmark for long-term capital costs in the U.S. As noted above, the yields
9 on the 10- and 30- year U.S. Treasuries decreased to below 5.0% in 2007 and have
10 remained at these lower levels. In 2008 Treasury yields have been pushed even lower
11 as a result of the mortgage and sub-prime market credit crisis, the turmoil in the
12 financial sector, the prospect of an economic recession, and the government bailout of
13 financial institutions. As of November 3, 2008, as shown on page 2 of Exhibit JRW-
14 11, the rates on 10- and 30- U.S. Treasury Bonds were 3.93% and 4.35%,
15 respectively. However, these yields have been highly volatile over the past two
16 months. Given this recent range and volatility, along with the prospect of higher
17 rates, I will use 4.5% as the risk-free rate, or R_f , in my CAPM.
18

19 **Q. WHAT BETAS ARE YOU EMPLOYING IN YOUR CAPM?**

20 A. Beta (β) is a measure of the systematic risk of a stock. The market, usually taken
21 to be the S&P 500, has a beta of 1.0. The beta of a stock with the same price

1 movement as the market also has a beta of 1.0. A stock whose price movement is
2 greater than that of the market, such as a technology stock, is riskier than the
3 market and has a beta greater than 1.0. A stock with below average price
4 movement, such as that of a regulated public utility, is less risky than the market
5 and has a beta less than 1.0. Estimating a stock's beta involves running a linear
6 regression of a stock's return on the market return.

7
8 As shown on page 3 of Exhibit JRW-11, the slope of the regression line is the
9 stock's β . A steeper line indicates the stock is more sensitive to the return on the
10 overall market. This means that the stock has a higher β and greater than average
11 market risk. A less steep line indicates a lower β and less market risk.

12
13 Numerous online investment information services, such as Yahoo! and Reuters,
14 provide estimates of stock betas. These services routinely report different betas
15 for the same stock. The differences are usually due to: (1) the time period over
16 which the β is measured and (2) any adjustments that are made to reflect the fact
17 that betas tend to regress to 1.0 over time. In estimating an equity cost rate for the
18 proxy group, I am using the betas for the companies as provided in the *Value Line*
19 *Investment Survey*. As shown on page 3 of Exhibit JRW-11, the average beta for
20 the companies in Electric Proxy Group is 0.82.

1 **Q. PLEASE DISCUSS THE OPPOSING VIEWS REGARDING THE EQUITY**
2 **RISK PREMIUM.**

3 A The equity or market risk premium - $(E(R_m) - R_f)$ - is equal to the expected return
4 on the stock market (e.g., the expected return on the S&P 500 $(E(R_m))$ minus the
5 risk-free rate of interest (R_f) . The equity premium is the difference in the expected
6 total return between investing in equities and investing in "safe" fixed-income
7 assets, such as long-term government bonds. However, while the equity risk
8 premium is easy to define conceptually, it is difficult to measure because it requires
9 an estimate of the expected return on the market.

10

11 **Q. PLEASE DISCUSS THE ALTERNATIVE APPROACHES TO**
12 **ESTIMATING THE EQUITY RISK PREMIUM.**

13 A. Page 4 of Exhibit JRW-11 highlights the primary approaches to, and issues in,
14 estimating the expected equity risk premium. The traditional way to measure the
15 equity risk premium was to use the difference between historical average stock
16 and bond returns. In this case, historical stock and bond returns, also called ex
17 post returns, were used as the measures of the market's expected return (known as
18 the ex ante or forward-looking expected return). This type of historical evaluation
19 of stock and bond returns is often called the "Ibbotson approach" after Professor
20 Roger Ibbotson who popularized this method of using historical financial market
21 returns as measures of expected returns. Most historical assessments of the equity
22 risk premium suggest an equity risk premium of 5-7 percent above the rate on

1 long-term U.S. Treasury bonds. However, this can be a problem because: (1) ex
2 post returns are not the same as ex ante expectations, (2) market risk premiums
3 can change over time; increasing when investors become more risk-averse and
4 decreasing when investors become less risk-averse, and (3) market conditions can
5 change such that ex post historical returns are poor estimates of ex ante
6 expectations.

7
8 The use of historical returns as market expectations has been criticized in
9 numerous academic studies.¹⁰ The general theme of these studies is that the large
10 equity risk premium discovered in historical stock and bond returns cannot be
11 justified by the fundamental data. These studies, which fall under the category
12 "Ex Ante Models and Market Data," compute ex ante expected returns using
13 market data to arrive at an expected equity risk premium. These studies have also
14 been called "Puzzle Research" after the famous study by Mehra and Prescott in
15 which the authors first questioned the magnitude of historical equity risk
16 premiums relative to fundamentals.¹¹

17 **Q. PLEASE SUMMARIZE SOME OF THE ACADEMIC STUDIES THAT**
18 **DEVELOP EX ANTE EQUITY RISK PREMIUMS.**

19 **A.** Two of the most prominent studies of ex ante expected equity risk premiums were
20 by Eugene Fama and Ken French (2002) and James Claus and Jacob Thomas

¹⁰ The problems with using ex post historical returns as measures of ex ante expectations will be discussed at length later in my testimony.

¹¹ R. Mehra and Edward Prescott, "The Equity Premium: A Puzzle," *Journal of Monetary Economics* (1985).

1 (2001). The primary debate in these studies revolves around two related issues:

2 (1) the size of expected equity risk premium, which is the return equity investors
3 require above the yield on bonds and (2) the fact that estimates of the ex ante
4 expected equity risk premium using fundamental firm data (earnings and
5 dividends) are much lower than estimates using historical stock and bond return
6 data.

7
8 Fama and French (2002), two of the most preeminent scholars in finance, use
9 dividend and earnings growth models to estimate expected stock returns and ex
10 ante expected equity risk premiums.¹² They compare these results to actual stock
11 returns over the period 1951-2000. Fama and French estimate that the expected
12 equity risk premium from DCF models using dividend and earnings growth to be
13 between 2.55% and 4.32%. These figures are much lower than the ex post
14 historical equity risk premium produced from the average stock and bond return
15 over the same period, which is 7.40%. Fama and French conclude that the ex ante
16 equity risk premium estimates using DCF models and fundamental data are
17 superior to those using ex post historical stock returns for three reasons: (1) the
18 estimates are more precise (a lower standard error); (2) the Sharpe ratio, which is
19 measured as the [(expected stock return – risk-free rate)/standard deviation], is
20 constant over time for the DCF models but varies considerably over time and
21 more than doubles for the average stock-bond return model; and (3) valuation
22 theory specifies relationships between the market-to-book ratio, return on

¹² Eugene F. Fama and Kenneth R. French, "The Equity Premium," *The Journal of Finance*, (April 2002).

1 investment, and cost of equity capital that favor estimates from fundamentals.
2 They also conclude that the high average stock returns over the past 50 years were
3 the result of low expected returns and that the average equity risk premium has
4 been in the 3-4 percent range.

5
6 The study by Claus and Thomas of Columbia University provides direct support
7 for the findings of Fama and French.¹³ These authors compute ex ante expected
8 equity risk premiums over the 1985-1998 period by: (1) computing the discount
9 rate that equates market values with the present value of expected future cash
10 flows and (2) then subtracting the risk-free interest rate. The expected cash flows
11 are developed using analysts' earnings forecasts. The authors conclude that over
12 this period, the ex ante expected equity risk premium is in the range of 3.0%.
13 Claus and Thomas note that, over this period, ex post historical stock returns
14 overstate the ex ante expected equity risk premium because, as the expected
15 equity risk premium has declined, stock prices have risen. In other words, from a
16 valuation perspective, the present value of expected future returns increase when
17 the required rate of return decreases. The higher stock prices have produced stock
18 returns that have exceeded investors' expectations, and therefore, ex post
19 historical equity risk premium estimates are biased upwards as measures of ex
20 ante expected equity risk premiums.

¹³ James Claus and Jacob Thomas, "Equity Risk Premia as Low as Three Percent? Empirical Evidence from Analysts' Earnings Forecasts for Domestic and International Stock Market," *Journal of Finance*, (October 2001).

1 **Q. PLEASE PROVIDE A SUMMARY OF THE EQUITY RISK PREMIUM**
2 **STUDIES.**

3 A. Derrig and Orr (2003), Fernandez (2007), and Song (2007) have completed the
4 most comprehensive reviews to date of the research on the equity risk premium.¹⁴
5 Derrig and Orr's study evaluated the various approaches to estimating equity risk
6 premiums as well as the issues with the alternative approaches and summarized
7 the findings of the published research on the equity risk premium. Fernandez
8 examined four alternative measures of the equity risk premium – historical,
9 expected, required, and implied. He also reviewed the major studies of the equity
10 risk premium and presented the summary equity risk premium results. Song
11 provides an annotated bibliography and highlights the alternative approaches to
12 estimating the equity risk summary.

13
14 Page 5 of Exhibit JRW-11 provides a summary of the results of the primary risk
15 premium studies reviewed by Derrig and Orr, Fernandez, and Song. In
16 developing page 5 of Exhibit JRW-11, I have categorized the studies as discussed
17 on page 4 of Exhibit JRW-11. I have also included the results of the "Building
18 Blocks" approach to estimating the equity risk premium, including a study I
19 performed, which is presented below. The Building Blocks approach is a hybrid
20 approach employing elements of both historic and ex ante models.

¹⁴ Richard Derrig and Elisha Orr, "Equity Risk Premium: Expectations Great and Small," Working Paper (version 3.0), Automobile Insurers Bureau of Massachusetts, (August 28, 2003), Pablo Fernandez, "Equity Premium: Historical, Expected, Required, and Implied," IESE Business School Working Paper, (2007), and Zhiyi Song, "The Equity Risk Premium: An Annotated Bibliography," CFA Institute, (2007).

1

2 **Q. PLEASE DISCUSS YOUR DEVELOPMENT OF AN EQUITY RISK**
3 **PREMIUM COMPUTED USING THE BUILDING BLOCKS**
4 **METHODOLOGY.**

5 A. Ibbotson and Chen (2003) evaluate the ex post historical mean stock and bond
6 returns in what is called the Building Blocks approach.¹⁵ They use 75 years of
7 data and relate the compounded historical returns to the different fundamental
8 variables employed by different researchers in building ex ante expected equity
9 risk premiums. Among the variables included were inflation, real EPS and DPS
10 growth, ROE and book value growth, and price-earnings ("P/E") ratios. By
11 relating the fundamental factors to the ex post historical returns, the methodology
12 bridges the gap between the ex post and ex ante equity risk premiums. Ilmanen
13 (2003) illustrates this approach using the geometric returns and five fundamental
14 variables – inflation ("CPI"), dividend yield ("D/P"), real earnings growth
15 ("RG"), repricing gains ("PEGAIN") and return interaction/reinvestment
16 ("INT").¹⁶ This is shown on page 6 of Exhibit JRW-11. The first column breaks
17 the 1926-2000 geometric mean stock return of 10.7% into the different return
18 components demanded by investors: the historical U.S. Treasury bond return
19 (5.2%), the excess equity return (5.2%), and a small interaction term (0.3%). This
20 10.7% annual stock return over the 1926-2000 period can then be broken down

¹⁵ Roger Ibbotson and Peng Chen, "Long Run Returns: Participating in the Real Economy," *Financial Analysts Journal*, (January 2003).

¹⁶ Antti Ilmanen, Expected Returns on Stocks and Bonds," *Journal of Portfolio Management*, (Winter 2003), p. 11.

1 into the following fundamental elements: inflation (3.1%), dividend yield (4.3%),
2 real earnings growth (1.8%), repricing gains (1.3%) associated with higher P/E
3 ratios, and a small interaction term (0.2%).
4

5 **Q. HOW ARE YOU USING THIS METHODOLOGY TO DERIVE AN EX**
6 **ANTE EXPECTED EQUITY RISK PREMIUM?**

7 A. The third column in the graph above shows current inputs to estimate an ex ante
8 expected market return. These inputs include the following:
9

10 CPI – To assess expected inflation, I have employed expectations of the short-
11 term and long-term inflation rate. Page 7 of Exhibit JRW-11 shows the expected
12 annual inflation rate according to consumers, as measured by the CPI, over the
13 coming year. This survey is published monthly by the University of Michigan
14 Survey Research Center. In the most recent report, the expected one-year
15 inflation rate was 3.9%.
16

17 Longer term inflation forecasts are available in the Federal Reserve Bank of
18 Philadelphia's publication entitled *Survey of Professional Forecasters*.¹⁷ This
19 survey of professional economists has been published for almost 50 years. While

¹⁷Federal Reserve Bank of Philadelphia, *Survey of Professional Forecasters*, (February 12, 2008). The *Survey of Professional Forecasters* was formerly conducted by the American Statistical Association ("ASA") and the National Bureau of Economic Research ("NBER") and was known as the ASA/NBER survey. The survey, which began in 1968, is conducted each quarter. The Federal Reserve Bank of Philadelphia, in cooperation with the NBER, assumed responsibility for the survey in June 1990.

1 this survey is published quarterly, only the first quarter survey includes long-term
2 forecasts of gross domestic product ("GDP") growth, inflation, and market
3 returns. In the first quarter 2008 survey, published on February 12, 2008, the
4 median long-term (10-year) expected inflation rate as measured by the CPI was
5 2.5% (see page 8 of Exhibit JRW-11).

6
7 Given these results, I will use the average of the surveys of the University of
8 Michigan and Federal Reserve Bank of Philadelphia (3.9% and 2.5%), or 3.2%.

9
10 D/P – As shown on page 9 of Exhibit JRW-11, the dividend yield on the S&P 500
11 has decreased gradually over the past decade. Today, it is far below its average of
12 4.3% over the 1926-2000 time period. Whereas the S&P dividend yield bottomed
13 out at less than 1.4% in 2000, it is currently at 2.85% which I use in the ex ante
14 risk premium analysis.

15 RG – To measure expected real growth in earnings, I use: (1) the historical real
16 earnings growth rate for the S&P 500 and (2) expected real GDP growth. The
17 S&P 500 was created in 1960. It includes 500 companies which come from ten
18 different sectors of the economy. Over the 1960-2007 period, nominal growth in
19 EPS for the S&P 500 was 7.36%. On page 10 of Exhibit JRW-11, real EPS
20 growth is computed using the CPI as a measure of inflation. As indicated by
21 Ibbotson and Chen, real earnings growth over the 1926-2000 period was 1.8%.
22 The real growth figure over 1960-2007 period for the S&P 500 is 3.0 %.

1 The second input for expected real earnings growth is expected real GDP growth.

2 The rationale is that over the long-term, corporate profits have averaged a
3 relatively consistent 5.50% of U.S. GDP.¹⁸ Real GDP growth, according to
4 McKinsey, has averaged 3.5% over the past 80 years. Expected GDP growth,
5 according to the Federal Reserve Bank of Philadelphia's *Survey of Professional*
6 *Forecasters*, is 2.75% (see page 8 of Exhibit JRW-11).

7
8 Given these results, I will use the average of the historical S&P EPS real growth
9 and the projected real GDP growth (as reported by the Federal Reserve Bank of
10 Philadelphia Survey) -- 3.0% and 2.75% -- or 2.85%, for real earnings growth.

11
12 PEGAIN – PEGAIN is the repricing gain associated with an increase in the P/E
13 ratio. It accounted for 1.3% of the 10.7% annual stock return in the 1926-2000
14 period. In estimating an ex ante expected stock market return, one issue is whether
15 investors expect P/E ratios to increase from their current levels. The P/E ratios for
16 the S&P 500 over the past 25 years are shown on page 9 of Exhibit JRW-11. The
17 run-up and eventual peak in P/Es is most notable in the chart. The relatively low
18 P/E ratios (in the range of 10) over two decades ago are also quite notable. As of
19 October 31, 2008, the P/E for the S&P 500 was 18.86.¹⁹

¹⁸ Marc. H. Goedhart, et al, "The Real Cost of Equity," *McKinsey on Finance* (Autumn 2002), p.14.

¹⁹ Source: www.standardandpoors.com.

1 Given the current economic and capital markets environment, I do not believe that
2 investors expect even higher P/E ratios. Therefore, a PEGAIN would not be
3 appropriate in estimating an ex ante expected stock market return. There are two
4 primary reasons for this. First, the average historical S&P 500 P/E ratio is 15.74 –
5 thus the current P/E exceeds this figure. Second, as previously noted, interest rates
6 are at a cyclical low not seen in almost 50 years. This is a primary reason for the
7 high current P/Es. Given the current market environment with relatively high P/E
8 ratios and low relative interest rates, investors are not likely to expect to get stock
9 market gains from lower interest rates and higher P/E ratios.

10

11 **Q. GIVEN THIS DISCUSSION, WHAT IS YOUR EX ANTE EXPECTED**
12 **MARKET RETURN AND EQUITY RISK PREMIUM USING THE**
13 **“BUILDING BLOCKS METHODOLOGY”?**

14 A. My expected market return is represented by the last column on the right in the
15 graph entitled “Decomposing Equity Market Returns: The Building Blocks
16 Methodology” set forth on page 6 of Exhibit JRW-11. As shown, my expected
17 market return of 8.90% is composed of 3.20% expected inflation, 2.85% dividend
18 yield, and 2.85% real earnings growth rate.

19 **Q. GIVEN THAT THE HISTORICAL COMPOUNDED ANNUAL MARKET**
20 **RETURN IS IN EXCESS OF 10%, WHY DO YOU BELIEVE THAT YOUR**
21 **EXPECTED MARKET RETURN OF 8.90% IS REASONABLE?**

1 A. As discussed above, in the development of the expected market return, stock prices
2 are relatively high at the present time in relation to earnings and dividends, and
3 interest rates are relatively low. Hence, it is unlikely that investors are going to
4 experience high stock market returns due to higher P/E ratios and/or lower interest
5 rates. In addition, as shown in the decomposition of equity market returns,
6 whereas the dividend portion of the return was historically 4.3%, the current
7 dividend yield is only 2.85%. Due to these reasons, lower market returns are
8 expected for the future.

9
10 **Q. IS YOUR EXPECTED MARKET RETURN OF 8.90% CONSISTENT**
11 **WITH THE FORECASTS OF MARKET PROFESSIONALS?**

12 A. Yes. In the first quarter 2008 *Survey of Financial Forecasters*, published on
13 February 12, 2008, by the Federal Reserve Bank of Philadelphia, the mean long-
14 term expected return on the S&P 500 was 6.8% (see page 4 of Exhibit JRW-7).

15
16 **Q. IS YOUR EXPECTED MARKET RETURN CONSISTENT WITH THE**
17 **EXPECTED MARKET RETURNS OF CORPORATE CHIEF FINANCIAL**
18 **OFFICERS (CFOs)?**

19 A. Yes. John Graham and Campbell Harvey of Duke University conduct a quarterly
20 survey of corporate CFOs. The survey is a joint project of Duke University and

1 *CFO Magazine*. In the third quarter 2008 survey, the mean expected return on the
2 S&P 500 over the next ten years was 7.79%.²⁰
3

4 **Q. GIVEN THIS EXPECTED MARKET RETURN, WHAT IS YOUR EX**
5 **ANTE EQUITY RISK PREMIUM USING THE BUILDING BLOCKS**
6 **METHODOLOGY?**

7
8 A. As shown on page 2 of Exhibit JRW-11, the current 30-year U.S. Treasury yield is
9 4.35%. My ex ante equity risk premium is simply the expected market return from
10 the Building Blocks methodology minus this risk-free rate:
11

12 Ex Ante Equity Risk Premium = 8.90% - 4.35% = 4.55%

13
14 **Q. GIVEN THIS DISCUSSION, HOW ARE YOU MEASURING AN**
15 **EXPECTED EQUITY RISK PREMIUM IN THIS PROCEEDING?**

16 A. As discussed above, page 5 of Exhibit JRW-11 provides a summary of the results
17 of the equity risk premium studies that I have reviewed. These include the results
18 of: (1) the various studies of the historical risk premium, (2) ex ante equity risk
19 premium studies, (3) equity risk premium surveys of CFOs, Financial Forecasters,
20 and academics, and (4) the Building Block approaches to the equity risk premium.

²⁰ The survey results are available at www.cfosurvey.org.

1 There are results reported for over thirty studies, and the average equity risk
2 premium is 4.56%, which I will use as the equity risk premium in my CAPM
3 study.

4
5 **Q. IS YOUR EX ANTE EQUITY RISK PREMIUM CONSISTENT WITH**
6 **THE EQUITY RISK PREMIUMS OF LEADING INVESTMENT FIRMS?**

7 A. Yes. One of the first studies in this area was by Stephen Einhorn, one of Wall
8 Street's leading investment strategists.²¹ His study showed that the market or
9 equity risk premium had declined to the 2.0 - 3.0 percent range by the early
10 1990s. Among the evidence he provided in support of a lower equity risk
11 premium is the inverse relationship between real interest rates (observed interest
12 rates minus inflation) and stock prices. He noted that the decline in the market
13 risk premium has led to a significant change in the relationship between interest
14 rates and stock prices. One implication of this development was that stock prices
15 had increased higher than would be suggested by the historical relationship
16 between valuation levels and interest rates.

17
18 The equity risk premiums of some of the other leading investment firms today
19 support the result of the academic studies. An article in *The Economist* indicated
20 that some other firms like J.P. Morgan are estimating an equity risk premium for

²¹ Steven G. Einhorn, "The Perplexing Issue of Valuation: Will the Real Value Please Stand Up?" *Financial Analysts Journal* (July-August 1990), pp. 11-16.

1 an average risk stock in the 2.0 - 3.0 percent range above the interest rate on U.S.
2 Treasury Bonds.²²
3

4 **Q. IS YOUR EX ANTE EQUITY RISK PREMIUM CONSISTENT WITH**
5 **THE EQUITY RISK PREMIUMS USED BY CFOS?**

6 A. Yes. In the previously referenced third quarter 2008 CFO survey conducted by
7 *CFO Magazine* and Duke University, the expected 10-year equity risk premium
8 was 3.99%.
9

10 **Q. IS YOUR EX ANTE EQUITY RISK PREMIUM CONSISTENT WITH**
11 **THE EX ANTE EQUITY RISK PREMIUMS OF PROFESSIONAL**
12 **FORECASTERS?**

13 A. Yes. The financial forecasters in the previously referenced Federal Reserve Bank
14 of Philadelphia survey project both stock and bond returns. As shown on page 8 of
15 Exhibit JRW-11, the mean long-term expected stock and bond returns were
16 6.80% and 4.84%, respectively. This provides an ex ante equity risk premium of
17 1.96%.
18

²² For example, see "Welcome to Bull Country," *The Economist* (July 18, 1998), pp. 21-3, and "Choosing the Right Mixture," *The Economist* (February 27, 1999), pp. 71-2.

1 Q. IS YOUR EX ANTE EQUITY RISK PREMIUM CONSISTENT WITH
 2 THE EQUITY RISK PREMIUMS USED BY THE LEADING
 3 CONSULTING FIRMS?

4 A. Yes. McKinsey & Co. is widely recognized as the leading management
 5 consulting firm in the world. It published a study entitled "The Real Cost of
 6 Equity" in which the McKinsey authors developed an ex ante equity risk premium
 7 for the U.S. In reference to the decline in the equity risk premium, as well as
 8 what is the appropriate equity risk premium to employ for corporate valuation
 9 purposes, the McKinsey authors concluded the following:

10 We attribute this decline not to equities becoming less risky
 11 (the inflation-adjusted cost of equity has not changed) but
 12 to investors demanding higher returns in real terms on
 13 government bonds after the inflation shocks of the late
 14 1970s and early 1980s. We believe that using an equity
 15 risk premium of 3.5 to 4 percent in the current environment
 16 better reflects the true long-term opportunity cost of equity
 17 capital and hence will yield more accurate valuations for
 18 companies.²³

19

20 Q. WHAT EQUITY COST RATES ARE INDICATED BY YOUR CAPM
 21 ANALYSIS?

22 A. The results of my CAPM study for the proxy group are provided below:

$$\begin{aligned}
 23 \quad K &= (R_f) + \beta * [E(R_m) - (R_f)] \\
 24 \quad K &= 4.5\% + 0.82 * 4.56\% \\
 25 \quad K &= 8.2\%
 \end{aligned}$$

²³ Marc H. Goedhart, et al, "The Real Cost of Equity," *McKinsey on Finance* (Autumn 2002), p. 15.

1 **D. Equity Cost Rate Summary**

2 **Q. PLEASE SUMMARIZE YOUR EQUITY COST RATE STUDY.**

3 A. The results for my DCF and CAPM analyses for the Electric Proxy Group
4 indicates equity cost rates of 9.8% and 8.2%, respectively.
5

6 **Q. GIVEN THESE RESULTS, WHAT IS YOUR ESTIMATED EQUITY COST**
7 **RATE FOR THE GROUP?**

8 A. Given these results, I conclude that the appropriate equity cost rate for the Electric
9 Proxy Group is in the 8.2%-9.8% range. However, due to the current volatile
10 market conditions which were discussed above, I am using the upper end of the
11 range as the equity cost rate. Therefore, I am recommending an equity cost rate of
12 9.75% for Tampa. In addition, due to the uncertain market conditions, I reserve
13 the right to update my study prior to hearings.
14

15 **Q. ISN'T YOUR EQUITY COST RATE RECOMMENDATION LOW BY**
16 **HISTORICAL STANDARDS?**

17 A. Yes, it is and appropriately so. My rate of return is low by historical standards for
18 two reasons. First, as discussed above, current capital costs are low by historical
19 standards, with interest rates at a cyclical low not seen since the 1960s. And
20 second, as previously discussed, the equity or market risk premium has declined.
21

1 **Q. HOW DO YOU TEST THE REASONABLENESS OF YOUR COST OF**
2 **EQUITY AND OVERALL RATE OF RETURN RECOMMENDATION?**

3 A. To test the reasonableness of my equity cost rate recommendation, I examine the
4 relationship between the return on common equity and the market-to-book ratios
5 for the companies in the Electric Proxy Group.
6

7 **Q. WHAT DO THE RETURNS ON COMMON EQUITY AND MARKET-TO-**
8 **BOOK RATIOS FOR THE PROXY GROUP INDICATE ABOUT THE**
9 **REASONABLENESS OF YOUR RECOMMENDATION?**

10 A. Exhibit JRW-3 provides financial performance and market valuation statistics for
11 companies in the proxy group. The mean current return on equity and market-to-
12 book ratio for the group are 8.9% and 1.36, respectively. These results indicate
13 that, on average, these companies are earning returns on equity above their equity
14 cost rates. As such, this observation provides evidence that my recommended
15 equity cost rate is reasonable and fully consistent with the financial performance
16 and market valuation of the proxy group of electric utility companies.
17

18 **VI. CRITIQUE OF TAMPA'S RATE OF RETURN TESTIMONY**
19

20 **A. Testimonies of Mr. Gordon Gillette and Dr. Donald Murry**
21

22
23 **Q. WHAT ISSUES DO YOU HAVE WITH THE COMPANY'S COST OF**
24 **CAPITAL POSITION?**

1 A. I have issues with the Company's debt cost rate, capital structure, and equity cost
2 rate. The debt cost rate was previously discussed. I focus below on the capital
3 structure and equity cost rate.
4
5

6 **Q. PLEASE EVALUATE THE COMPANY'S RECOMMENDED CAPITAL**
7 **STRUCTURE.**

8 A. The Company's recommended capital structure is not appropriate for ratemaking
9 purposes in this proceeding for four reasons. The recommended capital structure:
10 (1) is not reflective of the recent capitalization of the company; (2) is equity rich and
11 has a much higher common equity ratio than that employed by other electric
12 companies; (3) includes a number of inappropriate adjustments that result in the
13 inflated common equity ratio; and (4) is not reflective of the capital structure used by
14 Tampa to attract capital from investors. Items (1), (2), and (4) were previously
15 discussed. I will now turn to issue (3).
16

17 **Q. WHAT ADJUSTMENTS ARE MADE TO THE COMPANY'S DEBT AND**
18 **EQUITY AMOUNTS IN ARRIVING AT THEIR RECOMMENDED**
19 **CAPITAL STRUCTURE?**

20 A. The Company's recommended capital structure includes a number of adjustments to
21 debt and equity amounts. These adjustments are detailed in MFR, Schedule D-1a
22 and D-1b. OPC Witness Mr. Hugh Larkin has evaluated most of the adjustments.

1 The adjustment that I am focusing on is the \$77M equity adjustment for the
2 Company's Purchased Power Agreements ("PPAs").

3
4 **Q. PLEASE EXPLAIN WHY AN ADJUSTMENT TO EQUITY TO ACCOUNT**
5 **FOR PPAs IS NOT APPROPRIATE.**

6 A. Mr. Gillette has adjusted Tampa's equity by \$77M to account for the Company's
7 PPAs. The \$77M is computed by multiplying a risk factor of 25% to the present
8 value of the Company's capacity contracts. In computing credit rating metrics, S&P
9 applies such a risk factor ranging from 0% to 100% which is intended to reflect the
10 risk of recovery of the PPA payments. However, S&P does not indicate how the
11 risk factor that ranges from 0% to 100% is determined. Given a recovery
12 mechanism for PPA payments, the financial condition of an electric utility company
13 is not impaired by entering into these contracts. Hence, providing incremental
14 revenues through a higher equity ratio and overall rate of return are unnecessary and
15 would result in an unwarranted revenue benefit to the utility. I have identified
16 several flaws in the adjustment.

17
18 **One: Risk Factor**

19 Given the methodology for imputing debt from PPAs, the risk factor is extremely
20 important. Mr. Gillette has presumed that a risk factor of 25% is appropriate for
21 Tampa. However, S&P does not indicate how the risk factor that ranges from 0% to
22 100% is determined. Hence, the S&P risk factor for imputing debt is not well
23 defined and cannot be assessed in this situation. Given the Commission's support

1 for the collection of long-term contractual payments, the risk of non-recovery
2 appears to be extremely low (perhaps even zero percent). Hence, a risk factor as
3 high as 25% seems out of line. But, given the lack of guidance from S&P, it is
4 impossible to properly assess the risk factor in this situation.

5
6 In addition, as opposed to S&P, Moody's appears to recognize some of the benefits
7 of PPAs and looks at them in a more positive manner. For example, Moody's
8 states:²⁴

9 "If a utility enters into a PPA for the purpose of providing an assured supply
10 and there is reasonable assurance that regulators will allow the costs to be
11 recovered in regulated rates, Moody's may view the PPA as being most akin
12 to an operating cost. In this circumstance, there most likely will be no
13 imputed adjustment to the obligations of the utility."
14

15 In other words, under this scenario Moody's would rate the risk factor at 0% and
16 there would be no imputed debt.

17
18 **Two: S&P Adjustments are Not GAAP Accounting**

19 Even if debt were imputed by S&P from a PPA (assuming a risk factor greater than
20 0%), no changes would be made to the company's GAAP financial statements.
21 Hence, investors would not see the impact of S&P's adjustment. In addition, the
22 Company does not incur a liability on its GAAP-based financial statements for the
23 PPAs. Furthermore, given a regulatory-mandated recovery method for the
24 payments, investors should be indifferent to a utility entering into a PPA.

²⁴ Moody's Rating Methodology: Global Regulated Electric Utilities, March 2005, page 10.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Three: From a Regulatory Perspective, PPA Payments are Unlike Debt

In a regulatory setting, a utility is given the ‘opportunity to earn’ its cost of debt as well as its overall cost of capital through the ratemaking process. Given the many uncertainties associated with revenues and expenses between rate cases, there is no guarantee that the overall cost of debt can be earned. However, with long-term PPAs, the timely and certain recovery of fixed payments is assured. That is, PPA costs do not feature the uncertainty associated with the ‘opportunity to earn’ as do debt payments. In sum, given S&P’s lack of guidance on the risk factor, the Commission’s support for the collection of payments for PPAs, the notion that these are not GAAP adjustments that are not recorded as liabilities on the books of the company, and the fact that, from a regulatory perspective, PPA payments are unlike debt, the PPA adjustment to the Company’s capital structure is inappropriate.

Q. PLEASE REVIEW DR. MURRY’S EQUITY COST RATE APPROACHES.

A. Dr. Murry uses a proxy group of electric utility companies as well as TECO Energy and employs CAPM and DCF equity cost rate approaches.

Q. PLEASE SUMMARIZE DR. MURRY’S EQUITY COST RATE RESULTS.

A. Dr. Murry’s equity cost rate estimates for Tampa are summarized in Panel A of Exhibit JRW-12. Based on these figures, he concludes that the appropriate equity cost rate for the Company is 12.0%.

1 Q. PLEASE DISCUSS YOUR ISSUES WITH DR. MURRY'S
2 RECOMMENDED EQUITY COST RATE.

3 A. Dr. Murry's proposed return on common equity is too high primarily due to: (1) an
4 inappropriate group of comparable electric companies; (2) an excessive adjustment
5 to the dividend yield and an inflated growth rate in his DCF approach; (3) his use of
6 the higher end of his DCF results to compensate for flotation costs, market pressure,
7 and market value – book value adjustment; and (4) overstated equity risk premium
8 estimates, as well as the inclusion of a size premium, in his CAPM approaches.

9

10 1. Comparable Electric Companies

11

12 Q. PLEASE DISCUSS THE PROBLEM WITH DR. MURRY'S ELECTRIC
13 UTILITY GROUP.

14 A. Dr. Murry's utility proxy group includes a number of companies that are not
15 appropriate because their operating revenues are from sources other than regulated
16 electric utility services. These companies, and their percent of regulated electric
17 revenues, include: OGE Energy Corp. - 48%, PEPCO Holdings - 55%, SCANA
18 Corp. - 42%, and, and Wisconsin Energy - 62%.

19

20 2. DCF Approach

21

22 Q. PLEASE SUMMARIZE DR. MURRY'S DCF ESTIMATES.

1 A. On pages 33-52 of his testimony and in Documents DAM-13 – DAM-19, Dr. Murry
2 develops an equity cost rate by applying a DCF model to TECO Energy and his
3 group of comparable companies. In the traditional DCF approach, the equity cost
4 rate is the sum of the dividend yield and expected growth. For TECO Energy and
5 the comparable group, he performs two DCF analyses – a 52-week DCF using
6 stock prices over the past year, and a Current DCF using stock prices over the past
7 two weeks. For each of these DCFs, he computes equity cost rates using (1)
8 projected DPS growth rates, (2) *Value Line* projected EPS over the 2002-04 to the
9 2011-13 time period, and (3) projected EPS growth rates estimates from *Value*
10 *Line* (from 2006-07 to 2011-13) and from analysts as compiled by Yahoo! Dr.
11 Murry's DCF results are provided in Panel B of Exhibit JRW-12. Based on these
12 figures, Dr. Murry claims that the relevant DCF results for Tampa are in the range
13 of 11.12% to 13.27%.

14
15 **Q. PLEASE EXPRESS YOUR CONCERNS WITH DR. MURRY'S DCF**
16 **STUDY.**

17 A. I have several major concerns with Dr. Murry's DCF analyses. These are: (1) he
18 has ignored results using projected DPS growth rates for both TECO Energy and
19 the comparable electric utility group; (2) he has totally ignored the DCF results
20 for TECO Energy and relied on highly selected results of his comparable group of
21 electric utility companies; (3) his selected DCF results rely on the upwardly
22 biased EPS growth rates estimates from *Value Line* and from Wall Street analysts

1 as compiled by Yahoo!; and (4) he has erroneously relied on the upper end of the
2 DCF results to account for undocumented flotation costs and market pressure.
3

4 **Q. PLEASE ADDRESS YOUR FIRST ISSUE.**

5 A. Dr. Murry has ignored the DCF results for both TECO Energy and the
6 comparable group using projected DCF growth rates. In the DCF model, the cash
7 flows that investors receive are in the form of dividends. The average projected
8 DPS growth for TECO Energy and the comparable electric utility group are in the
9 2.0% and 3.0% range, respectively. Ignoring the DCF results which use projected
10 DPS growth rates leads to an upwardly biased estimate of a DCF equity cost rate.
11

12 **Q. YOU CLAIM THAT DR. MURRY HAS ALSO IGNORED THE VAST**
13 **MAJORITY OF HIS DCF RESULTS. PLEASE EXPLAIN.**

14 A. Dr. Murry's summary results are provided in Schedule DAM-23. On page 64 of
15 his testimony, Dr. Murry claims that the relevant DCF results are from 11.12% to
16 13.27%. However, these are the high-end of the range of DCF figures for the
17 comparison group using: (1) 2000-02 to 2009-11 EPS growth rates; and (2)
18 analysts' projected EPS growth rates from *Value Line* and Wall Street analysts as
19 compiled by Yahoo! This relevant range simply represents the high end of the
20 range using these two growth rate measures. As such, he has totally ignored the
21 DCF results for TECO Energy as well as the majority of the DCF results for his
22 comparable group of electric utility companies. By ignoring these results, he is
23 recommending a DCF equity cost rate using the results for the company which is

1 200-300 basis points higher than that of his comparable electric utility company
2 group.

3
4 **Q. PLEASE REVIEW DR. MURRY'S EXCESSIVE RELIANCE UPON THE**
5 **PROJECTED EPS GROWTH RATE ESTIMATES OF WALL STREET**
6 **ANALYSTS' AND *VALUE LINE*.**

7 A. It seems highly unlikely that investors today would rely excessively on the forecasts
8 of securities analysts and ignore historical growth in arriving at expected growth. It
9 is well known in the academic world that the EPS forecasts of securities analysts are
10 overly optimistic and biased upwards. In addition, as I show below, *Value Line's*
11 EPS forecasts are excessive and unrealistic.

12
13 **Q. PLEASE REVIEW THE BIAS IN ANALYSTS' GROWTH RATE**
14 **FORECASTS.**

15 A. Analysts' growth rate forecasts are collected and published by Bloomberg, Zacks,
16 First Call, I/B/E/S, and Reuters. These services retrieve and compile EPS forecasts
17 from Wall Street analysts. These analysts come from both the sell side (Merrill
18 Lynch, Paine Webber) and the buy side (Prudential Insurance, Fidelity).

19
20 The problem with using these forecasts to estimate a DCF growth rate is that the
21 objectivity of Wall Street research has been challenged, and many have argued
22 that analysts' EPS forecasts are overly optimistic and biased upwards. To evaluate
23 the accuracy of analysts' EPS forecasts, I have compared actual 3-5 year EPS

1 growth rates with forecasted EPS growth rates on a quarterly basis over the past
2 20 years for all companies covered by the I/B/E/S data base. In Panel A of
3 Exhibit JTW-13, I show the average analysts' forecasted 3-5 year EPS growth
4 rate with the average actual 3-5 year EPS growth rate. Because of the necessary
5 3-5 year follow-up period to measure actual growth, the analysis in this graph
6 only: (1) covers forecasted and actual EPS growth rates through 1999 and (2)
7 includes only companies that have 3-5 years of actual EPS data following the
8 forecast period.

9
10 The following example shows how the results can be interpreted. For the 3-5year
11 period prior to the first quarter of 1999, analysts had projected an EPS growth rate
12 of 15.13%, but companies only generated an average annual EPS growth rate over
13 the 3-5 years of 9.37%. This projected EPS growth rate figure represented the
14 average projected growth rate for over 1,510 companies, with an average of 4.88
15 analysts' forecasts per company. For the entire twenty-year period of the study,
16 for each quarter there were on average 5.60 analysts' EPS projections for 1,281
17 companies. Overall, my findings indicate that forecast errors for long-term
18 estimates are predominantly positive, which indicates an upward bias in growth
19 rate estimates. The mean and median forecast errors over the observation period
20 are 143.06% and 75.08%, respectively. The forecast errors are negative for only
21 eleven of the eighty quarterly time periods: five consecutive quarters starting at the
22 end of 1995 and six consecutive quarters starting in 2006. As shown in the figure
23 below, the quarters with negative forecast errors were for the 3-5 year periods

1 following earnings declines associated with the 1991 and 2001 economic
2 recessions in the U.S. overall. Thus, there is evidence of a persistent upward bias
3 in long-term EPS growth forecasts.

4
5 The post-1999 period has seen the boom and then the bust in the stock market, an
6 economic recession, 9/11, and the Iraq war. Furthermore, and highly significant
7 in the context of this study, we have also had the New York state investigation of
8 Wall Street firms and the subsequent Global Securities Settlement in which nine
9 major brokerage firms paid a fine of \$1.5B for their biased investment research.

10
11 To evaluate the impact of these events on analysts' forecasts, the average 3-5year
12 EPS growth rate projections for all companies provided in the I/B/E/S database on
13 a quarterly basis from 1988 to 2006 are shown in Panel B of Exhibit JRW-13. In
14 this graph, no comparison to actual EPS growth rates is made, and hence, there is
15 no follow-up period. Therefore, 3-5 year growth rate forecasts are shown until
16 2006, and since companies are not lost due to a lack of follow-up EPS data, these
17 results are for a larger sample of firms. Analysts' forecasts for EPS growth were
18 higher for this larger sample of firms, with a more pronounced run-up and then
19 decline around the stock market peak in 2000. The average projected growth rate
20 hovered in the 14.5%-17.5% range until 1995 and then increased dramatically
21 over the next five years to 23.3% in the fourth quarter of the year 2000.
22 Forecasted EPS growth has since declined to the 15.0% range.

1 Q. WHAT IMPACT HAVE RECENT REGULATORY DEVELOPMENTS HAD
2 ON ANALYSTS' EPS GROWTH RATE FORECASTS?

3 A. Analysts' EPS growth rate forecasts have subsided somewhat since the stock
4 market peak of 2000. In addition, the apparent conflict of interest within
5 investment firms with investment banking and analysts' operations was addressed
6 in the Global Analysts Research Settlements ("GARS"). GARS, as agreed upon
7 on April 23, 2003, between the SEC, NASD, NYSE and ten of the largest U.S.
8 investment firms, includes a number of regulations that were introduced to
9 prevent investment bankers from pressuring analysts to provide favorable
10 projections. Nonetheless, despite the new regulations, analysts' EPS growth rate
11 forecasts have not significantly changed and continue to be overly-optimistic.
12 Analysts' long-term EPS growth rate forecasts before and after GARS, are about
13 two times the level of historic GDP growth. Furthermore, historic growth in
14 GDP and corporate earnings has been in the 7% range.

15
16 Finally, these observations are supported by a *Wall Street Journal* article entitled
17 "Analysts Still Coming Up Rosy – Over-Optimism on Growth Rates is Rampant –
18 and the Estimates Help to Buoy the Market's Valuation." The following quote
19 provides insight into the continuing bias in analysts' forecasts:

20 Hope springs eternal, says Mark Donovan, who manages
21 Boston Partners Large Cap Value Fund. "You would have
22 thought that, given what happened in the last three years,
23 people would have given up the ghost. But in large measure
24 they have not."

1 These overly optimistic growth estimates also show that,
2 even with all the regulatory focus on too-bullish analysts
3 allegedly influenced by their firms' investment-banking
4 relationships, a lot of things haven't changed: Research
5 remains rosy and many believe it always will.²⁵

6
7 **Q. IS THE BIAS IN ANALYSTS' GROWTH RATE FORECASTS**
8 **GENERALLY KNOWN IN THE MARKETS?**

9 A. Yes. Page 2 of Exhibit JRW-13 provides a recent article published in the *Wall Street*
10 *Journal* that discusses the upward bias in analysts' EPS growth rate forecasts.

11
12 **Q. ARE ANALYSTS' EPS GROWTH RATE FORECASTS LIKEWISE**
13 **UPWARDLY BIASED FOR ELECTRIC UTILITY COMPANIES?**

14 A. Yes. To evaluate whether analysts' EPS growth rate forecasts are upwardly biased
15 for electric utility companies, I conducted a study similar to the one described
16 above using a group of electric utility companies. The results are shown in Panel
17 C of Exhibit JRW-13. The projected EPS growth rates have declined from about
18 six percent in the 1990s to about five percent in the 2000s. As shown, the
19 achieved EPS growth rates have been volatile. Overall, the upward bias in EPS
20 growth rate projections is not as pronounced for electric utility companies as it is
21 for all companies. Over the entire period, the average quarterly 3-5 year projected
22 and actual EPS growth rates are 4.59% and 2.90%, respectively. These results are
23 consistent with the results for companies in general -- analysts' projected EPS
24 growth rate forecasts are upwardly-biased for utility companies.

²⁵ Ken Brown, "Analysts Still Coming Up Rosy – Over-Optimism on Growth Rates is Rampant – and the Estimates Help to Buoy the Market's Valuation." *Wall Street Journal*, (January 27, 2003), p. C1.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

Q. ARE VALUE LINE'S GROWTH RATE FORECASTS SIMILARLY UPWARDLY BIASED?

A. Yes. *Value Line* has a decidedly positive bias to its earnings growth rate forecasts as well. To assess *Value Line*'s earnings growth rate forecasts, I used the *Value Line Investment Analyzer*. The results are summarized in Panel A of Exhibit JRW-14. I initially filtered the database and found that *Value Line* has 3-5 year EPS growth rate forecasts for 2,453 firms. The average projected EPS growth rate was 14.6%. This is high given that the average historical EPS growth rate in the U.S. is about 7%. A major factor seems to be that *Value Line* only predicts negative EPS growth for 47 companies. This is less than two percent of the companies covered by *Value Line*. Given the ups and downs of corporate earnings, this is unreasonable.

To put this figure in perspective, I screened the *Value Line* companies to see what percent of companies covered by *Value Line* had experienced negative EPS growth rates over the past five years. *Value Line* reported a five-year historic growth rate for 2,371 companies. The results are shown in Panel B of Exhibit JRW-14 and indicate that the average 5-year historic growth rate was 12.9%, and *Value Line* reported negative historic growth for 476 firms which represents 20.1% of these companies. It should be noted that the past five years have been a period of rapidly rising corporate earnings growth as the economy and businesses have rebounded from the recession of 2001.

1 These results indicate that *Value Line*'s EPS forecasts are excessive and unrealistic.
2 It appears that the analysts at *Value Line* are similar to their Wall Street brethren in
3 that they are reluctant to forecast negative earnings growth.
4

5 **Q. FINALLY, ON PAGES 39-43 OF HIS TESTIMONY, DR. MURRY HAS**
6 **ARGUED THAT HE HAS FOCUSED ON THE HIGHER DCF RESULTS**
7 **AS AN ALTERNATIVE TO MAKING AN ADJUSTMENT FOR**
8 **FLOTATION COSTS OR MARKET PRESSURE. PLEASE RESPOND.**

9 A. Dr. Murry's argument for using the higher end DCF results to account for
10 flotation costs or market pressure is in error. There is no need for such an
11 adjustment. Usually it is argued that a flotation cost adjustment is necessary to
12 prevent the dilution of the existing shareholders. Such an adjustment is commonly
13 justified by reference to bonds and the manner in which issuance costs are
14 recovered by including the amortization of bond flotation costs in annual
15 financing costs. However, this is incorrect for several reasons:

16
17 (1) If an equity flotation cost adjustment is similar to a debt flotation cost
18 adjustment, the fact that the market-to-book ratios for electric utility companies
19 are nearly 2.0 actually suggests that there should be a flotation cost reduction (and
20 not increase) to the equity cost rate. This is because when (a) a bond is issued at a
21 price in excess of face or book value, and (b) the difference between market price
22 and the book value is greater than the flotation or issuance costs, the cost of that
23 debt is lower than the coupon rate of the debt. The amount by which market

1 values of electric utility companies are in excess of book values is much greater
2 than flotation costs. Hence, if common stock flotation costs were exactly like
3 bond flotation costs, and one was making an explicit flotation cost adjustment to
4 the cost of common equity, the adjustment would be downward;

5
6 (2) It is commonly argued that a flotation cost adjustment is needed to prevent
7 dilution of existing stockholders' investment. However, the reduction of the book
8 value of stockholder investment associated with flotation costs can occur only
9 when a company's stock is selling at a market price at/or below its book value.
10 As noted above, electric utility companies are selling at market prices well in
11 excess of book value. Hence, when new shares are sold, existing shareholders
12 realize an increase in the book value per share of their investment, not a decrease;

13
14 (3) Flotation costs consist primarily of the underwriting spread or fee and not
15 out-of-pocket expenses. On a per share basis, the underwriting spread is the
16 difference between the price the investment banker receives from investors and
17 the price the investment banker pays to the company. Hence, these are not
18 expenses that must be recovered through the regulatory process. Furthermore, the
19 underwriting spread is known to the investors who are buying the new issue of
20 stock, who are well aware of the difference between the price they are paying to
21 buy the stock and the price that the Company is receiving. The offering price
22 which they pay is what matters when investors decide to buy a stock based on its
23 expected return and risk prospects. Therefore, the company is not entitled to an

1 adjustment to the allowed return to account for those costs; and

2
3 (4) Flotation costs, in the form of the underwriting spread, are a form of a
4 transaction cost in the market. They represent the difference between the price
5 paid by investors and the amount received by the issuing company. Whereas Dr.
6 Murry believes that the Company should be compensated for these transactions
7 costs by using the high-end DCF results neither he nor I have accounted for other
8 market transaction costs in determining a cost of equity for the Company. Most
9 notably, brokerage fees that investors pay when they buy shares in the open
10 market are another market transaction cost. Brokerage fees increase the effective
11 stock price paid by investors to buy shares. If Dr. Murry and I had included these
12 brokerage fees or transaction costs in our DCF analyses, the higher effective stock
13 prices paid for stocks would lead to lower dividend yields and equity cost rates.
14 To be fair then, if Dr. Murry is to make an upward adjustment for transaction
15 costs in the form of using the high-end DCF results, he also should have made a
16 downward adjustment for transaction costs in the form of brokerage fees.

17
18 **Q. PLEASE SUMMARIZE YOUR ASSESSMENT OF DR. MURRY'S DCF**
19 **GROWTH RATE.**

20 A. Dr. Murry's DCF equity cost rate is overstated because he has: (1) employed an
21 inappropriate group of comparable electric companies; (2) made an excessive
22 adjustment to the dividend yield and used the upwardly biased EPS growth rate
23 forecasts of Wall Street analysts and *Value Line* in his DCF approach; and (3)

1 selectively picked the high end of the range of his DCF equity cost rate estimates to
2 account for undocumented flotation costs and market pressure.

3
4 **3. CAPM Analysis**

5
6 **Q. PLEASE DISCUSS DR. MURRY'S CAPM.**

7 A. On pages 52-63, in Documents DAM-24 and DAM-25, Dr. Murry applies the
8 CAPM to TECO Energy and the comparison group of electric utility companies.
9 The first CAPM, which he calls the size-adjusted CAPM, is a traditional CAPM
10 with an incremental 0.92%-1.65% adjustment to account for the relative size of
11 TECO Energy and the comparable electric utility companies. The second CAPM,
12 which Dr. Murry calls a historical CAPM, is based strictly on historical stock and
13 bond returns. Dr. Murry's historical CAPM is very untraditional in three ways:
14 (1) the market total return is the average of the historical returns for large and
15 small stocks as reported by Ibbotson Associates, (2) the historic bond return of
16 6.20% is for long-term corporate bonds, and (3) the risk-free rate Dr. Murry uses
17 is the historic Aaa corporate bond return. The results of Dr. Murry's CAPM
18 analyses are summarized in Panel C of Exhibit JRW-12

19
20 **Q. PLEASE SUMMARIZE YOUR ASSESSMENT OF DR. MURRY'S CAPM**
21 **ANALYSES.**

22 A. There are two primary flaws with Dr. Murry's CAPM analyses: (1) his explicit
23 size adjustment of 0.92% for TECO Energy and the comparison electric utility

1 group in his size-adjusted CAPM and an implicit size premium in his historical
2 CAPM; and (2) most significantly, his equity risk premium of 7.10% in his size-
3 adjusted CAPM and his risk premium of 8.50% in his historical CAPM.

4
5 **Q. PLEASE DISCUSS DR. MURRY'S EXPLICIT AND IMPLICIT SIZE**
6 **ADJUSTMENTS.**

7 A. As noted above, Dr. Murry uses explicit size adjustment of 0.92% for TECO
8 Energy and the comparison group in his size-adjusted CAPM and uses an implicit
9 size premium in his historical CAPM. The implicit size premium in his historical
10 CAPM results from the fact that his market total return of 14.70% is the average
11 of the arithmetic mean stock returns for large stocks and for small stocks from
12 Ibbotson Associates. Dr. Murry supports the need for a size premium by citing
13 the work of Ibbotson Associates.

14
15 There are several flaws in this analysis. First, as discussed later in my testimony,
16 there are a number of errors in using historical market returns to compute risk
17 premiums. Second, the Ibbotson study used for the explicit size premium is based
18 on the stock returns for companies in the 9th decile. However, a review of the
19 Ibbotson document indicates that these companies have betas that are much larger
20 than the betas of electric utility companies. Hence, these size premiums are not
21 associated with the electric utility industry.

22 Finally, and most importantly, any equity cost rate adjustment based on the
23 relative size of a public utility is inappropriate. Professor Annie Wong has tested

1 for a size premium in utilities and concluded that, unlike industrial stocks, utility
2 stocks do not exhibit a significant size premium.²⁶ As explained by Professor
3 Wong, there are several reasons why such a size premium would not be
4 attributable to utilities. Utilities are regulated closely by state and federal agencies
5 and commissions and, hence, their financial performance is monitored on an on-
6 going basis by both the state and federal governments. In addition, public utilities
7 must gain approval from government entities for common financial transactions
8 such as the sale of securities. Furthermore, unlike their industrial counterparts,
9 accounting standards and reporting are fairly standardized for public utilities.
10 Finally, a utility's earnings are predetermined to a certain degree through the
11 ratemaking process in which performance is reviewed by state commissions and
12 other interested parties. Overall, in terms of regulation, government oversight,
13 performance review, accounting standards, and information disclosure, utilities
14 are much different than industrials which could account for the lack of a size
15 premium.

16
17 **Q. PLEASE REVIEW THE ERRORS IN DR. MURRY'S EQUITY OR RISK**
18 **PREMIUM IN HIS TWO CAPM APPROACHES.**

19 A. The primary problem with Dr. Murry's two CAPM analyses is the size of the
20 market or equity risk premium. Dr. Murry uses a risk premium of 7.10% in his
21 size-adjusted CAPM. This is the arithmetic average risk premium of the 1926-

²⁶ Annie Wong, "Utility Stocks and the Size Effect: An Empirical Analysis", *Journal of the Midwest Finance Association*, 1993, PP. 95-101.

1 2007 results from the Ibbotson study. He uses a risk premium of 8.50% in his
2 historical CAPM which is the difference between his historic market return of
3 14.70% (the average of the arithmetic mean stock returns for large stocks of
4 12.3% and for small stocks of 17.1%) and 6.20% which is the historic long-term
5 corporate bond return. Both of these risk premiums are based solely on the
6 difference in the arithmetic mean stock and bond returns over the 1926-2007
7 period.

8
9 **Q. PLEASE ADDRESS THE ISSUES INVOLVED IN USING HISTORICAL**
10 **STOCK AND BOND RETURNS TO COMPUTE A FORWARD-LOOKING**
11 **OR EX ANTE RISK PREMIUM.**

12 A. Using the historical relationship between stock and bond returns to measure an ex
13 ante equity risk premium is erroneous and overstates the true market equity risk
14 premium. The equity risk premium is based on expectations of the future and
15 when past market conditions vary significantly from the present, historic data
16 does not provide a realistic or accurate barometer of expectations of the future.
17 At the present time, using historical returns to measure the ex ante equity risk
18 premium ignores current market conditions and masks the dramatic change in the
19 risk and return relationship between stocks and bonds. This change suggests that
20 the equity risk premium has declined.

21
22 **Q. PLEASE DISCUSS THE ERRORS IN USING HISTORIC STOCK AND**
23 **BOND RETURNS TO ESTIMATE AN EQUITY RISK PREMIUM.**
24

1
2 A. There are a number of flaws in using historic returns over long time periods to
3 estimate expected equity risk premiums. These issues include:

- 4 (A) Biased historical bond returns;
5 (B) The arithmetic versus the geometric mean return;
6 (C) The large error in measuring the equity risk premium using historical
7 returns;
8 (D) Biased historical stock returns and transactions costs;
9 (E) Company survivorship bias;
10 (F) The "Peso Problem" - U.S. stock market survivorship bias;
11 (G) Market conditions today are significantly different than the past; and
12 (H) Changes in risk and return in the markets.

13 These issues will be addressed in order.

14

15 Biased Historical Bond Returns

16

17 **Q. HOW ARE HISTORICAL BOND RETURNS BIASED?**

18 A. An essential assumption of these studies is that over long periods of time investors'
19 expectations are realized. However, the experienced returns of bondholders in the
20 past violate this critical assumption. Historic bond returns are biased downward as a
21 measure of expectancy because of capital losses suffered by bondholders in the past.
22 As such, risk premiums derived from this data are biased upwards.

23

1 The Arithmetic versus the Geometric Mean Return

2
3 **Q. PLEASE DISCUSS THE ISSUE RELATING TO THE USE OF THE**
4 **ARITHMETIC VERSUS THE GEOMETRIC MEAN RETURNS IN THE**
5 **IBBOTSON METHODOLOGY.**

6 A. The measure of investment return has a significant effect on the interpretation of
7 the risk premium results. When analyzing a single security price series over time
8 (i.e., a time series), the best measure of investment performance is the geometric
9 mean return. Using the arithmetic mean overstates the return experienced by
10 investors. In a study entitled "Risk and Return on Equity: The Use and Misuse of
11 Historical Estimates," Carleton and Lakonishok make the following observation:
12 "The geometric mean measures the changes in wealth over more than one period
13 on a buy and hold (with dividends invested) strategy."²⁷ Since Dr. Murry's study
14 covers more than one period (and he assumes that dividends are reinvested), he
15 should be employing the geometric mean and not the arithmetic mean.

16
17 **Q. PLEASE PROVIDE AN EXAMPLE DEMONSTRATING THE PROBLEM**
18 **WITH USING THE ARITHMETIC MEAN RETURN.**

A19 To demonstrate the upward bias of the arithmetic mean, consider the following
20 example. Assume that you have a stock (that pays no dividend) that is selling for
21 \$100 today, increases to \$200 in one year, and then falls back to \$100 in two

²⁷ Willard T. Carleton and Josef Lakonishok, "Risk and Return on Equity: The Use and Misuse of Historical Estimates," *Financial Analysts Journal* (January-February, 1985), pp. 38-47.

years. The table below shows the prices and returns.

Time Period	Stock Price	Annual Return
0	\$100	
1	\$200	100%
2	\$100	-50%

The arithmetic mean return is simply $(100\% + (-50\%))/2 = 25\%$ per year. The geometric mean return is $((2 * .50)^{(1/2)}) - 1 = 0\%$ per year. Therefore, the arithmetic mean return suggests that your stock has appreciated at an annual rate of 25%, while the geometric mean return indicates an annual return of 0%. Since after two years, your stock is still only worth \$100, the geometric mean return is the appropriate return measure. For this reason, when stock returns and earnings growth rates are reported in the financial press, they are generally reported using the geometric mean. This is because of the upward bias of the arithmetic mean. As further evidence of the appropriate mean return measure, the U.S. Securities and Exchange Commission requires equity mutual funds to report historic return performance using geometric mean and not arithmetic mean returns.²⁸ Therefore, Dr. Murry's arithmetic mean return measures are upwardly biased and should be disregarded.

The Large Error in Measuring Equity Risk Premiums with Historic Data

²⁸ U.S. Securities and Exchange Commission, Form N-1A.

1 **Q. PLEASE DISCUSS THE LARGE ERROR IN MEASURING THE EQUITY**
2 **RISK PREMIUM USING HISTORICAL STOCK AND BOND RETURNS.**

3 A. Measuring the equity risk premium using historical stock and bond return is subject
4 to a very large amount of forecasting error. For example, the long-term equity risk
5 premium of 6.5% has a standard deviation of 20.6%. This may be interpreted in the
6 following way with respect to the historical distribution of the long-term equity risk
7 premium using a standard normal distribution and a 95% +/- two standard deviation
8 confidence interval: We can say, with a 95% degree of confidence, that the true
9 equity risk premium is between -34.7% and +47.7%. As such, the historical equity
10 risk premium is measured with a large degree of error.

11
12 Biased Historic Stock Returns and Transactions Costs

13
14
15 **Q. YOU NOTE THAT HISTORIC STOCK RETURNS ARE BIASED USING**
16 **THE IBBOTSON METHODOLOGY. PLEASE ELABORATE.**

17 A. Returns developed using Ibbotson's methodology are computed on stock indexes
18 and, therefore (1) cannot be reflective of expectations because these returns are
19 unattainable to investors and (2) produce biased results. This methodology assumes:
20 (a) monthly portfolio rebalancing and (b) reinvestment of interest and dividends.
21 Monthly portfolio rebalancing presumes that investors rebalance their portfolios at
22 the end of each month in order to have an equal dollar amount invested in each
23 security at the beginning of each month. The assumption would obviously generate
24 extremely high transaction costs and thereby render these returns unattainable to

1 investors. In addition an academic study demonstrates that the monthly portfolio
2 rebalancing assumption produces biased estimates of stock returns.²⁹

3
4 Transaction costs themselves provide another bias in historic versus expected
5 returns. The observed stock returns of the past were not the realized returns of
6 investors due to the much higher transaction costs of previous decades. These
7 higher transaction costs are reflected through the higher commissions on stock
8 trades and the lack of low cost mutual funds like index funds. Jeremy Siegel
9 estimates that the transactions costs associated with replicating a market portfolio
10 with reinvested dividends would subtract 100-200 basis points from the stock
11 holder returns. In other words, the actual realized equity returns were probably
12 100-200 basis points below those calculated from historic data.³⁰

13
14 Company Survivorship Bias

15
16 **Q. HOW DOES COMPANY SURVIVORSHIP BIAS AFFECT DR. MURRY'S**
17 **HISTORIC EQUITY RISK PREMIUM?**

18
19 A. Using historic data to estimate an equity risk premium suffers from company
20 survivorship bias. Company survivorship bias results when using returns from

²⁹ See Richard Roll, "On Computing Mean Returns and the Small Firm Premium," *Journal of Financial Economics* (1983), pp. 371-86.

³⁰ Jeremy J. Siegel, "Perspectives on the Equity Risk Premium," *Financial Analysts Journal* (November/December 2005), p. 65.

1 indexes like the S&P 500. The S&P 500 includes only companies that have
2 survived. The fact that returns of firms that did not perform so well were dropped
3 from these indexes is not reflected. Therefore, these stock returns are upwardly
4 biased because they only reflect the returns from more successful companies.

5
6 The “Peso Problem” - U.S. Stock Market Survivorship Bias

7
8 **Q. WHAT IS THE “PESO PROBLEM,” AND HOW DOES IT RELATE TO**
9 **SURVIVORSHIP BIAS IN U. S. STOCK MARKET RETURNS?**

10 A. Dr. Murry’s use of historic return data also suffers from the so-called “Peso
11 problem,” which is also known as U.S. stock market survivorship bias. The “Peso
12 problem” issue was first highlighted by the Nobel laureate, Milton Friedman, and
13 gets its name from conditions related to the Mexican peso market in the early
14 1970s. This issue involves the fact that past stock market returns were higher
15 than were expected at the time because despite war, depression, and other social,
16 political, and economic events, the U.S. economy survived and did not suffer
17 hyperinflation, invasion, and/or the calamities of other countries. As such, highly
18 improbable events, which may or may not occur in the future, are factored into
19 stock prices, leading to seemingly low valuations. Higher than expected stock
20 returns are then earned when these events do not subsequently occur. Therefore,
21 the “Peso problem” indicates that historic stock returns are overstated as measures
22 of expected returns because the U.S. markets have not experienced the disruptions
23 of other major markets around the world.

Market Conditions Today are Significantly Different than in the Past

Q. FROM AN EQUITY RISK PREMIUM PERSPECTIVE, PLEASE DISCUSS HOW MARKET CONDITIONS ARE DIFFERENT TODAY.

A. The equity risk premium is based on expectations of the future. When past market conditions vary significantly from the present, historic data does not provide a realistic or accurate barometer of expectations of the future. As noted previously, stock valuations (as measured by P/E) are relatively high and interest rates are relatively low, on a historic basis. Therefore, given the high stock prices and low interest rates, expected returns are likely to be lower on a going forward basis.

Changes in Risk and Return in the Markets

Q. PLEASE DISCUSS THE NOTION THAT HISTORIC EQUITY RISK PREMIUM STUDIES DO NOT REFLECT THE CHANGE IN RISK AND RETURN IN TODAY'S FINANCIAL MARKETS.

A. The historic equity risk premium methodology is unrealistic in that it makes the explicit assumption that risk premiums do not change over time based on market conditions such as inflation, interest rates, and expected economic growth. Furthermore, using historic returns to measure the equity risk premium masks the dramatic change in the risk and return relationship between stocks and bonds. The nature of the change, as I will discuss below, is that bonds have increased in risk

1 relative to stocks. This change suggests that the equity risk premium has declined in
2 recent years.

3
4 Page 1 of Exhibit JRW-15 provides the yields on long-term U.S. Treasury bonds
5 from 1926 to 2007. One very obvious observation from this graph is that interest
6 rates increase dramatically from the mid-1960s until the early 1980s and have
7 since returned to their 1960 levels. The annual market risk premiums for the 1926
8 to 2007 period are provided on page 2 of Exhibit JRW-15. The annual market
9 risk premium is defined as the return on common stock minus the return on long-
10 term U.S. Treasury Bonds. There is considerable variability in this series and a
11 clear decline in recent decades. The high was 54% in 1933, and the low was -
12 38% in 1931. Evidence of a change in the relative riskiness of bonds and stocks
13 is provided on page 3 of Exhibit JRW-15, which plots the standard deviation of
14 monthly stock and bond returns since 1930. The plot shows that, whereas stock
15 returns were much more volatile than bond returns from the 1930s to the 1970s,
16 bond returns became more variable than stock returns during the 1980s. In recent
17 years, stocks and bonds have become much more similar in terms of volatility, but
18 stocks are still a little more volatile. The decrease in the volatility of stocks
19 relative to bonds over time has been attributed to several stock related factors: (1)
20 the impact of technology on productivity and the new economy; (2) the role of
21 information (see former Federal Reserve Chairman Greenspan's comments on
22 pages 8-9 in this testimony) on the economy and markets; (3) better cost and risk
23 management by businesses; (4) several bond related factors; (5) deregulation of

1 the financial system; (6) inflation fears and interest rates; and (7) the increase in
2 the use of debt financing. Further evidence of the greater relative riskiness of
3 bonds is shown on page 4 of Exhibit JRW-15, which plots real interest rates (the
4 nominal interest rate minus inflation) from 1926 to 2007. Real rates have been
5 well above historic norms during the past 10-15 years. These high real interest
6 rates reflect the fact that investors view bonds as riskier investments.

7
8 The net effect of the change in risk and return has been a significant decrease in the
9 return premium that stock investors require over bond yields. In short, the equity or
10 market risk premium has declined in recent years. This decline has been discovered
11 in studies by leading academic scholars and investment firms, and has been
12 acknowledged by government regulators. As such, using a historic equity risk
13 premium analysis is simply outdated and not reflective of current investor
14 expectations and investment fundamentals.

15
16 **Q. DO YOU HAVE ANY OTHER THOUGHTS ON THE USE OF**
17 **HISTORICAL RETURN DATA TO ESTIMATE AN EQUITY RISK**
18 **PREMIUM?**

19 A. Yes. Jay Ritter, a Professor of Finance at the University of Florida, identified the
20 use of historical stock and bond return data to estimate a forward-looking equity
21 risk premium as one of the "Biggest Mistakes" taught by the finance profession.³¹
22 His argument is based on the theory behind the equity risk premium, the excessive

³¹ Jay Ritter, "The Biggest Mistakes We Teach," *Journal of Financial Research* (Summer 2002).

1 results produced by historical returns, and the previously-discussed errors such as
2 survivorship bias in historical data.

3
4 **Q. PLEASE PROVIDE A SUMMARY ASSESSMENT OF DR. MURRY'S**
5 **HISTORICAL EQUITY RISK PREMIUMS.**

6 A. Dr. Murry's equity risk premiums of 7.1% and 8.5% are derived from historical
7 stock and bond returns is not reflective of market expectations. As noted above,
8 equity risk premiums estimated from historical returns are subject to a myriad of
9 empirical problems that prevent them from being measures of market expectations.
10 Perhaps reflective of these empirical issues, Dr. Murry's equity risk premiums are
11 well in excess of the equity risk premium estimates discovered in recent studies by
12 leading finance scholars.

13
14 **Q. DO YOU BELIEVE THAT DR. MURRY'S EQUITY COST RATE OF**
15 **12.0% IS CONSISTENT WITH THE RETURN REQUIREMENTS OF**
16 **INVESTORS IN THE FINANCIAL MARKETS?**

17 A. No. Dr. Murry's analysis and results are especially out of touch with the real world
18 of finance. Investment banks, consulting firms, and CFOs use the equity risk
19 premium concept every day in making financing, investment, and valuation
20 decisions. On this issue, the opinions of CFOs are especially relevant. CFOs deal
21 with capital markets on an ongoing basis since they must continually assess and
22 evaluate capital costs for their companies. Furthermore, as is the case with any
23 student of finance, they are well aware of the historical equity risk premium results

1 as published by Morningstar/Ibbotson Associates. Exhibit JRW-16 shows the
2 equity risk premium results from the Duke University – *CFO Magazine* survey on
3 a quarterly basis from 2000 to 2008. The CFOs in the survey indicate that the
4 appropriate equity risk premium at the present time is in the 4.0% range and
5 certainly not in the 7.1%-8.5% range. As such, the appropriate equity cost rate for
6 a public utility should be in the 9.0% range and not in the 12.0% range.

7
8 **B. Testimony of Ms. Susan D. Abbott**

9 **Q. PLEASE SUMMARIZE MS. ABBOTT'S TESTIMONY.**

10 A. Ms. Abbott's testimony provides an overview of the ratings process of credit rating
11 agencies and also the ratings for Tampa. She discusses the role of rating agencies in
12 the markets, provides an overview of the debt rating process and the impact of
13 regulation of utilities, reviews the rating methodologies and categories of the major
14 rating agencies, as well as the financial metrics employed in the debt rating process.
15 Ms. Abbott also reviews Tampa's financial metrics and bond ratings, recent rating
16 actions by the three major credit rating agencies, and discusses Tampa construction
17 program and credit ratings.

18
19 **Q. INITIALLY, DOES MS. ABBOTT PERFORM ANY STUDIES TO**
20 **SUPPORT DR. MURRY'S RECOMMENDED RETURN ON EQUITY OF**
21 **12.0%?**

1 A. No. Ms. Abbott does not perform any studies to evaluate the adequacy of Dr.
2 Murry's 12.0% rate of return recommendation.
3

4 **Q. PLEASE DISCUSS MS. ABBOTT'S EVALUATION OF TAMPA'S**
5 **CREDIT RATINGS AND CONSTRUCTION PROGRAM.**

6 A. Whereas Ms. Abbott discusses utility construction programs in the context of the
7 debt rating process, her testimony is very general in nature and she performs no
8 studies comparing the magnitude of Tampa's construction program relative to
9 those of other electric utilities and/or the electric utilities in Dr. Murry's proxy
10 group. Therefore, she has made no assessment of the construction program and
11 investment risk of Tampa relative to other electric utility companies.
12

13 **Q. PLEASE ADDRESS MS. ABBOTT'S DISCUSSION OF THE FINANCIAL**
14 **METRICS ASSOCIATED WITH THE DEBT RATING PROCESS AND**
15 **THEIR APPLICATION TO TAMPA.**

16 A. Ms. Abbott reviews the three primary financial metrics used by the debt rating
17 agencies – Funds From Operations/Total Debt ("FFO/TD"), Funds From
18 Operations/Interest ("FFO/INT"), and Debt/Capital ("D/C"). She then computes
19 these metrics for Tampa for the years 2004-2007 and for the year 2009 under two
20 scenarios: (1) Tampa without rate relief; and (2) Tampa with the rate relief
21 requested by the Company. Obviously, the metrics are much more favorable to
22 Tampa under (2) than under (1). However, the metrics computed under (1) are

1 not realistic. They presume that Tampa gets no rate relief in the current rate case.
2 Nonetheless, even without rate relief, the cash flow metrics (FFO/TD and
3 FFO/INT) for Tampa for 2009 are at the very high end of the BBB rating
4 category. Furthermore, as Ms. Abbott notes on page 19 of her testimony, the debt
5 rating process is a very complex process that involves far more analysis than just
6 the calculation of a few ratios. As Ms. Abbott says, "It is always difficult to
7 predict what a rating agency will do." In addition, as highlighted by S&P, "The
8 ratings matrix is a guideline, not written in stone. The ratings matrix is not meant
9 to be precise. There can always be small positives and negatives that would lead
10 to a notch higher or lower than the typical outcome. Moreover, there will always
11 be exceptions – cases that do not fit neatly into this analytical framework."³²
12

13 **Q. ON PAGES 20 OF HER TESTIMONY, MS. ABBOTT CLAIMS THAT**
14 **TAMPA SHOULD BE TARGETING AN 'A' BOND RATING. HAS**
15 **EITHER SHE OR MR GILETTE PERFORMED A COST – BENEFIT**
16 **STUDY TO ASSESS WHETHER THIS MAKES ECONOMIC SENSE?**

17 A. As indicated in Tampa's response to OPC POD 3-82, no such study has been
18 performed.

19 **Q. PLEASE DISCUSS THE RECENT RATINGS DECISIONS ON TAMPA.**

20 A. The three major rating agencies have most recently affirmed or enhanced the
21 outlook for the ratings of Tampa Electric. An important factor in these decisions

³² Standard & Poor's, *Corporate Ratings Criteria 2008*, page 21.

1 appears to be the deleveraging of the parent company, TECO Energy, in the wake
2 of the sale of TECO's transport subsidiary.

3

4 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

5 A.

6 Yes.

1 **BY MS. CHRISTENSEN:**

2 **Q** Dr. Woolridge, can you briefly summarize your
3 prefiled testimony?

4 **A** Yes, I can, and I'll keep this brief. With
5 respect to the cost of capital in this proceeding, and
6 in particular my position versus that of Dr. Murry,
7 there's two primary issues. One is the capital
8 structure that's proposed by the company; and secondly
9 is the equity cost rate. Those are the primary issues.

10 On capital structure, the company has proposed
11 a capital structure which is projected, and that capital
12 structure has a common equity ratio of 55.3 percent. It
13 includes some equity infusions and also includes a
14 number of adjustments.

15 The primary -- one of the primary issues I
16 have with this is that this is really out of line with
17 the capital structures of other utilities and it
18 includes a number of adjustments.

19 Now, Mr. Larkin has dealt with me. There's
20 adjustments. The one adjustment I have dealt with is
21 the adjustment for the purchase -- the purchased power
22 agreements, and that's in my testimony.

23 Now, I have used the testimony which
24 represents how the company has been financed in the past
25 with investor capital, and it's the average of the

1 2007-2008 capitalizations based on investor-provided
2 capital. That has a common equity ratio of
3 48.89 percent. And again this is much more in line with
4 the electric utilities in the marketplace.

5 On the equity cost rate, Dr. Murry has
6 proposed 12.0 percent. I have proposed 9.75 percent.
7 Now, we've both used discounted cash flow and capital
8 asset pricing model approaches, and we both applied
9 these to proxy groups of electric utilities. Dr. Murry
10 has also applied his to TECO but he hasn't used those
11 results.

12 I have two major concerns with Dr. Murry's DCF
13 results. Number one is he's ignored over three-quarters
14 of his results. He has used his range of 11.12 to
15 13.27 percent, ignores 75 percent of his DCF results
16 which are all below these numbers. So he's ignored the
17 low end of the results and it's the vast majority of his
18 results.

19 The second issue I have is in -- in use -- in
20 developing a DCF growth rate, he's relied exclusively on
21 the projected earnings for shared growth rates of Wall
22 Street analysts and Value Line.

23 Now, in my testimony I conduct a couple
24 studies that show that these things historically have
25 been overly optimistic and therefore they over state the

1 equity cost rate. In particular, it's well-known that
2 the projected growth rate -- projected earnings for
3 shared growth rates of Wall Street analysts are
4 optimistic. And I think after the last two years, we
5 kind of understand. You have to have trouble when you
6 listen to these guys and what they say.

7 Anyhow, the second part is capital asset
8 pricing model results. He has a range of 11.24 percent
9 to 12.42 percent. My DCF -- my end result is
10 8.2 percent.

11 On a risk-free rate at the time we prepared
12 our testimonies, we had pretty similar risk-free rates.
13 He has 4.6, I have 4.5. The big issue with Dr. Murry's
14 capital asset pricing model result is his equity risk
15 premium. Now he uses two of them. One is 7.1 percent;
16 the other is 8.5 percent.

17 Now, these -- there's different ways of
18 estimating equity risk premium. He bases his totally on
19 historic stock and bond returns. Now, I look at a group
20 of studies, in fact, I use 30 different studies that
21 include historical approaches to estimating the equity
22 risk premium, they include studies by leading scholars
23 in finance and investment banks, and they include
24 surveys of CFOs, financial forecasters and that sort of
25 thing. And my -- at the time I prepared my testimony,

1 my equity risk premium was 4.56 percent.

2 Now, just with respect, briefly with respect
3 to Dr. Murry's approach to estimating risk premium,
4 because that's the big issue, the use of historical
5 stock and bond returns to estimate equity risk premium
6 is really an outdated approach. It's an approach that
7 was used 20 years ago.

8 In my testimony, I highlight a lot of the
9 empirical errors that have been discovered in academic
10 literature about using these returns as majors of
11 expectations.

12 In addition, I highlight -- I -- there was an
13 article a couple of years ago by a well-known finance
14 professor from the University of Florida by the name of
15 Jay Ritter who he said the use of historical stock and
16 bond returns to measure an equity risk premium is one of
17 the biggest mistakes we teach in the world of finance.

18 And finally, I also highlight the fact that
19 these large equity risk premiums in the 7 to 8 percent
20 are totally out of touch with the real world of finance.
21 CFOs and others, investment banks, management consulting
22 firms use the equity risk premium every day in making
23 investment and financing decisions. They go with their
24 surveys and studies, all of which I've included in my --
25 in my testimony. They -- their equity risk premiums are

1 more in the 4 to 5 percent range as opposed to the 7 to
2 8 percent range.

3 And again, these are people who use this. And
4 every quarter there's an update to the CFO study and
5 it's still in the 4 to 5 percent range which usually is
6 a surveyor of five to six hundred CFOs. And I think
7 that's fairly significant, since it's the concept they
8 apply every day.

9 In the end, in summary, I've used
10 9.75 percent. It's the top end of my range. As I
11 explain in the testimony, I use the top end because of
12 the market volatility we were experiencing in the fourth
13 quarter of 2008.

14 **CHAIRMAN CARTER:** Thank you. You're right on
15 the money. Ms. Christensen?

16 **MS. CHRISTENSEN:** I tender the witness for
17 cross.

18 **CHAIRMAN CARTER:** Commissioner Skop, you're
19 recognized, sir.

20 (Please go to Volume 12.)

21 * * *

22

23

24

25

1 CERTIFICATE OF REPORTER
2
3
4


5 STATE OF FLORIDA)

6 COUNTY OF LEON)
7

8 I, LORI DEZELL, RPR, CCR, certify that I was
9 authorized to and did stenographically report the
10 proceedings herein, and that the transcript is a true
11 and complete record of my stenographic notes.

12 I further certify that I am not a relative,
13 employee, attorney or counsel of any of the parties, nor
14 am I a relative or employee of any of the parties'
15 attorney or counsel connected with the action, nor am I
16 financially interested in the action.

17 WITNESS my hand and official seal this 29th
18 day of January, 2009.

19
20
21 
22 LORI DEZELL, RPR, CCR
23 2894-A Remington Green Lane
24 Tallahassee, Florida 32308
25 850-878-2221