


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of: DOCKET NO. 090006-WS

WATER AND WASTEWATER INDUSTRY
ANNUAL REESTABLISHMENT OF
AUTHORIZED RANGE OF RETURN ON
COMMON EQUITY FOR WATER AND
WASTEWATER UTILITIES PURSUANT
TO SECTION 367.081(4) (F), F.S.



PROCEEDINGS: AGENDA CONFERENCE
ITEM NO. 6

COMMISSIONERS
PARTICIPATING: CHAIRMAN MATTHEW M. CARTER, II
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER KATRINA J. McMURRIAN
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

DATE: Tuesday, June 2, 2009

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR, CRR
Official FPSC Reporter
(850) 413-6734

DOCUMENT NUMBER-DATE
05927 JUN15 08
FPSC-COMMISSION CLERK

P R O C E E D I N G S

* * * * *

1
2
3 **CHAIRMAN CARTER:** And with that,
4 Commissioners, we are now on Item 6.
5 Staff, you are recognized.

6 **MR. SPRINGER:** Good morning, Commissioners.
7 I'm Michael Springer on behalf of technical staff, and
8 this is Jean Hartman on behalf of staff counsel.

9 By statute, the Commission has used a water
10 and wastewater leverage formula for determining a
11 reasonable range of returns on equity for water and
12 wastewater utilities for over 25 years. The last time
13 the leverage formula went to hearing was last year in
14 2008. Using the same methodology approved by the
15 Commission following the 2008 proceeding, staff has
16 updated the leverage formula to reflect the most current
17 financial information. We're here to answer any of your
18 questions.

19 **CHAIRMAN CARTER:** Commissioners? Commissioner
20 Skop, you're recognized.

21 **COMMISSIONER SKOP:** Thank you, Mr. Chairman.

22 **CHAIRMAN CARTER:** Is it on? Chris, check the
23 Commissioner's mike.

24 **COMMISSIONER SKOP:** Thank you, Mr. Chairman.
25 I appreciate it. My button was on but the mike was not

1 working.

2 Just a quick question, a couple of questions
3 for Mr. Maurey with respect to the updated leverage
4 formula. If we could turn to Page 6, Attachment 1, Page
5 1 of 6 of the staff recommendation. I guess I was
6 looking at that trying to understand the changes in
7 terms of the leverage formula that's currently in effect
8 versus the current leverage formula calculation. And,
9 Mr. Maurey, would it be correct that the CAPM model is
10 driving the reduction primarily in the leverage formula?

11 **MR. MAUREY:** Yes.

12 **COMMISSIONER SKOP:** Okay. And would that be
13 primarily due to the Federal Reserve policy as it
14 affects the risk-free rate component of the CAPM model?

15 **MR. MAUREY:** In large measure. It also -- a
16 decrease in the beta contributed to the decline in the
17 CAPM result.

18 **COMMISSIONER SKOP:** Okay. And generally
19 speaking, both the DCF and the CAPM models work best
20 during periods of market stability and sometimes -- as
21 opposed to market volatility. They tend to function
22 better when the markets are stable; is that correct?

23 **MR. MAUREY:** That's correct.

24 **COMMISSIONER SKOP:** Okay. Previously I guess
25 the leverage formula went up in 2008 and then went

1 back -- up by 75 basis points, I believe, somewhere
2 around there, and then down by 121 basis points for the
3 2009 that we're being asked to adopt today. Is that
4 generally correct?

5 **MR. MAUREY:** In addition to the drop in the
6 CAPM, another factor affecting it was the, a change in
7 slope. But, yes, that, that is correct.

8 **COMMISSIONER SKOP:** Okay. But basically in
9 terms of the fluctuation or the volatility in the
10 year-to-year adoption of the leverage formula it
11 previously went up 75 basis points and then now it's
12 going down 121 basis points, subject to check. Is that
13 generally --

14 **MR. MAUREY:** Yes.

15 **COMMISSIONER SKOP:** Okay. I guess what was
16 somewhat surprising to me, and I guess the Commission
17 adopted the previous leverage formula in January 2008
18 and we're currently adopting the new one, but it seems
19 to me that, and there may be a good reason for this, but
20 there seems to be some sort of lag associated with the
21 model in conjunction with prevailing economic
22 conditions. I would think that if, if the model would
23 have been adopted last year, we would have seen the
24 reduction probably sooner, I mean, or earlier rather
25 than we did now. And the reason that I wanted to kind

1 of go into that is that we're adopting this model for
2 2009 and it reflects a lot of the changing market
3 conditions, which I have no problem with. But I also
4 read over the weekend, I guess the most recent Treasury
5 auction for the ten-year notes showed an increase of 150
6 basis points in terms of the yield. And I guess they
7 have another auction for longer term Treasuries coming
8 out this Thursday, which is also expected to see the
9 yields increase due to I guess the move away from
10 Treasury, a whole host of reasons. But I was wondering
11 how that might impact the CAPM component of the
12 calculation, or should that be a factor or should we --
13 you know, I guess we can update the leverage formula
14 quarterly, which I don't think anyone really wants to
15 do. But I'm just wondering if we make a decision today
16 but suddenly the markets change, as they seem to be on
17 the cusp of doing, what impacts that might have.

18 **MR. MAUREY:** A couple of points I'd like to
19 make.

20 With respect to the spike in ten-year
21 Treasuries, that 150 basis point swing was since the low
22 in December, not, not instantaneous from last week. So
23 it has been going up, but in just the last week it's
24 given back 20 basis points of that. So it went from
25 371, now it's 346.

1 The point I'm making there is it is a volatile
2 rate. And for a lot of the reasons you alluded to about
3 reasons of inflation in the future, the longer term end
4 of the yield curve has, has gone up. The demand to hold
5 long government paper is requiring a higher return out
6 of inflationary fears.

7 Later this week the federal government is
8 going to discuss buying back Treasuries in hopes of
9 bringing that yield down because with fixed mortgages
10 tied to the ten-year Treasury, a spike in ten-year
11 Treasury is going to lead to a spike in fixed mortgage
12 rates and that's going to, some fear, stall the recovery
13 of housing. That's one of the main pillars of the
14 recovery. So in an effort to, to reverse that trend, to
15 keep rates lower, the Fed is going to buy back
16 Treasuries. We'll, we'll see how successful that effort
17 is. They've issued a tremendous amount of bonds in the
18 recent to support the multi-prong economic recovery.
19 How much they buy back and what type of impact that has
20 on the rates we'll see.

21 Now to your final question about the CAPM,
22 yes, the 30-year Treasury rate is a key component of the
23 CAPM. And with that rate being held low, it is, the
24 CAPM is indicating returns that are lower, certainly
25 lower than what the DCF model is indicating right now.

1 **COMMISSIONER SKOP:** Okay. And just to that,
2 to that final point and to the point that you just
3 elaborated on, given the models again in times of market
4 volatility aren't always basic and stable and that
5 results in, in sort of like the variation we're seeing
6 in terms of the leverage formula going up and then going
7 down, and if I were a betting man, I would expect it to
8 go up next year, but would it be beneficial in terms of
9 when we have periods of market volatility -- I know that
10 staff -- basically the leverage formula itself is driven
11 on an average on the DCF for the Natural Gas Index and
12 also on the CAPM. Right now the DCF seems to be, you
13 know, a little bit more stable than the CAPM for the
14 reasons that we just discussed. But would it be
15 beneficial to staff to have additional discretion in
16 terms of being rigidly bound to the leverage formula to
17 either maybe perhaps substitute recent Commission
18 decisions -- I know that we had two recent gas
19 decisions.

20 And I'm not suggesting that this needs to be
21 done, but just as a basis of flexibility for staff to
22 perhaps smooth the, the curve or have a, you know, take
23 out some of the volatility that we're seeing in the
24 leverage formula bouncing around like a Ping-Pong ball.
25 Would it be beneficial to staff to be able to have

1 alternate bases for when it's in its judgment to use as
2 inputs to the model -- for instance, in lieu, in lieu of
3 using a DCF or CAPM model, substituting either recent
4 decisions of the Commission or, if the CAPM is diverging
5 from what we would normally see, to just use a DCF or a
6 single model approach?

7 **MR. MAUREY:** It would always be helpful to
8 have --

9 **COMMISSIONER ARGENZIANO:** Mr. Chair.
10 Mr. Chair.

11 **CHAIRMAN CARTER:** Yes, ma'am.

12 **COMMISSIONER ARGENZIANO:** I'm really having a
13 hard time hearing Commissioner Skop and staff, if
14 they're not speaking into the mike, or can Chris turn up
15 the volume a little bit?

16 **CHAIRMAN CARTER:** Chris, could you adjust the
17 volume?

18 **COMMISSIONER ARGENZIANO:** Thank you.

19 **CHAIRMAN CARTER:** Okay. Commissioner Skop,
20 repeat your last question, please, sir.

21 **COMMISSIONER SKOP:** Yes. Thank you,
22 Mr. Chair.

23 Just to Mr. Maurey with respect to some of the
24 issues that we've discussed in terms of the CAPM model
25 as it's currently functioning is predicting a little

1 bit, trending lower than it normally would due to
2 Federal Reserve policy. Again, these models work well
3 in times of market stability, but in market volatility,
4 again, we've seen the leverage formula go up and then go
5 down. And then I would expect that it would go up by
6 virtue of the yield curves increasing or inflationary
7 pressure in the, in the future. But during these times
8 of market volatility, I guess the question I'm asking,
9 because, again, having curves that move smoothly rather
10 than, you know, bouncing around like a Ping-Pong ball,
11 going up by, you know, a hundred and something basis
12 points or down and then only to go back up in a real
13 short period of time, that volatility tends to lead to
14 somewhat inconsistent outcomes, as we may see later
15 today.

16 But I guess I'm wondering if it would be
17 beneficial to staff to have some additional discretion
18 in terms of if there are times of market volatility, to
19 be able to look at either recent Commission decisions as
20 a substitute for the Natural Gas Index or to use a
21 single model approach when one of the models provides
22 results that really would trend lower than what would be
23 expected.

24 **MR. MAUREY:** It's always helpful to have more
25 information than less in these matters. Our -- and that

1 idea has been brought forth before in other workshops
2 when we've dealt with the leverage formula over the last
3 25 years.

4 One -- and in this period of time where there
5 are a lot of rate case activities, it's intuitively
6 appealing to use an average decision, say for the last
7 six months, as the starting point for the leverage
8 formula as opposed to doing our own independent analysis
9 here.

10 The concern that's often raised when that
11 approach is suggested is sustainability. What happens
12 in periods when there are no frequent rate case
13 activity? And so it's, we've gone with this approach
14 where we do an independent analysis, but it would not be
15 wrong to do that. And if you were -- the leverage
16 formula is a formulistic approach designed to remove
17 subjective adjustments by staff. The Commission
18 approves a methodology and each year staff updates it
19 for current financial information; whereas, if you come
20 before the Commission with an evidentiary proceeding,
21 you have witnesses that then there's an opportunity for
22 both objective and subjective adjustments to the models
23 and informed decision-making, and there's a smoothing
24 result with the ROE that's really not present in a rigid
25 formulistic approach like the leverage formula.

1 The -- if the decision is made that this is
2 such an -- that going from point to point, that's part
3 of the reason you described it as the Ping-Pong effect.
4 When companies come before the Commission, over time
5 they each bring their evidence and you get, you get
6 marked a time throughout the year so you can see how the
7 curve smooths; whereas, this is comparing the results of
8 one month in '08 to one month in '09, and that's where
9 you have those, whatever it is, that snapshot in time to
10 another snapshot in time. You don't have the smoothing
11 effect of information throughout the year.

12 **COMMISSIONER ARGENZIANO:** Excuse me.

13 Mr. Chair?

14 **CHAIRMAN CARTER:** Yes, Commissioner
15 Argenziano.

16 **COMMISSIONER ARGENZIANO:** Yes. Just to
17 clarify things, Commissioner Skop, it seems like what
18 you're trying to do is get the utilities to stabilize
19 the national economy. I don't know that you can do
20 that, and I would think that you have to adjust to the
21 reality, not to the possibility. And since CAPM and DCF
22 are so subjective, I think all you have is reality. So
23 to me it would be that the leverage graph needs to look
24 at the real picture in time rather than the possibility
25 of what's coming down the road because we can't, we

1 can't play Carnac and understand what that is. So I'm
2 really not sure what you're asking other than, than
3 trying to get the, you know, to, I guess, use the
4 utilities to stabilize the national economy, and I'm not
5 sure that's what you do.

6 **COMMISSIONER SKOP:** I think that was anything
7 but what I was trying to suggest respectfully. But what
8 I am trying to do is articulate the fact that in times
9 of market volatility the CAPM model is trending lower as
10 a result of artificial Federal Reserve intervention into
11 our economy, and that if that is a driving factor in
12 what we base our leverage formula on, then that causes
13 divergence, as we're seeing on Page 6, to the extent
14 that the CAPM in normal economic times would track well
15 and have good correlation with the DCF, and here it's
16 divergent.

17 And what I was suggesting is not to have the
18 utilities set economic policy, anything but that at all.
19 What I am suggesting though is market volatility as well
20 as volatility in terms of regulatory policy is typically
21 not a good thing, you know. And so what I was trying to
22 do was ascertain from our staff to the extent that they
23 do see things that concern them with respect to a model
24 artificially trending down lower than it would and
25 driving results in a certain way and having a, a, for

1 lack of a better term, a downward pressure on something
2 which causes additional volatility and the Ping-Pong
3 effect that was mentioned, whether it would be
4 beneficial for staff to have some sort of discretion to
5 use its best judgment as a result of looking at
6 either -- recent Commission decisions. But I recognize
7 that there are times where recent Commission decisions
8 are not available, as Mr. Maurey has pointed out. I'm
9 not suggesting that that would be used all the time.
10 You know, 99.9 percent of the time the leverage formula
11 works well. Where it does not seem to work well is in
12 times of extreme market volatility, and these are one of
13 those times.

14 So I'm merely suggesting that in the
15 transitional times where we do have market volatility
16 which seems to cause perturbations in the leverage
17 formula result, again, whether staff should have the
18 discretion to either look to recent Commission decisions
19 as a proxy for the Natural Gas Index on the DCF or CAPM
20 input components or alternatively whether they should
21 just go a single model approach, in this case use the
22 DCF and tend to not give as much weight towards a CAPM
23 which is yielding artificially low results.

24 **COMMISSIONER ARGENZIANO:** So basically
25 ignoring the CAPM, which then of course lowers the CAPM

1 which is in a much, showing right now a lower ROE. I
2 beg to differ and respectfully so. I think you have to
3 look at the reality of what it is, whether you want to
4 call it artificial or not, it is reality. And rather
5 than try to predict what's coming in the future, I
6 think, it's my opinion that you have to look at what you
7 have in front of you now. So I think staff was correct
8 and I would be very reluctant to want to guess as to,
9 you know, what's, what's going to happen down the road.

10 **COMMISSIONER SKOP:** And I'm not saying that
11 staff is incorrect. I actually support what staff has
12 done here. What I'm trying to do is give staff
13 additional tools to use their, exercise their, their
14 judgment in places where staff may have some concerns
15 with respect to a model not really kind of predicting as
16 it would normally do.

17 So, again, I think we're in agreement that the
18 leverage formula here is properly done. I'm just merely
19 having a discussion to articulate some of the
20 limitations of the method that we adopted and try to
21 maybe perhaps come up with some best practices that
22 would mitigate the volatility that has been experienced
23 in terms of market volatility. Because I do think that
24 this model or the leverage formula lags the prevailing
25 economic conditions as we see. And, I mean, we're just

1 getting around to doing a reduction and the economy is
2 almost on the, hopefully on the cusp of recovery. So,
3 again, if I were a betting man, I would expect the
4 leverage formula to go up in the near-term, but we'll
5 see.

6 But with that, Mr. Chair, if there's no other
7 questions, I would move to approve staff recommendation
8 as to Issues 1 and 2. I would also ask staff to
9 continue to monitor prevailing economic conditions. And
10 should an appropriate adjustment be necessary to the
11 leverage formula consistent with staff, to also bring
12 that back to the Commission at the later time, should
13 staff feel it's necessary.

14 **MR. MAUREY:** We'll do that.

15 **COMMISSIONER ARGENZIANO:** Mr. Chair, may I ask
16 a question of staff?

17 **CHAIRMAN CARTER:** Before we do a second, let's
18 see if there are anymore questions. Commissioner
19 Argenziano, you're recognized.

20 Commissioner Edgar, did you have a question?

21 **COMMISSIONER EDGAR:** No questions. I'm ready
22 to second at the appropriate time.

23 **CHAIRMAN CARTER:** Okay. We'll come to you for
24 the second. And, Commissioner McMurrian, did you have
25 any?

1 Commissioner Argenziano, you're recognized for
2 a question.

3 **COMMISSIONER ARGENZIANO:** Yes. Just a
4 question to Commissioner Skop. I'm also just
5 participating in that conversation, so it's no -- it's
6 not an argument. It's more of a debate and discussion.

7 For staff, if the conditions, economic
8 conditions change, would that, would -- I mean, would it
9 make it -- is it -- would there be anything differently
10 done? Wouldn't, wouldn't the utilities and also staff
11 want to relook at that leverage graph if things were to
12 change? Isn't that what's normally done?

13 **MR. MAUREY:** Yes, Commissioner. We do these
14 models monthly as time permits. And with the leverage
15 formula itself, we, we monitor the movement in cost but
16 we typically don't bring back another formula unless
17 there is a significant movement. And it just so happens
18 this movement has come about the time that we would be
19 bringing it back anyway. It's coincidental in that
20 manner, but we would bring it back if there were a
21 significant swing in either direction.

22 **COMMISSIONER ARGENZIANO:** Okay. Thank you.

23 **CHAIRMAN CARTER:** Thank you. Commissioners,
24 any further questions? '

25 Commissioner Edgar, you're recognized for a

1 second.

2 **COMMISSIONER EDGAR:** Thank you, Mr. Chairman.
3 I'd like to second the motion at this time.

4 **CHAIRMAN CARTER:** Commissioners, we have a
5 motion and a second. Are there any further discussion
6 that we basically adopt staff's recommendation on the
7 case, any further questions? Hearing none, all in
8 favor, let it be known by the sign of aye.

9 (Unanimous affirmative vote.)

10 All those opposed, like sign. Show it done.
11 And I think those were the only two within the confines
12 of that issue.

13 (Agenda item concluded.)

14 * * * * *

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)
 :
COUNTY OF LEON)

CERTIFICATE OF REPORTER

I, LINDA BOLES, RPR, CRR, Official Commission Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorneys or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 15th day of June, 2009.

Linda Boles
LINDA BOLES, RPR, CRR
FPSC Official Commission Reporter
(850) 413-6734