

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (FLORIDA POWER & LIGHT COMPANY). DOCKET NO. 080407-EG

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (PROGRESS ENERGY FLORIDA, INC.). DOCKET NO. 080408-EG

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (TAMPA ELECTRIC COMPANY). DOCKET NO. 080409-EG

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (GULF POWER COMPANY). DOCKET NO. 080410-EG

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (FLORIDA PUBLIC UTILITIES COMPANY). DOCKET NO. 080411-EG


COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (ORLANDO UTILITIES COMMISSION). DOCKET NO. 080412-EG

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (JEA). DOCKET NO. 080413-EG

VOLUME 2

Pages 222 through 453

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE A CONVENIENCE COPY ONLY AND ARE NOT THE OFFICIAL TRANSCRIPT OF THE HEARING, THE .PDF VERSION INCLUDES PREFILED TESTIMONY.



DOCUMENT NUMBER - DATED

08408 AUG 13 2008

FPSC - COMMISSION CLERK

1 PROCEEDINGS: HEARING

2

3 COMMISSIONERS
4 PARTICIPATING:

CHAIRMAN MATTHEW M. CARTER, II
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER KATRINA J. McMURRIAN
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

6

7 DATE: Monday, August 10, 2009

8

9 TIME: Commenced at 9:30 a.m.
Adjourned at 5:40 p.m.

10

11 PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

12

13 REPORTED BY: JANE FAUROT, RPR
Official FPSC Reporter
(850) 413-6732

14

15 PARTICIPATING: (As heretofore noted.)

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME: PAGE NO.

John Haney

Direct Examination by Ms. Cano	226
Prefiled Direct Testimony Inserted	228
Errata Sheets to PF Direct Testimony	264
Cross-Examination by Ms. Kaufman	270
Cross-Examination by Mr. Weiner	274
Cross-Examination by Ms Brownless	311
Cross-Examination by Ms. Fleming	325
Redirect Examination by Ms Cano	327

John Masiello

Direct Examination by Mr. Burnett	336
Prefiled Direct Testimony Inserted	339
Cross-Examination by Ms. Kaufman	389
Cross-Examination by Mr. Cavros	399
Cross-Examination by Ms. Brownless	426

EXHIBITS

	NUMBER:		ID.	ADMTD.
3	17 through 34			329
4	139	Errata Sheet to John Haney's Deposition	270	330
5	140	FPL's Projected Energy Costs	272	330
6	141	Excerpt from 1994 DSM Docket	293	
7	142	Itron Final Statement of Work	296	332
8	143	February 5, '09 E-Mail to Collaborative	299	
10	144	Letter from Mr. Haney to Mr. Wilson	302	333
11	145	Letter from Mr. Wilson to Mr. Haney	304	333
12	146	SACE Feedback	307	334
14	147	FPSC Interrogatories 1 - 7 to FPL	311	335
15	148	Progress Projected Energy Cost	393	
16	149	Progress As-Available Prices	396	
18	150	(Late-filed) Capacity Calculations	406	
19	151	PEF Penetration Document	409	
20	152	Interrogatory Responses	429	
21	153	PEF Website Printouts	449	
22				
23				
24				
25				

P R O C E E D I N G S

1
2 (Transcript follows in sequence from
3 Volume 1.)

4 CHAIRMAN CARTER: We are back on the
5 record, and when we last left we had completed the
6 exhibits for Witness Sim, Dr. Sim, as well as we
7 were getting ready to proceed with our next witness.
8 Call your next witness.

9 MS. CANO: FPL calls John Haney.

10 CHAIRMAN CARTER: John Haney.

11 JOHN HANEY

12 was called as a witness on behalf of Florida Power
13 and Light, and having been duly sworn, testified as
14 follows:

D I R E C T E X A M I N A T I O N

15
16 BY MS. CANO:

17 Q. Good afternoon, Mr. Haney. Have you been
18 sworn?

19 A. I have.

20 Q. Would you please state your name and business
21 address for the record?

22 A. My name is John Haney. My address is 9250
23 West Flagler Street, Miami, Florida.

24 Q. By whom are you employed and in what
25 capacity?

1 A. I am employed by Florida Power and Light,
2 and I am the Director of Demand-Side Management.

3 Q. Have you prepared and caused to be filed 36
4 pages of prefiled direct testimony in this proceeding?

5 A. Yes.

6 Q. And did you also prepare and cause to be
7 filed two errata sheets to your direct testimony?

8 A. Yes.

9 Q. Do you have any other changes or revisions to
10 your prefiled direct testimony to make at this time?

11 A. I have one. On Page 25, Line 21, there
12 needs to be a period at the end, and then strike
13 Line 22.

14 Q. Thank you. With those changes, if I were to
15 ask you the same questions contained in your prefiled
16 direct testimony today, would your answers be the same?

17 A. Yes, they would.

18 MS. CANO: Chairman Carter, I ask that the
19 prefiled direct testimony of John Haney be inserted
20 into the record as though read.

21 CHAIRMAN CARTER: The prefiled testimony
22 of the witness will be inserted into the record as
23 though read.

24
25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF JOHN R. HANEY**

4 **DOCKET NO. 080407-EG**

5 **JUNE 1, 2009**

6
7 **Q. Please state your name and business address.**

8 A. My name is John R. Haney, and my business address is 9250 West Flagler
9 Street, Miami, Florida 33174.

10 **Q. By whom are you employed and in what capacity?**

11 A. I am employed by Florida Power & Light Company (FPL) as Director,
12 Demand Side Management.

13 **Q. Please describe your duties and responsibilities in that position.**

14 A. I am responsible for the development and product management of Demand
15 Side Management (DSM) programs for FPL's residential and business
16 customers. This includes the development, implementation, on-going
17 management, measurement and verification of DSM programs offered to
18 FPL's customers.

19 **Q. Please state your educational background.**

20 A. I received a Bachelor of Science in Civil Engineering from Mississippi
21 State University in 1981.

1 **Q. Please provide your employment history.**

2 A. I was hired by FPL in 1981 in the Marketing department to perform
3 residential and commercial/industrial (C/I) energy audits. In addition to
4 working with home and business owners, I had the opportunity to work
5 with builders to help them implement energy efficiency in new
6 construction. I also worked with FPL's participating independent
7 contractors to improve their participation in FPL's DSM programs. I was
8 then given the opportunity to move into a staff position within the
9 Marketing department as a program manager of FPL's DSM programs. My
10 responsibilities grew to managing the team responsible for residential
11 programs.

12

13 In 1996, I joined FPL Services to manage the implementation of energy
14 efficiency measures for large government and institutional customers. I
15 started as a project development engineer and was ultimately promoted to
16 General Manager of FPL Services. I served in that capacity until 2002,
17 when I became Director of Marketing for FPL. In 2008, I became FPL's
18 Director of DSM.

19 **Q. Are you sponsoring any exhibits in this case?**

20 A. Yes. I am sponsoring Exhibits JRH-1 through JRH-18, which are attached
21 to my direct testimony. Each exhibit is identified below:

22 Exhibit JRH-1 FPL's Industry Leading DSM Performance,
23 DOE/EIA 2007 Data

1	Exhibit JRH-2	FPL's Contribution to National DSM, DOE/EIA
2		2007 Data
3	Exhibit JRH-3	FPL's DSM Performance Among Large Utilities
4	Exhibit JRH-4	FPL's Current DSM Programs
5	Exhibit JRH-5	FPL's DSM Achievements Through 2008
6	Exhibit JRH-6	Low-Income Participants in FPL's DSM Programs
7	Exhibit JRH-7	FPL's Low-Income Customer DSM Initiatives
8	Exhibit JRH-8	FPL's DSM Goals Experience 2005-2008
9	Exhibit JRH-9	FPL's DSM Goals Experience Over Time
10	Exhibit JRH-10	Collaborative Process Roadmap to Determining
11		Goals
12	Exhibit JRH-11	Collaborative Sources Used to Develop the List of
13		Measures
14	Exhibit JRH-12	Detailed List of Measures Entering the Technical
15		Potential Step
16	Exhibit JRH-13	Comparison of Recent Technical Potential Results
17	Exhibit JRH-14	Estimates of FPL's Achievable Potential
18	Exhibit JRH-15	FPL's Proposed DSM Goals 2010 – 2019
19	Exhibit JRH-16	Comparison of FPL's Proposed Goals and
20		Achievable Potential
21	Exhibit JRH-17	Comparison of FPL's Current and Proposed Goals
22	Exhibit JRH-18	Measures Screening

1 FPL's Technical Potential Study, Commission Document No. 03143-09, is
2 part of Staff's composite exhibit.

3 **Q. What is the purpose of your testimony?**

4 A. The purpose of my testimony is threefold: to describe FPL's historical
5 DSM performance, to explain the process followed in the development of
6 FPL's proposed DSM goals, and to outline FPL's proposed DSM goals.

7 **Q. Please summarize your testimony.**

8 A. FPL is the industry leader in DSM. For nearly three decades, FPL's
9 success has been enabled by a constructive regulatory structure that has
10 supported utilities in the implementation of DSM programs that help
11 customers manage their energy use without promoting DSM that results in
12 higher rates than supply-side options.

13
14 In developing its proposed DSM goals for the 2010-2019 period, FPL has
15 gone beyond the requirements of the Florida Energy Efficiency and
16 Conservation Act (FEECA) by also working within a collaborative of
17 FEECA utilities and environmental groups. The collaborative hired a
18 recognized leader in DSM analysis, Itron, Inc. (Itron), in an effort to bring
19 consistency of analysis and process to this DSM Goals proceeding.

20
21 FPL utilized the results from Itron's analysis to develop goals for the period
22 2010-2019. These goals are based on FPL's projected resource needs for
23 the period and the achievable potential estimates and maximum annual

1 adoptions developed by Itron. Multiple scenarios were analyzed, and goals
2 were proposed based on the level of DSM that minimizes the rate impact on
3 FPL's customers. This is consistent with the long and successful history of
4 DSM in Florida.

5

6

I. FPL'S HISTORICAL DSM PERFORMANCE

7

8 **Q. Please provide an overview of FPL's history of implementing DSM.**

9 A. FPL began offering DSM programs in the late 1970s, prior to the Florida
10 Legislature's adoption of FEECA in 1980. Since then, FPL has maintained
11 a constant commitment to DSM, along with Florida's policy makers and
12 regulators. FPL has developed a wide array of cost-effective energy
13 efficiency programs that lead the nation in reducing the demand for
14 electricity. In addition to energy efficiency programs, FPL operates the
15 second largest load management program in the nation. FPL's On Call
16 program, established in 1987, is the largest residential direct load control
17 program in the United States. Over 770,000 households, nearly one in five
18 customers served by FPL, participate in this program. FPL's Residential Air
19 Conditioning program has helped 1.1 million customers, more than one in
20 four households FPL serves, to make their homes' largest energy user more
21 efficient.

1 As described in greater detail in the testimony of FPL witness Sim, FPL has
2 made DSM an integral part of its resource planning process. One of the
3 advantages of DSM is the ability to quickly ramp up or down as the
4 resource need dictates. In response to the unexpectedly high 2005 summer
5 peak, FPL greatly increased the level of DSM on its system. The market
6 conditions dictated a quick reaction, and FPL and its customers responded.
7 FPL's load forecast and unmet resource needs have diminished, and FPL's
8 proposed DSM goals reflect that diminished resource need.

9 **Q. On what basis do you claim FPL to be the industry leader in DSM**
10 **performance?**

11 A. The U.S. Department of Energy (DOE) reports on the effectiveness of
12 utility DSM efforts through its Energy Information Administration (EIA).
13 The EIA reports both energy efficiency and load management achievement.
14 Based on the latest EIA comparative data, which is for the year 2007, out of
15 more than 3,000 reporting utilities, FPL is nationally ranked #1 in
16 cumulative demand reduction from DSM, defined as energy efficiency and
17 load management combined. FPL is also nationally ranked #1 and #2 in
18 cumulative demand reduction from energy efficiency and load
19 management, respectively. To put this in perspective, if FPL's cumulative
20 avoided MW from DSM were a "virtual utility," it would be Florida's third
21 largest utility. FPL is also nationally ranked #4 in cumulative energy
22 reduction from energy efficiency. FPL's DOE/EIA rankings are shown on
23 Exhibit JRH-1.

1 FPL's successful DSM performance is not simply due to its size. As shown
2 on Exhibit JRH-2, although FPL has only 2% of total U.S. peak demand,
3 FPL provides 12% of the total energy efficiency and 7% of the total load
4 management in the United States. Exhibit JRH-3 shows that within the
5 comparison group of 88 utilities with greater than or equal to 3,000 MW
6 capacity, FPL is in the top decile of MW reduction as a percent of peak
7 demand and in the top quartile of MWh reduction as a percent of sales. So,
8 compared to the industry, FPL has been aggressive and successful in
9 capturing cost-effective DSM for the benefit of its customers.

10 **Q. To what does FPL attribute its success as a provider of energy**
11 **efficiency and load management programs?**

12 A. The reasons for FPL's success are two-fold. First, the Florida Public
13 Service Commission ("Commission" or "FPSC") has adopted a
14 constructive regulatory environment for DSM implementation. Second,
15 FPL carefully manages and administers its DSM programs.

16 **Q. Please explain how a constructive regulatory environment has fostered**
17 **FPL's success in implementation of DSM.**

18 A. Policy makers and regulators in Florida, including the Commission, have
19 enacted and administered FEECA in a way that has encouraged FPL's and
20 Florida's industry-leading DSM efforts, while at the same time avoiding
21 DSM-related rate increases relative to supply-side options. The
22 Commission has approved goals for the FEECA utilities and the programs
23 necessary to meet those goals, and it has allowed timely cost recovery

1 through the Energy Conservation Cost Recovery Clause (ECCR) for all
2 prudently-incurred program costs related to implementation of
3 Commission-approved DSM programs. The Commission has also
4 approved research and development programs and projects and allowed
5 timely cost recovery for these initiatives. Further, before approving the
6 construction of new electrical power plants in Florida, the Commission has
7 ensured that the unit for which approval is being requested could not have
8 been avoided or deferred by implementation of cost-effective DSM. The
9 Commission has also made policy decisions that have avoided cross-
10 subsidization of participating customers by non-participating customers by
11 choosing the most appropriate DSM cost-effectiveness tests, i.e., Rate
12 Impact Measure (RIM) and Participant-based DSM rather than Total
13 Resource Cost (TRC) based DSM.

14 **Q. Please describe FPL's management and administration of DSM**
15 **programs.**

16 A. FPL's effective management and administration of its DSM programs can
17 be described in four parts. First, consumer education through energy audits
18 provides the foundation for FPL's DSM strategy. Audits help customers to
19 determine which conservation practices and measures are beneficial to their
20 situation. FPL's customers have responded enthusiastically. On the average
21 business day, more than 600 FPL customers take advantage of FPL's
22 energy audits. Since FPL began offering audits in 1981, over 2.7 million
23 customers have participated in an on-line audit, a phone-based audit, or an

1 on-site audit. Audits serve two important functions. They provide an
2 essential basis for educating customers on FPL's approved DSM programs.
3 Audits also go beyond FPL's approved programs and identify all measures
4 that make economic sense to the customers. While audits focus on existing
5 buildings, FPL also extends education to the new construction community
6 through its BuildSmart program, which helps builders meet and exceed the
7 requirements of Florida's Energy Efficiency Code for Building
8 Construction.

9
10 Second, FPL has developed and implemented a robust set of cost-effective
11 DSM programs to help customers take action on audit recommendations.
12 Today, FPL offers programs covering most major residential and
13 commercial end-uses. FPL's current DSM programs are summarized in
14 Exhibit JRH-4.

15
16 Third, ongoing conservation research and development investigates the cost
17 and feasibility of the next-generation of energy-efficient technology,
18 leading to new or enhanced cost-effective DSM programs. Since 1995,
19 FPL's Conservation Research and Development program has completed 22
20 technology evaluations. Eight of those evaluations have resulted in new
21 DSM programs or the addition of measures to existing programs.

1 Fourth, FPL has successfully used DSM to cost-effectively avoid new
2 power plant construction. Since the inception of its DSM programs through
3 the end of 2008, FPL has achieved, at the generator, 4,109 MW of summer
4 peak demand reduction, 2,983 MW of winter peak demand reduction, and
5 46,646 GWh of energy savings. Including the impacts for the reserve
6 margin, this amount of peak demand reduction eliminated the need for the
7 equivalent of 12 power plants of 400 MW capacity each, or 33 typical 150
8 MW combustion turbine units. FPL's performance is summarized in
9 Exhibit JRH-5. Significantly, FPL has achieved this without penalizing
10 customers who are non-participants in its DSM programs. FPL has been
11 able to avoid penalizing non-participating customers by offering only DSM
12 programs that keep rates lower than they otherwise would have been if the
13 avoided power plants had been built.

14 **Q. Has FPL undertaken efforts to assure that low-income customers**
15 **derive value from FPL's DSM offerings?**

16 **A.** Yes. The primary means of assuring that low-income customers secure the
17 benefits of DSM is to advance programs that are cost-effective under both
18 the RIM and Participant tests for DSM cost-effectiveness, which are
19 described in detail in the testimony of FPL witness Sim. That way, if low-
20 income customers participate, it is clear the program is cost-effective to
21 them because they have decided that the energy savings they expect to
22 achieve from participating in the program are worth any up-front
23 investment. However, if they choose not to participate or cannot afford to

1 participate, then the programs they help pay for through the ECCR clause
2 are still cost-effective to them because their rates are still lower than they
3 otherwise would have been if the avoided power plants had been built. In
4 addition, FPL has developed and marketed DSM offerings to low-income
5 customers through targeted initiatives, as described in Exhibits JRH-6 and
6 JRH-7.

7 **Q. Has FPL been successful in attracting low-income customers to**
8 **participate in DSM?**

9 A. Yes. In March 2009, FPL engaged The Futures Company (a Yankelovich
10 Group Company) to develop a profile of its low-income customers and to
11 conduct an analysis of the participation level of current low-income
12 customers and all others in DSM programs. Based on the study, which is
13 summarized in Exhibit JRH-6, FPL determined that for three of its four
14 major program areas, FPL has essentially the same or greater participation
15 for low-income customers as it does for other customers. The exception to
16 this trend is for the Residential HVAC program, which is most likely
17 explained by two factors: (1) low-income customers are less likely to own
18 their residences and are more likely to be renters, and (2) landlords may not
19 be willing to pay the higher up-front cost of efficient HVAC systems
20 beyond the customer incentives.

1 **Q. To what does FPL attribute its success in attracting low-income**
2 **customers to participate in DSM programs?**

3 A. Several initiatives have contributed to this success, including efforts to
4 reach out to low-income customers through targeted offerings of
5 Commission-approved DSM programs. FPL often works in cooperation
6 with organizations like The Salvation Army, the Governor's Front Porch
7 Florida Initiative, Habitat for Humanity and the Association of Community
8 Organizations for Reform Now (ACORN). Exhibit JRH-7 provides
9 examples of FPL's efforts to target low-income customers for program
10 participation.

11 **Q. Has FPL experienced success in meeting its DSM goals?**

12 A. Yes. FPL has been very successful in meeting the goals set by the
13 Commission. As shown in Exhibit JRH-8, as of 2008, FPL has met and
14 exceeded the cumulative summer MW, winter MW and energy goals for
15 both the Residential and C/I market segments. (Unless otherwise noted, all
16 MW or MWh's in my testimony are at the meter.) Exhibit JRH-9 shows
17 FPL's DSM performance in consistently meeting or exceeding the
18 Commission-established goals.

19 **Q. Does FPL's consistent success in meeting its DSM goals suggest that the**
20 **goals FPL has been proposing have been too modest?**

21 A. No. FPL's success in meeting its DSM goals is indicative of a utility which
22 is serious and intentional in its pursuit of cost-effective DSM that benefits
23 all of its customers. It has not been easy for FPL to achieve its DSM goals.

1 This achievement has required a dedication of resources and the
2 development of a means to keep up with new technologies and to identify
3 cost-effective measures and program designs, so that FPL customers have
4 programs that are current and effective. FPL is justifiably proud to be the
5 industry leader in DSM performance.

6

7 II. COLLABORATIVE APPROACH TO GOALS-SETTING

8

9 **Q. What was the first step in FPL's development of its proposed 2010-**
10 **2019 DSM goals?**

11 A. FPL's 2010-2019 DSM goals were developed after forming and leveraging
12 the knowledge of a collaborative group composed of the FEECA utilities
13 and interested environmental organizations (National Resource Defense
14 Council (NRDC) and Southern Alliance for Clean Energy (SACE)). This
15 group is known as the Collaborative. To facilitate the analysis, the
16 Collaborative hired Itron, a nationally recognized energy analysis
17 consulting firm.

18 **Q. Please describe the process followed by the Collaborative to develop the**
19 **DSM Goals.**

20 A. Once formed, the Collaborative agreed upon the process to be followed in
21 developing the individual technical potential studies. Subsequently, the
22 members of the Collaborative agreed upon a joint effort in developing the
23 achievable potential studies.

1 The Collaborative, through Itron, conducted an assessment of the technical
2 potential for energy and peak demand savings from energy efficiency,
3 demand response, and customer-scale renewable energy in the utilities'
4 respective service territories.

5
6 Each Collaborative member and Itron contributed to the exhaustive
7 development of the comprehensive measure list to be considered for the
8 technical potential study and in establishing the process for developing the
9 achievable potential. Each measure was reviewed and discussed in detail
10 before being classified as "final" for the study. The Collaborative
11 established the screening criteria for each measure. The requirement was
12 that the measure had to be an existing technology and currently available in
13 the marketplace and for which Florida-specific pricing data was available.
14 Third party measurement and evaluation verification to substantiate its cost
15 and savings claims was preferred. Thus, non-commercialized "emerging"
16 technologies were excluded. It should be noted that, FPL tracks and
17 evaluates such technologies on an on-going basis in its Conservation
18 Research and Development program. A detailed procedure of measure
19 evaluation is described in Section III of this testimony. As for the process,
20 the Collaborative discussed the roadmap that would be employed to
21 determine the goals. Within these discussions many ideas were brought
22 forward, culminating in the final process shown in Exhibit JRH-10.

1 Since the initiation of this study, Itron and all Collaborative members met
2 regularly to manage the project and to share the rigors of completing the
3 evaluation. The non-utility members provided input throughout the
4 process, including development of the consultant selection weights,
5 evaluation of bidders, and contribution to the statement of work for the
6 selected consultant. They also suggested additional measures for
7 evaluation. Together, non-utility members represented 1/8 of the
8 Collaborative, a vote equal to the voting share for each utility member.

9
10 At the time of the drafting of this testimony, NRDC and SACE were
11 negotiating to change the status of their participation in the Collaborative's
12 assessment of achievable potential.

13 14 III. METHODOLOGY FOR SELECTING MEASURES FOR 15 EVALUATION

16
17 **Q. Please describe for the Commission the process followed in identifying
18 the DSM measures to be analyzed in the development of DSM goals.**

19 A. The objective of this step in the development of DSM Goals is to create a
20 comprehensive list of measures for evaluation, along with each measure's
21 potential demand and energy impacts and its participant cost. The
22 collective experience of the Collaborative served this task well, with each

1 member providing depth and expertise in building up a comprehensive list
2 of potential measures for study.

3
4 The Collaborative used various sources to develop the list of measures and
5 supporting data, including utility-specific measurement and verification
6 data, utility measure research data, the Florida Solar Energy Center, Itron
7 data, the California Database for Energy Efficient Resources (DEER),
8 National Renewable Energy Laboratory (NREL), the Electric Power
9 Research Institute (EPRI), and local equipment distributors for pricing
10 information. A complete list of data sources is included in Exhibit JRH-11.

11
12 By August 2008, the Collaborative had developed a measure list it deemed
13 “exhaustive.” Next, Collaborative members independently evaluated each
14 measure’s applicability to Florida’s climate zones, availability for purchase,
15 third-party provided demand impacts and energy savings, life, and cost.
16 This independent exercise prepared the members to confirm each measure
17 for inclusion in the final list for evaluation.

18
19 Measures were confirmed during a series of conference calls, each
20 dedicated to a major market segment (Residential, Commercial and
21 Industrial). During the calls, every individual measure was evaluated,
22 discussed and agreed on for rejection or retention for evaluation. If there
23 was an objection to a measure’s retention, the objecting party was required

1 to make the case for the rejection of the measure. Conversely, if there was
2 an objection to a measure's rejection, the objecting party was required to
3 make the case for retention of the measure. As a result of these conference
4 calls, several individual FEECA utilities provided measure data from
5 internal research and development (R&D), and SACE and NRDC provided
6 research briefs for selected measures.

7
8 The measure selection process yielded a comprehensive list of 267 unique
9 measures, including 67 residential measures, 78 commercial measures, and
10 122 industrial measures. (These unique measures expand to over 2,300
11 measures when building types are considered.) Importantly, the final
12 measure list included 25 "new" measures in the residential sector and 33
13 "new" measures in the commercial sector. New measures are those that
14 Itron had not previously analyzed in past studies. Itron conducted an initial
15 assessment of data availability and measure-specific modeling issues
16 associated with "new" measures. For those "new" measures, the FEECA
17 utilities and SACE/ and NRDC provided measure data from internal R&D,
18 and SACE and NRDC provided research briefs. A detailed list of measures
19 entering the technical potential step of the DSM Goals development process
20 is provided in Exhibit JRH-12.

21 **Q. Were natural gas measures included in the list for analysis?**

22 A. No. However, in accordance with FPSC Rule 25-17.0021, F.A.C. regarding
23 Goals for Electric Utilities, FPL evaluated four natural gas measures:

1 Commercial Gas Direct Expansion (DX), Residential High Efficiency Gas
2 Water Heater, Residential Demand Water Heater and Residential Heat
3 Pump Water Heater.

4 **Q. Were demand-side renewable measures included in the list for**
5 **analysis?**

6 A. Yes. Three renewable measures were included in the final list for
7 evaluation: solar water heating, photovoltaic powered pool pumps and
8 grid-tied photovoltaic systems. The Collaborative agreed that grid-tied
9 photovoltaic systems were better classified as demand side generation
10 rather than a conservation measure, and so required a separate and distinct
11 analytic approach. That analysis appears in Section VI of this testimony.
12 Solar water heating and photovoltaic powered pool pumps were retained in
13 the list of measures.

14
15 **IV. METHODOLOGY FOR DEVELOPING TECHNICAL POTENTIAL**

16
17 **Q. Please define what you mean by technical potential.**

18 A. The objective of the technical potential step in the DSM Goals development
19 process is to identify the theoretical limit to reducing electric peak demand
20 (MW) and energy (GWh). It should be understood that technical potential
21 is a theoretical construct. It imagines what could happen if every measure
22 was installed everywhere it would fit, regardless of cost or customer
23 acceptance. Technical potential also ignores real-world constraints such as

1 product availability, contractor/vendor capacity, cost-effectiveness, and
2 customer preferences. Simply put, technical potential in no way reflects the
3 energy efficiency potential that is achievable through real-world voluntary
4 utility programs. The calculation of technical potential involves two broad
5 steps: first, the establishment of applicable end-use baselines for each
6 measure for the goals period, and second, the allocation of energy and
7 demand savings to each individual measure.

8 **Q. How was the technical potential calculated?**

9 A. Total technical potential is the sum of the technical potential of individual
10 end-use measures in all major market segments (Residential, Commercial,
11 and Industrial) and all building types within those segments.

12 **Q. What was the methodology utilized in determining the technical
13 potential of DSM for FPL?**

14 A. A detailed discussion of Itron's technical potential methodology is available
15 in the Technical Potential for Electric Energy and Peak Demand Savings in
16 Florida Power & Light, Dated March 12, 2009 Commission document
17 03143-09, which is part of Staff's composite exhibit,.

18 **Q. What were the key economic input data that was employed in the
19 development of technical potential?**

20 A. Some of the key economic inputs required in this study were current and
21 forecasted retail electricity rates, customer discount rates, and inflation
22 rates. For retail electricity rates, FPL submitted current average retail
23 electricity rates for residential, commercial, and industrial customers in

1 dollars per kWh terms, as well as 30-plus year forecasts of those retail rates.
2 For all sectors, Itron used a customer discount rate of 15% per year and a
3 general inflation rate of 2% per year.

4 **Q. What were the results of FPL's energy efficiency technical potential**
5 **study?**

6 A. The total theoretical energy efficiency technical potential for electric energy
7 savings in FPL's service territory for the period 2010 through 2019 is
8 estimated to be approximately 31,849 GWh, or 34% of current baseline
9 annual electricity consumption. The total energy efficiency technical
10 potential for summer peak demand savings is estimated to be approximately
11 8,000 MW, or 43% of current baseline summer system peak demand. The
12 total energy efficiency technical potential for winter peak demand savings
13 is estimated to be approximately 4,784 MW, or 28% of current baseline
14 winter system peak demand. Residential energy efficiency technical
15 potential accounts for well over half of total energy efficiency technical
16 potential for electric energy savings (GWh) and more than two thirds of
17 total energy efficiency technical potential for summer and winter peak
18 demand savings (MW) in FPL's territory.

19
20 A comparison of FPL's energy efficiency technical potential results with
21 recently published energy efficiency technical potential results for other
22 major utilities suggests that Itron's study was rigorous. Exhibit JRH-13

1 illustrates a comparison of recent energy efficiency technical potential
2 results.

3 **Q. Did FPL provide an adequate assessment of the full technical potential**
4 **of all available demand-side efficiency measures, including demand-**
5 **side renewable energy systems?**

6 A. Yes. This is addressed in Sections III and IV of my testimony, the
7 Technical Potential for Electric Energy and Peak Demand Savings in
8 Florida Power & Light, Dated March 12, 2009 Commission document
9 03143-09, which is part of Staff's composite exhibit, and the direct
10 testimony of Itron witness Rufo.

11

12 **V. METHODOLOGY FOR DEVELOPING ACHIEVABLE POTENTIAL**

13

14 **Q. Please explain the process FPL employed for moving from DSM**
15 **technical potential to DSM achievable potential.**

16 A. As explained by FPL witness Sim, FPL took the technical potential data
17 provided by Itron and performed preliminary cost-effectiveness screening
18 of the measures in the technical potential using enhanced versions of the
19 RIM and TRC tests, hereafter referred to as the E-RIM and E-TRC. This
20 screening included the economic impact of environmental compliance costs
21 for specific emissions including sulfur dioxide (SO₂), nitrogen oxides
22 (NO_x), and carbon dioxide (CO₂). This screening was performed using the

1 E-RIM, E-TRC and Participant test. This dataset was identified as FPL's
2 economic potential.

3

4 For those measures included in FPL's economic potential, more refined
5 cost-effectiveness analyses were performed. For RIM measures, incentives
6 to customers under three scenarios and administrative costs were included.
7 For TRC measures in FPL's economic potential, program administrative
8 costs were added. The groups of measures passing the final cost-
9 effectiveness runs by FPL were then forwarded for Itron to assess in the
10 DSM ASSYST model to calculate achievable potential.

11 **Q. Why has FPL applied the not less than two-year payback criterion in**
12 **developing its maximum incentives for cost-effectiveness screening?**

13 A. FPL has followed this approach for at least fifteen years because it believes
14 this approach is the best, most analytically sound means of avoiding free-
15 riders as required by FPSC rule. The Collaborative also agreed on the use of
16 the two-year payback to minimize free-ridership for consistency across the
17 Collaborative.

18

19 "Free-riders" are people who would have installed the measure without any
20 utility incentive. FPL is required to limit free-riders when proposing DSM
21 goals. The logic underlying the two-year payback criterion is simple and
22 compelling. FPL and its customers, through ECCR recovery of program
23 costs, should not be paying incentives to customers who have a sufficient

1 economic incentive to implement DSM on their own. The assumption
2 underlying the two-year payback criterion is that a reasonable customer will
3 adopt DSM if the DSM measure provides them a payback on incremental
4 costs in terms of lower utility bills or bill savings within two years or less of
5 adoption of the measure.

6
7 FPL's customers ultimately pay for FPL's DSM program costs, including
8 customer incentives, through the ECCR clause. FPL's customers should
9 only have to pay customer incentives necessary to encourage additional
10 customer adoption of DSM measures. When a customer has a sufficient
11 incentive to implement a DSM measure – a cost-effective incentive that
12 results in a two-year payback - the remaining FPL customers should not
13 have to pay a higher incentive. A two-year payback is a sufficient
14 economic incentive for customers to implement DSM. Paying a higher
15 incentive to encourage a customer to do what the customer already has a
16 sufficient incentive to do does not make economic sense for FPL's general
17 body of customers. They should not be asked to subsidize other customers'
18 bill savings with an incentive in such circumstances.

19 **Q. Has FPL's use of the minimum two-year payback criterion been**
20 **tested?**

21 **A.** Yes. FPL's approach has been tested analytically through research. In
22 addition, it was contested by the Legal Environmental Assistance
23 Foundation (LEAF) in FPL's 1994 DSM goals proceeding. In its final

1 order, the Commission explicitly noted that LEAF had challenged FPL's
2 use of the two-year payback criterion, and the Commission proceeded to
3 approve DSM goals that were developed using the minimum two-year
4 payback criterion.

5 **Q. Has FPL refined its minimum two-year payback criterion in the cost-**
6 **effectiveness screening performed in this case?**

7 A. Yes. Instead of a simple two-year payback criterion, the Collaborative
8 agreed to run three achievable potential scenarios. One scenario used the
9 two-year payback criterion in establishing maximum incentives. Another
10 scenario used the lesser of a minimum two-year payback incentive or an
11 incentive that was 33% of a measure's incremental cost. A third scenario
12 used the lesser of a minimum two-year payback incentive or an incentive
13 that was 50% of a measure's incremental cost.

14 **Q. What was the total achievable potential for FPL?**

15 A. The six estimates of FPL's total achievable potential are based on Itron's
16 maximum annual customer adoption rates and are shown in Exhibit JRH-
17 14. The RIM achievable potential estimates range from 446.0 MW to 887.6
18 MW for summer demand, from 211.5 MW to 344.5 MW for winter
19 demand, and from 553.6 GWh to 1,700.3 GWh for energy. The TRC
20 achievable potential estimates range from 455.0 MW to 1,072.7 MW for
21 summer demand, from 214.2 MW to 482.3 MW for winter demand, and
22 from 635.2 GWh to 2,177.0 GWh for energy.

1 **VI. ANALYSIS OF SOLAR PHOTOVOLTAIC (PV) SYSTEMS**

2

3 **Q. Please summarize the development of FPL's technical potential for PV.**

4 A. The assessment of PV technical potential covered PV installed in the
5 commercial/industrial and residential sectors. The analytic methodology
6 consisted of first estimating total roof area suitable for siting PV systems
7 and then translating this roof area into estimates of annual electricity
8 generation and power output coincident with the electric system summer
9 and winter peaks. For commercial/industrial buildings, the total roof area
10 also included an estimate of parking lot areas over which parking shade
11 structures might hold PV systems. More detail regarding this process and
12 the logic of the model are provided by Itron witness Rufo in his testimony.

13 **Q. Did PV systems pass the Commission-approved cost-effectiveness tests?**

14 A. Every PV system failed the Participant test. Therefore, they were not
15 screened under the E-RIM or E-TRC tests. FPL has not traditionally
16 offered DSM programs designed to incent measures that are not cost-
17 effective to its customers.

18 **Q. Did FPL consider PV technologies in a smaller, demand-side
19 generation scale (less than 10 kW)?**

20 A. Yes. FPL looked at the cost-effectiveness of these smaller sized
21 installations, which may be considered for residential and C/I applications,
22 ~~but, unfortunately, they also failed the Participant test.~~

1 **Q. After Itron's and FPL's internal analysis of PV technologies, what is**
2 **the estimated achievable potential for demand side PV applications?**

3 A. FPL estimates that the achievable potential for these applications is zero
4 "0".

5

6 **VII. ANALYSIS OF HIGH THERMAL EFFICIENCY**

7

COGENERATION

8

9 **Q. What are the key factors for screening cogeneration options?**

10 A. The two primary screening factors that should be evaluated with high
11 efficiency cogeneration are the steam requirements of the facility and a
12 readily available fuel source. In FPL's service territory, there are relatively
13 few known applications where the most effective thermal loads, steam and
14 hot water are large enough and of ample duration to make the high thermal
15 efficiency cogeneration option viable.

16 **Q. What has been FPL's experience in regard to high thermal efficiency**
17 **cogeneration in its service territory?**

18 A. FPL currently has under contract two facilities, Cedar Bay and Indiantown
19 Cogeneration, providing firm energy and capacity that use high thermal
20 efficiency cogeneration, representing approximately 580 MW of firm
21 generating capability. Both facilities are fueled by coal. FPL also has four
22 additional cogeneration projects in its service territory, with an installed
23 generating capacity of approximately 168 MW that sell their electric output

1 to FPL on an as-available basis and/or use the electric output of the
2 cogeneration facility to offset their electric consumption. These facilities
3 typically use biomass or natural gas for fuel and steam in the production of
4 sugar, paper products, and hot water.

5 **Q. What is your conclusion regarding high thermal efficiency**
6 **cogeneration?**

7 A. High thermal efficiency cogeneration must be evaluated as a supply-side
8 alternative on a case-by-case basis. From time to time, there are C/I
9 customers who have considered high thermal efficiency cogeneration as an
10 alternative. Many of these customers utilized FPL's assistance to evaluate
11 the various cogeneration alternatives. FPL performs specific evaluations,
12 but these site-specific, case-by-case evaluations do not lend themselves to
13 the goals-setting process. In addition, FPL has completed demonstration
14 projects utilizing fuel cells and micro turbines to understand the costs and
15 operating characteristics of these emerging combined heat and power
16 technologies. Both technologies were found to have reliability issues, so
17 FPL did not develop programs addressing them. Given FPL's ongoing
18 customer assessments of cogeneration, FPL identifies no high thermal
19 efficiency measures for analysis and reflects no value for this end-use in the
20 development of its overall DSM goals.

VIII. DETERMINATION OF FPL'S DSM GOALS

1

2

3 **Q. Once FPL received the projected achievable potential values for each**
4 **measure, how were these projections utilized to develop the four DSM**
5 **portfolios?**

6 A. After the achievable potential work was completed, FPL developed the list
7 of passing measures for E-RIM and another list of passing measures for E-
8 TRC. Itron then provided FPL with the corresponding ten-year projection
9 of maximum annual signups, related system demand (MW), and energy
10 savings (GWh) for each measure based on the measure's final incentive
11 level. As FPL witness Sim explains, both of these lists were analyzed
12 utilizing linear programming (LP) to develop E-RIM and E-TRC optimized
13 DSM portfolios for meeting the projected system need and/or utilizing all
14 DSM "achievable potential". The portfolios balanced the timing of the
15 needed solution with practical constraints regarding program
16 implementation and ramp up and ramp down rates to achieve the lowest
17 present value DSM costs associated with the cost-effectiveness test in
18 question.

19 **Q. How were the practical constraints developed?**

20 A. As was described earlier in this testimony, FPL has over 30 years of
21 experience with DSM Program marketing and enrollment. FPL's DSM
22 program managers also conducted a review of recent trends in program
23 signups to estimate the upper and lower limits for future signups.

1 Ultimately, FPL decided to take all load control achievable potential and
2 levelized both load control and energy efficiency for purposes of program
3 continuity.

4 **Q. FPL received three different scenarios of achievable potential from**
5 **Itron for each of the two cost-effectiveness tests. Which set of data did**
6 **FPL utilize in its analyses?**

7 A. FPL based its analyses on the two-year payback scenario, which represents
8 the largest projection of DSM for both cost-effectiveness tests. This
9 scenario is consistent with the Commission's previously approved means of
10 addressing free-ridership. It was also the only scenario that provided
11 enough DSM achievable potential to meet FPL's resource needs.

12 **Q. What are FPL's proposed DSM goals?**

13 A. FPL's proposed DSM goals are set forth on Exhibit JRH-15. Exhibit JRH-
14 16 provides a comparison of FPL's DSM goals with FPL's DSM RIM and
15 Participant based Achievable Potential.

16 **Q. Are there additional MW and GWh reductions captured by federal**
17 **standards?**

18 A. Yes. There are an additional 895 MW and approximately 8,900 GWh of
19 energy efficiency savings due to increased codes and standards included in
20 FPL's load forecast. Until the recent adoption of these standards, these
21 potential savings would have been available for acquisition in FPL's DSM
22 programs. So, in comparing FPL's historic DSM goals with its proposed

1 goals, it is important to remember these savings will continue to be
2 achieved, and FPL's goals are over and above these assumed savings.

3 **Q How do FPL's proposed DSM goals for 2010 through 2019 compare to**
4 **FPL's currently approved DSM goals?**

5 A In absolute numbers, they are slightly below the levels of currently
6 approved DSM goals, but when the effect of recently adopted federal
7 energy efficiency standards are added, total demand and energy efficiency
8 gains on FPL's system over the 2010 through 2019 period will far exceed
9 the level of FPL's goals for the 2005 through 2014 period. Total demand
10 savings will be almost twice as large and total energy savings will be nine
11 times as large.

12
13 The 2005 through 2014 cumulative Summer MW and Total GWh goals are
14 802 MW and 1,059 GWh, respectively. FPL's proposed DSM goals for the
15 period of 2010 through 2019 are 607 MW and 878 GWh, respectively.
16 However, there are an additional 895 MW and 8,900 GWh of energy
17 efficiency gains during the 2010 through 2019 period due to new energy
18 efficiency standards that has been accounted for in FPL's load forecast.
19 Thus, total DSM and energy efficiency gains from new energy efficiency
20 standards on FPL's system during the period 2010 through 2019 should be
21 1,502 MW and 9,778 GWh. That is the appropriate comparison to FPL's
22 currently approved DSM goals.

1 The 2005 through 2014 cumulative Summer MW and Total GWh goals are
2 802 MW and 1,059 GWh, respectively. FPL's proposed DSM goals for the
3 period of 2010 through 2019 are 607 MW and 878 GWh, respectively.
4 However, there are an additional 895 MW and 8,900 GWh of energy
5 efficiency gains during the 2010 through 2019 period due to new energy
6 efficiency standards that have been accounted for in FPL's load forecast.
7 These energy efficiency savings that were available to the 2005 thru 2014
8 goals period are not available for utility DSM programs to address in the
9 2010-2019 goals period as a result of the new energy mandates. While that
10 potential has been lost for the DSM goals and programs, it will nonetheless
11 be achieved on FPL's system. Thus, total DSM and energy efficiency gains
12 from new energy efficiency standards on FPL's system during the period
13 2010 through 2019 should be 1,502 MW and 9,778 GWh. That is the
14 appropriate comparison to FPL's currently approved DSM goals.

15
16 Exhibit JRH-17 provides a comparison of FPL's currently approved goals
17 for the period 2010 through 2014 with FPL's proposed goals for the period
18 2010 through 2019 and the MW and GWh savings that are now captured by
19 federal energy efficiency standards. It shows that although FPL's proposed
20 goals are lower than current goals for the 2010 through 2014 period, when
21 the MW and GWh savings to be captured from federal standards are
22 reflected, the total demand reduction and energy efficiency on FPL's
23 system for the period 2010 through 2019 is higher than current DSM Goals.

1 **Q. What other factors contribute to slightly lower DSM Goals for the 2010**
2 **through 2019 period compared to the 2005 through 2014 period?**

3 A. In addition to the significant lost DSM potential due to new energy
4 efficiency standards, there are several other factors at work that result in
5 smaller DSM goals. First, FPL has experienced a slowdown in customer
6 and sales growth since 2006 and FPL's forecast indicates that this
7 contraction in total energy sales will continue in the near term. This lowers
8 total DSM potential, particularly in new construction. Second, current
9 economic conditions will act as a barrier to DSM adoption. Third, FPL has
10 a mature DSM program, and saturation rates for FPL are higher than for
11 other utilities without such a successful history. All of these factors suggest
12 that FPL's DSM goals might be smaller than currently approved goals.
13 But, I want to re-emphasize, with the new federal efficiency standards, total
14 demand and energy efficiency improvements on FPL's system during the
15 2010 through 2019 period will result in almost twice the level of demand
16 reduction assumed in FPL's current goals and nine times the level of energy
17 consumption assumed in FPL's current goals.

18 **Q. Does the portfolio of measures utilized for the development of the**
19 **proposed DSM Goals represent the expected measures that will be**
20 **included in the DSM Plan to meet the goals?**

21 A. Not completely. FPL's DSM Plan will reflect a slight difference in the mix
22 of measures to achieve the goals. This reflects the difference between the

1 modeling of the average impact across all customers versus the impacts at
2 an individual measure installation level.

3
4 The methodology utilized by Itron for FPL and the Collaborative meets all
5 of the requirements of the DSM Goals Rule, including the development of a
6 broad range of measures and accounting for measure interactions at an
7 aggregate level. The technical potential and achievable potential results of
8 the model represent a statistical construct of the expected aggregated
9 demand (MW) and energy (GWh) impacts.

10

11 For DSM Plan development, which will take place within 90 days of the
12 goals being set by the Commission, FPL will utilize the measures identified
13 by the Collaborative with “unadjusted” demand and energy impacts and
14 which pass the cost-effectiveness screening for E-RIM and E-TRC. The
15 passing E-RIM and E-TRC portfolios will then be analyzed utilizing FPL’s
16 linear programming model and other models to develop revised
17 corresponding portfolios.

18

19 The primary difference between the two methodologies revolves around
20 the effect that the stacking order has on the individual measure’s energy
21 reduction, demand reduction and ultimately cost-effectiveness for the
22 participant and all customers. As was described in the technical potential
23 section of my testimony, in the goals development methodology all

1 measures were ranked by relative cost-effectiveness and each subsequent
2 measure was allocated a prorated opportunity at demand and energy
3 savings. This methodology results in a reduced impact for measures ranked
4 lower on the list. By utilizing each measure's un-stacked values, the cost-
5 effectiveness calculations will reflect the value of an individual purchase
6 decision without dilution. This represents the full value of demand and
7 energy savings to the customer and the system on a single installation basis.

8 **Q. Should the Commission establish incentives to promote both customer-**
9 **owned and utility-owned energy efficiency and demand-side renewable**
10 **energy systems?**

11 A. House Bill 7135 encourages the Commission to consider "the need for
12 incentives to promote both customer-owned and utility owned energy
13 efficiency and demand-side renewable energy systems". Appropriate
14 consideration of incentives, based on the goals that are established in this
15 proceeding, could occur in the plan phase of this docket or otherwise in a
16 subsequent proceeding.

17 **Q. What cost-effectiveness test or tests should the Commission use to set**
18 **goals?**

19 A. As developed more fully by FPL witnesses Sim and Dean, DSM goals
20 should be based only upon measures that pass both the E-RIM and
21 Participant tests.

1 **Q. Should the Commission establish separate goals for demand-side**
2 **renewable energy systems?**

3 A. No. the technical potential and achievable potential for demand-side
4 renewable energy systems are adequately addressed in FPL's proposed
5 goals.

6 **Q. Should the Commission establish additional goals for efficiency**
7 **improvements in generation, transmission, and distribution?**

8 A. Not in this proceeding. If such additional goals are desired, they should be
9 considered in a subsequent proceeding.

10 **Q. Should the Commission establish separate goals for residential and**
11 **commercial/industrial customer participation in utility energy audit**
12 **programs?**

13 A. FPL does not believe that such goals are necessary, but FPL would not
14 oppose reasonably achievable energy audit goals.

15 **Q. Which DSM measures passed the various levels of economic screening**
16 **and were used in FPL's proposed DSM goals?**

17 A. This is shown on Exhibit JRH-18.

18

19 **IX. CONCLUSIONS**

20

21 **Q. What conclusions do you draw regarding FPL's proposed DSM goals?**

22 A. FPL went beyond the requirements of FEECA and participated in a
23 Collaborative. The Collaborative used a reputable consultant, Itron, with

1 prior experience in an attempt to provide consistency in methodology, data
2 collection and assumptions. The consultant developed DSM technical and
3 achievable potential estimates using a sound analytical process. FPL
4 assessed its full technical DSM potential in developing its DSM goals. FPL
5 appropriately integrated its DSM achievable potential into its planning
6 process to develop its proposed goals.

7
8 FPL's proposed DSM goals are customer sensitive in that (a) they employ a
9 two-year minimum payback, (b) they avoid asking customers to acquire
10 more DSM resources than are needed to meet FPL's planning needs, and
11 (c) they are E-RIM and Participant tests based. FPL's proposed goals
12 represent FPL's reasonably achievable, cost-effective DSM potential during
13 the period 2010 through 2019.

14 **Q. Does this conclude your testimony?**

15 **A.** Yes, it does.

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

In re: Commission review of numeric conservation goals (Florida Power & Light Company).	DOCKET NO. 080407-EG
In re: Commission review of numeric conservation goals (Progress Energy Florida, Inc.).	DOCKET NO.080408-EG
In re: Commission review of numeric conservation goals (Tampa Electric Company).	DOCKET NO.080409-EG
In re: Commission review of numeric conservation goals (Gulf Power Company).	DOCKET NO.080410-EG
In re: Commission review of numeric conservation goals (Florida Public Utilities Company).	DOCKET NO.080411-EG
In re: Commission review of numeric conservation goals (Orlando Utilities Commission).	DOCKET NO.080412-EG
In re: Commission review of numeric conservation goals (JEA).	DOCKET NO. 080413-EG

DATED: JULY 2, 2009

ERRATA SHEET

DIRECT TESTIMONY OF JOHN R. HANEY

<u>PAGE #</u>	<u>LINE #</u>	<u>CORRECTION</u>
3	20	insert "RIM and Participant based" before Achievable
20	8	after "GWh" insert "(at the generator)"
24	16	strike "maximum"
30	13-22	Strike the entire paragraph

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

In re: Commission review of numeric conservation goals (Florida Power & Light Company).	DOCKET NO. 080407-EG
In re: Commission review of numeric conservation goals (Progress Energy Florida, Inc.).	DOCKET NO. 080408-EG
In re: Commission review of numeric conservation goals (Tampa Electric Company).	DOCKET NO. 080409-EG
In re: Commission review of numeric conservation goals (Gulf Power Company).	DOCKET NO. 080410-EG
In re: Commission review of numeric conservation goals (Florida Public Utilities Company).	DOCKET NO. 080411-EG
In re: Commission review of numeric conservation goals (Orlando Utilities Commission).	DOCKET NO. 080412-EG
In re: Commission review of numeric conservation goals (JEA).	DOCKET NO. 080413-EG

Filed: August 10, 2009

ERRATA SHEET

DIRECT TESTIMONY OF JOHN R. HANEY

<u>PAGE #</u>	<u>LINE #</u>	<u>CORRECTION</u>
25	14-17	Strike the answer and replace with the following: "Every PV system was screened under the E-RIM and E-TRC tests using incentives set to a value that allowed the measures to pass the Participant test. These measures failed the E-RIM and E-TRC tests. FPL has not traditionally offered DSM programs designed to incent measures that are not cost-effective."

DOCUMENT NUMBER-DATE

08201 AUG 10 8

FPSC-COMMISSION CLERK

1 BY MS. CANO:

2 Q. Are you also sponsoring exhibits to your
3 testimony?

4 A. Yes.

5 Q. Are those exhibits true and correct to the
6 best of your knowledge and belief?

7 A. Yes, they are.

8 Q. Do those consist of Exhibits JRH-1 to JRH-18?

9 A. Yes.

10 MS. CANO: Mr. Chairman, I would note that
11 Mr. Haney's exhibits have been premarked for
12 identification on staff's exhibit list as Numbers 17
13 through 34.

14 CHAIRMAN CARTER: For the record,
15 Commissioners, for identification purposes,
16 Exhibits 17 through 34. You may proceed.

17 BY MS. CANO:

18 Q. Have you prepared a summary of your direct
19 testimony?

20 A. Yes, I have.

21 Q. Would you please provide that to the
22 Commission at this time?

23 A. Yes. Good afternoon, Chairman Carter and
24 Commissioners. My testimony details the efforts FPL
25 undertook to ensure that the proposed goals are

1 based on reasonably achievable cost-effective
2 demand-side management potential and the utility's
3 planning process for the period of 2010 through
4 2019.

5 FPL has been successful in
6 cost-effectively avoiding 12 new power plants using
7 demand-side management. The U.S. Department of
8 Energy data reveals FPL to be number one nationally
9 for cumulative conservation achievement, and number
10 two in load management measured by load reduction.
11 FPL is also ranked number four nationally as
12 measured by cumulative energy reduction. FPL serves
13 about 2 percent of the total United States demand,
14 but has achieved 12 percent of the total demand
15 reduction of U.S. demand, and has achieved 7 percent
16 of the total demand reduction of load management.

17 These impressive results have been
18 accomplished while implementing DSM programs that
19 keeps rates lower than they otherwise would have
20 been had those avoided plants been built. This has
21 been achieved with all customer segments
22 participating, including low income. We find that
23 low income customers are taking advantage of our
24 programs at the same rate or at a similar rate as
25 the rest of our customers. This is particularly

1 important in these tough economic times.

2 To develop the proposed DSM goals, FPL
3 participated in the collaborative made up of the
4 FEECA utilities, NRDC and SACE. The collaborative
5 was formed to ensure consistency of process and
6 technical analysis. The collaborative selected
7 Itron, a nationally recognized energy analysis
8 consulting firm, to perform the technical and
9 achievable potential analyses.

10 These comprehensive analyses, along with
11 our system planning process, formed the basis of our
12 goals. FPL's proposed goals meet the requirement of
13 FEECA as amended and the DSM goals rule. They are
14 based upon an evaluation of full technical
15 potential. They are cost-effective to our
16 participating customers. They are cost-effective to
17 the general body of ratepayers. They account for
18 the need for incentives to customers, and they
19 properly account for anticipated costs of greenhouse
20 gas emissions.

21 FPL's proposed goals are sensitive to
22 customers. They avoid DSM cross-subsidies. They
23 minimize DSM related rate impacts. They do not give
24 away customer dollars to customers who already have
25 an economic incentive to undertake DSM, and they

1 serve the interest of FPL's most vulnerable
2 customers, low income.

3 Commissioners, FPL's proposed goals
4 represent FPL's reasonably achievable cost-effective
5 DSM potential during the period 2010 through 2019,
6 and FPL respectfully requests that they be approved.

7 Thank you.

8 CHAIRMAN CARTER: Thank you.

9 COMMISSIONER ARGENZIANO: Mr. Chair.

10 CHAIRMAN CARTER: Commissioner Argenziano.

11 COMMISSIONER ARGENZIANO: Yes. I just
12 want to let you know I am back. I had a little hard
13 time getting back on, but I am on.

14 CHAIRMAN CARTER: Thank you, Commissioner.

15 COMMISSIONER ARGENZIANO: Thank you.

16 MS. CANO: Thank you. At this time FPL
17 would like to distribute and mark for identification
18 one additional exhibit.

19 CHAIRMAN CARTER: Okay. Let's do that
20 now.

21 MS. CANO: This is the errata sheet to the
22 deposition transcript for John Haney.

23 CHAIRMAN CARTER: Okay. Commissioners,
24 for the record that will be Exhibit Number 139, I
25 believe. Is that correct, staff? Yes, Exhibit 139,

1 the errata sheet.

2 (Exhibit Number 139 marked for
3 identification.)

4 MS. CANO: And the full transcript has
5 already been stipulated as part of staff's
6 stipulated exhibits.

7 CHAIRMAN CARTER: Okay. Does everyone
8 have one? Okay. Let's proceed.

9 MS. CANO: Okay. FPL tenders the witness
10 for cross-examination.

11 CHAIRMAN CARTER: Ms. Kaufman, good
12 afternoon.

13 MS. KAUFMAN: Good afternoon, Mr.
14 Chairman. Thank you.

15 CROSS EXAMINATION

16 BY MS. KAUFMAN:

17 Q. Good afternoon, Mr. Haney.

18 A. Good afternoon.

19 Q. I am Vicki Kaufman. I don't think we have
20 ever met before, but I am here on behalf of the Florida
21 Industrial Power Users Group, and I want to ask you a
22 few questions about cogeneration.

23 A. Yes, ma'am.

24 Q. If you could turn to pages, I guess,
25 beginning on 26 of your direct testimony?

1 A. I'm there.

2 Q. Okay. And on 26 and going over to 27 you
3 talk about cogeneration, do you not?

4 A. Yes, ma'am.

5 Q. Can you just give us a brief description of
6 what cogeneration is.

7 A Cogeneration is when a customer decides to
8 self-generate or use a heat or a thermal process on
9 their facility and allows them to use that heat and
10 power within their facility.

11 Q. And sometimes does the cogenerator have
12 additional or excess energy that it can sell back to
13 FPL?

14 A. Yes, it does.

15 Q. Okay. And is it true that cogeneration
16 generally uses waste heat in the production process
17 that would otherwise just be released into the
18 atmosphere?

19 A. It sometimes does, yes.

20 Q. So would you agree that it can be a very
21 efficient form of generation?

22 A. As an overall generator, yes, it can, if
23 you look at all of the heat and power that come from
24 it as a total, right. And it is subject to the same
25 cost-effectiveness analysis as our other DSM

1 options.

2 Q. Do you know what Florida Power and Light's
3 projected 2009 energy costs were, the ones that you
4 would have filed in docket -- I guess it would have
5 been 080001?

6 A. No, ma'am, I don't.

7 Q. Let me see if I can pass out an exhibit.

8 MS. KAUFMAN: And, Mr. Chairman --

9 CHAIRMAN CARTER: Do you need a number?

10 MS. KAUFMAN: Yes, sir. I guess this
11 would be 140.

12 CHAIRMAN CARTER: Commissioners, for the
13 record, this will be Exhibit Number 140. Okay. How
14 about a shot at the title?

15 MS. KAUFMAN: FPL Energy Costs --
16 Projected Energy Costs.

17 CHAIRMAN CARTER: Outstanding.

18 (Exhibit Number 140 marked for
19 identification.)

20 CHAIRMAN CARTER: Okay. Ms. Kaufman, you
21 may proceed.

22 MS. KAUFMAN: Thank you, Mr. Chairman.

23 BY MS. KAUFMAN:

24 Q. Mr. Haney, do you have Exhibit 140 in front
25 of you?

1 A. I do.

2 Q. And would you accept, subject to check, that
3 this is an excerpt from Florida Power and Light's
4 projected fuel filing?

5 A. I would subject to check. I'm not
6 familiar with the document.

7 Q. If you would take a look, Mr. Haney, at Line
8 15 there. And this -- this is expressed in kilowatt
9 hours, the line all the way over, Line 15, all the way
10 to the right?

11 A. Yes.

12 Q. Okay. Would you agree with me that in
13 megawatt hours the projected cost for Florida Power and
14 Light's fuel would be about \$64.75 per megawatt hour?

15 A. Again, I'm not familiar with this
16 document. I would say based on what I see in front
17 of me, yes.

18 Q. You don't have any reason to think that FPL
19 would have filed inaccurate fuel information, do you?

20 A. No, I don't.

21 Q. Okay.

22 A. But, again, I didn't take this out of what
23 was filed.

24 Q. Understood. Do you have any idea what FPL
25 paid, say, last month on an as-available basis to its

1 cogenerators?

2 A. No, I don't. That is outside of my scope.

3 Q. Okay. Would you agree that it is probably
4 substantially less than \$64.75 per megawatt hour?

5 A. I wouldn't know.

6 Q. Is there a witness in this proceeding for FPL
7 that would know that?

8 A. Not to my knowledge, no.

9 MS. KAUFMAN: Thank you.

10 CHAIRMAN CARTER: Thank you, Ms. Kaufman.

11 For the record, state your name and the
12 party that you are representing?

13 MR. WEINER: Thank you very much, and I
14 appreciate this opportunity to participate in this
15 proceeding. My name is Daniel Weiner. I am
16 co-counsel with Mr. Jacobs and Mr. Longstreth on
17 behalf of NRDC and SACE.

18 CHAIRMAN CARTER: You may proceed.

19 MR. WEINER: Thank you very much.

20 CROSS EXAMINATION

21 BY MR. WEINER:

22 Q. Good afternoon, Mr. Haney.

23 A. Good afternoon.

24 Q. I'm trying to move this along as quickly as
25 possible for you.

1 As an initial matter, I believe you said
2 you were director of demand-side management at FPL.
3 Would you mind just running through briefly your
4 responsibilities in that capacity?

5 A. Absolutely. I am responsible for the
6 development of demand-side management programs at
7 FPL, as well as ensuring that the programs are
8 managed and implemented in a cost-effective way.
9 Also responsible for all the regulatory filings and
10 all of the activity associated with ensuring that
11 the programs meet all the FEECA requirements and DSM
12 goals rules.

13 Q. Thank you. I would like to talk a little bit
14 about the efforts that you mentioned in your opening
15 statement to reach low income customers. And reaching
16 low income customers is one of FPL's priorities, is in
17 the DSM a priorities, would you agree with that?

18 A. Reaching all of our customers -- I would
19 say it is a priority, yes, as well as reaching all
20 customer classes.

21 Q. So it is a priority?

22 A. It is a priority, yes.

23 Q. Okay. And FPL certainly believes that it can
24 offer DSM measures to every class of ratepayers?

25 A. By class, you mean --

1 Q. Every income class, every -- all across the
2 income spectrum?

3 A. Yes, we have an opportunity to reach all
4 of our customers with our DSM programs.

5 Q. And is it correct, Mr. Haney, that FPL is
6 currently able to reach low income customers at roughly
7 the same rates as non-low income customers?

8 A. We have just recently done a study that
9 showed that they are participating at roughly the
10 same rate as our other -- as our other customers
11 with the exception of our air conditioning program,
12 where we see a slight less participation there.

13 Q. Got you. Actually you are one step ahead of
14 me, as that was my next question, is you believe that
15 this equal participation, just so we have a clear
16 record, is true regardless of the cost of the measure?

17 A. Regardless of the cost.

18 Q. With possibly the exception of the air
19 conditioning?

20 A. With possibly the -- yes. With possibly
21 the exception of our air conditioning program. We
22 are seeing them participate in our insulation
23 programs and our other programs that we offer.

24 Q. Okay. So it is correct, then, isn't it, that
25 if FPL offered a wider menu of DSM measures, FPL could

1 make these measures available on an equal basis to low
2 income customers as residential customers as compared
3 to the rest of the income levels that FPL services, is
4 that correct?

5 A. I think you could say that any program
6 that we offered we would offer to all of our
7 customers, and low income customers would
8 participate in those, as well.

9 Q. And you have no basis to think that these low
10 income customers would participate at a lower rate than
11 for other customers, correct?

12 A. I have no reason to believe otherwise, and
13 we are seeing them participating in our programs
14 today.

15 Q. Okay, great. And, finally, just -- and low
16 income customers who adopt a DSM measure certainly can
17 reduce their bills, can they not?

18 A. I think customers that are participating
19 have an opportunity to reduce their bills. In a lot
20 of cases we find that when customers implement
21 demand-side management, they will actually use more
22 than they did before they implemented the measure.
23 So we will see them either getting more comfortable
24 or leaving that light on longer than they normally
25 would. And so we have seen it happen both ways

1 where customers actually their bill reduces and in
2 some cases their bill will stay the same or go up,
3 because they are looking for the comfort that it
4 brings.

5 Q. Right. But it is possible for them to reduce
6 their bill?

7 A. It is possible.

8 Q. Using demand-side measures?

9 A. It is possible.

10 Q. Okay. I would like to ask you just very
11 briefly about the E-RIM test.

12 A. Yes.

13 Q. And what I would like to ask is under the
14 E-RIM test, is it possible that participants in a
15 particular DSM measure will benefit more than
16 nonparticipants under the E-RIM test?

17 A. It would be true that customers could,
18 yes. A customer could benefit more, but that is
19 also true of all the tests, whether it is E-RIM or
20 E-TRC.

21 Q. Okay. But it is true?

22 A. It is customer behavior.

23 Q. Okay. Now, when FPL offers a DSM measure,
24 for example, to a residential or small business
25 customer, FPL doesn't limit the number of people who

1 can enroll, does it?

2 A. No, sir. In the past, and I would say in
3 the future FPL doesn't limit customer participation.
4 So when we run advertising or we promote a program
5 we don't cut them off, no.

6 Q. You have never turned away prospective
7 customers to your knowledge?

8 A. No, sir.

9 Q. Okay. Thank you. Dr. Sim mentioned earlier
10 today that -- I believe it was the -- and this is
11 subject to check, the E-RIM 664 megawatt portfolio. He
12 thought that that was projected to meet all of FPL's
13 unmet need through 2019. Do you agree with Dr. Sim?

14 A. He would be the expert on that one.

15 Q. Okay. So you do agree with him to the best
16 of your knowledge?

17 A. To the best of my knowledge.

18 Q. Okay. And is it also true that unmet need is
19 to some extent a limiting factor on the use of DSM
20 measures?

21 MR. GUYTON: Objection. This is going
22 outside this witness' line of direct examination.
23 This was a line that was covered in detail by the
24 resource planning witness, Doctor Sim.

25 CHAIRMAN CARTER: Okay. Just tighten it

1 up. Let's move on.

2 MR. WEINER: Okay. Sorry. To move on --
3 excuse me. Sorry. One second.

4 CHAIRMAN CARTER: Take a moment if you
5 need to.

6 MR. WEINER: Could I just ask -- and if
7 the Commission would prefer, I just have one other
8 question on unmet need. Just very basic, if I could
9 get Mr. Haney's response, or should I just move on?

10 CHAIRMAN CARTER: Well, if it is within
11 his ambit.

12 MR. WEINER: Okay. Thank you.

13 BY MR. WEINER:

14 Q. If you can answer this please just feel free
15 to say so. I just wanted to ask hypothetically, if for
16 some reason there was a regulatory decision that
17 foreclosed or delayed construction of one of FPL's,
18 say, new nuclear units, you would agree that unmet need
19 would increase?

20 MR. GUYTON: Objection. This goes beyond
21 the scope of this witness' testimony.

22 CHAIRMAN CARTER: Sustained.

23 MR. WEINER: Okay. I will move on.

24 BY MR. WEINER:

25 Q. Sir, I just want to ask you very quickly

1 about the marketing of DSM measures.

2 A. Yes.

3 Q. It is true, isn't it, that in 2005 FPL was
4 able to ramp up implementation of its DSM portfolio in
5 about a year?

6 A. Correct, yes, we were. We saw demand
7 rising and moved very quickly to increase our load
8 control efforts, as well as develop additional
9 programs that we were able to get through with
10 Commission approval in about a year. So, by the end
11 of that next summer we had additional measures that
12 we could offer to customers.

13 Q. Thank you very much. Now, the last topic I
14 would just like to cover with you briefly is the
15 two-year payback and free riders. So I would like to
16 talk about these measures quickly. If we leave aside
17 the problem of free riders for the moment, would you
18 agree that such measures do offer the least expensive
19 way to increase energy efficiency under either E-RIM or
20 E-TRC, setting aside the problem with free riders?

21 A. I would agree that these -- that customers
22 who have an opportunity to implement measures with
23 less than a two-year payback are absolutely getting
24 benefit very quickly. It is why we have agreed and
25 it is why as a collaborative we really moved to look

1 at a two-year payback as a way to limit that. When
2 customers have that opportunity, right, the economic
3 opportunity already in front of them, it is not a
4 good idea, or it has not been felt like the way to
5 go at that would be to give customers more money,
6 just to take ratepayer money and use it to pay
7 customers who already have that economic
8 opportunity.

9 Q. Okay. So there is -- those do have the most
10 bang for the buck than for the customer for whoever is
11 paying?

12 A. They have the quickest payback.

13 Q. Okay. So let's add free riders now, since,
14 obviously, that's what we are discussing. And FPL does
15 eliminate all measures with a simple payback of less
16 than two years to minimize free riders, correct?

17 A. Yes.

18 Q. Okay. So just to confirm, there were
19 measures that would have passed the E-RIM and
20 Participant test that were screened out due to the
21 two-year payback, correct?

22 A. That is correct.

23 Q. Okay. And subject to check, there were about
24 197 measures that passed E-RIM that were screened out,
25 correct?

1 A. That is correct, yes.

2 Q. Okay. Does FPL address the free rider
3 problem for DSM measures in any other way besides the
4 two-year payback screen?

5 A. In program implementation we do. In the
6 goals part of this process, we only use the two-year
7 payback as the screen as agreed to by the
8 collaborative, yes.

9 Q. Okay. And I will get to that in a second,
10 actually. But, okay. So do you maintain that
11 measures -- that the basis of this two-year bayback, do
12 you maintain that measures with paybacks of less than
13 two years will be adopted automatically by customers
14 based on natural market forces?

15 A. No, I don't. I think customers implement
16 measures for multiple reasons, some of them
17 economic, and they don't implement them for multiple
18 reasons. The thought is that they have the
19 financial incentive already in front of them in
20 order to implement those measures. And throwing
21 more money at them, wasting our customers' money,
22 that just doesn't seem like the way to get them to
23 implement the measures. Therefore, we do multiple
24 things in order to promote them.

25 It is not as if we just walk away from

1 those measures. I think it is important to think
2 about when we go out to see a customer, those are
3 recommendations that we would make to that customer.
4 So we talk to them about raising their thermostat.
5 We talk to them about getting a tune-up on their air
6 conditioner. If the supply and the return
7 temperatures aren't, you know, Delta T of about 20
8 degrees, then you know there is something wrong with
9 that unit. You need to have it inspected.

10 So we offer a multitude of things for our
11 customers that are in that two-year payback
12 criteria. They can go on-line and our on-line
13 surveys recommend it through our literature and top
14 ten tips. We are always recommending those measures
15 to customers. It is just we don't feel like it is a
16 good use of our customers' money to throw more money
17 at them.

18 Q. Okay, thank you very much. I apologize for
19 one second.

20 CHAIRMAN CARTER: Okay. Take your time.
21 You have got a minute. Just take a minute.

22 MR. WEINER: Thank you, sir. Thank you.
23 We can take one minute.

24 BY MR. WEINER:

25 Q. Mr. Haney, subject to check, and I apologize

1 for that. I think I might have grabbed the wrong
2 document actually. So, my apologies. My
3 understanding, and we are checking this, is that Itron
4 did say that if measures with a payback of less than
5 two years did -- sorry, excuse me one second. I lost
6 my place here.

7 CHAIRMAN CARTER: Let's just kind of -- we
8 are going to go off the record -- we are just going
9 to go off the record for a moment to give you an
10 opportunity. Nobody leave. We are going to give
11 him a couple of seconds to get his paperwork
12 together.

13 MR. WEINER: Yes. And if we can't find
14 it, we will just move on.

15 CHAIRMAN CARTER: Okay.

16 MR. WEINER: Thank you.

17 CHAIRMAN CARTER: Just say when.

18 (Off the record.)

19 CHAIRMAN CARTER: We are back on the
20 record. You may proceed.

21 BY MR. WEINER:

22 Q. So basically then you agree based on your
23 last response, and we can refresh if you want to, that
24 there are market barriers that prevent certain types of
25 simple DSM measures from being adopted by some

1 residential customers automatically?

2 A. Yes, there are.

3 Q. All right. Thank you very much, and I
4 apologize for the confusion there.

5 So do you accept, I believe GDS concluded,
6 and that was based partly on data submitted by FPL,
7 that -- and the other FEECA utilities, that the
8 average penetration rate in the residential market
9 for the types of measures excluded was about
10 25 percent?

11 A. I don't know. I'm not familiar --

12 Q. Subject to check that was at Page 25 of their
13 testimony. Does that sound reasonable to you? Do you
14 have any reason to dispute that?

15 A. I don't have any reason to agree or
16 disagree with it, actually.

17 Q. But something less than a 50 percent
18 penetration rate would be conceivable given that there
19 are market barriers?

20 A. Some measures I would say --

21 MR. GUYTON: Objection.

22 CHAIRMAN CARTER: Hang on, hang on. Hold
23 the phone.

24 MR. GUYTON: The witness is being
25 cross-examined about other witness' testimony. It

1 is not about his testimony. He is being asked what
2 Mr. Spellman has testified to. I just don't think
3 it is proper cross-examination.

4 CHAIRMAN CARTER: Okay. Let's just
5 rephrase.

6 MR. WEINER: Okay.

7 BY MR. WEINER:

8 Q. Do you know what the penetration rate for
9 these measures that have been excluded is?

10 A. No, sir, I don't.

11 Q. Okay. Assuming there is a lower level than
12 100 percent penetration rate, and that is because of
13 market barriers, if it is true that a free rider would
14 adopt a measure anyway, would you expect that all free
15 riders would adopt the measure regardless of the
16 incentive level?

17 A. I think a free rider has an opportunity --
18 would face the same barriers to implementation as
19 any other customer. I think the two-year payback is
20 just merely saying that they have the financial, you
21 know, the financial barrier is overcome. There are
22 other issues that are preventing them from
23 installing that measure. That is why in a lot of
24 cases it is education. It is just the customer
25 understanding really what the value of turning down

1 their thermostat is, or putting in a more efficient
2 light bulb, or turning the lights off when they
3 leave. A lot of times customers don't understand
4 it, and so we spend a lot of time just on educating
5 customers on those measures, but that doesn't mean
6 that we are going to take money and throw at them to
7 make their incentive -- their financial incentive
8 even greater.

9 Q. But, in principle there is no reason why the
10 level of incentive changing would increase the number
11 of free riders, correct?

12 A. There is no principle there. And, in
13 fact, in the next phase of this docket we will look
14 at designing programs, and we will have to look at
15 ways to manage those programs that we bring back to
16 the Commission for approval to address free riders
17 at that time, as well.

18 Q. But in the goals phase, you have never
19 researched whether varying incentive levels could
20 change the total benefit relative to the cost of the
21 program, correct?

22 A. In the goals phase we look at as a way to
23 address free riders and to deal with our customers'
24 money in the most efficient way, the two-year
25 buyback has been the way to do that.

1 Q. And so just to have a clear record, you
2 haven't researched whether varying the incentive level
3 might change the necessity for the two-year payback or
4 justify another level of payback in a different type of
5 situation, you have just --

6 A. Well, I don't know that I would say that.
7 We have looked at other options around payback.
8 Essentially, these payback adoption curves will --
9 you know, they will tend to show you at a payback
10 range where the customers actually implement the
11 measure. In the past -- well, not in the past, but
12 what you typically will see is about two years is
13 where that penetration really starts taking off.
14 And that is where we have limited it to the two
15 years as the point where the economic incentive has
16 already taken over for that customer.

17 Q. Okay. And have you done primary research
18 with respect to FPL's customers in this regard?

19 A. No, we have not.

20 Q. So you have done --

21 A. This is secondary.

22 Q. Secondary sources. And can you name, I
23 believe you had mentioned an ACEEE study. Can you name
24 any other study in which the two-year payback was
25 analyzed besides that one?

1 A. I believe in my direct testimony as an
2 exhibit there are several other there. There is
3 also a report that has been put out by -- it is the
4 Shelton Group that shows two-year payback and
5 adoption curves. Well, it actually just shows
6 adoption curves versus payback.

7 Q. And is it supportive of the two-year payback
8 screen?

9 A. It merely shows at a payback period what
10 would you assume -- what could you look at as far as
11 a percent adoption by customers.

12 Q. Okay. And just to be clear, FPL has never
13 considered whether a two-year payback might be
14 cost-effective for certain types of customers but not
15 others. You have never looked at it based on
16 individual segments of the market, have you?

17 A. I'm not sure I would know how to look at
18 that. We view it as paying for customers who have
19 paybacks under two years as being a very inefficient
20 way to move the market. We see a much more
21 effective way of moving the market doing it through
22 surveys and doing it through promotional activities.

23 Q. Okay. And the adoption curves that you
24 referenced, those are the same for all measures or are
25 they different? Are they the same?

1 A. It is a summation of all measures, but it
2 doesn't break it down by measure. It is not by
3 measure. I mean, with 2,000 measures it would be a
4 little overwhelming.

5 Q. Okay. But different measures do have
6 different adoption curves?

7 A. And that's why in the -- yes, and that is
8 why actually we deal with that issue in the program
9 design phase where we are actually looking at each
10 measure and what is the best way to get that measure
11 implemented.

12 MR. WEINER: Is it okay if my colleague
13 asks -- interjects with one?

14 CHAIRMAN CARTER: No. He can help you,
15 but he can't ask questions.

16 MR. WEINER: Oh, sorry. Okay.

17 CHAIRMAN CARTER: You have already started
18 on the witness, so --

19 MR. WEINER: Sorry.

20 BY MR. WEINER:

21 Q. And the measures -- but, the measures that
22 are excluded at the two-year payback, are those
23 considered at the program phase?

24 A. No, they are not considered to be as part
25 of the goals, but they absolutely are considered as

1 part of the things that we would recommend to
2 customers through energy surveys and on-line and in
3 printed material. So it is not that these measures
4 aren't part of what we recommend to customers, we
5 just don't move them into the goals phase of the
6 process.

7 Q. Okay. I would like to show you a brief
8 exchange that a member of the Commission had with an
9 FPL witness in 1994 to read. Pass this out.

10 BY MR. WEINER:

11 Q. Mr. Haney, if you could just take a sec to
12 read --

13 CHAIRMAN CARTER: Could you do me a favor
14 before you ask the next question?

15 MR. WEINER: Sure.

16 CHAIRMAN CARTER: Pull your mike closer so
17 that the court reporter can hear you.

18 MR. WEINER: Oh, sorry. Sure.

19 CHAIRMAN CARTER: You have been fading in
20 and out on us.

21 MR. GUYTON: And if you could wait until
22 all of us have the benefit of the transcript,
23 please.

24 MR. WEINER: And I realize that the docket
25 from this exchange is not, so we can get that in a

1 second.

2 CHAIRMAN CARTER: Hang on a second. Hang
3 on a second. You may proceed.

4 MR. WEINER: This is an excerpt from the
5 1994 DSM docket. I don't have the docket number
6 handy, but we will -- Volume 5, but we will get it
7 in a second. And I believe this would be Exhibit --
8 yes, 141.

9 CHAIRMAN CARTER: So you want it marked
10 for identification purposes?

11 MR. WEINER: Please. Thank you, Mr.
12 Chairman.

13 CHAIRMAN CARTER: 141. Commissioners, for
14 your records, this will be Exhibit 141.
15 Recommendation on a title.

16 MR. WEINER: We are just looking for the
17 docket.

18 CHAIRMAN CARTER: Could you give me a
19 recommendation for a title?

20 MR. WEINER: Yes, it's excerpt from the
21 1994 DSM Docket.

22 (Exhibit Number 141 marked for
23 identification.)

24 CHAIRMAN CARTER: When we get to dealing
25 with the exhibits and all like that, make sure you

1 have the docket number and all like that, so when we
2 go through the process we can put it in, otherwise
3 it will just be available for cross-examination
4 only, okay?

5 MR. WEINER: Okay. Would you like the
6 docket number now?

7 CHAIRMAN CARTER: I sure would.

8 MR. WEINER: Great. Sorry about that.
9 Docket Number 930548-EG. I guess there are several.
10 Docket Number 549-EG, and then keep going, 550-EG
11 and 551-EG, the same.

12 CHAIRMAN CARTER: Okay. You may proceed.

13 MR. WEINER: And the hearing is June 2nd,
14 1994.

15 BY MR. WEINER:

16 Q. Mr. Haney, have you had a chance to look
17 through this excerpt?

18 A. I am almost through it, yes.

19 Q. Okay. Take your time. All set?

20 A. Okay.

21 Q. So if you look at Page 644, Lines 4 to 6,
22 Commissioner Clark expressed the feeling that, "I guess
23 what I'm saying is I think you need another method to
24 determine free riders." And Commissioner Clark is
25 referring to the two-year payback screen, correct?

1 MR. GUYTON: Objection. I don't think
2 this is proper cross-examination of this witness.
3 This is not impeachment. This is not something he
4 is familiar with, and he is now being asked what a
5 former Commissioner said to a former FPL witness 15
6 years ago. It is entirely out of context.

7 CHAIRMAN CARTER: I am going to sustain
8 the objection. I think you can get where you need
9 to get by using what is available to us here. So I
10 am going to sustain the objection. You may proceed.

11 BY MR. WEINER:

12 Q. Okay. Leaving aside that, since the 1994
13 hearing, has FPL explored alternatives to the two-year
14 payback since 1994 at the goals stage?

15 A. At the goals stage. Actually, in this
16 docket we have looked at -- I think Witness Dean
17 will talk about some alternative measures that we
18 looked at and ways to deal with it, so I would defer
19 those questions to him.

20 Q. Okay. So, I would just like to talk finally
21 very briefly about the decision to use the two-year
22 payback screen. Could you just -- who made the
23 decision to use the two-year payback screen?

24 A. It was the collaborative that made the
25 decision. So it was the FEECA utilities, NRDC and

1 SACE.

2 MR. WEINER: Okay. And I would like to at
3 this time enter, I apologize if I am phrasing that
4 wrong, Exhibit 142, I believe.

5 CHAIRMAN CARTER: You have something you
6 want to mark for identification?

7 MR. WEINER: Yes, mark for identification
8 Exhibit 142.

9 CHAIRMAN CARTER: 142. The title?

10 MR. WEINER: And the title would just be
11 the Itron Final SOW, Statement of Work.

12 (Exhibit Number 142 marked for
13 identification.)

14 CHAIRMAN CARTER: Okay. You may proceed.

15 MS. BROWNLESS: Can we stop just a minute,
16 please?

17 CHAIRMAN CARTER: Do you need a break,
18 Ms. Brownless?

19 MR. WEINER: Could we go off the record?

20 CHAIRMAN CARTER: Okay. Let's go off the
21 record. Commissioners, let's does this, let's come
22 back at a quarter of.

23 (Off the record.)

24 CHAIRMAN CARTER: We are back on the
25 record. And when we last left we were going to

1 allow the attorneys an opportunity to kind of get
2 things together. You are recognized, sir.

3 MR. WEINER: Thank you very much,
4 Mr. Chairman.

5 CHAIRMAN CARTER: Turn your mike on.

6 MR. WEINER: Thank you very much, Mr.
7 Chairman.

8 BY MR. WEINER:

9 Q. So, Mr. Haney, we apologize for that
10 interruption. Just as a recap, I believe you were
11 saying that the decision to use the two-year payback
12 during the present goals setting phase was a decision
13 of the collaborative together, right?

14 A. Yes, it was.

15 Q. That is your testimony. What I would like to
16 ask you now is to ask that an exhibit be marked, which
17 is an excerpt from the final Itron statement of work as
18 exhibit, I believe the number would be 142, 143?

19 CHAIRMAN CARTER: Hang on a second. Hang
20 on a second.

21 Ms. Fleming, is this the same document we
22 had before on 142, Itron Final SOW?

23 MS. FLEMING: It is my understanding what
24 was initially handed out was a confidential version
25 of this document, but I think, I believe this

1 document is appropriate for the public, so I would
2 just say continue with this numbering as 142.

3 CHAIRMAN CARTER: We'll keep the same
4 number and same title. You may proceed.

5 MR. WEINER: Thank you very much.

6 BY MR. WEINER:

7 Q. Actually, I would like to direct your
8 attention to the final paragraph on what is actually
9 labeled Page 5, Mr. Haney. And I believe it is the
10 third sentence which reads, "We are prepared to address
11 a total of three achievable program scenarios as
12 defined by the utilities." Do you recognize this
13 paragraph?

14 A. Yes.

15 Q. So, basically, if you read this paragraph,
16 NRDC and SACE, did they agree that these scenarios
17 should be defined by the utilities?

18 A. This is a document that was signed by the
19 utilities first. Secondly, I would say that as we
20 were entering dealing with free riders, we actually
21 had a conference call with all the members of the
22 collaborative to address ways to deal with free
23 ridership. And on that call we agreed that a
24 two-year payback would be the method that we would
25 use in order to address free ridership. So, NRDC

1 and SACE did agree to the two-year payback criteria
2 through that conference call.

3 MR. WEINER: Okay. At this time I would
4 like to request that Exhibit 143 -- yes, 143 be
5 marked. And I will give you a second, Mr. Haney, to
6 look that over.

7 CHAIRMAN CARTER: Are you going to give us
8 something that will be marked 143?

9 MR. WEINER: Yes.

10 CHAIRMAN CARTER: Okay. For
11 identification purposes 143. A title? Brevity is
12 appreciated.

13 MR. WEINER: Sure. February 5th, 2009
14 E-mail to the Collaborative.

15 (Exhibit Number 143 marked for
16 identification.)

17 CHAIRMAN CARTER: Okay. You may proceed.

18 MR. WEINER: Thank you.

19 BY MR. WEINER:

20 Q. So, Mr. Haney, in fact, didn't NRDC and SACE
21 object to the achievable potential scenarios being
22 preset by the utilities? And if I could direct your
23 attention to the bottom of Page 2, I believe that says
24 the collaborative should establish the three potential
25 scenarios.

1 MR. GUYTON: Objection. There has been no
2 foundation laid for this document. It is not even
3 established that the witness is familiar with it.

4 MR. WEINER: I will move to strike that.

5 BY MR. WEINER:

6 Q. Do you recognize this e-mail, Mr. Haney?

7 A. I don't recall the e-mail. I recall
8 conversations with Mr. Wilson about it, but I don't
9 recall specifically this e-mail.

10 Q. And do you -- you were part of the
11 collaborative, you were on the e-mail list for the
12 collaborative, correct, Mr. Haney?

13 A. Yes.

14 Q. So, does it look -- does it look like an
15 e-mail that would have been sent out to the
16 collaborative?

17 A. By its to, I would say it was sent out to
18 the Florida Collaborative, yes.

19 Q. But you don't recall the concerns that
20 Mr. Wilson expressed about the utilities defining the
21 achievable program scenarios?

22 A. I believe you asked me if I was familiar
23 with this e-mail, and to that I said no.

24 Q. Okay. And you don't recall any other
25 instance?

1 A. I think my response was that I do recall
2 talking to Mr. Wilson about some of these issues. I
3 just do not recall this e-mail specifically.

4 Q. And you do recall discussing the issue of who
5 should define the three achievable potential program
6 scenarios with Mr. Wilson?

7 A. Correct, I do remember that. That was
8 actually one of the reasons we had the conference
9 call to get everyone's input on how we should move
10 forward.

11 Q. And apart from the conference call, were
12 there other instances where Mr. Wilson did express
13 reservations about the utilities defining achievables?

14 A. To define achievables?

15 Q. The three achievable potential scenarios?

16 A. Not the three scenarios, no.

17 Q. Or instances where Mr. Wilson expressed
18 reservations about the two-year payback apart from the
19 conference call?

20 A. No, sir.

21 Q. Okay. So, I would like to jump to the end
22 now, after the collaborative, please. NRDC and SACE
23 refused to endorse the results of the achievable
24 potential study, didn't they?

25 A. I received an e-mail to that effect, yes.

1 MR. WEINER: And at this time, I would
2 like to mark for the record as Exhibit 144 a letter
3 from Mr. Haney to Mr. Wilson, I believe.

4 CHAIRMAN CARTER: Is the letter to -- the
5 letter is from Mr. Haney to Mr. Wilson?

6 MR. WEINER: Yes.

7 CHAIRMAN CARTER: Okay. Commissioners,
8 that will be Exhibit Number 144 marked for
9 identification. A short title will be Haney's
10 letter to Wilson.

11 (Exhibit Number 144 marked for
12 identification.)

13 CHAIRMAN CARTER: Okay. You may proceed.

14 MR. WEINER: Thank you very much.

15 BY MR. WEINER:

16 Q In the first sentence of the last paragraph
17 you state --

18 MR. GUYTON: Wait just a minute so that we
19 have a chance to digest this.

20 MR. WEINER: Oh, sure.

21 CHAIRMAN CARTER: Okay. Let's take a
22 minute.

23 (Pause.)

24 MR. GUYTON: Thank you, Mr. Chairman.

25 CHAIRMAN CARTER: Okay. You may proceed.

1 MR. WEINER: Okay. Thank you.

2 BY MR. WEINER:

3 Q. So you state we were -- excuse me, sorry. So
4 you state, "John and George, while the other
5 collaborative members and I are disappointed that you
6 will not endorse the achievable potential study, we
7 have enjoyed working with you and appreciated your
8 input."

9 Do you know why NRDC and SACE did not
10 endorse the achievable potential study results?

11 A. He never shared that with me, no.

12 Q. So your testimony is that Mr. Wilson never
13 shared with you the reasons?

14 A. Why he did not specifically, no.

15 Q. Okay.

16 A. It sounds to me like you are trying to
17 lead me somewhere. I said earlier that he and I had
18 talked. We had discussions about his concerns, and
19 we tried to address them which, actually, this
20 letter demonstrates, on numerous occasions. So did
21 he say to me here the three reasons or whatever that
22 we will not, I don't recall that conversation.

23 MR. WEINER: Okay. I would like to enter
24 as an Exhibit 144, I believe.

25 CHAIRMAN CARTER: This is 144.

1 MR. WEINER: Okay. 145.

2 CHAIRMAN CARTER: For identification
3 purposes?

4 MR. WEINER: Letter from Wilson to Haney.

5 CHAIRMAN CARTER: Okay. This is a reverse
6 of 144?

7 MR. WEINER: Yes, exactly.

8 CHAIRMAN CARTER: Commissioners, for your
9 records, 145 is the Wilson letter to -- Wilson's
10 letter to Haney.

11 (Exhibit Number 145 marked for
12 identification.)

13 MR. WEINER: And, Mr. Chairman, just let
14 me know. I will wait for everyone.

15 CHAIRMAN CARTER: Okay. Just hang on a
16 second.

17 Did the parties have an opportunity to
18 look over this document? Did you have an
19 opportunity to look it over?

20 MR. GUYTON: Yes, Mr. Chairman. Thank
21 you.

22 CHAIRMAN CARTER: Okay. You may proceed.

23 MR. WEINER: Thank you, Mr. Chairman.

24 BY MR. WEINER:

25 Q. Mr. Haney, I am going to read you the second

1 to last paragraph, if you don't mind. And this is a
2 letter from, as we said -- it's actually -- it is from
3 Mr. Wilson to yourself. "Therefore, we regretfully
4 inform you that we cannot endorse the final report
5 results, as we had limited opportunity and in some
6 cases no opportunity to either review or shape those
7 results. Please share this with the rest of the
8 collaborative at your earliest convenience."

9 It appears to me from this letter that
10 NRDC/SACE stated that they felt they had limited or
11 no opportunity to even review and certainly not
12 contribute to the results of the achievable
13 potential study. Do you believe that is accurate?

14 A. This is actually part of the conversation
15 that Mr. Wilson and I had. And we had tried very
16 hard over that period to be able -- you know, to get
17 more conversation going and to try to overcome his
18 concerns. And, obviously, we were just not able to
19 do so.

20 He still participated on the conference
21 calls. He was still, you know, part of the process.
22 As we were getting to the end, there was a lot of
23 work that was going on that was really specific to
24 each utility. And, you know, those calls were very
25 much action oriented to get us to this date. And I

1 think that was his primary concern is that he felt
2 like he was not getting enough information. We gave
3 him all the information we had at the time.

4 Q. So, would it be correct, though, to say that
5 in addition to not getting enough information based on
6 this letter that was addressed to you, he also felt he
7 was not being allowed to participate in the process of
8 shaping the goals?

9 MR. GUYTON: Objection. This letter is
10 the best evidence of what Mr. Wilson indicated.
11 Asking this witness to restate what the letter is is
12 just not the best evidence.

13 MR. WEINER: I will withdraw the question.

14 CHAIRMAN CARTER: Okay.

15 BY MR. WEINER:

16 Q. So, Mr. Haney, I would like to show you one
17 last exhibit, if you don't mind.

18 CHAIRMAN CARTER: Do we need to mark it
19 for identification?

20 MR. WEINER: Marked for identification.

21 CHAIRMAN CARTER: Commissioners,
22 Exhibit 146. Short title recommendation?

23 MR. WEINER: Acheivable -- excuse me.
24 SACE, S-A-C-E, feedback.

25 CHAIRMAN CARTER: Okay.

1 MR. WEINER: For achievable potential
2 analysis.

3 MS. HELTON: We will just go with SACE
4 Feedback, okay?

5 MR. WEINER: Thank you, Mr. Chairman.
6 (Exhibit Number 46 marked for
7 identification.)

8 CHAIRMAN CARTER: Just hang on a second.
9 Give everyone an opportunity to get the
10 documentation.

11 Is everybody ready?

12 MR. GUYTON: Yes, thank you.

13 CHAIRMAN CARTER: You may proceed.

14 MR. WEINER: Thank you.

15 BY MR. WEINER:

16 Q. Mr. Haney, do you recognize the document
17 attached to this e-mail?

18 A. Yes, I do.

19 Q. Have you had a chance to peruse the section
20 on free ridership limitations on Page 2? Take your
21 time.

22 A. Just on the free ridership?

23 Q. Yes, so we can -- the second half of Page 2.

24 A. Yes. This is addressing the scenarios
25 that we actually ran around -- it wasn't really

1 around free -- that was not a free ridership issue.
2 It was more looking at scenarios that would impact
3 ultimately the goals.

4 Q. Okay. But didn't NRDC and SACE suggest
5 consideration of a shorter payback screen or no payback
6 screen as opposed to the two-year payback?

7 A. These are two separate issues. In
8 addition, the utilities wished to explore a fourth
9 component, free ridership minimization. That is the
10 conference call that I discussed previously that we
11 had on free ridership. So we actually had a call
12 that addressed specifically the free ridership part
13 of this.

14 The second part of this e-mail appears to
15 be dealing with sensitivities that the collaborative
16 agreed to run at -- I believe it was even staff's
17 recommendation that we look at are there some
18 sensitivities that could be run to give us an idea
19 of what was actually moving the participation and
20 ultimately the goals for our customers that we would
21 recommend.

22 Q. So your testimony is that in addressing free
23 ridership the NRDC and SACE did not ever propose that
24 the scenarios encompass a one-year payback or no
25 payback screen?

1 MR. GUYTON: Objection. I don't think
2 that is a fair characterization of his testimony. I
3 think he just said that there are two separate
4 issues. And the scenario that is discussed here is
5 different from the original decision on free
6 ridership.

7 CHAIRMAN CARTER: Let's rephrase.

8 MR. WEINER: I'll rephrase.

9 BY MR. WEINER:

10 Q. Did NRDC and SACE, to your recollection, ever
11 propose that the achievable potential scenarios
12 encompass a one-year payback screen or no time payback
13 screen?

14 A. One of the issues we did in sensitivities
15 would look at and actually we did it through our
16 sensitivities around incentives. We looked at a
17 two-year payback, and we looked at a scenario with
18 33 percent of the incremental cost and then
19 50 percent of incremental cost to vary the
20 incentives. In that discussion, could it have been
21 brought up? I don't remember, but I know that is
22 where we settled as the collaborative was to look at
23 the two-year payback as well as 33 percent of
24 incremental cost and 50 percent of incremental cost
25 for incentives.

1 Q. So is it correct that I believe those other
2 two scenarios also included a two-year payback?

3 A. It included the lesser of the two-year
4 payback with 33 percent of incremental costs or
5 50 percent of incremental costs. So those were the
6 three incentive scenarios that were looked at.

7 Q. So you did not consider a one-year payback or
8 a no payback screen?

9 A. I am saying it could have been talked
10 about, but where we settled was the two-year
11 payback.

12 MR. WEINER: Okay. Thank you very much,
13 and I believe that is it for us. We appreciate it.

14 CHAIRMAN CARTER: Okay. Ms. Brownless.

15 MS. BROWNLESS: I can start or wait until
16 everybody gets the document.

17 CHAIRMAN CARTER: Hang on a sec. This is
18 so thrilling, we want to be on the edge of our seat.

19 MS. BROWNLESS: I got it, yes. Thank you.
20 I appreciate it.

21 CHAIRMAN CARTER: You are just using this
22 for cross-examination purposes, correct?

23 MS. BROWNLESS: No, we will be identifying
24 this, marking it as Exhibit Number 147, and the
25 short --

1 CHAIRMAN CARTER: Hang on a second. Hang
2 on a second before we do that, before I give you a
3 number. Hold on. Hold the phone. Did all the
4 parties get a copy of this?

5 MS. KAUFMAN: I will share with Mr. Perko.

6 CHAIRMAN CARTER: You will share with --
7 staff, do you have a copy? Court reporter? Okay.
8 We will mark it for identification purposes as
9 Exhibit 147, Commissioners. A short title?

10 MS. BROWNLESS: FSC Interrogatories 1
11 through 7 to FPL.

12 (Exhibit Number 147 marked for
13 identificaiton.)

14 CHAIRMAN CARTER: Okay. You may proceed.

15 MS. BROWNLESS: Thank you.

16 CROSS-EXAMINATION

17 BY MS. BROWNLESS:

18 Q. Have you had a chance to look at these
19 interrogatories, sir?

20 A. Just as it was handed out, yes.

21 Q. Sure. And this is a true and correct copy of
22 the interrogatory responses that were provided to
23 Florida Solar Coalition by FPL?

24 A. Yes, they are.

25 Q. Okay, thank you. And, Mr. Haney, I believe

1 you sponsored Interrogatory Number 4, is that right?
2 If you look in the very back you have affidavits.

3 A. Got it.

4 Q. Is that correct?

5 A. Yes.

6 Q. And Mr. Gantz phonetic) sponsored 1 through
7 3?

8 A. Yes.

9 Q. Okay. And are you able to verify on behalf
10 of Mr. Gantz that his responses in 1 through 3 are also
11 what was provided?

12 A. Yes, ma'am.

13 Q. Thank you. With regard to the interrogatory
14 you answered, if you were asked the same questions
15 today, would your answers be the same?

16 A. Yes.

17 Q. Thank you. As part of the measures that you
18 reviewed, did FPL review any hybrid solar hot water and
19 PV systems for residential and/or commercial
20 application?

21 A. I don't believe so.

22 Q. Was FPL aware that these types of systems
23 have been installed in its service area?

24 A. For the technical potential study, we
25 pulled all the parties together to look at the

1 measures that should be included, and I don't recall
2 that being a measure that was discussed. And I
3 personally didn't know that they had been installed
4 in our service territory.

5 Q. Okay. Subject to check, would you accept
6 that there are these types of hybrid systems in your
7 service area?

8 A. Subject to check, uh-huh.

9 Q. Did FPL evaluate all measures identified by
10 Itron on a stand-alone basis, each measure by itself?

11 A. The measure attributes were given to Itron
12 on a stand-alone basis. As part of their analysis,
13 they actually stacked those measures to ensure that
14 we weren't double counting, so they were not
15 evaluated as stand-alone measures.

16 Q. Well, would it be fair to say that the
17 measures that were in the technical potential study for
18 FPL --

19 A. Yes, ma'am.

20 Q. -- and the data associated with each measure
21 was established on a stand-alone basis?

22 A. Yes, ma'am. Each measure was stand-alone,
23 or at least it was provided to Itron as a
24 stand-alone measure.

25 Q. Okay. And in your analysis, your economic

1 potential analysis, were the measures combined in any
2 way, for example, as Progress Energy has combined solar
3 water heating with direct load control?

4 A. No, ma'am. I think as Dr. Sim stated
5 earlier today, we have not combined measures to make
6 a less cost-effective measure compared with a more
7 cost-effective measure to make the blend pass an
8 E-TRC or an E-RIM test.

9 Q. And I am going to hand you what has
10 previously been marked as Exhibit 137, which is FSC's
11 Interrogatory Number 14. And also turn to Page 25 of
12 your testimony, your direct testimony.

13 Now, in your testimony you indicate
14 starting at Lines 18 that FPL considered PV
15 technologies in smaller demand-side generation scale
16 less than 10 kW, is that correct?

17 A. Yes, ma'am.

18 Q. Okay. Looking at the answer to Interrogatory
19 Number 14, it appears that all of the PV systems
20 analyzed by FPL were 10 kW or less, is that correct?

21 A. Yes, ma'am.

22 Q. Okay. And you are aware that in this docket
23 measures up to two megawatts can be considered, is that
24 right?

25 A. Yes, ma'am.

1 Q. Okay. So, larger scale commercial or
2 industrial applications up to two megawatts were not
3 considered at all, is that right?

4 A. No, that is not correct. This question is
5 asking about technologies less than 10 kW. On a
6 business scale, we actually did look at systems that
7 were 25 kW for the business customer.

8 Q. Okay. And when you say for the business
9 customer, you mean you analyzed PV measures 25 kW or
10 above for those?

11 A. 25 kW, yes, ma'am.

12 Q. Okay. And did you do that in response to --
13 if you would look at Interrogatory Number 11. Is that
14 the place where you would have analyzed those larger
15 sized facilities? Number 129 -- Item Number 129 or
16 Interrogatory Number 12, Item 266, commercial rooftop
17 photovoltaic, or Item 267, commercial parking lot
18 photovoltaic in Interrogatory 13?

19 A. Eleven appears to me to be dealing with
20 solar water heating, so it wouldn't have been there.

21 Q. Right.

22 A. And Interrogatory Number 12 is
23 potentially -- and Interrogatory Number 12 for
24 commercial rooftop, and for Interrogatory Number 13
25 where it is addressing parking lot photovoltaic.

1 Q. Okay. All right. Just so I am clear, that
2 is where the larger systems would have been analyzed,
3 the larger PV systems?

4 A. And off the top of my head I don't know
5 which one it would have been addressed, but it would
6 have been, I believe, in those, yes.

7 Q. Okay. Now, you state in your testimony on
8 Page 14 that every PV system failed the Participant
9 test, is that correct?

10 A. We have an errata that --

11 Q. Page 25, Line 14.

12 A. Page 25. We have actually filed an errata
13 on Line 14, and subsequently today we talked about
14 an errata for 22.

15 Q. Okay. And here is what I'm trying to match
16 up. My understanding from Dr. Sim's testimony is that
17 for all of the measures that he analyzed that are
18 listed in my interrogatories, he made the Participant
19 test equal one, and that is how he derived the
20 incentive -- utility incentive figure, is that correct?

21 A. For the RIM test that is his testimony,
22 yes.

23 Q. Okay. And so no systems, if that is the
24 methodology that one is using, no PV system could have
25 failed the Participant test, is that right?

1 A. That is correct.

2 Q. I mean, it would have to be one because that
3 is how you -- that's how you did it?

4 A. That is how we evaluated it to see if it
5 would pass the RIM test.

6 Q. Okay. Is it the accurate statement that they
7 passed the Participant test because under your
8 methodology they all had one, but they did not pass the
9 E-RIM or the E-TRC test?

10 A. Given that we made the incentive equal to
11 one, they passed the Participant test because we
12 forced it to.

13 Q. Right. But did not pass the E-RIM?

14 A. E-RIM and E-TRC.

15 Q. Okay. And down in the question that you just
16 corrected today --

17 A. Yes, ma'am.

18 Q. -- is that logically just been through why
19 you removed Line 22?

20 A. Yes.

21 Q. And I am going to hand out my little chart
22 again. Is the incentive level that was used in the
23 Participant test in the numerator, because there is a
24 benefit, the same as the incentive level that is used
25 as a cost in the RIM test?

1 A. That is a Dr. Sim question.

2 Q. Okay. All right. And I want to turn to the
3 response to Interrogatory Number 7, and if you are the
4 person to ask about that. Can you take a minute to
5 look at that interrogatory and see if you are the
6 person to question about it, or whether I should wait
7 for Mr. Rufo?

8 A. I would suggest waiting for Mr. Rufo.

9 Q. Thank you. Now, Dr. Sim referred this
10 question to you. Do you agree that the pricing for PV
11 systems have decreased over the past five years?

12 A. We have actually seen them increasing.

13 Q. PV?

14 A. Oh, PV?

15 Q. Yes.

16 A. On photovoltaic, I don't -- I don't know
17 if it has been decreasing over the past five years.

18 Q. Well, do you know whether it has been
19 decreasing over the past five years?

20 A. I do not.

21 Q. Do you have an opinion about whether it will
22 decrease over the next five years?

23 A. Photovoltaic?

24 Q. Yes, sir, PV is what we are talking about.

25 A. I think we have seen with solar

1 technologies that they have not been decreasing
2 recently, so I would say I don't have any basis for
3 saying it would go up or go down.

4 Q. Okay. Do you believe that PV technology is
5 becoming cheaper?

6 A. I think we have seen at a large scale PV
7 technology coming down in price. I have not seen
8 that at a small scale.

9 Q. Has Florida Power and Light done any studies
10 of PV pricing in Florida?

11 A. No, we have not.

12 Q. Because the PV technology did not pass the
13 RIM or the TRC test, it was completely excluded from
14 moving on in the process and being included in the
15 goals, is that right?

16 A. That is correct. Like all measures that
17 didn't pass the Participant, E-RIM, or E-TRC, they
18 were not carried through the process for goals.

19 Q. Okay. And so Florida Power and Light did not
20 attempt to develop any goals associated with that type
21 of technology?

22 A. We did not, nor did we on any
23 noncost-effective measures.

24 Q. Okay. When you get to the next phase of this
25 process, do you intend to evaluate PV systems as part

1 of your program portfolio?

2 A. We intend to look at all measures to see
3 if they can be cost-effective to move forward into
4 the program phase, so, yes.

5 Q. Okay. Even measures that you deemed
6 previously not to be cost-effective?

7 A. If they pass the cost-effectiveness test,
8 then, yes, we would. PV, I guess, since it didn't
9 pass and it was not stacked, I would say it would be
10 unlikely for PV to carry forward into the program
11 phase.

12 Q. And it would also be unlikely for solar hot
13 water for the same reason, correct?

14 A. Solar hot water, actually -- since it was
15 actually considered as an energy efficiency measure,
16 that actually competed against other water heating
17 measures, and so I believe we might have an
18 opportunity to see it in the program phase. We'll
19 have to evaluate it as a stand-alone to see if it
20 could be.

21 Q. It wasn't evaluated as a stand-alone in this?
22 Wasn't that --

23 A. It was an energy efficiency measure. It
24 was part -- solar thermal was actually part of the
25 energy efficiency measures that Itron evaluated.

1 Q. Yes, and that would be Interrogatory Number
2 8, right, residential solar water heating?

3 A. Yes.

4 Q. Okay. And you also evaluated commercial
5 solar water heating in Interrogatory Number 11,
6 correct?

7 A. That is correct.

8 Q. And neither item passed the RIM or the TRC
9 test, did they?

10 A. These were using the savings that were
11 derived out of the technical potential study, and so
12 using those values for energy reduction and demand
13 reduction they didn't pass E-RIM or E-TRC.

14 Q. Okay. But when you get to the program
15 development side, are you going to use other figures
16 for kWh savings?

17 A. We will look at the kW and kWh savings
18 that solar water heating will contribute as a
19 stand-alone system, yes.

20 Q. Using different inputs is my point.

21 A. Yes.

22 Q. Okay. So you are going to use different
23 figures for that, and where are you going to get those
24 figures? Are those going to be FPL utility specific?

25 A. Those were actually figures that were

1 supplied to Itron in the beginning of the technical
2 potential study. So, yes, they were -- they were
3 figures that were evaluated by the collaborative.

4 Q. Okay. Now I am confused. Are you going to
5 use the same data for kWh savings that Itron used in --
6 that Itron used and that were used in these
7 interrogatories, or different data?

8 A. In the program phase, so for the -- let's
9 separate to the program phase, right?

10 Q. You're in the program phase now.

11 A. And in the program phase we will use for
12 solar water heating its full impact or the impact
13 that it would have as a stand-alone measure, not
14 competing with other water heating measures as it
15 did within the technical potential study.

16 Q. Well, isn't what is provided in these
17 interrogatories the results of your economic screening
18 as reported on your Exhibit 12?

19 A. Yes.

20 Q. Okay. And would you do a different type of
21 screening at the program phase than was done here?

22 A. I am afraid we may be talking past each
23 other, right? In the technical potential study, as
24 part of all of the measures we supplied summer kW
25 peak, winter kW peak, gigawatt hours, or kilowatt

1 hours that were saved by that measure. As it went
2 through the technical potential study, and Mr. Rufo
3 is probably a better person to really talk about how
4 that worked, but ultimately measures, they went
5 through that model as they are efficient or as they
6 have the quickest payback for a measure, right. So
7 it was stacked. They competed against each other.

8 So, a program that had a low Participant
9 test was lower in that stack. So, therefore, it
10 would have had less of an opportunity to actually
11 save energy. So one of the things that you saw in
12 solar water heating was that since it was a high
13 cost item to a customer with a long payback, it
14 actually was able to reduce less of a -- reduce less
15 for a customer. So its contribution to technical
16 potential was smaller.

17 As we move into the program phase, we will
18 actually take the results that we had -- not the
19 results, but the input of the stand-alone solar water
20 heater, right, and we will use that to develop E-RIM
21 and E-TRC -- well, E-RIM and the participant Test.
22 And if it passes, then we have an opportunity to
23 have a solar water heating program.

24 Q. So if I am processing what you are telling
25 me, you will have different data, different kWh,

1 because it is only going to be the actual kWh savings
2 associated with each measure?

3 A. Yes.

4 Q. It is not going to have to compete against
5 anything?

6 A. Yes. I'm sorry if I wasn't clear on that.

7 Q. I got it.

8 Okay. So what I deduce from that is that
9 at the program phase, the next step, solar water
10 heating and PV systems could be included as
11 programs?

12 A. I think it is more likely, as I said
13 earlier, that we may see that with solar water
14 heating, because it actually competed against other
15 measures where PV didn't, and so I don't believe
16 that those inputs will be any different to the
17 screening.

18 Q. Okay. In other words, you think that with
19 regard to PV the RIM test is going to come up less than
20 one?

21 A. Yes, ma'am.

22 Q. Now, Mr. Haney, are you an attorney?

23 A. No, I'm not.

24 Q. Okay. And to the extent that you have
25 expressed opinions about the PSC rules and how they

1 should be implemented, or Section 366.82, or House Bill
2 7135, those opinions are based on your technical
3 experience in this field as opposed to any legal
4 training?

5 A. That is correct.

6 MS. BROWNLESS: That's all I have, sir.

7 CHAIRMAN CARTER: Thank you.

8 Commissioners, I am going to go to staff,
9 and then I will come back to the bench.

10 Staff, you're recognized.

11 CROSS EXAMINATION

12 BY MS. FLEMING:

13 Q. Good afternoon, Mr. Haney.

14 A. Good afternoon.

15 Q. Most of my questions have been asked, so I
16 only have one question for you. Earlier today we asked
17 Dr. Sim what FPL is doing to educate its customers
18 about measures with a payback period of two years or
19 less, and he suggested that you were the more
20 appropriate witness. So with that, I am going to ask
21 you the question again. I will repeat it for your
22 benefit, but what is FPL doing to educate its customers
23 about DSM measures with a payback period of two years
24 or less?

25 A. Actually, we have a robust marketing plan

1 around our demand-side management programs. It
2 starts with bill inserts, where we pass information
3 along to customers on particularly top ten tips
4 around energy efficiency and our programs. We have
5 our website, which has really improved over the
6 years so that we see a lot more customers going to
7 the web. And we also have instituted an on-line
8 energy survey, where as part of that on-line energy
9 survey those measures are also recommended to
10 customers.

11 We do advertising, whether it is print, or
12 TV, radio. Typically, it will be radio and print
13 advertising. We also participate in many local home
14 shows where customers are out looking for ways to,
15 you know, modify their houses or to make changes.
16 And so we will spend a lot of time at those home
17 shows really focusing on customers when they are
18 about to change something in their house or want to
19 change something in their house. Here are some
20 recommendations that we would make on that order.

21 So I would say it is a robust plan. We
22 actually look across all channels to reach our
23 customers so that they can participate. In the new
24 home market, we do a lot of work with builders in
25 order to promote energy efficient building and

1 helping builders actually meet the new codes. As
2 they are getting stricter it is harder for them to
3 meet those codes. And so we will spend time with
4 them helping them evaluate ways so that they can
5 make new construction more efficient, as well.

6 MS. FLEMING: Thank you, Mr. Haney. We
7 have no further questions.

8 CHAIRMAN CARTER: Commissioners?
9 Redirect?

10 MS. CANO: A brief redirect, Chairman.
11 Thank you.

12 CHAIRMAN CARTER: You are recognized.

13 REDIRECT EXAMINATION

14 BY MS. CANO:

15 Q. Good afternoon, Mr. Haney.

16 A. Hey, Jessica.

17 Q. Mr. Weiner asked you a few questions about
18 the decisions to use a two-year payback criterion. Do
19 you recall those?

20 A. Yes, I do.

21 Q. And then he also asked you a few questions
22 about some communications that discussed sensitivity
23 cases that were run or were suggested to be run against
24 the two-year payback. Do you remember those questions?

25 A. Yes.

1 Q. Could you please explain for the Commission
2 what sensitivity analyses, if any, were run?

3 A. As it relates to the two-year payback, we
4 ran -- it was actually two additional scenarios.
5 One scenario was the lesser of a two-year payback,
6 or 33 percent of the incremental cost for a customer
7 purchasing a measure. And then we ran a second
8 scenario where we looked at the lesser of a two-year
9 payback or a 50 percent on the incremental cost of
10 that measure. So there were three scenarios that
11 were run to identify appropriate incentive levels.

12 Q. And as between the two-year payback or the
13 two sensitivity cases that were run, which one resulted
14 in larger DSM savings?

15 A. The two-year payback actually was the
16 largest of the portfolios, and we actually used that
17 portfolio as the one to recommend our goals.

18 MS. CANO: Thank you. I have no further
19 questions.

20 CHAIRMAN CARTER: Okay. Exhibits?

21 MS. CANO: Yes. FPL --

22 CHAIRMAN CARTER: Seventeen through 34, is
23 that right?

24 MS. CANO: Yes. FPL moves 17 through 34
25 into the record.

1 CHAIRMAN CARTER: Are there any
2 objections? Without objections, show it done.

3 (Exhibit Numbers 17 through 34 admitted
4 into the record.)

5 CHAIRMAN CARTER: Before we proceed
6 further, Commissioners, just to make sure that we
7 have all got our paperwork together here. I don't
8 know if I was explicit or not, but on Exhibit 133,
9 which is the Florida Energy and Climate Action Plan,
10 that has been moved into evidence. And, also, if
11 the parties have not checked on your list, make sure
12 that you check it has already been moved into
13 evidence.

14 Okay. Exhibit 138. Staff?

15 MS. FLEMING: That is the exhibit that we
16 are going to wait to move in after --

17 CHAIRMAN CARTER: That is the one we're
18 waiting on?

19 MS. FLEMING: Yes.

20 CHAIRMAN CARTER: That is probably why I
21 didn't mark it. 139.

22 MS. CANO: FPL moves Exhibit 139 into the
23 record.

24 CHAIRMAN CARTER: 139 is the errata sheet.
25 Any objections? Without objection, show it done.

1 (Exhibit Number 139 admitted into the
2 record.)

3 CHAIRMAN CARTER: Exhibit 140.

4 MS. KAUFMAN: FIPUG would move 140.

5 CHAIRMAN CARTER: Exhibit 140 is FPL's
6 energy costs and projected costs. Are there any
7 objections? Without objection, show it done.

8 (Exhibit Number 140 admitted into the
9 record.)

10 CHAIRMAN CARTER: Exhibit 141.

11 MR. WEINER: NRDC and SACE would move 141,
12 which is the excerpt from the 1994 proceeding.

13 CHAIRMAN CARTER: Hang on a second here.
14 I think I had a note to that.

15 MR. WEINER: It's an excerpt from the
16 official record.

17 CHAIRMAN CARTER: Yes. Yes, I did have a
18 note for that. I'm not sure a proper -- well,
19 Ms. Helton.

20 MS. HELTON: Mr. Chairman, could I
21 recommend that we hear from Mr. Guyton or from
22 Ms. Cano concerning this record.

23 CHAIRMAN CARTER: Okay. Let's hear from
24 you first. You're recognized.

25 MR. GUYTON: FPL would object to this. It

1 hasn't been properly authenticated, and it was used
2 for purposes of cross-examination simply to ask what
3 two other people said at a hearing that the witness
4 didn't attend. It just hasn't been properly
5 authenticated and it is not proper evidence for
6 consideration in this proceeding given the way that
7 it was presented.

8 CHAIRMAN CARTER: Okay.

9 MS. HELTON: Mr. Chairman, I do believe
10 that Mr. Guyton made a timely objection at the time
11 that the exhibit was attempted to be used for
12 purposes of cross-examination. My recollection is
13 that there really was no cross-examination
14 concerning this exhibit and I don't think that it is
15 appropriate to be admitted into the record.

16 MR. JACOBS: If I may speak, Mr. Chairman.

17 CHAIRMAN CARTER: You're recognized,
18 Mr. Jacobs.

19 MR. JACOBS: Thank you. If I'm not
20 mistaken, this is from the Commission's records.
21 Can the Commission take official notice of its own
22 records?

23 CHAIRMAN CARTER: Well, let me just tell
24 you this is that the perspective for which it was
25 used was not identified. The witness didn't have

1 any knowledge on this. So there is -- I think the
2 claim this now under that circumstance would make
3 the process somewhat of a charade, as the British
4 would say. Denied.

5 MR. JACOBS: Thank you.

6 CHAIRMAN CARTER: Number 142.

7 MR. WEINER: Number 142. NRDC and SACE
8 would ask that Number 142 be entered into the
9 record, which is the excerpt of the --

10 CHAIRMAN CARTER: Statement of work.

11 MR. WEINER: -- statement of work.

12 CHAIRMAN CARTER: Are there any
13 objections?

14 MR. GUYTON: Well, it has not been
15 properly authenticated. FPL is not going to object
16 to 142.

17 CHAIRMAN CARTER: Okay. Show it done.

18 (Exhibit Number 142 admitted into the
19 record.)

20 CHAIRMAN CARTER: 143.

21 MR. WEINER: 143, NRDC and SACE would ask
22 that that be entered into -- marked as an exhibit.
23 That is the letter from Haney to Wilson.

24 CHAIRMAN CARTER: This is -- my
25 recollection tells me this is the one he said he

1 didn't -- this is not the right one.

2 MR. WEINER: Right. That is the
3 February 5th. Excuse me, that is the February 5th
4 e-mail.

5 CHAIRMAN CARTER: Okay.

6 MR. GUYTON: FPL objects to this on the
7 grounds that the witness stated that he was not
8 familiar with and did not recognize it. This
9 exhibit hasn't been authenticated.

10 CHAIRMAN CARTER: Anything further, before
11 I rule?

12 MR. WEINER: No, nothing further.

13 CHAIRMAN CARTER: Okay. Denied.

14 144.

15 MR. WEINER: 144 is the letter from Wilson
16 to --

17 CHAIRMAN CARTER: It's Haney's letter to
18 Wilson.

19 MR. WEINER: Letter from Haney to Wilson.

20 CHAIRMAN CARTER: And 145 is Wilson's
21 letter to Haney.

22 MR. WEINER: Is Wilson to Haney.

23 CHAIRMAN CARTER: Are there any
24 objections? 144 and 145 are entered.

25 (Exhibit Numbers 144 and 145 admitted into

1 the record.)

2 CHAIRMAN CARTER: 146.

3 MR. WEINER: Is the feedback memorandum
4 from NRDC SACE -- NRDC/SACE feedback.

5 CHAIRMAN CARTER: Are there any
6 objections? Without objection, show it done.

7 (Exhibit Number 146 admitted into the
8 record.)

9 CHAIRMAN CARTER: Give me a second. Hang
10 on. Did I miss something? 147.

11 MS. BROWNLESS: That is --

12 CHAIRMAN CARTER: Ms. Brownless, you are
13 recognized.

14 MS. BROWNLESS: Yes, sir. That's my
15 exhibit, and we have identified everything with the
16 exception of the interrogatories verified by or
17 provided by Mr. Ting. We can wait and ask Mr. Rufo
18 about this and put it in at that time or we can put
19 it in here. It is FPL's pleasure.

20 CHAIRMAN CARTER: Are any objections to
21 it? Are there any objections to this being entered
22 in, or do you want to wait until the next witness,
23 or how do you want to proceed?

24 MR. GUYTON: FPL has no objection, just
25 would like the opportunity, if nothing else to move

1 the hearing along, to have the opportunity to take a
2 look at some of these before the witnesses take the
3 stand so that we don't have to slow things down.

4 CHAIRMAN CARTER: Okay. That will be
5 fine. And, also, too, I think this pertains to
6 another witness Ms. Brownless said. And if there is
7 anything that you discover in the interim, you can
8 come back to us and we will look at it at that point
9 in time. Okay?

10 MR. GUYTON: Thank you, Mr. Chairman.

11 CHAIRMAN CARTER: So it is entered in.

12 (Exhibit Number 147 admitted into the
13 record.)

14 CHAIRMAN CARTER: Okay. Does that
15 complete all of our exhibits for this witness?

16 Nothing further for this witness during
17 direct? Thank you, sir. You are on recess.

18 THE WITNESS: Thank you.

19 CHAIRMAN CARTER: Let's see. Let's do
20 this. Let's give the court reporter a stretch
21 break. And I think we have got Mr. Wizard next. Is
22 that right, Mr. Burnett?

23 MR. BURNETT: Yes, sir.

24 CHAIRMAN CARTER: Okay. Let's take a
25 stretch break, Commissioners. We will be back on

1 the half hour.

2 (Off the record.)

3 **CHAIRMAN CARTER:** We are back on the
4 record, and when we left we were just getting ready
5 for Progress to call its first witness.

6 Mr. Burnett.

7 **MR. BURNETT:** Thank you, sir. We call
8 John Masiello to the stand, please.

9 **MR. BURNETT:** May I proceed, sir?

10 **CHAIRMAN CARTER:** You're recognized. You
11 may proceed, yes, sir.

12 **MR. BURNETT:** Thank you.

13 JOHN MASIELLO

14 was called as a witness on behalf of Progress Energy
15 Florida, Inc., and having been duly sworn, testified
16 as follows:

17 DIRECT EXAMINATION

18 **BY MR. BURNETT:**

19 **Q.** Good afternoon, Mr. Masiello. Will you
20 please introduce yourself to the Commission and provide
21 your business address?

22 **A.** Good afternoon. My name is John Masiello,
23 and my business address is 3300 Exchange Place in
24 Lake Mary, Florida, 32746.

25 **Q.** Mr. Masiello, you have been already sworn as

1 a witness, correct?

2 A. That is correct.

3 Q. Okay. Who do you work for and what is your
4 position?

5 A. I work for Progress Energy Florida, and my
6 position is Director of Demand-Side Management and
7 Alternative Energy Strategy.

8 Q. Mr. Masiello, have you filed direct testimony
9 and exhibits in this proceeding?

10 A. I have.

11 Q. And do you have any corrections or changes to
12 make to your prefiled direct testimony or exhibits?

13 A. I have one change.

14 Q. And what is that, sir?

15 A. The change is on my Exhibit JAM-7, Page 2
16 of 9, and it starts with year 2010, and the number
17 is changed to 2064. In 2011, it is 2159. In 2012,
18 it is 2113. In 2013, it is 2196. In 2014, it is
19 2277. In 2015, it is 2576. In 2016, it is 2555.
20 In 2017, it is 2269. In 2018, it is 2210. In 2019,
21 it is 2019. At 2284, and then the total is 22703.

22 Q. And, Mr. Masiello, with those corrections, if
23 I asked you the same questions in your prefiled direct
24 testimony today, would you give the same answers that
25 are in your prefiled testimony?

1 **A.** I would.

2 **MR. BURNETT:** Mr. Chair, we request that
3 the prefiled direct testimony be entered into the
4 record as though read here today.

5 **CHAIRMAN CARTER:** The prefiled testimony
6 of the witness will be inserted into the record as
7 though read.

8 **MR. BURNETT:** Thank you.

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PROGRESS ENERGY FLORIDA
DOCKET No. 080408-EG

DIRECT TESTIMONY OF
JOHN A. MASIELLO

Introduction and Qualifications

Q. Please state your name and business address.

A. My name is John A. Masiello. My business address is 3300 Exchange Place,
Lake Mary, Florida 32746

Q. By whom are you employed and in what capacity?

A. I am employed by Progress Energy Florida, Inc. ("Progress Energy," "PEF," or
"the Company") in the capacity of Director, DSM and Alternative Energy.

**Q. Please describe the duties and responsibilities of your position with
Progress Energy.**

A. My responsibilities include the design, implementation and operations of the
Company's Demand-Side Management (DSM) programs, including the
development, implementation, training, budgeting, and accounting functions
related to these programs. By DSM, I mean direct load control (DLC) and energy
efficiency programs or dispatchable (demand response) and non dispatchable
programs.

1 **Q. Please summarize your educational background and professional**
2 **experience.**

3 A. I have a Masters of Business Administration degree from the University of Central
4 Florida and a Bachelor of Arts degree in Business Management. In addition, I
5 have received the following energy-related certifications; Certified Energy
6 Manager (CEM) and Certified Cogeneration Professional (CCP), from the
7 Association of Energy Engineers. Additional certifications I have received include
8 Certified Sustainable Development Professional (CSDP), Certified Business
9 Energy Professional (BEP), and Distributed Generation Certified Professional
10 (DGCP). I am also a Certified Energy Rater for the State of Florida. Beyond the
11 education and certifications mentioned above, I have over twenty five (25) years
12 of experience in developing and implementing Demand Side Management (DSM)
13 Programs. Prior to joining Progress Energy in July 1991, I served for ten years as
14 the manager of an energy services company that was recognized by the Carter
15 Administration for its development of a model energy efficiency program.

16

17 **Q. Have you previously testified before the Florida Public Service**
18 **Commission?**

19 A. Yes. I have provided testimony to the Florida Public Service Commission
20 ("FPSC" or the "Commission") on behalf of Progress Energy Florida on numerous
21 occasions in consideration of our company's DSM programs. In addition, I have
22 served as an industry expert, providing guidance on energy efficiency programs
23 and policy for the state of Florida, on FPSC workshops, and government
24 committees. I am currently serving on the Governor's Florida Policy Academy

1 Team, the Council for Sustainable Florida, and the Florida Solar Energy Center
2 Policy Advisory Board. In 2009, I received the AEE 2009 *Renewable Energy*
3 *Innovator of the Year* award.

4

5 **Q. What is the purpose of your testimony?**

6 A. The purpose of my testimony is to present the various goal scenarios resulting
7 from the Achievable Studies conducted in participation with the seven (7) electric
8 utilities subject to FEECA, along with the Natural Resources Defense Council
9 (NRDC) and the Southern Alliance for Clean Energy (SACE) (collectively referred
10 to as the "Collaborative"). Members of the Collaborative in conjunction with Itron,
11 Inc., performed analyses to determine the technical and achievable potential for
12 energy efficiency in Florida. The result of these studies developed 6 scenarios to
13 be utilized in determining the numeric demand-side goals for each of the utilities
14 for the years 2010 through 2019. The goal scenarios presented range from a
15 high to low Rate Impact Measure (RIM) scenario and a high to low Total
16 Resource Cost (TRC) scenario. The proposed estimated goal scenarios are
17 based upon the Company's most recent planning process of the total cost-
18 effective kilowatt and kilowatt-hour (kWh) DSM savings reasonably achievable in
19 Progress Energy's service area over the ten-year period from 2010 to 2019.

20

21

22

23

24

1 **Q. Please describe how your testimony is organized.**

2 A.

3 Section 1: Introduction and Qualifications

4 Section 2: Progress Energy's Proposed Goal Scenarios

5 Section 3: Overall Process to Develop the Proposed Goal Scenarios

6 Section 4: Achievable Numeric DSM Goal Scenarios

7 Section 5: Regulatory Compliance (Testimony Guidelines and Issues)

8 Section 6: Innovative Measures/Initiatives

9 Section 7: Conclusions

10

11 **Q. Do you have any Exhibits to your testimony?**

12 A. Yes, I have prepared or supervised the preparation of the following exhibits to my
13 direct testimony:

14 1. Exhibit No. ____ (JAM 1), Progress Energy's Proposed Goal Scenario Ten-
15 Year Projections of DSM Savings;

16 2. Exhibit No. ____ (JAM 2), Progress Energy's projected total Technical
17 potential amount of DSM;

18 3. Exhibit No. ____ (JAM 3), Progress Energy's projected economic amount of
19 DSM savings using RIM;

20 4. Exhibit No. ____ (JAM 4), Progress Energy's projected economic amount of
21 DSM savings using TRC;

22 5. Exhibit No. ____ (JAM 5), Progress Energy's projected annual bill impacts
23 on residential customers with 1,200 kWh, with no incremental DSM added;

- 1 6. Exhibit No. ____ (JAM 6), Progress Energy's projected achievable goal
- 2 scenario amount of DSM savings using RIM and Participant tests with
- 3 1,200 kWh bill impacts;
- 4 7. Exhibit No. ____ (JAM 7), Progress Energy's projected achievable goal
- 5 scenario amount of DSM savings using TRC and Participant tests with
- 6 1,200 kWh bill impacts;
- 7 8. Exhibit No. ____ (JAM 8), Progress Energy's Sensitivity Analysis - RIM -
- 8 TRC DSM economic potential with regard to high and low capital costs for
- 9 generation, high fuel and CO2 costs, low fuel and CO2 costs, and no future
- 10 CO2 costs;
- 11 9. Exhibit No. ____ (JAM 9) Measure list used for analysis;
- 12 10. Exhibit No. ____ (JAM 10) Measures not found cost effective for Achievable
- 13 Study analysis;
- 14 11. Exhibit No. ____ (JAM 11) Energy Management Upgrades
- 15 12. Exhibit No. ____ (JAM 12) PEF Renewable Energy Initiative;
- 16 13. Exhibit No. ____ (JAM 13) Neighborhood Energy Saver Plus Initiative;
- 17 14. Exhibit No. ____ (JAM 14) Carbon Footprint Initiative;
- 18 15. Exhibit No. ____ (JAM 15) Business Energy Saver Initiative
- 19 16. Exhibit No. ____ (JAM 16) Customer Awareness and Education Initiatives
- 20 17. Exhibit No. ____ (JAM 17) List of measures that are eliminated based on 2
- 21 year payback criteria;
- 22 18. Exhibit No. ____ (JAM 18) Itron Inc.'s Direct Testimony;

23

24

1 **PROPOSED DSM GOAL SCENARIOS**

2

3 **Q. What are the DSM scenarios that you are proposing to the Commission for**
 4 **their review in establishing goals for PEF during the period of 2010-2019 in**
 5 **this proceeding?**

6 **A. Below are the goal scenarios being proposed to the Commission for Progress**
 7 **Energy:**

8

PEF's DSM Goal Scenarios									
	"Low"			"Mid"			"High"		
	WMW	SMW	GWh	WMW	SMW	GWh	WMW	SMW	GWh
Rate Impact Test (RIM)	239	252	397	431	380	475	560	521	614
Total Resource Cost Test (TRC)	246	240	516	440	383	666	882	744	1585

9 *All bill impacts and analysis were developed based on the high scenario

10 *All values are presented at the generator and will be adjusted accordingly to account for
 11 transmission and distribution losses at the meter.

12

13 **Q. How is Progress Energy's DSM proposed goal scenario for the upcoming**
 14 **period of 2010-2019 allocated for the residential and commercial/industrial**
 15 **segments?**

16 **A. The following table summarizes Progress Energy's proposed residential and**
 17 **commercial ten-year cumulative goals scenario.**

18

19

Residential			Commercial/Industrial		
<u>Winter MW</u>	<u>Summer MW</u>	<u>GWh</u>	<u>Winter MW</u>	<u>Summer MW</u>	<u>GWh</u>
463	323	488	96	198	126

1

2 Q. How successful has Progress Energy's DSM goals achievement
3 performance been for the 2005-2014 period?

4 A. Progress Energy is currently on track to meet its DSM goals achievement from
5 2005 – 2014. Below is a summary of accomplishments through 2008:

6

7 **Residential Market Segment**

- 8 • 207 MW of winter peak demand reduction,
- 9 • 87 MW of summer peak demand reduction, and
- 10 • 118 GWh of energy reduction

11 **Commercial/Industrial Market Segment**

- 12 • 86 MW of winter peak demand reduction,
- 13 • 97 MW of summer peak demand reduction, and
- 14 • 78 GWh of energy reduction.

15 The results above include the impact of customers' heightened awareness of
16 efficiency, fuel prices, and environmental impacts. During the past few years,
17 results were directly affected by the number of standby generation installations as
18 an outcome of hurricanes and subsequent legislation. Although many companies
19 have installed back-up generation in recent years, this is not expected to continue

1 at the same rate in the future. Rising costs and decreased availability of
2 generators are expected to result in fewer participants in this program. During
3 the more than two decades of implementing DSM, Progress Energy has met its
4 goals consistently since the inception of the FEECA. Additionally, Progress
5 Energy has demonstrated success in implementing cost-effective programs that
6 have resulted in the savings of nearly \$1 billion dollars since 1981 and more than
7 12,000 GWh.

8 Progress Energy has aggressively sought achievement of its goals by
9 continuously developing innovative program offerings to our residential and
10 commercial/industrial customers. This strategy has resulted in avoiding the need
11 for generation while meeting the efficiency needs of our customers. Specific
12 programs that have contributed to the successful implementation of measures
13 and produced meaningful results for our customers include currently approved
14 programs noted below:

15 **Residential DSM Programs**

16 **Home Energy Check:** The Home Energy Check program is a comprehensive
17 residential energy evaluation (audit) program. The program provides PEF's
18 residential customers with an analysis of energy consumption and
19 recommendations for energy efficiency improvements. It acts as a motivational
20 tool to identify, evaluate, and inform consumers on cost-effective energy-saving
21 measures. It serves as the foundation of the residential Home Energy
22 Improvement program and is a program requirement for participation. To further

1 influence customer behavior, an educational efficiency kit is included with this
2 program.

3 The Home Energy Check offers seven different types of energy audits:

- 4 • Free walk-through audit
- 5 • Paid walk-through audit (\$15 charge)
- 6 • Energy rating (Energy Gauge)
- 7 • Mail-in audit
 - 8 ○ Student Audit
- 9 • Web-based audit
- 10 • Phone-assisted audit

11 **Home Energy Improvement:** This is an umbrella program for existing homes.
12 This program combines thermal envelope efficiency improvements with upgraded
13 equipment and appliances. The Home Energy Improvement program includes
14 incentives for measures such as: duct testing, duct leakage repair, attic insulation,
15 injected wall insulation, replacement windows, window film, reflective roofing, high
16 efficiency heat pump replacing resistance heat, high efficiency heat pump
17 replacing a heat pump, HVAC commissioning, plenum sealing, proper sizing and
18 supplemental bonuses for contractors to complete required paperwork.

19 **Residential New Construction:** The Home Advantage Program promotes
20 energy-efficient construction which exceeds the building code. Information,
21 education, and consultation are provided to homebuilders and contractors on
22 energy-related issues and efficiency measures. This program encourages the
23 installation of high performance windows, reflective roof materials, high efficiency

1 insulation, conditioned space air handler placement and energy recovery
2 ventilation.

3 **Low Income Weatherization Program:** The program goal is to integrate PEF's
4 DSM program measures with the Department of Community Affairs (DCA) and
5 local weatherization providers to deliver energy efficiency measures to low-
6 income families. Through this partnership PEF assists local weatherization
7 agencies by providing energy education materials and financial incentives to
8 weatherize the homes of low-income families.

9 **Neighborhood Energy Saver Program:** Neighborhood Energy Saver (NES) was
10 designed by PEF to assist low-income families with escalating energy costs. This
11 program has been recognized by American Energy Services Professionals
12 (AESP) and the Southeastern Electric Exchange (SEE). The goal of the NES
13 program is to implement a comprehensive package of electric conservation
14 measures for an entire defined community at no cost to the customer. In addition
15 to the installation of the conservation measures, an important component of this
16 program is educating families on energy efficiency techniques and the promotion
17 of behavioral changes to help customers control their energy usage.

18 **EnergyWise:** This is a voluntary load control program that serves to reduce system
19 demand during peak capacity periods and/or emergency conditions by temporarily
20 interrupting selected customer appliances for specified periods of time. Customers
21 have a choice of options and receive a credit on their monthly electric bills
22 depending on the options selected and their monthly kWh usage.

1 **Renewable Energy Program:** This program consists of the following two (2)
2 options designed to encourage the installation of renewable energy systems.

3 • **Solar Water Heater with EnergyWise:** This measure encourages
4 residential customers to install a solar thermal water heating system.
5 Since inception of this program, in February 2007, over 1,500 customers
6 have taken advantage of this program. These participants have
7 leveraged state, federal, and PEF's rebates and incentives to directly
8 benefit from solar energy, while providing all customers the benefits of
9 demand reduction associated with our residential direct load control
10 program, EnergyWise.

11 • **SolarWise for Schools:** This measure promotes environmental
12 stewardship and renewable energy education through the installation of
13 solar energy systems at schools within PEF's service territory.
14 Customers participating in the Winter-Only EnergyWise or Year-Round
15 EnergyWise Program can elect to donate their monthly credit toward the
16 SolarWise for Schools Fund. The fund accumulates associated
17 participant credits for a period of 2 years, at which time the customer may
18 elect to renew for an additional 2 years.

19 All proceeds collected from participating customers, and their associated
20 monthly credits, are used to install solar photovoltaic arrays at schools,
21 promote photovoltaic and renewable energy, and provide energy
22 education

23

1 **Commercial DSM Programs:**

2 PEF has also established program measures to address the commercial,
3 industrial and governmental sectors. Progress Energy recognizes the unique
4 needs of our varied business segments, and consistently strives to develop
5 products and services to meet their needs.

6 **Business Energy Check:** The Business Energy Check is an audit for non-
7 residential customers and includes multiple options to support the convenience of
8 our customers. The free audit for non-residential facilities can be completed at
9 the facility by an auditor or online by the business customer. The paid audit
10 provides a more thorough and detailed energy analysis for non-residential
11 facilities. This program acts as a motivational tool to identify, evaluate, and inform
12 consumers on cost-effective and energy-saving measures for their facility. It
13 serves as the foundation of the Better Business Program and as such, is a
14 requirement for participation in that program.

15 **Better Business:** This umbrella efficiency program provides incentives to existing
16 commercial and industrial customers for heating, air conditioning, motors, water
17 heating, roof insulation upgrade, duct leakage and repair, window film, demand-
18 control ventilation, lighting, occupancy sensors, green roof, compressed air and
19 HVAC optimization.

20 **Business New Construction:** This is an umbrella efficiency program for new
21 commercial/industrial buildings. This program provides information, education,
22 and advice on energy-related issues and efficiency measures through early
23 involvement in the building's design process. With the exception of the ceiling

1 insulation upgrade, duct test and leakage repair, HVAC steam cleaning and roof
2 top unit recommissioning, the Commercial/Industrial New Construction program
3 provides incentives for the same efficiency measures listed in the Better Business
4 program for existing buildings.

5 **Innovation Incentive:** Recognizing the diversity of commercial customers' needs
6 along with emerging technology, our Innovation Incentive program provides
7 incentives for customer-specific demand and energy conservation projects, on a
8 case-by-case basis. The individual measure and application must pass cost
9 effectiveness tests, identifying it as being a benefit to all customers, both the
10 participant and the non-participants. To be eligible, projects must reduce or shift
11 a minimum of 10 kW of peak demand. This program focuses on measures not
12 offered in PEF's other DSM programs. Examples include refrigeration equipment
13 replacement, microwave drying systems, and inductive heating (to replace
14 resistance heat).

15 **Standby Generation:** PEF provides an incentive for customers to voluntarily
16 operate their on-site generation during times of system peak. Since the 2004
17 hurricane season and resulting regulation there has been an increase in customer
18 owned backup generators. This has directly impacted the program's success with
19 an increase in participation of over 200% since 2006. The program allows
20 Progress Energy to control the operation of the units or send notification for the
21 customer to manually operate the system. The customer receives a monthly
22 incentive for the available demand and an energy credit associated with the hours
23 of dispatched control.

1 **Curtailable Service Program:** The Curtailable Service Program is a dispatchable
2 DSM program in which customers contract to curtail or shut down a portion of
3 their load during times of capacity shortages. The curtailment is done voluntarily
4 by the customer when notified by PEF. In return for this cooperation, the
5 customer receives a monthly rebate for the curtailable portion of their load.

6 **Interruptible Service Program:** The Interruptible Service program is a rate tariff
7 which allows PEF to switch off electrical service to customers during times of
8 capacity shortages. The signal to operate the automatic switch on the customer's
9 service is activated by the Energy Control Center. In return for this, the
10 customers receive a monthly rebate on their kW demand charge.

11 **Technology Development Program:** This program allows PEF to undertake
12 certain development and demonstration projects which have promise to become
13 cost-effective conservation and energy efficiency programs. Recently, this
14 program has been used to research wireless strategies for load control, including
15 IP addressable switches. In an attempt to advance the residential load control
16 program, an initial effort has led to a plan for the transition of approximately 700
17 winter megawatts to the next generation of load management, DSM Smart Grid.
18 Additionally, this program has helped to research solar water heating and
19 photovoltaic arrays, supporting the development of Solar Water Heating with
20 EnergyWise and SunSense.

21 **Qualifying Facility:** Power is purchased from qualifying cogeneration and small
22 power production facilities.

23

1 **Q. How do Progress Energy's DSM accomplishments compare to other utilities**
2 **in the nation?**

3 A. Progress Energy has been a leader in implementing innovative demand-side
4 management and energy efficiency programs in the State of Florida since 1981.
5 Progress Energy has consistently been engaged in the marketing and
6 implementation of cost-effective programs and measures, as demonstrated by our
7 success of DSM program implementations for both our residential and commercial
8 customers.

9 Progress Energy Florida has proven to be a leader in energy management and
10 conservation. Progress Energy is ranked first in the nation in two important areas.
11 Progress Energy is ranked first for Demand Side Management reduction as a
12 percentage of peak load and first for Energy Wise demand reduction as a
13 percentage of winter peak. This data is provided in the 2008 US DOE/EIA 861
14 Report comparing the top 10 utilities based on the total customers served who
15 report Demand Side Management and Load management programs.

16 Through Progress Energy's consistent innovation, we have been able to grow a
17 significant program portfolio over time. Progress Energy will continue to be an
18 innovative leader in DSM by responding to the changing environment to meet the
19 energy efficiency needs of our customers. There are ongoing changes in the DSM
20 landscape impacted by stronger building codes. With the decline in the housing
21 market, tightened credit availability, and weakened financial and retail industries,
22 the Florida economy has been adversely affected and consumers may not be
23 able to invest in needed efficiency improvements in future years to the same

1 extent as they have in the past. Recognizing this changing landscape, Progress
2 Energy is focusing our efforts on cost effective innovative technologies that will
3 result in market transformation similar to those led by PEF in the residential new
4 construction and renewable arenas.

5
6 **Q. Please give a general description as to how Progress Energy developed its**
7 **2010-2019 goal scenarios?**

8 A. Collaborative was formed consisting of members from seven Florida
9 utilities(subject to FEECA), SACE and NRDC. Collectively, the Collaborative
10 identified a comprehensive list of measures and the associated costs, savings,
11 feasibilities, and saturation for those measures with consideration of overlapping
12 measures, rebound effects, free riders, and interactions with efficiency codes, as
13 guided by Commission Rule 25-17.0021(3), F.A.C. Utilizing supply-side curves
14 provided by Itron Inc., we then evaluated the measures in Florida Integrated
15 Resource Evaluator (FIRE), an FPSC approved model. In addition, our system
16 planning organization developed the base supply plan to enable a direct
17 comparison of DSM to our generation resource needs. When this exercise was
18 completed, three scenarios varying the amount of customer incentives were
19 developed for RIM and TRC perspective: the lesser of 33% of incremental cost or
20 2 year payback (low), the lesser of 50% of incremental cost or 2 year payback
21 (mid) and 2 year payback (high), constrained by RIM. This analysis produced the
22 6 goal scenarios described above to provide as options to the FPSC for review in
23 determining Progress Energy's goals for the period of 2010-2019. We then
24 conducted assessments of the residential and commercial market segments (both

1 new and existing construction) and their major end-use categories to estimate the
2 Technical Potential, Economic Potential and Achievable Potential for DSM within
3 the Progress Energy service area. With the inclusion of the Achievable Potential
4 Study with Itron Inc., Progress Energy has developed a comprehensive list of
5 programs and measures addressing low income, renewable and other innovative
6 programs. These programs will be combined to establish the 2010-2019 program
7 filing to achieve a cost effective DSM portfolio. For additional detail regarding
8 Itron Inc.'s analysis, please refer to Exhibit No. ____ (JAM 18) Itron Inc.'s Direct
9 Testimony, pages 18-21.

10 11 **Overall Process to Develop DSM Goal Scenarios**

12
13 **Q. What was the process used to determine the DSM goal scenarios for the**
14 **2010-2019 period for Progress Energy?**

15 **A.** In anticipation of setting goals for DSM programs in the State of Florida, an
16 assessment of the technical potential for energy and peak demand savings
17 from energy efficiency (EE), demand response (DR), and customer-scale
18 photovoltaics (PV) was required by the FPSC. Due to the enormity of the
19 project, the parties concluded that efficiencies could be realized by a
20 collaborative approach. A Collaborative was formed, and a Request For
21 Proposal (RFP) was developed and issued to eleven providers to perform the
22 technical potential study. Four responses were received, with Itron Inc. being
23 selected by the Collaborative. Eventually Itron Inc. went on to conduct the
24 economic and achievable studies as well.

1 For the first phase of the process, the goals filing, a comprehensive list of
2 measures was developed by Itron in conjunction with the Collaborative. In
3 addition, key measure data and baseline data were also provided to facilitate
4 the analysis. The key measure data provided included measure costs (with
5 input from Collaborative members), measure savings, measure feasibility, and
6 measure saturation, with consideration for overlapping measures by ordering
7 the measures by least-cost, accounting for interactive effects between
8 measures. Additional considerations were given to rebound effects, free riders,
9 interactions with building codes, and appliance efficiency standards. Supply
10 curve measures by customer segment and customer building types were
11 provided by Itron Inc. and were used to facilitate the cost-effectiveness analysis
12 performed with the FIRE model. FIRE is a computer program developed to
13 assist in determining the cost-effectiveness of demand-side programs. There
14 are basically three sections of the computer program: 1) a section for data
15 input, 2), a section that calculates costs and benefits, and 3) a section that uses
16 four tests that analyzes the measure's cost effectiveness. The four cost
17 effectiveness tests are: 1) The TRC Test, 2) the Participants Test, 3) the RIM
18 Test, and 4) the Utility Cost Test. The FIRE model evaluates the economic
19 impact of existing and proposed conservation measures by determining the
20 relative cost-effectiveness of the measures versus an avoided supply-side
21 resource (the avoided unit).

22 The analysis was broken into three distinct segments, consisting of Technical
23 Potential, Economic Potential and Achievable Potential. Assessments were
24 conducted of the residential, commercial, and industrial market segments (both

1 new and existing construction) using the major end-use categories defined in
2 Chapter 25-17.0021, through a series of Participant, RIM, and TRC evaluations.
3 Measures with less than a 2 year payback without any utility incentive were
4 treated as free riders and removed from further analysis. A list of these
5 measures is included in Exhibit No. ___17 (JAM) List of measures that are
6 eliminated based on 2 year payback criteria. A 2 year payback barometer is a
7 widely accepted threshold which results in a large percent of free riders initially.
8 For further material regarding two year payback, please reference the American
9 Council for an Energy-Efficient Economy (ACEEE) report by John Laitner, 2006,
10 McKinsey & Company Pedro Haas 2008. Given the large number of free riders
11 resulting from the 2 year payback barometer, Progress Energy chose to provide
12 higher incentives to reduce the payback period of those measures that had
13 longer payback periods, which promoted increased adoption projections. Next,
14 three incentive scenarios were developed for RIM and TRC; the lesser of 33%
15 of incremental cost or 2 year payback (low), the lesser of 50% of incremental
16 cost or 2 year payback (medium) and 2 year payback constrained by RIM or
17 TRC (high). This produced the 6 goal scenarios that Progress Energy is
18 presenting for review. The result of this tiered analysis culminated with the
19 Achievable Potential. The values and impacts of the Achievable Study were
20 developed by Collaborative inputs including saturation levels and combined with
21 the Itron Inc. analysis using a dynamic modeling tool developed by KEMA Inc.
22 known as DSM Assyst End-use Study Model. DSM Assyst produced the
23 customer adoption estimates taking into account the incentive level, the
24 customer awareness of the measure, vendor and product availability, and each

1 utility's saturation levels from existing DSM program history. For additional
2 detail regarding Itron Inc.'s analysis, please refer to Exhibit No. ____ (JAM 18)
3 Itron Inc.'s Direct Testimony, pages 9 and 11.

4 Regarding the inclusion of demand response, the values and impacts of the
5 Achievable Study were developed by Itron Inc. This model utilizes industry data
6 from the 2008 Department of Energy (DOE) Demand Response Study of Load
7 Reduction, as well as the 2008 Federal Energy Regulatory Commission (FERC)
8 Assessment of Demand Response and Advanced Metering Study, in addition to
9 others. For additional detail regarding Itron Inc.'s inclusion of DR measures,
10 please refer to Exhibit No. ____ (JAM 18) Itron Inc.'s Direct Testimony, page.
11 10.

12 Additionally, PV values and inputs of the Achievable Study were developed by
13 incorporating the findings of several industry-known studies into the Itron Inc.
14 model, i.e. 2002, Analysis of Factors Influencing the Annual Energy Production
15 of Photovoltaic Systems. For additional detail regarding Itron Inc.'s inclusion of
16 PV measures, please refer to Exhibit No. ____ (JAM 18) Itron Inc.'s Direct
17 Testimony, page 10.

18 The Achievable Study provided direct input into Progress Energy's proposed
19 DSM goal scenarios for 2010-2019, with 215 iterative RIM measures identified
20 for inclusion in the proposed goal scenario. For additional detail regarding Itron
21 Inc.'s analysis, please refer to Exhibit No. ____ (JAM 18) Itron Inc.'s Direct
22 Testimony, pages 8, 9, 11, 18-21.

23

1 **Q. What other sources were used to assist with developing the DSM goal**
2 **scenarios?**

3 A. Extensive efforts were made to identify opportunities to offer our customers cost
4 effective DSM programs by researching emerging technologies, state, local,
5 national trends, marketing analysis, customer analysis studies, industry
6 benchmarking, and direct customer feedback from audits and tradeshow.

7 To better understand customer behavior, focus groups were conducted to
8 determine market acceptance of energy-efficiency measures. The groups
9 provided valuable directional information on which measures would generate
10 greater customer participation. Customers were presented a series of potential
11 energy-efficiency home-improvements with corresponding incentives, energy
12 savings, customer costs, benefits, pay-back periods as well as other pertinent
13 information. Customers then evaluated the measure based upon their likelihood
14 to participate.

15 In addition to using customer research for program refinement, Progress Energy
16 tests advertising messaging in focus groups prior to the launch of new energy-
17 efficiency advertising campaigns. This ensures the messaging selected is
18 effective in attracting and motivating the customer to participate in programs.
19 Prior to launching Save the Watts Campaign in 2007, Progress Energy tested
20 customer reaction to this concept and found broad acceptance and likability.

21

22

23

1 **Q. Did you produce ten-year projections of DSM savings as a result of this**
2 **process?**

3 A. Yes. We have made projections for the ten-year planning period recognizing
4 the success and history of existing programs. Ten-year projections of the total
5 amount of cost-effective savings reasonably achievable through DSM for the
6 Progress Energy system are shown in my Exhibit (JAM___1).

7

8 **Q. What considerations did Progress Energy use to determine the DSM**
9 **measures to be analyzed?**

10 A. In an effort to identify measures to address the emerging needs of our diverse
11 customer segments, members of the Collaborative, as well as Itron Inc.,
12 compiled a comprehensive list of efficiency measures that include direct load
13 control and customer-scale photovoltaic technologies. The sources of this
14 information included measures from recent DSM program filings in Florida, the
15 California Database for Energy Efficiency Resources (DEER), Itron Inc.'s
16 energy efficiency program Best Practices project, and previous potential studies
17 conducted in other regions. During the analysis of the DSM measures,
18 Progress Energy gave consideration to the issues and end-use categories
19 specified in Commission Rule 25-17.0021(3), F.A.C., including the market
20 penetration of natural gas. The DSM measures were evaluated separately for
21 the residential and commercial/industrial market segments and vintage (*i.e.*,
22 existing construction and new construction). The residential space conditioning
23 measures were also evaluated for each of the two major baseline technologies
24 (*i.e.*, strip-heat and heat pumps). For additional detail regarding Itron Inc.'s

1 considerations when developing the measure list, please refer to Exhibit No.
2 ____ (JAM 18) Itron Inc.'s Direct Testimony, pages 9-11.

3

4 **Q. What DSM measures did the Collaborative analyze?**

5 A. Collectively, the Collaborative compiled a comprehensive measure list
6 contained in Exhibit No. ____ (JAM 9).

7 For additional detail regarding Itron Inc.'s considerations when developing the
8 measure list, please refer to Exhibit No. ____ (JAM 18) Itron Inc.'s Direct
9 Testimony pgs. 9-11.

10

11

Achievable Numeric DSM Goal Scenarios

12

13 **Q. With respect to your achievable numeric DSM goal scenarios, would you**
14 **please describe the market penetration analysis that you mentioned**
15 **previously?**

16 A. Yes. The market penetration analysis used to estimate the participation
17 projections for each DSM measure involved a mix of approaches. Actual
18 historical data and expert judgment from over twenty five years of implementing
19 successful DSM programs by the Company provided the basis for projecting
20 participation in many of the DSM measures included in Progress Energy's
21 programs. Participation was determined based upon varying forces such as
22 market growth, economic strength, weather conditions, and other related
23 impacts. Additionally, Progress Energy, along with the other IOU's,
24 incorporated the information provided by Itron Inc. Florida-specific baseline

1 data was also leveraged from end-use surveys, baseline studies previously
2 conducted, case studies from FSEC, and demographic data from the Florida
3 Census. In addition, secondary sources such as the 2006 California
4 Commercial End-Use Survey and the Energy Information Administration's
5 Residential, Commercial, and Manufacturing Energy Consumption Surveys
6 were used to perform the market penetration analysis.

7 For additional detail regarding Itron Inc.'s considerations regarding market
8 penetration analysis, please refer to Exhibit No. ____ (JAM 18) Itron Inc.'s Direct
9 Testimony, page.11.

10

11 **Q. What cost-effectiveness test should the Commission use to set DSM**
12 **goals for Progress Energy?**

13 A. As set in past precedent in Order No. PSC-94-1313-FOF-EG, issued October
14 25, 1994 in Docket No. 930549-EG, the RIM test is the threshold measure that
15 should be used in Florida as it reasonably balances the interests of all
16 stakeholders. This well-recognized principle was upheld a second time in Order
17 No. PSC-99-1942-FOF-EG, issued October 1, 1999 in Docket No. 971005-EG,
18 and additionally a third time in Order No. PSC-04-0769-PAA-EG, issued
19 August 9, 2004 in Docket No. 040031-EG.

20

21 **Q. How does Progress Energy define cost-effective DSM?**

22 A. Under current regulatory framework, DSM programs are found to be cost-
23 effective only if they satisfy the Commission's Participant and RIM cost-
24 effectiveness tests. If a DSM measure passes both the Participant and RIM

1 tests, then it is cost effective to all customers, both those participating and
2 those not participating. A program that passes the Participant and TRC tests,
3 but fails the RIM test, is not considered cost-effective for purposes of
4 determining DSM goals that represent and benefit all customers.

5

6 **Q. Are there any direct load control measures that were cost-effective?**

7 A. Yes. Several load control programs for both residential and commercial
8 options were found to be cost effective, contributing an estimated 333 WMW to
9 Progress Energy's proposed Winter Peak MW Demand goal over the ten-year
10 period.

11

12 **Q. How did PEF incorporate direct load control into its achievable goal
13 scenarios potential?**

14 A. PEF analyzed the potential for direct load control from two perspectives. We
15 looked at our existing residential Energy Management Program which currently
16 provides approximately 700 MW of winter demand reduction and 300 MW of
17 summer demand reduction. We evaluated a previously offered Commercial
18 DLC program that was closed to new participants as of July, 2000. Using our
19 existing Residential and Commercial DLC programs as the foundation, we
20 examined how we could transition the existing DLC platform to the next
21 generation DLC technology that is compatible and will allow future integration
22 with "smart grid" technologies. Part of this evaluation involved examining
23 additional load control programs. These programs give customers greater

1 knowledge of their energy cost in a more detailed and timely manner and allow
2 customers to control and change their energy consumption patterns.

3

4 **Q. What do these cost-effectiveness results for the direct load control**
5 **measures mean to Progress Energy's Residential Energy Management**
6 **Program?**

7 A. The cost-effectiveness results mean that Progress Energy's strategy to
8 transition from the existing one-way DLC system that is near its end-of-life to a
9 two-way DLC system is cost-effective and will help preserve the generation
10 capacity we have accumulated over the 25+ years the program has been in
11 existence. It will also provide the infrastructure necessary to enhance and
12 support existing and future DSM programs, including innovative renewable
13 energy programs such as Solar Water Heating with EnergyWise.

14

15 **Q. How is PEF preparing its existing Energy Management Programs for**
16 **"Smart Grid"?**

17 A. A "Smart Grid" solution has many definitions but one of the key components is
18 secure integrated two-way communications with key devices and equipment on
19 the utility grid. This new communication capability provides the timely energy
20 usage and system load information required by both the Utility and the
21 consumer to achieve the enhanced direct load control capability and improved
22 grid efficiency. It allows the Utility to tap into DSM benefits and operational
23 efficiencies that current stand-alone systems cannot provide.

1 In addition, at the Federal level, the Energy Independence and Security Act
2 (EISA) of 2007 and the American Recovery and Reinvestment Act of 2009
3 (ARRA) provide incentives for utilities to demonstrate/evaluate and invest in
4 Smart Grid technologies. Additionally, HB 7135 added new language in *Florida*
5 *Statute* 366.82(2) which gives the Commission explicit authority to “allow
6 efficiency investments in generation, transmission and distribution as well as
7 efficiencies within the user base.” We must plan for incorporating the right
8 functionality and flexibility into our DLC technology as required to make these
9 efficiency improvements and to move toward a “smarter” grid.

10

11 **Q. How long has PEF offered direct load control programs?**

12 A. We began our existing Residential and C/I Load Management programs in 1981
13 targeting electric water heaters, central electric heating/cooling systems, and
14 pool pumps. These programs have grown resulting in a direct load control
15 program that is one of the largest in the country. One-way paging technology
16 was available and widely used at the time of program inception and was
17 installed as the communication infrastructure for this program. We have
18 upgraded the system several times, but at this juncture we are facing issues of
19 technology obsolescence and end-of-life. Driven by the decline in personal
20 paging devices, manufacturers of our communications infrastructure
21 discontinued production of new equipment in the mid 1990's. In addition, it is
22 increasingly difficult to find replacement parts for our field transmitters and
23 receivers. Also, many of our original switches will soon reach the end of their
24 useful life. The one-way paging systems are giving way to newer digital two-

1 way communications systems that are being applied to Smart Grid
2 technologies. PEF needs to transition its current direct load control programs to
3 a new digital two-way communications platform. Please see Exhibit No. ____
4 (JAM 11) Energy Management Upgrades for additional information regarding
5 the existing one-way direct load control system used today.

6

7 **Q. How does PEF propose to transition its existing direct load control**
8 **program to next generation direct load control technology?**

9 A. PEF is approaching a DLC technology transition in an incremental manner.
10 Given the large amount of load that is currently under control, we must begin to
11 change out DLC switches and communications infrastructure to replace failed
12 equipment as well as older, obsolete equipment prior to complete failure. The
13 new switches will have dual communications ability to allow continued operation
14 with the existing communications system and then be converted over to the
15 new digital two-way communications systems. Therefore, we have developed a
16 ten year replacement schedule for our existing residential customers that will
17 change out all DLC switches with digital two-way communication switches. This
18 process will be done in a cost effective manner over approximately ten years
19 and will give us even more DR program options for customers, will be fully
20 compatible with Smart Grid infrastructure, and will have the flexibility to perform
21 other functions at lower cost. The new two-way communications platform will
22 also allow PEF to enhance our commercial direct load control programs. These
23 enhancements will provide commercial customers with the appropriate
24 communications, usage data, costs, and time-of-use data. This approach can

1 also support future transition to new smart grid strategies. The resulting
2 infrastructure can enable future demand response programs that could include
3 tiered pricing that support customer behavior changes based on energy
4 usage/price awareness. Please see Exhibit No.____ (JAM 11) Energy
5 Management Upgrades for additional information regarding our strategy for a
6 systematic technology upgrade.

7
8 **Q. Please describe some of the next generation demand response programs**
9 **that PEF is evaluating.**

10 A. As previously mentioned, we began by deploying new residential direct load
11 control technology compatible with future Smart Grid technologies to transition
12 old equipment being used in our existing programs to next generation direct
13 load control. We also examined new and enhanced commercial demand
14 response programs as part of our potential studies. Some of the potential
15 programs we researched included providing targeted commercial customers
16 with more immediate energy use and cost information, peak period notification,
17 direct load control programs with incentives, time-of-use pricing, and general
18 usage/cost awareness education which can lead to additional energy and
19 demand reductions based on customer behavior/actions. The implementation
20 of a commercial incentive tariff that pays for use would be necessary to support
21 these Commercial DR programs. Additional potential residential programs
22 being evaluated include future tiered pricing that support customer behavior
23 changes based on energy usage/price awareness, future smart appliance

1 control capability, and enhanced programs utilizing future Smart Grid
2 technologies such as renewable distributed generation and storage. PEF is
3 also evaluating programs that deliver distribution grid efficiencies and demand
4 response capabilities.

5

6 **Q. Are there other benefits to PEF's customers in deploying this new**
7 **technology?**

8 A. Yes. As an example, PEF commercial customers can benefit by leveraging
9 this technology to shift load from peak to off-peak periods under PEF's existing
10 TOU rate or by participating in a new direct load control program with peak
11 incentives.

12 Also, next generation direct load control programs with two-way
13 communications to the customer's home can integrate with future Smart Grid
14 technologies that identify operational issues in advance to improve quality of
15 service and reduce down time, especially in storm situations. Other potential
16 benefits could result from integration with future Smart Grid technologies being
17 evaluated to deliver distribution grid efficiencies and capabilities that allow for
18 future support of integrating renewables such as solar PV and electric vehicles.
19 These Smart Grid technologies can mitigate peak power demands on the grid
20 from variable loads induced on the system that must be managed to protect the
21 grid integrity. Deploying this new technology will also provide the potential to
22 create a number of local jobs in Florida that will benefit the overall Florida
23 economy.

24

1 **Q. What direct load control demand and energy potential has been included**
2 **in PEF's achievable goal scenarios?**

3 A. As part of the technical potential study, PEF completed a comprehensive study
4 on a number of direct load control programs that we could cost effectively
5 deploy on our system. In the ten year proposed goal scenarios, PEF has
6 included expanding its existing residential direct load control program, adding
7 programs that provide commercial customers with more energy and cost
8 awareness, new direct load control incentives, and Enhanced TOU capabilities.

9

10 **Regulatory Compliance**

11

12 **Q. Has Progress Energy provided an adequate assessment of the full**
13 **technical potential of all available demand-side conservation and**
14 **efficiency measures, including demand-side renewable energy systems?**

15 A. Yes. Progress Energy is providing Exhibit No. ____ (JAM-2), Progress Energy's
16 projected total Technical potential amount of DSM. For further details of the
17 Technical Potential Study, please refer to Exhibit No. ____ (JAM 18), Itron Inc.'s
18 Direct Testimony.

19

20 **Q. Has Progress Energy provided an adequate assessment of the achievable**
21 **potential of all available demand-side conservation and efficiency**
22 **measures, including demand-side renewable energy systems?**

23 A. Yes. As a result of the collaborative efforts described earlier, Progress Energy
24 is providing Exhibit No. ____ (JAM 6), Progress Energy's projected achievable

1 amount of DSM savings using RIM and Participant tests with 1,200 kWh bill
2 impacts; and Exhibit No. ____ (JAM 7), Progress Energy's projected achievable
3 amount of DSM savings using TRC and Participant tests with 1,200 kWh bill
4 impacts. For further details of the Achievable Potential Study, please refer to
5 Exhibit No. ____ (JAM 18) Itron Inc.'s Direct Testimony, pages 9,18.

6
7 **Q Should the commission establish separate goals for demand-side
8 renewable energy systems?**

9 A. No. There is no need to establish separate goals for demand-side renewable
10 energy systems since they are already included with our existing goals. Currently
11 PEF offers a program known as *Solar Water Heater with EnergyWise*. This
12 measure encourages eligible residential customers to install a solar thermal water
13 heating system. Another example is the Company's program known as
14 *SolarWise for Schools*, promoting environmental stewardship, energy education,
15 and renewable energy production through the installation of solar energy systems
16 at schools within PEF's service territory. In addition, Progress Energy has
17 developed new solar initiatives for both residential and commercial customers to
18 be implemented in association with the approval of our program filing. Since
19 demand-side renewables are included in our overall DSM goals, a separate goal
20 is not required.

21
22
23

1 **Q. Should the commission establish additional goals for efficiency**
2 **improvements in generation, transmission and distribution?**

3 A. No. Progress Energy continuously identifies and evaluates conservation and
4 efficiency improvement opportunities throughout its transmission and distribution
5 resources, as guided in 25-17.001(e). For example, Progress Energy is
6 evaluating a Smart Grid strategy that will transition our current direct load control
7 programs to the next generation of DSM, known as Distribution Grid System
8 Efficiency as described in Exhibit No. ____ (JAM 11). The Energy Management
9 (EM) Upgrades is a key component of this program that will result in transmission
10 and distribution efficiency improvements.

11

12 **Q. Should the commission establish separate goals for residential and**
13 **commercial/industrial customer participation in utility energy audit**
14 **programs for the period 2010-2019?**

15 A. No. Progress Energy has a robust DSM program that requires participation in our
16 energy audit prior to the installation of DSM measures. We meet the diverse
17 needs of our customer segments by offering multiple audit options for the
18 customer's convenience. These audit types include online, mail-in, on-site,
19 phone, and student audits to educate consumers on implementing cost-effective
20 efficiency measures. The audit is the catalyst for measure implementation. While
21 specific measures are designed and directed for individual customer segments,
22 the process, procedures and objectives are developed as a cohesive collection
23 and as such ensure cost effective synergies.

24

1 **Q. Does Progress Energy's proposed DSM goal scenarios adequately reflect**
2 **the costs and benefits to customers participating in the measure, pursuant**
3 **to Section 366.82(3)(A), F.S.?**

4 A. Yes. For the reasons discussed above, we are confident that the costs and
5 benefits of program participants are adequately reflected in our proposed goal
6 scenarios.

7

8 **Q. Do Progress Energy's proposed DSM goal scenarios adequately reflect the**
9 **costs and benefits to the general body of ratepayers as a whole, including**
10 **utility incentives and participant contributions?**

11 A. Yes. The Participant and RIM tests taken together adequately encompass
12 consideration of each of these costs and benefits. Given that we utilized these
13 tests in our measure analysis, we are confident that the goal scenarios we are
14 proposing will provide the Commission the necessary information to determine
15 goals that will enable Progress Energy to provide our customers with
16 comprehensive DSM services, while ensuring that all stakeholders' interests are
17 balanced.

18

19 **Q. Do Progress Energy's proposed DSM goal scenarios adequately reflect the**
20 **costs imposed by state and federal regulations on the emission of**
21 **greenhouse gases?**

22 A. Yes. We have included the estimated costs associated with potential CO2
23 regulations in our measure analysis, in response to the HB7135 addition to FS
24 366.82 3.(d); "In order to estimate the costs imposed by state and federal

1 regulations on the emission of greenhouse gases.” We used a mid range CO2
2 estimate known as the EPA Study to comply with this requirement.

3

4 **Q. Should the Commission establish incentives to promote both customer-**
5 **owned and utility-owned energy efficiency and demand-side renewable**
6 **energy systems?**

7 A. Progress Energy believes utility incentives, as authorized in recent legislation,
8 provide the Commission a useful tool to address a utility’s performance and
9 financial impacts as it strives to meet future goals. The traditional application of
10 the Commission’s RIM cost-effectiveness modeling has undergone a modification
11 in this docket with the inclusion of carbon costs, acceptance of a smaller buffer
12 above RIM 1.0, and the inclusion of innovative projects that would not have
13 ordinarily qualified under traditional RIM. Progress Energy believes that these
14 changes from traditional RIM warrant consideration of an incentive, and therefore
15 supports a Commission evaluation of utility incentives based on the outcome of
16 this goals docket. If the Commission seeks to prescribe goals based on any test
17 other than RIM, as already modified above, we believe the issues of goals and
18 incentives would become inseparable, and an immediate consideration of
19 incentives would become necessary.

20

21

22

23

1 **Q Please identify the projected technical potential for Progress Energy.**

2 A. As developed in conjunction with the Collaborative effort, please refer to
3 document number 03183-09 and Exhibit No. ____ (JAM 2), Progress Energy's
4 Technical Potential Study. For further details of the Technical Potential Study,
5 please refer to Exhibit No. ____ (JAM 18) Itron Inc.'s Direct Testimony, pages 11-
6 16.

7

8 **Q. Please identify the 2010-2019 projected DSM economic potential and**
9 **associated measures for Progress Energy based on the RIM cost-**
10 **effectiveness tests.**

11 A. As developed in conjunction with the Collaborative effort, please refer to Exhibit
12 No. ____ (JAM 3)

13

14 **Q. Please identify the 2010-2019 projected DSM economic potential and**
15 **associated measures for Progress Energy based on the TRC cost-**
16 **effectiveness tests.**

17 A. As developed in conjunction with the Collaborative effort, please refer to Exhibit
18 No. ____ (JAM 4)

19

20

1 **Q. Please identify the 2010-2019 projected DSM achievable potential and**
2 **associated measures for Progress Energy based on the TRC and Participant**
3 **cost effectiveness tests.**

4 A. As developed in conjunction with the Collaborative effort, please refer to Exhibit
5 No. ____ (JAM 7)

6 For further details of the Achievable Potential Study, please refer to Exhibit No.
7 ____ (JAM 18) Itron Inc.'s Direct Testimony, pages 18-21.

8

9 **Q. Please identify the 2010-2019 projected DSM achievable potential and**
10 **associated measures for Progress Energy based on the RIM and Participant**
11 **cost-effectiveness tests.**

12 A. As developed in conjunction with the Collaborative effort, please refer to Exhibit
13 No. ____ (JAM 6)

14 For further details of the Achievable Potential Study, please refer to Exhibit No.
15 ____ (JAM 18) Itron Inc.'s Direct Testimony, pages 18-21.

16

17 **Q. Please describe what is included in Exhibit No. ____ (JAM 8).**

18 A. In the referenced exhibit, PEF is providing the sensitivity of the 2010-2019 RIM
19 DSM economic potential with regard to high and low capital costs for generation,
20 high fuel and CO2 costs, low fuel and CO2 costs, and no future CO2 costs.

21

22

23

1 **Q. Would you briefly describe the methodology used to determine the**
2 **sensitivity analysis for the 2010-2019 TRC and RIM DSM economic potential**
3 **with regard to high and low capital costs for generation, high fuel and CO2**
4 **costs, low fuel and CO2 costs, and no future CO2 costs.**

5 A. Using the Economic Study data as input into the FIRE model, we adjusted each
6 component of avoided costs for referenced sensitivities above. For each
7 sensitivity, we produced RIM and TRC case results, which are included in Exhibit
8 No. ____ (JAM 8)

9

10 **Q. Please describe what is included in Exhibit No. ____ (JAM 5).**

11 A. In the referenced exhibit, Progress Energy has provided estimated 2010-2019
12 annual bill impacts on residential customers using 1,200 kWh/month with no
13 incremental DSM added.

14

15 **Q. For Progress Energy, what are the 2010-2019 annual bill impacts on**
16 **residential customers using 1,200 kWh/month for the projected RIM**
17 **achievable portfolio and the projected TRC achievable portfolio?**

18 A. Progress Energy's estimated annual bill impacts on residential customers using
19 1,200 kWh/month for the projected RIM achievable portfolio and the projected
20 TRC achievable portfolio, can be found in Exhibit No. ____ (JAM 6) and Exhibit No.
21 ____ (JAM 7).

22

23

24

1 **Innovative Measures/Programs**

2

3 **Q What communication efforts has Progress Energy Florida made to educate**
4 **customers about energy efficiency and the programs available to them**
5 **through Progress Energy Florida?**

6 A. PEF uses a three-prong approach to educate customers about energy efficiency.

7 This strategy includes the following:

- 8 ● Broad-based campaigns typically carried out through mass media in order to
9 reach the greatest number of customers in a highly cost-effective manner;
- 10 ● An interactive customer messaging campaign to bring the message to life and
11 interest customers in participating in programs; and
- 12 ● Grassroots and community marketing for one-on-one communication to leave a
13 lasting impression.

14 Combined, these three approaches interact to create an effective communication
15 strategy that educates and engages customers so that the message is not only
16 memorable but prompts action by PEF customers. For additional information
17 regarding what we are doing to educate our customers regarding efficiency,
18 please refer to Exhibit No. ____ (JAM 16) Customer Awareness and Education
19 Initiatives.

20

21 **Q. Is Progress Energy planning any new programs that encourage demand**
22 **side renewable systems?**

23 A. Yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

Renewable Energy Initiative

Progress Energy has a long history of proactively pursuing research and development of innovative technologies in order to offer our customers options in meeting their varying desires to conserve electricity. We will be filing for approval of enhancements to our current renewable offerings as well as new solar offerings for both residential and commercial customers. These measures will be designed to encourage the implementation of renewable energy systems within PEF's service territory. The program will consist of measures to provide incentives for solar PV array installations for PEF customers, and enhancements to our existing Solar Water Heating and EnergyWise program. This initiative is further described in Exhibit No. ____ (JAM 12), PEF Renewable Energy Initiative.

Carbon Footprint Initiative

Additionally, we are proposing a new commercial sector initiative called the "Carbon Footprint" (CF) program. The initiative would allow for the impacts of carbon associated with tradeshow or conventions to be captured, and would enable the convention host to redirect their funding contributions toward PEF's low income and renewable energy programs. This new initiative leverages the integration of these hospitality-sector promotional events with our low-income energy efficiency and renewable energy programs, resulting in advanced participation with our low-income community and solar energy measures. Please refer to Exhibit No. ____ (JAM 14), Carbon Footprint Initiative.

- 1 **Q. What is the purpose of the Carbon Footprint Initiative and how will it work?**
- 2 A. From our experience with the Orlando convention market, we recognize that there
3 is interest in the hospitality sector for convention hosts to participate in carbon
4 offset activities. In order to capture the impacts that conventions or meetings
5 could have on carbon, an algorithm has been developed to calculate the carbon
6 emissions effects associated with on-site electric consumption and travel. The
7 benefit to the convention host would be to reduce carbon by directing their
8 funding contributions toward PEF's low income and/or renewable energy
9 programs. Progress Energy would provide a certificate, signage, or other
10 recognition that the event had offset its carbon use while conferencing in Florida.
11
- 12 **Q. Provide examples how Progress Energy balances the needs of the diverse
13 customer segments within its vast service territory?**
- 14 A. Progress Energy consistently analyzes the evolving needs of its customers in our
15 service territory. Associated with the DSM program expansion implemented in
16 2007, Progress Energy introduced an innovative approach to supporting
17 residential low-income customers and communities with the Neighborhood
18 Energy Saver (NES) program. Further enhancements and the addition of
19 measures to this successful program are proposed, along with the introduction of
20 a commercial initiative, Business Energy Saver Initiative (BES). The following
21 examples include either enhancements to programs that we offer our customers
22 currently, or are new innovative initiatives that are being considered for
23 implementation.
24

1 **Neighborhood Energy Saver Plus (NESP)**

2 Currently, the PEF NES program consists of a comprehensive package of electric
3 conservation measures at no cost to the customer. NES uses a unique
4 canvassing technique that employs a door to door implementation strategy with
5 coinciding informational and educational communications. Every opportunity from
6 the initial communication through the installation of the measures is used to
7 educate customers on lowering their energy bill and empowering customers to
8 sustain the behavioral changes. Progress Energy Florida will add five additional
9 energy conservation measures to its existing NES program. With the addition of
10 NES Plus, the total number of energy conservation measures will increase from
11 16 measures to a total offering of 21.

12 In addition to the installation of the conservation measures, an important
13 component of this program is educating families on energy efficiency techniques
14 and the promotion of behavioral changes to help customers manage their energy
15 usage. We will continue to take this program to new levels with the addition of the
16 “Low Bill” Energy Education Assistance Workshop, developed to educate and
17 empower low income customers to use the energy in their homes more efficiently
18 and reduce their energy consumption. The curriculum will incorporate a
19 tradeshow style format utilizing props featuring interactive hands-on workstations
20 consisting of displays illustrating duct leakage, lighting, water heating, thermostat
21 settings, EnergyWise, infiltration/indoor air quality reduction techniques, and the
22 impact of faulty equipment in their homes. Please refer to Exhibit No. (JAM 13),
23 Neighborhood Energy Saver Plus Initiative, for further detail.

24

1 **Business Energy Saver Initiative**

2 Progress Energy Florida is offering an energy-saving initiative to help local small
3 businesses better manage their energy costs and their bottom lines through the
4 implementation of energy efficiency measures, education, and behavioral
5 changes. The Business Energy Saver initiative was developed to address the
6 needs of economically targeted small business customers by providing no cost
7 measures designed to improve their bottom line. The initiative was inspired by
8 our successful Neighborhood Energy Saver program and is intended to be
9 implemented in conjunction with NES wherever possible. Please refer to Exhibit
10 No. ____ (JAM 15), Business Energy Saver Initiative, for further details.

11

12

Conclusions

13

14 **Q. How much DSM is potentially achievable, based on the maximum goals**
15 **scenario presented, during the 2010-2019 period for Progress Energy?**

- 16 **A.**
- 17 • 560 MW of winter peak demand reduction,
 - 18 • 521 MW of summer peak demand reduction, and
 - 19 • 614 GWh of energy reduction

20

21 **Q. Has Progress Energy used a sound and reasonable process to determine its**
22 **proposed 2010-2019 DSM goal scenario?**

- 23 **A. Yes.** Progress Energy used the Commission's approved cost-effective
24 methodology to conduct a series of Participant, RIM, and TRC evaluations,
25 considering the needs of our generation requirements, a comprehensive list of

1 measures, measure costs, measure savings, measure feasibility, and measure
2 saturation. Assessments were then conducted of the residential, commercial and
3 industrial market segments (both new and existing construction) and the major
4 end-use categories, to determine our proposed 2010-2019 goal scenarios.

5

6 **Q. Does the methodology used by Progress Energy comply with statutory and**
7 **Florida Administrative Code requirements?**

8 A. Yes. Progress Energy used the Commission's approved cost-effective
9 methodology, as guided by Florida Administrative Code 25-17.0021, as well as
10 Section 366.82, Florida Statutes.

11

12 **Q. Do Progress Energy's proposed DSM goal scenarios provide a cost-**
13 **effective means for all ratepayers to help meet the need for additional**
14 **generation through 2019?**

15 A. Yes. Progress Energy's proposed goal scenarios for 2010-2019 are the
16 culmination of an extensive collaborative effort to assess the full technical and
17 achievable potential for energy and peak demand savings for DSM in Florida.
18 Additionally, we are proposing more efficiency options for our low income
19 customers and enhanced incentives for customers interested in investing in
20 renewable energy. Once our goals determined, we are confident that the result
21 will be a DSM goal complement that will meet the efficiency needs of our diverse
22 customer segments for the next ten years while balancing the interests of all
23 stakeholders.

1 **Q. What is the next action that is requested be taken toward determining**
2 **Progress Energy's 2010-2019 DSM goals?**

3 A. Progress Energy requests the FPSC review the proposed goal scenarios with
4 consideration of precedent set in Orders No. PSC-94-1313-FOF-EG;PSC-99-
5 1942-FOF-EG, and PSC-04-0769-PAA-EG. Consistent with this well-reasoned
6 precedent, particular attention should be paid to minimize any adverse impacts to
7 our customers by asking those who can least afford it to subsidize the
8 participation of others. Focus should also be placed on balancing the needs of all
9 stakeholders, as the Commission has done consistently in the past

10

11 **Q. Should one of Progress Energy's proposed DSM goal scenarios be**
12 **approved?**

13 A. Yes. While we are confident that the process for determining PEF's proposed
14 goal scenario was sound, there are external influences impacting the DSM
15 landscape to include stronger building codes, the decline in the housing market,
16 tightened credit availability, and weakened financial and retail industries. Given
17 the adverse impact that these factors have had on Florida's economy, consumers
18 may not be able to invest in needed efficiency improvements in future years to the
19 same extent as they have in the past. Thus, while PEF believes that the
20 Commission should approve the goals set forth in the high scenario for PEF,
21 external factors that are beyond PEF's control may act to make the energy
22 component of those highly aggressive goals difficult to achieve.

23

24 **Q. Does this conclude your testimony?**

1 A. Yes, this concludes my testimony.

1 **BY MR. BURNETT:**

2 Q. Mr. Masiello, do you have a summary of your
3 prefiled direct testimony?

4 A. I do.

5 Q. And while keeping your eye on the red light,
6 would you please give that.

7 A. I will keep one eye on the red light.

8 Chairman and Commissioners, thank you.

9 My name is John Masiello, and I am the
10 Director of Demand-Side Management and Alternative
11 Energy Strategy for Progress Energy Florida. Since
12 1991, I have performed various roles and
13 responsibilities for developing and implementing
14 PEF's DSM programs. Florida utilities and this
15 Commission are guided by the statutory requirements
16 of the Florida Energy Efficiency and Conservation
17 Act, commonly known as FEECA, together with recent
18 amendments to FEECA reflected in House Bill 7135,
19 and specific rules in the Florida Administrative
20 Code provide the foundation for this goals setting
21 docket.

22 At least once every five years, Florida
23 utilities are required to propose numeric goals for
24 a ten-year period and provide ten-year projections
25 for the total cost-effectiveness, winter and summer

1 peak demand savings, and annual general -- and
2 annual energy savings reasonably achievable in the
3 residential and commercial/industrial classes
4 through DSM based upon the utility's most recent
5 planning process.

6 The rules establish that utility goals
7 must be cost-effective and reasonably achievable.
8 The goals must consider free riders, overlapping of
9 measures, interaction with building codes, and
10 appliance efficiency standards, and the utility's
11 latest monitoring and evaluation of DSM programs.
12 Identifying those measures that have less than a
13 two-year payback should be considered as free riders
14 in this docket.

15 Our on-site energy audits, along with our
16 aggressive Save the Watts marketing campaign,
17 provides education and motivates our customers to
18 act on prudent energy investments. This properly
19 aligns the cost of the improvement directly to the
20 customer that it benefits.

21 In reviewing utility goals, the Commission
22 must also consider cost and benefits to all
23 ratepayers, including utility incentives and
24 participant contributions.

25 PEF's proposed goals comply with these

1 rules and statutes. Our proposed goal scenarios for
2 2010 to '19 are the culmination of an extensive
3 collaborative effort to assess the full technical
4 and achievable potential for energy efficiency and
5 peak demand savings for DSM in Florida.

6 We are proposing greater efficiency
7 options that will benefit our low income customers,
8 both residential and small business, and enhanced
9 incentives for customers interested in investing in
10 renewable energy. Additionally, we have proposed
11 expanding our educational initiatives to build on
12 our successful school programs, community
13 activities, social media outreach, like Twitter, and
14 so forth.

15 Once our goals have been determined, we
16 are confident that the results will be a DSM
17 portfolio that will meet the efficiency needs of our
18 diverse customer segments for the next ten years
19 while balancing the interests of all stakeholders.

20 PEF's proposed goals are also supported by
21 the testimony and exhibits of Itron's
22 representative, Mike Rufo. On behalf of the
23 collaborative, Itron conducted a thorough technical
24 potential study to assess the technical potential
25 for reduced electricity use in peak demand by

1 implementing a wide range of end use energy
2 efficiency and demand response measures, as well as
3 customer scaled solar photovoltaics and solar
4 thermal installations in the service territories of
5 the seven collaborative utilities.

6 Itron also developed appropriate estimates
7 of achievable potential for the seven FEECA
8 utilities. Itron's technical potential study serves
9 as the foundation for estimating economic and
10 achievable potential for each collaborative utility
11 and provides direct input into PEF's proposed DSM
12 goals for 2010 to '19.

13 The Commission should review the proposed
14 goals scenarios with consideration of
15 well-established precedent set in the prior
16 Commission order establishing conservation goals.
17 The Commission should also balance the needs of all
18 stakeholders and minimize any adverse impacts to
19 customers. Indeed, special consideration must be
20 given to external factors beyond PEF's control, such
21 as the decline in housing market, tightening credit
22 availability, weakened financial and retail
23 industries, and unemployment. The adverse effects
24 these factors have on the overall Florida economy
25 may make highly aggressive goals difficult to

1 achieve. That's why PEF believes that this
2 Commission should approve the goals set forth in the
3 high E-RIM scenario for PEF. External factors that
4 are beyond our control may act to make the energy
5 component of those highly aggressive goals difficult
6 to achieve.

7 Through our high E-RIM proposed goals, we
8 have increased our potential by almost 300 percent
9 above our 2004 goals filing. By adding carbon costs
10 as a benefit and lowering our cost-effective
11 threshold to 1.01, we have enhanced the benefits
12 significantly, which is largely responsible for
13 increasing our energy savings potential. We feel
14 that we have met the statutory requirements of FEECA
15 and House Bill 7135 by proposing our high E-RIM
16 case, which is not business as usual.

17 This concludes the summary of my direct
18 testimony, and I am happy to answer any questions
19 that you may have. Sorry, I was a little
20 long-winded.

21 **CHAIRMAN CARTER:** We do it like they do in
22 the clubs. We flash the lights, so we flashed the
23 lights on.

24 **MR. BURNETT:** You barely made it,
25 Mr. Masiello.

1 **THE WITNESS:** I needed some water in
2 between.

3 **MR. BURNETT:** Mr. Chairman, we tender
4 Mr. Masiello for cross-examination.

5 **CHAIRMAN CARTER:** Ms. Kaufman, you are
6 recognized.

7 **MS. KAUFMAN:** Thank you, Mr. Chairman.

8 **CHAIRMAN CARTER:** Mr. Cavros, good
9 afternoon. Good to see you again.

10 **MR. CAVROS:** Good afternoon, Chairman.
11 Always a pleasure to be here.

12 **CHAIRMAN CARTER:** Ms. Kaufman.

13 **MS. KAUFMAN:** Thank you, Mr. Chairman.

14 CROSS EXAMINATION

15 **BY MS. KAUFMAN:**

16 **Q.** Good afternoon, Mr. Masiello. How are you?

17 **A.** Good afternoon. I'm fine. How are you?

18 **Q.** I am Vicki Kaufman, and I am here on behalf
19 of FIPUG. And I don't know if we have met in person,
20 but I took your deposition last week, if you recall.

21 **A.** I do recall.

22 **Q.** Mr. Masiello, can you turn to Page 8 of your
23 direct testimony.

24 **A.** I have it.

25 **Q.** Okay. Beginning at Page 8, and then I think

1 going through about Page 14, you talk about specific
2 programs that have contributed to the successful
3 implementation of measures and providing meaningful
4 results for our customers. Do you see that?

5 **A.** Yes.

6 **Q.** And following that you list a number of
7 programs that have met that criteria, correct?

8 **A.** That is correct.

9 **Q.** One of the programs that you list you talk
10 about on Page 14, and that is your interruptible
11 service program, correct?

12 **A.** That is correct.

13 **Q.** So would you agree that that program has been
14 a beneficial tariff and provided benefits to Progress'
15 ratepayers?

16 **A.** Yes.

17 **Q.** And you also talk on the same page at the
18 bottom about qualifying facilities, correct?

19 **A.** That is correct.

20 **Q.** And qualifying facilities are those that
21 engage in cogeneration, correct?

22 **A.** That is correct.

23 **Q.** And would you agree that those programs have
24 also been beneficial to Progress' customers?

25 **A.** Yes.

1 Q. I am going to come back to the cogeneration
2 in a second, but I want to talk to you about the E-RIM
3 test, which is what Progress advocates in this case, is
4 that correct?

5 A. That is correct.

6 Q. And as I understand it, that is the
7 Commission's RIM test with the additional consideration
8 of carbon costs?

9 A. That is correct.

10 Q. So, unlike Power and Light, carbon costs are
11 the only environmental emissions that you include in
12 the E-RIM test, correct?

13 A. SOx and NOx should be included, as well.

14 Q. Did you include SOx and NOx in your
15 calculations on your E-RIM?

16 A. Yes. In fact, we do it through the carbon
17 costs. We do it through the ECRC clause, as well.

18 Q. Now, when I took your deposition do you
19 recall that we went through all of the inputs to the
20 RIM test?

21 A. Uh-huh.

22 Q. And you told me that you had performed those
23 calculations in accordance with the Commission's
24 cost-effectiveness manual?

25 A. Yes.

1 **Q.** Okay. I'm not going to go through all of
2 those again, since your deposition is already in the
3 record. Do you also recall telling me that you have
4 not reviewed what the other -- how the other utilities
5 had performed their RIM calculations?

6 **A.** That is correct.

7 **Q.** So you don't know whether or not they have
8 performed them in the same way that Progress performed
9 them, correct?

10 **A.** Yes.

11 **Q.** Let's turn back to cogeneration for a moment.
12 Do you believe that a customer who engages in
13 cogeneration can provide a positive contribution to
14 Progress' conservation efforts?

15 **A.** Perhaps.

16 **Q.** Excuse me?

17 **A.** Perhaps.

18 **Q.** Perhaps. So they may not?

19 **A.** Yes, I mean, depending on what it is that
20 you are referring to.

21 **Q.** Well, when a customer cogenerates on your
22 system, they are using waste heat that would otherwise
23 just be dissipated in order to create energy, and isn't
24 that a conservation benefit?

25 **A.** Certainly.

1 **Q.** Okay. If they didn't do that, the heat would
2 just go to waste, correct?

3 **A.** If you are talking about waste heat that
4 would normally be dissipated as opposed to put it to
5 good use, I would agree.

6 **Q.** Okay. Do you know what Progress Energy's
7 average projected fuel cost was in 2009?

8 **A.** No.

9 **Q.** All right. Well, let me provide you with an
10 exhibit.

11 **MS. KAUFMAN:** Ms. Brownless will
12 distribute that. And, Mr. Chairman, I think that is
13 going to be 148.

14 **CHAIRMAN CARTER:** You are correct. Number
15 148, Commissioners, for the record. Short title?

16 **MS. KAUFMAN:** Progress Projected Energy
17 Costs.

18 **CHAIRMAN CARTER:** Excellent.

19 **MS. KAUFMAN:** Thank you, sir.

20 (Exhibit Number 148 marked for
21 identification.)

22 **COMMISSIONER SKOP:** Mr. Chairman?

23 **CHAIRMAN CARTER:** Yes, sir.

24 **COMMISSIONER SKOP:** It is Commissioner
25 Skop joining. Just one quick question for Ms.

1 Kaufman, if I may?

2 **CHAIRMAN CARTER:** You're recognized.

3 **COMMISSIONER SKOP:** Thank you, Mr. Chair.

4 Ms. Kaufman, is it my understanding that FIPUG's
5 position with respect to cogen is cogen in the sense
6 of a waste heat process because not all cogen is
7 emission free?

8 **MS. KAUFMAN:** I'm sorry, Commissioner
9 Skop. I apologize. Could you repeat your question?
10 I had a hard time hearing you.

11 **COMMISSIONER SKOP:** I'm sorry. With
12 respect to the FIPUG position on cogen, I believe
13 the assertion was made that it has no emissions or
14 it is emission free. Are we talking about cogen
15 strictly in a waste heat process sense rather than
16 other forms of cogen?

17 **MS. KAUFMAN:** That is the kind of
18 cogeneration that I am referring to, Commissioner
19 Skop.

20 **COMMISSIONER SKOP:** All right. Thank you.

21 **CHAIRMAN CARTER:** Thank you.

22 You may proceed. We're getting feedback.
23 I was going to have a little fun with that, but, you
24 know, like always, my fun is a shut down.

25 Ms. Kaufman, you are recognized.

1 **MS. KAUFMAN:** Thank you.

2 **BY MS. KAUFMAN:**

3 **Q.** Mr. Masiello, we distributed Exhibit Number
4 148. I had asked you to accept, subject to check, that
5 this was filed by Progress Energy in the fuel docket.
6 Will you accept that?

7 **A.** Subject to check.

8 **Q.** Okay. And if you will look at Line 20, all
9 the way to the right, you will see that this is
10 expressed in kilowatts, but would you agree with me
11 that Progress projected its price in megawatts to be
12 about \$73 per megawatt hour?

13 **A.** That is what it has here on the chart.

14 **Q.** Okay. Do you know what Progress is paying
15 its as-available -- is paying for -- let me start that
16 again. Do you know what Progress is paying its
17 as-available cogenerators?

18 **A.** I'm sorry, I do not.

19 **MS. KAUFMAN:** All right. And let me pass
20 out another exhibit. We are going to have to put
21 Ms. Brownless on the payroll.

22 And, Chairman, this would be 149.

23 **CHAIRMAN CARTER:** 149, Commissioners. A
24 title?

25 **MS. KAUFMAN:** Progress As-available

1 Prices.

2 **CHAIRMAN CARTER:** Okay. You may proceed.

3 **MS. KAUFMAN:** Thank you, Mr. Chairman.

4 (Exhibit Number 149 marked for
5 identification.)

6 **BY MS. KAUFMAN:**

7 Q. Mr. Masiello, would you accept, subject to
8 check, that this is a forecast that is distributed to
9 your as-available cogenerators, and this was from
10 July 21st to the 23rd?

11 A. Subject to check.

12 Q. And if you would just scan down the middle
13 column that says as-available price, dollars per
14 megawatt hour. You would agree with me, wouldn't you,
15 that those prices are substantially less than the \$73
16 we just discussed?

17 A. I would.

18 Q. And this is the price that Progress projected
19 to pay its cogenerators when they sell their energy
20 back to Progress, correct?

21 **MR. BURNETT:** Objection, lack of
22 foundation.

23 **CHAIRMAN CARTER:** Okay. Let's tee it up.
24 Ms. Kaufman, let's tee it up.

25 **BY MS. KAUFMAN:**

1 **Q.** Mr. Masiello, would you -- what is your
2 understanding of what that middle column, as-available
3 price, means in this forecast?

4 **A.** This is not an area that I would say that
5 I have expertise in, so I don't have an answer.

6 **Q.** So you don't know what it means?

7 **A.** I would imagine it has to do with
8 something with the as-available price for fuel for
9 the existing generation.

10 **Q.** And since it is titled forecast as-available
11 prices, would you accept that it is the price Progress
12 pays to the cogenerators for the designated dates?

13 **A.** Perhaps.

14 **Q.** And I think I've already asked this, I
15 apologize, but those prices are a lot less than the
16 \$73, correct, on Exhibit 148?

17 **A.** Comparing the two numbers, I would say
18 yes.

19 **Q.** Thank you. I want to switch topics for a
20 moment and ask you in your role in this case have you
21 reviewed the goals that have been proposed by GDS and
22 Southern Alliance for Clean Energy?

23 **A.** Yes, I have.

24 **Q.** You compared them to the goals that Progress
25 has suggested?

1 **A.** Yes, I have.

2 **Q.** Can you tell us on an order of magnitude how
3 much higher or lower GDS's goals are than Progress'
4 suggested goals?

5 **A.** Just about seven times higher.

6 **Q.** Have you calculated that in terms of dollars?

7 **A.** Dollars in terms of --

8 **Q.** If the GDS goals were approved rather than
9 the Progress goals, what would that seven-fold increase
10 mean in terms of dollars?

11 **A.** Yes. We took a -- given the time that we
12 had to work with that, we did take a look at it in
13 light of the fact that none of that had been done.
14 So, yes, we have.

15 **Q.** Do you have a ballpark of what the dollar
16 amount is?

17 **A.** It was just under \$6 billion over the ten
18 years.

19 **Q.** \$6 billion over the ten-year horizon?

20 **A.** That is correct.

21 **Q.** So would it be fair to say that if those
22 goals are selected or implemented that customers will
23 see a significant increase in their ECCR charges?

24 **A.** Just taking that on the surface,
25 \$66 billion by ten years, that is 600 million a

1 year. We currently pass through just under
2 80 million, so that would be a significant increase.

3 Q. You are aware, are you not, that Progress
4 Energy is in front of the Commission for a base rate
5 increase?

6 A. Yes, I am.

7 Q. And if Progress is successful in whole or in
8 part in prosecuting that case, customers will see their
9 base rates rise, as well, correct?

10 A. Yes.

11 MS. KAUFMAN: Thank you. That's all I
12 have.

13 CHAIRMAN CARTER: Thank you.

14 Mr. Cavros, good afternoon and welcome.

15 MR. CAVROS: Thank you, Chairman.

16 CROSS EXAMINATION

17 BY MR. CAVROS:

18 Q. Good afternoon, Mr. Masiello, how are you?

19 A. I am fine. How are you?

20 Q. Fine, thank you.

21 Mr. Masiello, the RIM test includes lost
22 revenue in its calculation, is that right?

23 A. That is correct.

24 Q. And the TRC test does not include lost
25 revenue, lost utility revenue, is that correct?

1 **A.** That is correct.

2 **Q.** Because the TRC does not include lost utility
3 revenue, measures with higher relative kilowatt hour
4 reductions will tend to pass the TRC, correct?

5 **A.** Higher relative to their capacity benefit.
6 I mean, you can have high energy savings. You would
7 need associated high capacity benefit, as well.

8 **Q.** Would they tend to -- tend to pass the TRC --
9 rather, measures with higher kilowatt hour reductions,
10 would they tend to pass the -- would TRC tend to pass
11 those measures as opposed to RIM?

12 **A.** Again, I would say that if they had
13 proportionately high capacity benefits, you would
14 see them passing RIM or TRC.

15 **Q.** Conversely, because RIM does include lost
16 utility revenue, measures with higher kilowatt
17 reductions will tend not to pass the RIM test, is that
18 correct?

19 **A.** Well, let me give you an example. We have
20 in our programs today for our existing homes, we
21 have some of the most energy intensive measures
22 passing RIM. High-efficiency heat pumps, window
23 replacement, wall insulation, attic insulation,
24 those are the most energy intensive measures that
25 you can have, and they all pass RIM.

1 Q. Does CFL light bulb pass RIM?

2 A. CFL does not pass RIM.

3 Q. Conversely, a CFL lamp passes the TRC test,
4 correct?

5 A. It probably does.

6 Q. Okay. And measures excluded due to the
7 two-year payback criteria tend to have a relatively
8 higher kilowatt reduction -- kilowatt hour reduction
9 characteristics as compared to measures --

10 A. Characteristics --

11 Q. I'm sorry, as compared to measures that
12 weren't excluded?

13 A. I would say there is probably two factors.
14 A high energy and a low cost, the combination of the
15 two.

16 Q. So they tend to have higher benefit/cost
17 ratios?

18 A. Right, that is what would happen.

19 Q. Okay. I would like you to refer to Progress
20 Energy Florida's response to Staff's 7th set of
21 Interrogatories Number 73, and this is part of staff's
22 composite exhibit, and I also have --

23 **CHAIRMAN CARTER:** As long as he has got
24 one for you and the witness and the parties, that
25 will be fine since it is in the record already as

1 part of staff's composite exhibit. Number 2, staff,
2 is that correct? Through 4, 2 through 4. Well,
3 actually -- wait a minute. A little longer than 2
4 through 4. Thank you.

5 At any rate, you are just using it
6 primarily for cross-examination, is that correct?

7 **MR. CAVROS:** That is correct.

8 **CHAIRMAN CARTER:** Okay. You may proceed.

9 **BY MR. CAVROS:**

10 Q. Do you have that in front of you,
11 Mr. Masiello?

12 A. Yes, I do.

13 Q. Okay. Let me read the question to you.
14 Please complete the table below, describing which
15 measures were excluded due to a payback of less than
16 two years. Please provide these values by customer
17 type and measure type for each cost-effectiveness test.

18 Under the energy efficiency column, if you
19 look at the RIM row for total annual gigawatt hours,
20 you will see 179, is that correct?

21 A. That is correct.

22 Q. And under the TRC row total annual gigawatt
23 hours, you will see 1,872 gigawatt hours, is that
24 correct?

25 A. That is correct.

1 **Q.** The value for TRC is about ten times higher
2 than that of RIM, is that correct?

3 **A.** That is correct.

4 **Q.** And this is largely because the TRC test will
5 allow measures with relatively higher kilowatt hour
6 reductions to be found cost-effective as compared to
7 RIM, isn't that right?

8 **A.** That is correct.

9 **Q.** That is why in the case of the CFL bulb,
10 which we discussed earlier, it passed the TRC test, but
11 it was captured and removed by the two-year payback
12 criteria, is that right?

13 **A.** The CFL bulb is a good example.

14 **Q.** And, additionally, if you look at the row for
15 residential summer megawatts, and that value is 120,
16 and the value for annual gigawatt hours -- for
17 residential annual gigawatt hours is 958, do you see
18 those two?

19 **A.** I do.

20 **Q.** Now, if that 120 megawatts was a power plant
21 generating 958 gigawatt hours a year, what would its
22 capacity factor be?

23 **A.** I will have to calculate that.

24 **Q.** I will give you a minute.

25 **A.** So we would have the ability to put

1 120 times 24. I don't have a calculator.

2 **MR. CAVROS:** I think we have one in the
3 house.

4 **THE WITNESS:** I am having trouble with
5 these keys.

6 **MR. BURNETT:** Mr. Chair, if I may, sir, in
7 the interest of --

8 **CHAIRMAN CARTER:** Mr. Burnett, you're
9 recognized.

10 **MR. BURNETT:** Thank you, sir. In the
11 interest of time and efficiency, if NRDC has a
12 calculation, we would be happy to accept it, subject
13 to check. Maybe it will speed things along if they
14 know the answer already. I don't know if there is
15 any value of having Mr. Masiello do math.

16 **CHAIRMAN CARTER:** What about it,
17 Mr. Cavros?

18 **MR. CAVROS:** Can I ask Mr. Masiello how
19 much longer it might take before I answer that?

20 **CHAIRMAN CARTER:** Sure, you can do that.
21 That would be fine.

22 **THE WITNESS:** Every time I hit the equal
23 key it goes back to some other number that I don't
24 know what it is doing.

25 **CHAIRMAN CARTER:** Do we have another

1 calculator somewhere, staff?

2 **MR. SAYLER:** I have got an iPhone,
3 Commissioner.

4 **THE WITNESS:** I think that is what this
5 is, an iPhone. Okay. Oh, boy. I'm not sure this
6 is any more helpful. Is it a 32 percent capacity
7 factor, or am I punching this key wrong?

8 **CHAIRMAN CARTER:** It sounds good to me.

9 **THE WITNESS:** I am having trouble with
10 this key, as well. The number four key doesn't seem
11 to work for me.

12 **CHAIRMAN CARTER:** Well, let's proceed on.
13 We are going to just -- just use your best
14 guesstimate, and let's proceed on.

15 **THE WITNESS:** If I had a guess at the
16 numbers, they are looking probably maybe 40 percent
17 range, somewhere around there.

18 **CHAIRMAN CARTER:** Okay.

19 **BY MR. CAVROS:**

20 **Q.** Okay. Well, we had it estimated as higher.

21 **A.** As higher than that?

22 **Q.** Yes.

23 **A.** Okay.

24 **Q.** But we would like to get the exact number.

25 Could we have that filed as a --

1 **CHAIRMAN CARTER:** Late-filed?

2 **MR. CAVROS:** -- late-filed?

3 **CHAIRMAN CARTER:** Sure. That will be
4 Number 150. Short title?

5 **MR. CAVROS:** Capacity Calculation.

6 (Late-filed Exhibit Number 150 marked for
7 identification.)

8 **CHAIRMAN CARTER:** Progress Energy Capacity
9 Calculation. Okay. You may proceed.

10 **MR. CAVROS:** Thank you.

11 **BY MR. CAVROS:**

12 **Q.** Since we are on the topic of two-year
13 paybacks, do you know what the penetration level is for
14 your measures that were excluded from the two-year
15 payback were excluded because of the two-year payback
16 criteria?

17 **A.** I'm sorry, say that again.

18 **Q.** Sure. For the measures that were excluded
19 because of the two-year payback criteria, do you know
20 what the penetration levels of those -- or the
21 penetration rates of those -- of those measures are?

22 **A.** I would say we might know some of them,
23 certainly not all of them.

24 **Q.** Well, have you done any Florida-specific
25 research on the number of so-called free riders?

1 **A.** We have over time done a series of
2 research on a variety of things, but typically we
3 work with measures that have less than a two-year
4 payback through our education programs, education
5 and awareness programs.

6 **Q.** I guess I was asking about original research,
7 if you had an idea -- if you had a number, an estimate
8 of the number of free riders that might participate in
9 any given program?

10 **A.** Not to the -- no, not to the extent that
11 we would be able to definitively say what the
12 percentage of free riders were.

13 **Q.** Okay. And do you have any specific Florida
14 information on the adoption patterns of free riders?

15 **A.** You mean relative to the two-year payback?

16 **Q.** Yes, relative to the two-year payback
17 specific to Florida?

18 **A.** No, I would say that -- in the nature of
19 our research we do end use analysis, we do appliance
20 saturation survey. We look at what happens as a
21 result of our marketing plans. But, typically, the
22 two-year payback are measures that we work through
23 our educational programs.

24 **Q.** And yet you support a blanket two-year
25 payback exclusion across all measures, correct?

1 **A.** Yes.

2 **MR. CAVROS:** Okay. I would like to at
3 this time refer to Itron's response to NRDC/SACE's
4 First Set of Interrogatories Number 2. And this is
5 not part of staff's composite exhibits. I would
6 like to pass this out.

7 **CHAIRMAN CARTER:** Okay. You may do so.

8 **MR. CAVROS:** Actually, it is two part.
9 This is the cover page, and that is the attachment
10 that goes with it.

11 **CHAIRMAN CARTER:** You're doing a good job.
12 Keep on keeping on. Thank you.

13 This would be exhibit -- Commissioners,
14 for the record, Exhibit Number 151. And it would
15 be --

16 Mr. Cavros, I need a recommendation for a
17 short title.

18 **MR. CAVROS:** PEF Penetration Level Doc, or
19 Measure Penetration List.

20 **CHAIRMAN CARTER:** That would be this
21 document?

22 **MR. CAVROS:** That's correct. That is the
23 attachment actually that was referenced in the -- in
24 the response.

25 **CHAIRMAN CARTER:** Okay. PEF Penetration

1 Document. So this 151, for all parties involved,
2 this will just be a composite. Both of these
3 documents are part and parcel of the same. Okay.

4 (Exhibit Number 151 marked for
5 identification.)

6 **CHAIRMAN CARTER:** You may proceed.

7 **MR. CAVROS:** Thank you.

8 **BY MR. CAVROS:**

9 **Q.** Mr. Masiello, what is the penetration rate
10 for AC maintenance?

11 **A.** Is this based on --

12 **Q.** This is based on this document, that is
13 correct. And, you know, I apologize. Maybe before I
14 go there I should actually tell you what it is in
15 response to. And it is in response to the following
16 question from NRDC/SACE to Itron: Please provide a
17 list of all measures screened out based on the above
18 criteria. Their assumed base case naturally occurring
19 penetrations and their associated energy and demand
20 impacts in the technical potential study. And the
21 response from Itron was: A list of measures screened
22 based on their two-year payback criteria along with
23 their associated per unit energy and demand impacts and
24 the estimated naturally occurring penetration rates
25 through year 2019 are shown in Attachment A for PEF,

1 TECO, Gulf Power, JEA, OUC, and FPU. And that is the
2 document before you.

3 So if we could go to the table again, I
4 will ask you once again what the penetration rate is
5 in this document under the column -- I'm sorry, for
6 AC maintenance. And by penetration rate, I mean
7 cumulative ten-year penetration rate TRC column.

8 **A.** This is a document that Itron supplied
9 you?

10 **Q.** That is correct.

11 **A.** Under that column for -- is that column
12 cut off? Am I looking at the right column?

13 **Q.** Yes.

14 **A.** Cumulative year something penetration rate
15 TRC?

16 **Q.** Correct. It would be the fourth column from
17 the right.

18 **A.** It is 2.6.

19 **Q.** Thank you. And what is the penetration rate
20 for proper refrigerant charging?

21 **A.** The same column?

22 **Q.** Correct.

23 **A.** 6.3. Coincidentally, the AC maintenance
24 outdoor cleaning is part of our energy audit. That
25 is an instruction program that we provide our

1 customers as to the benefits of having their system
2 maintained annually. So that is instructed by our
3 energy auditors who are up there with our customers
4 every day.

5 Proper refrigerant charging and air flow.
6 We have actually trained our contractors to do
7 proper refrigerant charging and air flow on every
8 system to include proper duct sizing, which is also
9 critical. So both of those measures are, in fact,
10 part of our program.

11 Q. And could we just go down a few more -- a few
12 more rows for the low flow showerhead. What is the
13 penetration rate of that in your territory?

14 A. 7.5 and 11.5.

15 Q. Okay. And the 11.5 would be faucet aerators,
16 is that correct?

17 A. Yes. You know, interestingly enough, over
18 the years we have had programs of these nature and,
19 unfortunately, people take the low flow showerheads
20 out and the faucet aerators out, which is
21 unfortunate. Not only do they do that, today they
22 are installing multiple heads coming from all sides,
23 including down. And that is a tough one to deal
24 with, but it is a real issue.

25 Q. Now, these aren't the type of adoption rates

1 that one might expect of measures that will be adopted
2 within two years, right?

3 **A.** Depending on the popularity, I would tell
4 you that that doesn't surprise me, some of these.

5 **Q.** Yet you choose to exclude them, correct?

6 **A.** I'm sorry?

7 **Q.** Yet you choose to exclude these measures,
8 correct?

9 **A.** What I am saying is the negative impacts
10 of these measures, I'm not sure you can make a
11 change.

12 **Q.** You say that these measures are included in
13 your programs, but isn't it true that once these
14 measures are eliminated they cannot be offered an
15 incentive in program development?

16 **A.** What we are saying is they are generally
17 dealt through education.

18 **Q.** Which means once they are eliminated, they
19 cannot be offered an incentive?

20 **A.** Eliminated would mean they were installed?

21 **Q.** No, excluded from consideration of achievable
22 potential, or the group of measures that can move on to
23 achievable potential?

24 **A.** Oh, if we didn't include them in our
25 achievable, then you would not see that in our

1 goals.

2 Q. Right.

3 A. So these are the measures that get done
4 every day that we don't take credit for them, but we
5 educate them. And we see this all the time. We did
6 an expansive program with Seminole County schools
7 where we came up with curriculum, we came up with a
8 teacher's day, we had video developed. And as a
9 result the students started shutting lights off,
10 their custodians started turning thermostats up, and
11 first year savings was 500 and some odd thousand
12 dollars that we don't take credit for. But the
13 educational program did what it should have.

14 Q. Now, you mentioned that the AC maintenance,
15 the outdoor coil cleaning is part of your audit
16 program.

17 A. Say that again.

18 Q. Yes. You mentioned earlier that the AC
19 maintenance --

20 A. Yes.

21 Q. -- the outdoor coil cleaning was part of your
22 audit program?

23 A. Yes.

24 Q. And that exemplifies how you are promoting
25 these measures through education, is that correct?

1 A. Yes.

2 Q. I don't want to pass a value judgment, but
3 2.6 percent seems very low to me. I'm sorry.

4 A. I would agree it is low. This is
5 something that the contractors market extensively
6 throughout these -- throughout the neighborhoods
7 throughout our service territory. This is something
8 that every AC contractor in our area, especially in
9 Central Florida, as a result of the downturn in the
10 housing market have advertised this extensively
11 relatively low cost measure.

12 **MR. BURNETT:** Mr. Chair, I was going to
13 hold this to see if this document was going to be
14 used as evidence, but with the repeated reference to
15 the numbers in here, I feel compelled to note that
16 the document offered up as 151 at this point is not
17 a correct version. It is outdated and contains
18 information that was actually corrected and
19 supplemented on July 31st.

20 So the numbers that are being referred to
21 are not -- they are no longer accurate. So at this
22 time I would have to object just because the record
23 now has incorporated those numbers several times.
24 An amendment was filed by Itron and those numbers
25 are no longer valid.

1 **CHAIRMAN CARTER:** Okay. Mr. Cavros, speak
2 to the objection.

3 **MR. CAVROS:** I do not have an updated
4 version if this is not the -- if this is not the
5 most recent. What we would like to do is file the
6 supplemented response, which I believe Itron has
7 filed since this document was submitted to
8 NRDC/SACE.

9 **CHAIRMAN CARTER:** Ms. Helton.

10 **MS. HELTON:** I am a little bit troubled
11 that Mr. Burnett is just now telling us that we are
12 not using some good numbers, and I think it is
13 beneficial to the Commission to have the correct
14 numbers in front of us. And I am a little bit
15 confused about what the status is of the
16 supplemental information from Itron. Is that part
17 of the current record?

18 **MR. BURNETT:** Ms. Helton, yes. I'm sorry,
19 I apologize for the delay. I was actually just, you
20 know, going through the paperwork to make sure that
21 I did have the correct numbers before I spoke. And,
22 again, thought the appropriate time would be when
23 this was actually moved into evidence. But not
24 representing Itron, my understanding is that Itron
25 filed this correction on July 31st, 2009. It is

1 part of the docket and in the record.

2 **MS. HELTON:** Well, I guess it was part of
3 their exhibits to the prefiled testimony? Is it
4 part of the record here, or will it be part of --
5 no, it will not be part of the record here.

6 **MR. BURNETT:** I don't know, ma'am. I
7 would just state that the document that he is
8 questioning on is no longer valid.

9 **CHAIRMAN CARTER:** Hang on a second.

10 Ms. Clark, you are recognized.

11 **MS. CLARK:** What my records show is that
12 we filed a supplemental and corrected response to
13 NRDC's and SACE's First Set of Interrogatories 1
14 through 8 on the 4th, actually, of August. So we
15 did provide it. It is not in the record. I mean,
16 it was part of discovery, and it was not put in the
17 record prior to this.

18 **MR. CAVROS:** Chairman, I don't have that.

19 **CHAIRMAN CARTER:** You don't have it?

20 **MR. CAVROS:** I did not receive it.

21 **MR. BURNETT:** Mr. Chair, if I could be
22 helpful. I don't think the substance of Mr.
23 Masiello's answers will change, so I can withdraw
24 the objection if it helps. But, again, I just
25 wanted to note that, but I am certainly willing to

1 withdraw it. I don't think it is going to change
2 any of his answers.

3 **CHAIRMAN CARTER:** Ms. Helton.

4 **MS. HELTON:** It sounds like we have
5 available the corrected information, so perhaps we
6 can provide that for all parties tomorrow. And if
7 the goal of Mr. Cavros is to include this in the
8 record, we can look at that in the morning.

9 **CHAIRMAN CARTER:** Mr. Cavros, can we get
10 that to you in the morning and you can look it over,
11 and we will just go on from now based upon what we
12 have here and the numbers will speak for themselves,
13 and we can just do it at that point in time.

14 In fact, what we will do, Commissioners,
15 is that in the process of looking at 151 as a
16 composite exhibit, and as we get the updated
17 information, we will let that be the addendum to it.
18 Okay. So is everyone clear on where we are going
19 with this? Okay. You may proceed.

20 **MR. CAVROS:** Thank you, Chairman.

21 **BY MR. CAVROS:**

22 **Q.** Mr. Masiello, you can increase -- you can
23 increase the penetration rates of these measures if you
24 were to offer incentives, is that correct?

25 **A.** Perhaps, yes.

1 **Q.** Thank you. In your advocacy for the Rate
2 Impact Measure test one of your arguments is the
3 occurrence of cross-subsidization, is that right?

4 **A.** That is correct.

5 **Q.** In other words, nonparticipants tend to be
6 losers and participants tend to be winners in that
7 scenario?

8 **A.** That is correct.

9 **Q.** And in your mind cross-subsidization is a bad
10 thing?

11 **A.** I would think yes.

12 **Q.** Okay. I was hoping you might consider the
13 following example and just provide your opinion as an
14 energy efficiency practitioner. And the example is as
15 follows, I lived in my house or have lived in my house
16 for the last ten years, and I have maintained a
17 constant electricity use of 500-kilowatt hours a month.
18 And then the population increases in my area and there
19 is more development, and my utility needs to build a
20 new power plant to meet the needs of the additional
21 population.

22 Since that power plant construction will
23 raise the revenue requirement of my utility, which
24 will be spread out over the whole rate base, haven't
25 I just cross-subsidized the needs of the new

1 residents?

2 **A.** I guess I would say if you had new load
3 come onboard, you would also have new kilowatt --
4 more kilowatt hours to spread those costs over.

5 **Q.** And when was the last time rates stayed
6 static when a new power plant was constructed?

7 **MR. BURNETT:** Objection, vague. I don't
8 know what -- if he is talking about in general, Mr.
9 Chairman, or to my utility, or a specific time
10 frame, but --

11 **CHAIRMAN CARTER:** Rephrase. Rephrase.

12 **BY MR. CAVROS:**

13 **Q.** Mr. Masiello, you said it, and tell me if
14 this is a correct interpretation of what you told me.
15 But there will be more kilowatt hours used by the new
16 population, as well, so you can't necessarily conclude
17 that there would be a rate impact. Was that your
18 answer?

19 **A.** Yes.

20 **Q.** And let me rephrase my next question. In
21 your history as Progress Energy Florida's DSM manager,
22 has Progress Energy ever built a plant, constructed a
23 plant where there has been no impact on Progress Energy
24 customers rates?

25 **A.** I don't know that.

1 Q. You don't know because why?

2 MR. BURNETT: Objection, foundation.

3 CHAIRMAN CARTER: Let's move on.

4 THE WITNESS: I mean, I know that if we
5 buy an avoided -- if we buy an avoided PPA contract,
6 for example, that comes in at the avoided cost there
7 is no change.

8 BY MR. CAVROS:

9 Q. Okay. Then let me just maybe ask you one
10 last and follow-up question in this area. Can supply
11 sources cause cross-subsidization?

12 A. They could.

13 Q. Thank you. The benefit/cost test, the RIM,
14 the TRC, and the Participant test include the benefits
15 and cost of -- the benefits and cost of a measure,
16 correct? And, Mr. Masiello, one of the factors in the
17 benefit side of the calculation for RIM and TRC is the
18 avoided cost of new generation, is that right?

19 A. That is one of them.

20 Q. Okay. And one of the components of avoided
21 cost is capital costs, is that correct?

22 A. That is correct.

23 Q. And all factors being static on the cost side
24 of the equation and all factors on the benefit side
25 being static except capital costs, the benefit/cost

1 ratio for RIM and TRC would be higher if -- I
2 apologize, let me change that question. Strike that
3 question.

4 All factors being static on the cost side
5 of the equation, and on the benefit side of the
6 equation all avoided cost factors were static except
7 that the capital construction costs for the avoided
8 unit went up, what would that do to the benefit/cost
9 ratio?

10 **MR. GUYTON:** I am going to object in that
11 the question assumes facts not in evidence; that is,
12 it is a hypothetical, but it hasn't been shown to
13 have a practical basis in fact.

14 **CHAIRMAN CARTER:** Well, let's do this.
15 Ask him for his opinion, can he give you his
16 opinion. Let's try it that way.

17 **BY MR. CAVROS:**

18 **Q.** In your opinion as an energy efficiency
19 practitioner, all things being static on the cost side,
20 all things being static on the benefit side except the
21 avoided cost -- the value of the avoided cost goes up,
22 what does that do to the benefit/cost ratio, does it
23 increase it or decrease it?

24 **A.** It should increase it.

25 **Q.** Thank you. And the higher the benefit/cost

1 ratio is the more chance that a measure has of passing
2 that benefit/cost test, is that correct?

3 A. That is correct.

4 Q. Okay. And your avoided unit for purposes of
5 the benefit/cost ratio for the 2010 to 2019 time frame
6 in this proceeding is two natural gas combustion
7 turbines and one natural gas combined cycle, is that
8 correct?

9 A. That is correct.

10 Q. And the Levy nuclear units are to be
11 constructed and operational within the 2019 time frame
12 of these proceedings, is that correct?

13 A. Say that again, how many?

14 **CHAIRMAN CARTER:** You said the eleven
15 nuclear units.

16 **BY MR. CAVROS:**

17 Q. I'm sorry. The Levy.

18 A. You scared me for a minute.

19 Q. Yes, I apologize. I'm sure two are a
20 handful. The Levy nuclear units are to be constructed
21 and operational within this 2019 time frame, is that
22 correct?

23 A. That is right.

24 Q. Okay. And do you know what the capital costs
25 of those units is?

1 **A.** I'm sorry, I don't know.

2 **Q.** How do the capital costs of a nuclear unit
3 compare to the capital costs of a combined cycle
4 natural gas unit megawatt-for-megawatt of capacity?

5 **MR. BURNETT:** Objection, lack of
6 foundation.

7 **CHAIRMAN CARTER:** Okay. Either lay a
8 foundation or rephrase the question.

9 **MR. CAVROS:** Sure.

10 **BY MR. CAVROS:**

11 **Q.** Do you know the capital costs of a -- strike
12 that.

13 Mr. Masiello, were the Levy nuclear plants
14 considered as the avoided cost in this proceeding?

15 **A.** No.

16 **Q.** Why is that?

17 **A.** The Levy plant was not an avoidable unit.

18 **Q.** And is the definition of an avoidable unit a
19 unit that garners a certificate of need in between
20 FEECA hearing dates?

21 **A.** It is a unit that has a needs case
22 approval.

23 **Q.** As an energy efficiency practitioner, do you
24 believe in placing supply-side and demand-side
25 resources on a level playing field?

1 **A.** To the extent that they are avoidable,
2 yes.

3 **Q.** Did Progress Energy Florida develop the
4 avoided cost for these proceedings in-house or did
5 Itron?

6 **A.** The avoided cost --

7 **Q.** That is correct.

8 **A.** -- was done in-house.

9 **Q.** Okay. And, Mr. Masiello, Progress Energy
10 Florida doesn't earn a rate of return on non-load
11 management DSM assets, right?

12 **A.** Well, I guess a non-load management DSM
13 asset, you would -- if it is a capital expense, you
14 would earn a rate of return.

15 **Q.** Do you earn a rate of return on supply-side
16 assets?

17 **A.** I'm sorry?

18 **Q.** Do you earn a rate of return on supply-side
19 assets?

20 **A.** Yes.

21 **MR. CAVROS:** Okay, thank you. I have no
22 further questions.

23 **CHAIRMAN CARTER:** Commissioners, before we
24 proceed further, I guess in all fairness I need to
25 give you my thinking about the scheduling is that we

1 are at 5:00 now, we will probably go for another
2 half an hour or so. But I just wanted to give
3 everybody a heads-up. Eat your Wheaties tomorrow.
4 We are going to go for an extended period of time.
5 We are going to ask -- we are going to have the air
6 conditioning to remain on, so we want to at least
7 make it bearable for you here, and ask if we can
8 have the process. So, please, ma'am, please, sir,
9 tomorrow we will probably go until about 7:00. So
10 be prepared, all right? And today we will
11 probably -- I am thinking that we will probably find
12 a good breaking point around 5:30 or so for today.

13 Ms. Brownless, you may proceed.

14 **MS. BROWNLESS:** Commissioner, I have
15 several exhibits, so if you could give me three
16 minutes I will pass them all out at the same time
17 and perhaps that will speed this whole process up.

18 **CHAIRMAN CARTER:** Okeydokey.

19 Oh, by the way, the locks on the doors
20 here, they are controlled electronically, and at
21 5:00 o'clock it is an automatic shutdown. So if you
22 leave and want to come back in while we are
23 proceeding, maybe you want to take someone to the
24 door with you to let you back in, because they are
25 automatic locks. We don't control the locks, DMS

1 does.

2 (Off the record.)

3 **CHAIRMAN CARTER:** We are back on the
4 record.

5 Ms. Brownless, you're recognized.

6 **MS. BROWNLESS:** Thank you.

7 CROSS EXAMINATION

8 **BY MS. BROWNLESS:**

9 Q. Good afternoon, Mr. Masiello.

10 A. Good afternoon.

11 Q. We have handed out a bunch of exhibits, so if
12 you could just look at the responses to the Florida
13 Solar Coalition Interrogatories Numbers 1 through 7,
14 and 8 through 12, supplemental response to
15 Interrogatory Number 8 through 12, and POD Number 4.

16 Have you had a chance to do that?

17 A. I am on 4.

18 Q. Okay, I'm sorry. When you get done --

19 A. Do you want we to look at all of these?

20 Q. I just want you to verify that these are true
21 and correct copies of what was provided by Progress
22 Energy to the Florida Solar Coalition.

23 **CHAIRMAN CARTER:** Ms. Brownless, just take
24 your time and just do them one at a time. Just do
25 them one at a time. It will be easier for all

1 parties involved, okay? I don't want to rush you.
2 Just take your time. Okay?

3 **MS. BROWNLESS:** Sure.

4 **CHAIRMAN CARTER:** All right, then.

5 **BY MS. BROWNLESS:**

6 **Q.** Can you look at the responses to the Florida
7 Solar Coalition's First Set of Interrogatories Numbers
8 1 through 7? It looks like this.

9 **A.** Okay, I have it.

10 **Q.** And you provided the answers to these
11 responses, correct?

12 **A.** That is correct.

13 **Q.** Okay. And are these responses true and
14 correct copies of what was provided to the Florida
15 Solar Coalition?

16 **A.** They look so.

17 **Q.** Okay. Then there are responses to the
18 Florida Solar Coalition Interrogatories 8 through 12.
19 Do you have those?

20 **A.** I have that.

21 **Q.** Okay. And I believe you also provided these
22 responses, is that correct?

23 **A.** That's correct.

24 **Q.** And do these look accurate to the best of
25 your knowledge and belief?

1 **A.** I'm sorry?

2 **Q.** Are these accurate to the best of your
3 knowledge and belief?

4 **A.** Yes.

5 **Q.** Okay. Now, there was a supplement provided
6 to our Interrogatories Numbers 8 through 12. Do you
7 have that?

8 **A.** Yes.

9 **Q.** Okay. And is that accurate to the best of
10 your knowledge and belief?

11 **A.** Yes.

12 **Q.** Okay. And, finally, there is a Request for
13 Production of Documents Number 4. And is that accurate
14 to the best of your knowledge and belief?

15 **A.** Yes.

16 **Q.** If you were asked the same questions that are
17 in all of this discovery today, would your answers be
18 the same?

19 **A.** Yes.

20 **MS. BROWNLESS:** We would like this marked
21 as Composite Exhibit Number 152.

22 **CHAIRMAN CARTER:** Commissioners, for the
23 record, this will be Composite Exhibit Number 152.

24 And, Ms. Brownless, you have been hitting
25 on all cylinders today, so give us a good short

1 title.

2 **MS. BROWNLESS:** Interrogatory responses.

3 **CHAIRMAN CARTER:** Excellent.

4 (Composite Exhibit Number 152 marked for
5 identification.)

6 **CHAIRMAN CARTER:** You may proceed.

7 **MS. BROWNLESS:** Thank you.

8 **BY MS. BROWNLESS:**

9 **Q.** Now, you have current programs utilizing
10 solar technology, is that correct?

11 **A.** That is correct.

12 **Q.** Okay. And these are solar water heating with
13 EnergyWise program?

14 **A.** That's right.

15 **Q.** And that combines solar hot water and direct
16 load control, right?

17 **A.** That's right.

18 **Q.** And that is a residential program, correct?

19 **A.** That's right.

20 **Q.** Okay. And then you have a solar wise for
21 school program?

22 **A.** That's right.

23 **Q.** And that is a combination of solar and direct
24 load control, also?

25 **A.** That is correct.

1 **Q.** I ask in Interrogatory Number 9 in the second
2 set of interrogatories what the results of the RIM and
3 TRC participant tests were, is that correct?

4 **A.** Yes.

5 **Q.** And both of these tests passed the RIM and
6 the TRC -- both of those programs passed those tests?

7 **A.** That is correct.

8 **Q.** With the data that is represented on
9 Interrogatory 9-A, correct?

10 **A.** Yes.

11 **Q.** I want to back up for a minute and refer to
12 my wonderful chart out of the demand-side management
13 manual, and ask a few questions about how Progress
14 Energy calculated its RIM, E-RIM, and E-TRC tests. And
15 if you look at that chart that is included in the
16 Commission's demand-side management manual, does it
17 pretty much reflect the cost/benefit ratios and
18 categories used by Progress Energy?

19 **A.** Yes.

20 **Q.** Okay. Is there any either cost or benefit
21 that was included by Progress Energy in its test that
22 is not reflected on this chart?

23 **A.** I don't see the carbon costs.

24 **Q.** Okay. And in this chart, how did -- or in
25 your analysis, how did you account for carbon costs?

1 **A.** Carbon cost using our file model was used
2 as an other benefit that is in the model.

3 **Q.** And it occurs to me that carbon costs can be
4 accounted for in quite a few different methods. Were
5 you here for the testimony of Dr. Sim?

6 **A.** I was.

7 **Q.** Okay. And you heard his explanation of how
8 Florida Power and Light accounted for the carbon costs,
9 is that correct?

10 **A.** Yes.

11 **Q.** Did Progress Energy use a similar method or a
12 different method?

13 **A.** I would say it was similar.

14 **Q.** Okay. And did you use the same carbon cost
15 figures as Dr. Sim and FPL?

16 **A.** I don't know what they used.

17 **Q.** Okay. So you don't know whether yours were
18 higher, or lower, or --

19 **A.** (Indicating no.)

20 **Q.** All right. Did you include SOx and NOx in
21 your analysis?

22 **A.** Yes.

23 **Q.** Okay. And did you do that in a similar way
24 to the way that Dr. Sim did it for Florida Power and
25 Light?

1 **A.** I don't know that to be true.

2 **Q.** Okay. How did you do it?

3 **A.** We included it in the carbon costs.

4 **Q.** Okay. So your environmental costs included
5 SOx, NOx, CO2?

6 **A.** Right.

7 **MR. BURNETT:** Mr. Chairman, I just wanted
8 to give Mr. Masiello a reminder to give verbal
9 responses for the court reporter. And if he could
10 just speak up a little bit. I'm having some trouble
11 hearing him. I'm sorry.

12 **THE WITNESS:** Okay.

13 **BY MS. BROWNLESS:**

14 **Q.** Now, when I look at the little chart that I
15 handed out, I am going to look at the Participant Test
16 part of it, Mr. Masiello.

17 **A.** Okay.

18 **Q.** And the equipment costs and O&M costs for the
19 equipment that the customer would purchase that is in
20 the denominator in this equation, did it include tax
21 credits and incentives paid by the state? In other
22 words, were those tax credits and incentives subtracted
23 in order to get the equipment costs to the owner?

24 **A.** Federal tax credits were, in fact,
25 included. State refunds were not.

1 Q. Okay. And when you said included, they were
2 used to reduce the cost?

3 A. Yes.

4 Q. Okay. Now, when I look in the numerator
5 where it says incentives, okay, where did that
6 incentive number come from for purposes of your
7 calculations?

8 A. The incentive for these calculations for
9 the participant test --

10 Q. Yes, sir.

11 A. -- would have come from the results of the
12 RIM test as to an appropriate amount that would be
13 available for a participant test on a solar system.

14 Q. Okay. So let me make sure I understand that.
15 If a measure had a RIM score of less than 1 --

16 A. Right.

17 Q. -- would that indicate that there would be no
18 amount of incentive available?

19 A. Right.

20 Q. Is that right?

21 A. Yes, that would be right.

22 Q. Okay.

23 A. Essentially what went on, what happened
24 here is you would describe an incentive for this. I
25 think in the example that you had provided a

1 two-dollar-a-watt buy down, or something. On the
2 average system, this was a 2.5 kW system, so a
3 two-dollar-a-watt buy down would be \$5,000.

4 Q. Okay.

5 A. Now, we did not take \$5,000. There was an
6 amount of 3,000-some-odd dollars, I forget the
7 actual amount. When you then do a RIM test with
8 that incentive, the unit failed the RIM test.

9 Q. Okay. Because the incentive that is used in
10 the numerator of the participant test is the same
11 number as used in the denominator of the RIM test?

12 A. Uh-huh.

13 Q. Okay. Those match up. And looking at the
14 total resource test, is the participant cost in the
15 denominator of the total resource test the same as the
16 equipment cost under the participant test on this
17 chart?

18 A. The total resource cost would have the
19 full incremental cost, so in this case that would be
20 the full cost of the measure, and the bill cost for
21 the participant would be minus the incentive.

22 Q. Okay. So for the total resource test was the
23 incentive -- the incentives that you told me about --
24 okay, let me back up here.

25 So in the total resource test, you would

1 take the participant cost plus -- minus the utility
2 incentive?

3 **A.** On the TRC?

4 **Q.** Yes.

5 **A.** There is no incentive in TRC.

6 **Q.** That is what I was thinking. So I guess
7 would the participant costs under TRC take into account
8 the tax credit?

9 **A.** On the TRC would it take into account the
10 tax credit. The tax credit goes to the participant
11 test, any other incentives would go to reduce the
12 cost of the participant test only.

13 **Q.** Okay. So the participant cost here under the
14 total resource test is not the same as used for
15 equipment costs and O&M costs under the participant
16 test, that is a different number?

17 **A.** Well, it comes from the rate impact test.
18 The incentive that you are referring to?

19 **Q.** No.

20 **A.** I'm sorry.

21 **Q.** I am confusing you, I think.

22 **A.** Okay.

23 **Q.** I'm trying to figure out if the number that
24 is equipment cost and O&M cost under the participant
25 test, which you have told me is the out-of-pocket cost

1 minus the tax rebate, right?

2 **A.** Well, it depends on where you are putting
3 it.

4 **Q.** Well, I am looking at my chart.

5 **A.** Okay. But you are seeing that the
6 incentive is in the denominator -- is in the
7 numerator.

8 **Q.** No, I'm not talking about the incentive at
9 all.

10 **A.** Not the incentive.

11 **Q.** No, I am just talking about the equipment
12 costs and O&M costs.

13 **A.** Equipment costs and O&M costs. That would
14 be right.

15 **Q.** Okay. So is that the same as participant
16 cost in the denominator of the total resource test?
17 Are those numbers the same?

18 **A.** You have to repeat that one more time for
19 me.

20 **Q.** Okay. The equipment costs and O&M cost which
21 is shown in the denominator of the participant test?

22 **A.** Right.

23 **Q.** Is that the same number as the participant
24 cost shown in the denominator of the total resource
25 test? Are those the same?

1 **A.** It should be, yes.

2 **Q.** Okay. So if the tax credits are taken into
3 account in the participant test in developing the
4 equipment costs and O&M costs, the tax credits are
5 taken into account in this participant cost, as well?

6 **A.** Right.

7 **Q.** Okay. Now, did you also from this
8 participant cost exclude any state incentives just as
9 you did for the participant?

10 **A.** Under the participant test, again, we
11 exclude state incentives because, unfortunately,
12 they have not -- they haven't been available some
13 part of this year. And it is not certain if they
14 will be there next year unless there are some funds
15 available, but the federal credits are available
16 through 2016.

17 **Q.** And so that is why the federal credits are
18 included to reduce the customer's out-of-pocket cost in
19 both the total resource test and the participant test?

20 **A.** Uh-huh.

21 **Q.** Okay. Now I am looking at Mr. Sim's chart,
22 which I know you don't have the benefit of, and I
23 apologize for that. In his denominator for the total
24 resource test he has included utility equipment and
25 administration costs. Did you guys do that, as well?

1 **A.** Yes.

2 **Q.** Okay. He has included for the total resource
3 test -- well, strike that.

4 Do you see the box that says increased
5 supply cost in the total resource test on the chart
6 that I gave you?

7 **A.** Yes.

8 **Q.** What is that? Is that something you guys
9 included?

10 **A.** I guess that would be what Mr. Sim was
11 saying in the event that the avoided unit has a
12 higher efficiency or heat rate there might be some
13 increase cost as a result of that change.

14 **Q.** Okay.

15 **A.** Because you are deferring the more
16 efficient unit.

17 **Q.** All right. And do you include that in your
18 analysis?

19 **A.** If it is -- if it is --

20 **Q.** If that is the case?

21 **A.** Yes. If it is in the stacking order, that
22 would be the case.

23 **Q.** Okay. And that is going to be exactly the
24 same amount -- whatever you determine for the total
25 resource for that increased supply cost is also going

1 to show up in your RIM test, right?

2 **A.** Yes.

3 **Q.** Okay. And, likewise, the administrative
4 costs are going to show up in the total resource test
5 and the rate impact test?

6 **A.** Yes.

7 **Q.** Okay. And if I asked this before, because it
8 is getting late, please forgive me. The incentive that
9 is shown in the denominator of the rate impact test is
10 purely money associated with the utility. It is
11 whatever the utility rebate or incentive is, correct?

12 **A.** In the participant test?

13 **Q.** In the rate impact test, because that's the
14 only place --

15 **A.** If that is the incentive that we would be
16 providing the customer.

17 **Q.** Okay. And does that incentive in the
18 denominator of the rate impact test match the incentive
19 in the numerator of the participant test, is that the
20 say number?

21 **A.** It should.

22 **Q.** Okay. And when you are calculating revenue
23 loss, do you calculate the revenue loss associated with
24 the measure over the life of the measure?

25 **A.** Yes.

1 Q. Now, in the stack of stuff that I passed out
2 there is an exhibit that looks like this.

3 A. I think I have seen that one.

4 Q. And could you take a minute to look through
5 this, Mr. Masiello?

6 A. Certainly.

7 Q. Now, Mr. Masiello, does this look like
8 printouts from Progress Energy's website?

9 A. Yes.

10 Q. Okay. And I believe you told us that --
11 well, you may not have told us. If you turn to
12 Exhibit 12 of your testimony, Mr. Masiello, that
13 discusses renewable energy programs and your renewable
14 energy initiative on Page 1, doesn't it?

15 A. Is this what you handed out?

16 Q. No, sir. This is looking at your
17 testimony --

18 A. Back to my testimony.

19 Q. -- Exhibit Number 12 to your testimony.

20 A. I have that.

21 Q. And that is discussing your renewable energy
22 initiatives, correct?

23 A. That is correct.

24 Q. Okay. And the renewable energy initiatives
25 that you discuss are SunSense for homes, which is a

1 residential PV program?

2 A. That's correct.

3 Q. And SunSense for business, which is a
4 commercial PV program?

5 A. That is correct.

6 Q. Okay. And those programs are also discussed
7 on the website, is that right?

8 A. That is correct.

9 Q. Okay. And if I look on the third page of the
10 handout --

11 A. Did you say the third page?

12 Q. Yes.

13 A. It is not numbered, is it?

14 Q. Unfortunately not, no, sir.

15 A. Okay.

16 Q. I'm sorry. Let's see, the fourth page,
17 excuse me. Okay.

18 A. Can you show me --

19 Q. Yes, it looks like this. Okay. And it is
20 labeled at the top about the Progress Energy Carolina
21 SunSense programs, right?

22 A. Sure.

23 Q. Okay. Is the SunSense for homes program as
24 discussed here -- your SunSense for home program a
25 corollary to the residential PV program that is

1 described in the little box at the bottom?

2 **MR. BURNETT:** Mr. Chairman, if I could, I
3 want to object to questioning on this line. As Mr.
4 Brownless said, this is about Progress Energy
5 Carolina's SunSense program. If she certainly wants
6 to ask questions about ours here in Florida, I think
7 that is fair, but we are a little far away from
8 North and South Carolina.

9 **CHAIRMAN CARTER:** I think he is right,
10 Ms. Brownless.

11 **MS. BROWNLESS:** Well, sir, if I may
12 respond.

13 **CHAIRMAN CARTER:** Of course.

14 **MS. BROWNLESS:** Thank you. The programs
15 are very similar and use exactly the same
16 terminology. They have slightly different rebates,
17 and to the extent that they are structured the same,
18 it is the structure that we are looking to discuss,
19 sir.

20 **CHAIRMAN CARTER:** But what does that have
21 to do with where we are today? That is what I was
22 listening for you to say.

23 **MS. BROWNLESS:** Well, what it has to do
24 with where we are today is if there is a difference
25 in the structure, why is there a difference? This

1 is going to be quite quick, believe me.

2 **CHAIRMAN CARTER:** Ms. Helton.

3 **MS. HELTON:** I am still struggling with
4 how what happens in the Carolinas is relevant to
5 what happens in Florida.

6 **MS. BROWNLESS:** Well, because I think if
7 you look at Exhibit Number 12, and that is the
8 programs that Mr. Masiello has determined are
9 proposed programs involving solar, they are
10 identical to the programs here.

11 **MR. BURNETT:** Mr. Chair, I'm sorry, but
12 now Ms. Brownless is testifying.

13 **CHAIRMAN CARTER:** Yes. Objection
14 sustained. Move on.

15 **BY MS. BROWNLESS:**

16 **Q.** With regard to the SunSense for homes program
17 and the SunSense for business programs, when I asked
18 you in my Interrogatories Number 9 to provide me the
19 results of the RIM test and TRC test for those
20 programs, you didn't provide me any results, did you?

21 **A.** That is correct.

22 **Q.** Okay. And have you conducted those analysis
23 for those programs?

24 **A.** No. As you can see, in my filing I
25 provided them as initiatives, and what we are

1 proposing are the possibility of these initiatives
2 as we go into the filing phase of this goals docket.

3 Q. Okay. In structuring these programs, do you
4 intend to make them cost-effective under the RIM?

5 A. I think that is something we will see as
6 we get to the filing phase as to whether or not we
7 will be able to do that.

8 Q. Okay. So let me make sure I understand.

9 A. Sure.

10 Q. You have indicated that it is your intention
11 to include these programs because you are discussing
12 them in Exhibit 12 of your testimony, right?

13 A. I'm saying these are initiatives that we
14 would pursue to find a way to include these in our
15 programs.

16 Q. Okay. And to quickly talk about what the
17 initiatives would be for these programs. For the
18 residential PV program, it would be a rebate of 150 per
19 watt, correct?

20 A. \$1.50, yes.

21 Q. Okay. And when does the customer get that
22 rebate, get that money? Is it paid in one lump sum at
23 the beginning?

24 A. Yes.

25 Q. Okay. And you have capped that or anticipate

1 you will cap that at 1,000 kilowatts, right?

2 A. That's right.

3 Q. So that is one megawatt, right?

4 A. That's right.

5 Q. Okay. With regard to the SunSense commercial
6 PV program, you indicate on Page 3 that there will be
7 ongoing energy payments associated with it under a
8 20-year sell-all contract, right?

9 A. That's right. Again, these are concepts,
10 but, yes.

11 Q. Okay. And will that be paid up front, or
12 paid on an ongoing basis, or how will that work?

13 A. That's an ongoing basis.

14 Q. Okay. So would there be any up front
15 incentive paid for the PV?

16 A. No.

17 Q. Okay. And are you considering using 18 cents
18 a kilowatt hour as a ballpark for that figure?

19 A. Again, conceptually that has been the
20 market rate that we have seen of late.

21 Q. Okay. You currently have a residential solar
22 water heating program that is combined with direct load
23 control, right?

24 A. That's right.

25 Q. And what is the incentive you pay for that?

1 **A.** \$450.

2 **Q.** If I remember your testimony from your
3 deposition, you are intending to increase that in your
4 program implementation stage?

5 **A.** That is correct.

6 **Q.** And you are going to increase to \$500, is
7 that right?

8 **A.** That's right.

9 **Q.** Okay. Would you -- are the incentives that
10 you give dependent upon whether funds are actually
11 available from the state?

12 **A.** No, they are independent of the state.

13 **Q.** Okay. Do you have a cap on your solar water
14 heating program with EnergyWise at this time, limit the
15 number of people who can participate?

16 **A.** No. I mean, it is subject to customers
17 that are motivated to go on the load management
18 system.

19 **Q.** You would have a cap, however, as we
20 discussed, for your PV business proposed program?

21 **A.** Right.

22 **Q.** As well as a cap for the residential PV
23 program?

24 **A.** Right.

25 **Q.** A charge of -- would you consider increasing

1 when you are to the program implementation stage your
2 rebate to the residential PV folks to \$2 per watt
3 similar to what is being offered in Carolina?

4 **A.** I think that is possible.

5 **Q.** And would you also consider increasing your
6 rebate for residential solar water heating to \$1,000
7 from the 500?

8 **A.** That would not -- using the methodology
9 that we currently use on the RIM, there would not --
10 it would not afford \$1,000.

11 **Q.** It wouldn't pass the RIM?

12 **A.** It wouldn't pass.

13 **Q.** Even with your -- even combined with --

14 **A.** With it combined is why we can give what
15 we do.

16 **Q.** Thank you. Now, at your deposition I asked
17 for a late-filed exhibit, Late-filed Exhibit 4, and I
18 think I have passed that out. And is it true that if
19 the recommendations of GDS are accepted in this docket
20 that Progress Energy would spend on solar programs --
21 and I can share with you if you would like -- they
22 would spend approximately \$6,464,592, according to
23 Mr. Spellman.

24 **A.** Mr. Spellman's five year average of 10
25 percent?

1 Q. Yes.

2 A. Okay.

3 Q. And that that would be spent each year for
4 five years, is that correct?

5 A. That is what he suggested.

6 Q. That is his suggestion, okay. In Late-filed
7 Deposition Exhibit Number 4, I asked you to prepare for
8 me an exhibit which would provide the funds that
9 Progress anticipates it will spend contingent on the
10 SunSense for homes and SunSense for business programs
11 being approved as you have outlined them in Exhibit 12.

12 A. Right.

13 Q. Okay. And with regard to this exhibit, which
14 I guess we should identify as 154.

15 **CHAIRMAN CARTER:** That will be
16 Exhibit 153. 152 was a composite.

17 **MS. BROWNLESS:** Chairman, 153 was the --
18 identified the web site publication.

19 **CHAIRMAN CARTER:** It was?

20 **MS. BROWNLESS:** For identification
21 purposes, yes.

22 **MS. FLEMING:** I don't believe it was.

23 **CHAIRMAN CARTER:** No, it was not. That's
24 why I said we needed to take them one at a time.
25 I've got these others as a composite for 152. There

1 was no reference to it, but we can make this, if you
2 prefer --

3 **MS. BROWNLESS:** Well, if we can make the
4 website printouts 153, please.

5 **CHAIRMAN CARTER:** The website printouts
6 will be 153.

7 **MS. BROWNLESS:** Yes, sir.

8 **CHAIRMAN CARTER:** 153.

9 **MS. BROWNLESS:** And we will just call them
10 Progress website.

11 **CHAIRMAN CARTER:** Okay.

12 (Exhibit Number 153 marked for
13 identification.)

14 **MS. FLEMING:** Mr. Chairman.

15 **CHAIRMAN CARTER:** Yes.

16 **MS. FLEMING:** If I may, with respect to
17 this Late-filed Exhibit Number 4, it is already
18 contained in Staff Exhibit Number 4 under Tab 6.

19 **CHAIRMAN CARTER:** Okay. So for the
20 record, let's let that -- so we don't have to do
21 that again. That will be fine.

22 You may proceed. Any idea about how much
23 more you have to go, Ms. Brownless?

24 **MS. BROWNLESS:** Two more questions.

25 **CHAIRMAN CARTER:** Two more questions.

1 Okay, thank you.

2 **BY MS. BROWNLESS:**

3 Q. What does the asterisk mean on this
4 late-filed exhibit?

5 A. Show me which one you are looking at.

6 Q. It's Late-filed Exhibit Number 4. There is
7 an asterisk. See down at the bottom?

8 A. Oh. It states that the project -- the
9 program is projected with a two-year implementation
10 and a five-year cost structure. So we designed the
11 program to go out for two years. So at the top you
12 see two years of a residential program. At the
13 bottom you see two years of a commercial program,
14 which, as you know, we have talked about that going
15 out over 20 years. And then we just show the
16 five-year cost structure for that.

17 Q. Okay. So this is a five-year cost structure
18 for both the residential and the commercial program?

19 A. Yes.

20 Q. So when you say residential solar PV, that is
21 the SunSense for homes program?

22 A. That is correct.

23 Q. Okay. And the commercial solar PV, that is
24 the SunSense for business program?

25 A. Yes.

1 Q. Okay. And the bottom numbers are the totals,
2 is that right?

3 A. That is correct.

4 Q. Okay. And so if I am reading this correctly,
5 assuming that we use Mr. Spellman's numbers, and these
6 are just rough calculations, the totals for 2010 would
7 be roughly 35 percent of Mr. Spellman's amount, in 2011
8 it would be about 54 percent of Mr. Spellman's amount,
9 in 2012 through 2014 it would be 40 percent, right?

10 A. Uh-huh.

11 Q. Okay. Now, looking quickly back at
12 Interrogatory Number 9-A.

13 A. I'm sorry?

14 Q. 9-A. When you were calculating these values
15 that are here, did you use Itron cost figures for
16 measure costs and kWh savings?

17 **CHAIRMAN CARTER:** Before you answer,
18 Ms. Brownless, your two questions turned into four,
19 and I did not give staff nor the people an
20 opportunity to make arrangements for child care, and
21 I don't really want to -- I mean, I thought we could
22 get to 5:30, and it would be a reasonable time, but
23 because we didn't give people notice this morning to
24 make those kind of arrangements, and I don't want to
25 be accused of creating latchkey kids.

1 **MS. BROWNLESS:** Yes, sir.

2 **CHAIRMAN CARTER:** So let's do this. You
3 seem like you are getting your second wind, so let's
4 just pick it up tomorrow at 9:30.

5 **MS. BROWNLESS:** Thank you, sir.

6 (Hearing adjourned at 5:40 p.m.)

7 (The transcript continues in sequence with
8 Volume 3.)

9 * * * * *

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)
 :
 : CERTIFICATE OF REPORTER
COUNTY OF LEON)

I, JANE FAUROT, RPR, Chief, Hearing Reporter Services Section, FPSC Division of Commission Clerk, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 13th day of August, 2009.



JANE FAUROT, RPR
Official FPSC Hearings Reporter
(850) 413-6732