


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

PETITION FOR INCREASE IN RATES DOCKET NO. 080677-EI
BY FLORIDA POWER & LIGHT COMPANY.

2009 DEPRECIATION AND DISMANTLEMENT DOCKET NO. 090130-EI
STUDY BY FLORIDA POWER & LIGHT
COMPANY.



VOLUME 6
Pages 581 through 716

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

COMMISSIONERS
PARTICIPATING: CHAIRMAN MATTHEW M. CARTER
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER KATRINA J. McMURRIAN
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

DATE: Wednesday, August 26, 2009

TIME: Commenced at 9:36 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR, CRR
Official FPSC Reporter
(850) 413-6734

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER - DATE
08973 AUG 31 09
FPSC - COMMISSION CLERK

I N D E X

WITNESSES

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NAME:

PAGE NO.

ARMANDO J. OLIVERA

Cross Examination (Continued) by Mr. Wright
Cross Examination by Mr. Armstrong

585
679

CERTIFICATE OF REPORTER

716

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS

NUMBER:		ID.	ADMTD.
394	J.D. Power Study - 2009	587	
395	EIA Retail Price Data - 2009	600	
396	FPL TYSP Excerpt - Energy and Customers	605	
397	EIA Natural Gas Prices, 2002-2009	658	
398	FPL's Supplemental Responses to South Daytona Interrogatories	690	

P R O C E E D I N G S

1
2 (Transcript continues in sequence from Volume
3 5.)

4 **CHAIRMAN CARTER:** Good morning to one and all.
5 I'd like to call the hearing to order. Staff has a
6 preliminary matter.

7 Staff, you're recognized.

8 **MS. BENNETT:** Yes, Mr. Chairman,
9 Commissioners. I would like to make an appearance also
10 on this docket for Keino Young and Kathryn Cowdery, both
11 of staff.

12 **CHAIRMAN CARTER:** Okay.

13 Commissioner Skop, you're recognized.

14 **COMMISSIONER SKOP:** Thank you, Mr. Chairman.
15 Just to our technical staff. I guess the Commission in
16 terms of making our proceedings open goes to great
17 lengths to put our Agenda Conferences on video archives
18 on our website, and I would just merely ask our, our
19 staff to try and look to see if there was a way to do
20 the same for this proceeding. Again, we have not had a
21 major rate case in 23 years apparently, and it would be
22 nice for those that could not watch live, if those were,
23 those archives or streaming video was available to be
24 viewed by people that may want to do so.

25 **CHAIRMAN CARTER:** Okay. All right. We'll get

1 with our staff on that and follow up.

2 Before we go further, are there any other
3 preliminary matters from any of the parties?

4 Mr. Wright, we'll be getting with you in a
5 minute.

6 Any other preliminary matters from any of the
7 parties?

8 Okay. Mr. Wright -- wait a minute. I guess
9 you can't start yet, can you?

10 Where's our witness?

11 **THE WITNESS:** I'm right here.

12 **CHAIRMAN CARTER:** Oh. We're going to take
13 like -- Chris. Just everybody kind of hold in place.
14 We've got one camera that doesn't want to get your good
15 side. It should take Chris about five minutes to reset
16 it. I want to get everybody's good side.

17 (Pause.)

18 We are back on the record. And we've got our
19 technology up and running. And the last time we left,
20 we were, Mr. Wright was on cross-examination.

21 Good morning, Mr. Wright. You may proceed.

22 **MR. WRIGHT:** Good morning, Mr. Chairman.

23 Thank you.

24 **CONTINUED CROSS EXAMINATION**

25 **BY MR. WRIGHT:**

1 Q. Good morning, Mr. Olivera.

2 A. Good morning, Mr. Wright.

3 Q. I just have a couple of follow-on questions
4 regarding storm costs and paying for storm costs.

5 I appreciate your clarifying for me yesterday
6 that you, that FPL already has the money from the
7 securitization. Isn't it true that customers have since
8 19, since 2007 or whenever it was that the storm, the
9 current storm restoration charge was implemented, been
10 paying toward establishing or been repaying the bonds
11 that funded that \$200 million storm reserve?

12 A. That is correct. The \$200 million and
13 whatever the incremental storm costs were from the '04
14 and '05 hurricane season.

15 Q. Thank you. I'm going to move on to a
16 different line. In a couple of places in your, your
17 testimony you testify about FPL providing world-class
18 utility service and high quality customer service. Is
19 that true?

20 A. Is there a specific page and line number that
21 you're referring to?

22 Q. Well, I thought you'd be familiar with that,
23 but Page 12, you refer to world-class utility service at
24 Line 21. And at Page 49, Line 16, you are referring
25 there to Witness Santos' testimony, but you say that she

1 describes the high quality customer service provided by
2 FPL.

3 A. Page 29, what line?

4 Q. I'm sorry. Page 49.

5 A. Sorry.

6 Q. Line 16. And it actually laps on to Line 17.

7 A. I have it.

8 Q. Thank you.

9 MR. WRIGHT: Mr. Chairman, I'm, I've asked
10 Mr. Moyle if he would, and he has kindly agreed to, pass
11 out an exhibit that --

12 CHAIRMAN CARTER: Okay. Number 394.

13 MR. WRIGHT: Thank you, sir. 394?

14 CHAIRMAN CARTER: Title?

15 MR. WRIGHT: J.D. Power Residential Customer
16 Satisfaction Study.

17 CHAIRMAN CARTER: How about J.D. Power Study?

18 MR. WRIGHT: 2009.

19 CHAIRMAN CARTER: 2009. Great.

20 MR. WRIGHT: Deal. Thank you.

21 (Exhibit 394 marked for identification.)

22 BY MR. WRIGHT:

23 Q. Mr. Olivera, you are familiar with J.D. Power,
24 the company that ranks, as a company that ranks customer
25 satisfaction?

1 **A.** I am familiar with the kind of work that they
2 do, yes.

3 **Q.** Okay. Have you ever had occasion to review
4 the, J.D. Power's rankings of FPL's residential customer
5 satisfaction?

6 **A.** I do.

7 **Q.** Okay. The exhibit that I -- have you had a
8 chance to look at this exhibit?

9 **A.** I have not read the exhibit. I've just kind
10 of scanned it.

11 **Q.** Okay. Well, if you'll turn, I want to say,
12 about seven pages into it, there are two pages on which
13 J.D. Power reports its results for its residential
14 customer satisfaction study for the South region. The
15 first page is the large segment, which does include FPL,
16 and the second page is the midsize segment, which
17 includes a number of other Florida utilities.

18 Will you agree that J.D. Power's 2009
19 residential customer satisfaction study for the South
20 large segment shows FPL slightly below average?

21 **A.** That is correct. But I think you have to put
22 the report in some context. And by that I mean when
23 J.D. Power conducts their surveys, they go, they look at
24 a whole bunch of dimensions. And I'm sure Ms. Santos
25 can give you more detail than I can, but a lot of it are

1 perceptions about how the company does not just on
2 transactions and not just on the price that the company
3 provides and not just on reliability.

4 In fact, if you refer to the first page when
5 they talk about the press release, they talk about, you
6 know, improving impact on the environment, improving new
7 energy conservation programs, donations or sponsorships,
8 all of which, by the way, I think our company measures
9 very well on. But they look across a whole bunch of
10 dimensions.

11 I think you also have to look at customer
12 expectations. And the South, the southern region gets
13 considerably higher ratings than the national average.
14 Furthermore, about two-thirds of our customers are in
15 southeast Florida. And the demographics, most of our
16 customers come from the Northeast, and they, they have
17 expectations of customers generally in that part of the
18 country.

19 And if I may refer you to the East region
20 large segment, if you look at the East region large
21 segment, the average is 593 and FPL is at 632. We're
22 above the Southeast region large segment.

23 So when you look at these reports, you have to
24 put them in some context, and they don't measure just
25 one dimension. You've got to look and see what else is

1 being measured and what your customer expectations are.
2 And I think even J.D. Power would tell you that they're
3 different expectations depending on what region of the
4 country you're in. Customers in the Northeast tend to
5 be pretty demanding customers.

6 Q. So is it a fair characterization of the report
7 and your testimony just now regarding it that, taking
8 all things into consideration, J. D. Power's customer
9 satisfaction study shows what it shows and FPL comes out
10 slightly below average for the South large segment?

11 A. What I'm telling you is that you have to put
12 it in context. But, yes, this is what it shows. It
13 shows the rankings here, but it's not a measure of
14 strictly reliability or, and/or price.

15 Q. Yes, sir. I think we agree it's an all-in
16 comprehensive customer satisfaction ranking; do we agree
17 on that?

18 A. No. I don't agree that it's just customer
19 satisfaction. I think you have to put it in the
20 context, and I think you have to look at it relative to
21 the expectations. And I'm happy to go back through
22 again and show you that it's really representing of a
23 number of other dimensions -- donations to sponsorships
24 in local communities. It's in your report, if you look
25 at the first page. Impact on the environment.

1 **Q.** My question really was is it or is it not a
2 measure of customer satisfaction, considering all those
3 factors?

4 **A.** Not in absolute terms. My definition of
5 customer satisfaction is different from the one that
6 you're describing.

7 **Q.** Okay. You testify -- you have testified
8 orally and also I believe at, in several places,
9 including Page 14, Lines 8 and 9, that FPL provides
10 service at a price that is below the national average.
11 Is that an accurate characterization so far?

12 **A.** Yes. Yes, it is.

13 **Q.** Thank you. When you are making that
14 statement, are you referring to the bill for the
15 thousand-kilowatt-hour residential customer?

16 **A.** Yes. Based on the average residential bill of
17 a thousand kilowatt hours.

18 **Q.** Now isn't it true that FPL's average
19 residential customer uses more than that?

20 **A.** The average residential customer uses about
21 1,100 kilowatt hours, but the median customer is less
22 than that. So more than 50 percent of FPL customers use
23 less than a thousand kilowatt hours.

24 **Q.** Isn't it also true that they use different
25 amounts in different months?

1 **A.** That is correct.

2 **Q.** So that in the, what we might call the
3 shoulder months, the milder weather months, spring and
4 fall, a typical customer probably uses less than a
5 thousand, and in the summer and peak winter months they
6 probably use more than that?

7 **A.** It depends on the customer.

8 **Q.** Okay. But on average you'd agree that's true?

9 **A.** I have not looked at that information
10 recently, but there's a seasonal pattern of usage.

11 **Q.** You'd agree, and I can show you your tariff if
12 you don't believe me, you'd agree that FPL's fuel charge
13 is 1 cent per kilowatt hour higher for all usage above
14 1,000 kilowatt hours on each monthly bill, would you
15 not?

16 **A.** I believe that's correct.

17 **Q.** And you'd also agree that FPL's nonfuel energy
18 charge for its residential customers is actually a
19 little bit more than a penny higher for all kilowatt
20 hours above 1,000?

21 **A.** I can't answer that off the top of my head.
22 And I'm not the service charge -- I mean, I'm not the,
23 the rate witness, and I have not prepared today to
24 discuss the rates by the different customer categories.

25 **MR. WRIGHT:** All I want the witness to do is

1 acknowledge that FPL's base energy charge, the nonfuel
2 energy charge, is roughly 1.1 cents per kilowatt hour
3 higher for all usage on each monthly bill that's higher,
4 that's above 1,000 kilowatt hours. I'd like to hand him
5 a copy of FPL's tariff sheet number 8.201 and ask for
6 him to confirm that. I'm not going any further in terms
7 of asking him to discuss his rates.

8 **MS. CLARK:** Mr. Chairman, I think that would
9 be all right. But any further, I think he should ask
10 the rate witness.

11 **BY MR. WRIGHT:**

12 **Q.** Mr. Olivera, you see what I'm talking about;
13 right?

14 **A.** Yes. It talks about, in a tariff sheet dated
15 December 31st, 2008, it shows the first 1,000 kilowatt
16 hours at 3.398 cents per kilowatt hour, and then each
17 additional kilowatt hour at 4.429 cents per kilowatt
18 hour.

19 **Q.** Thank you. And you'd agree that that applies
20 on each monthly bill. So if a customer uses 800 in one
21 month, it's billed at 3.398. And if they use 1,200 in
22 another month, the first thousand is at 3.398 and the
23 rest is at the higher rate?

24 **A.** That is correct.

25 **Q.** Thank you. What do you know, if anything,

1 about how FPL's total average price per kilowatt hour
2 is?

3 **A.** I have -- again, I don't have that information
4 in front of me. But I, but I would point out that when
5 we compare ourselves to Florida utilities, every utility
6 in Florida essentially has the same seasonal demand
7 pattern. So, you know, we all, customers in Florida
8 tend to use more electricity in the summertime due to
9 air conditioning load and less in, when we have cooler
10 weather. So I tend to focus on that because I think
11 that that's a better measure of what the impact is on
12 customers.

13 **MS. CLARK:** Mr. Chairman, I just would add I
14 think Mr. Wright said he was not going to get into
15 detail on this. If he is getting into detail, I would
16 suggest it be asked of Ms. Deaton.

17 **MR. WRIGHT:** Well, I have, I have a few more
18 questions about Mr. Olivera's testimony that FPL
19 provides service at a price that is below the national
20 average.

21 **CHAIRMAN CARTER:** Let's see how far it goes.

22 **MR. WRIGHT:** Thank you.

23 **BY MR. WRIGHT:**

24 **Q.** I was curious as to how FPL's total retail
25 revenue stacks up, and so I have looked at two documents

1 to try to get an estimate of FPL's average price per
2 kilowatt hour. They are FPL documents. The first one
3 is FPL's MFR Schedule C-1, which shows for 2009 revenue
4 from sales of 11,000,512,704 -- sorry, \$11,512,704,000.

5 **A.** I'm not a sponsor of MFR C-1. I don't have
6 the information in front of me, and I'm really not the
7 appropriate witness to walk through MFR C-1.

8 **MR. WRIGHT:** I was not intend -- here's my
9 proffer, Mr. Chairman. The witness has testified that
10 FPL provides service at a price below the national
11 average. I've got FPL documents, part of their case,
12 that when you take the revenue from sales number from
13 their MFR C-1 and take their 2009 sales number from
14 Ms. Morley's exhibit, we'll show that, that FPL's
15 average retail revenue per kilowatt hour is about
16 11.3899 cents a kilowatt hour.

17 And then I've got some other information from
18 a nationally recognized source that will show what the
19 national average cents per kilowatt hour is for all
20 sectors. I want to get to the point of comparing those
21 numbers.

22 If Ms. -- Dr. Morley were the only witness
23 providing that, addressing this subject matter, then I
24 would ask her these questions and that would be fine.
25 What I've got here, however, is the President of the

1 company testifying that FPL provides service at a price
2 that is below the national average, blanket statement,
3 and I think it's fair for me to pursue it with him.
4 And, you know --

5 **MS. CLARK:** Mr. Chairman, I think it gets back
6 to the point, we're on day three now, and it seems to me
7 that Mr. Wright is trying to try his whole case right
8 now, when Ms. Morley -- it would be more efficient, the
9 person who's going to know more details about that is
10 Ms. Deaton, and she will be on the stand and he will
11 have the opportunity to ask her.

12 **MR. WRIGHT:** Mr. Chairman, I'm not trying to
13 try my whole case through Mr. Olivera's testimony. I'm
14 trying to address his testimony. I don't think it's
15 fair to our side or to you to let this kind of blanket
16 testimony, FPL provides top tier service at a price that
17 is below the national average, without, by this witness,
18 without being able to explore how that stacks up.

19 **MR. MENDIOLA:** Mr. Chairman, may I --

20 **MR. WRIGHT:** And I don't think that the idea
21 that it's, you know, that we're on day three should
22 matter.

23 **CHAIRMAN CARTER:** Okay. Ms. Helton, good
24 morning.

25 **MS. HELTON:** Good morning, Mr. Chairman. It

1 sounds to me that the cross-examination that Mr. Wright
2 is conducting is within the scope of the prefiled direct
3 testimony and is therefore appropriate.

4 **CHAIRMAN CARTER:** You may proceed.

5 **MR. WRIGHT:** Thank you, Mr. Chairman.

6 **BY MR. WRIGHT:**

7 Q. Maybe I could speed this up, Mr. Olivera.
8 Will you agree, subject to check, that if one divided
9 FPL's retail revenue, revenue from sales for 2009 as
10 shown on the company's MFR C-1, by FPL's estimated sales
11 for 2009, as shown in Witness Morley's exhibit, and also
12 that happens to match to your Ten-Year Site Plan, that
13 you get a number that's about 11.4 cents per kilowatt
14 hour?

15 A. Yes. Subject to verification, I would say
16 that. But as I listen to the discussion, I think
17 we're -- it's coming to really an inappropriate
18 conclusion. Because if you look at our consumption
19 patterns, and Ms. Deaton can go into more detail, you'll
20 find that the higher you go, the more you pay. And so
21 we have, it's a small number of customers, but they pay
22 disproportionately high, they pay higher rates than
23 customers who use less than a thousand kilowatt hours.

24 So when you run through the math, you're not
25 doing kind of a weighted average. If you lump it all

1 together and you spread all those dollars, it's going to
2 push all the numbers back up. What you have to look at
3 is you have to look at how many customers are in that
4 rate category, a thousand kilowatt hours or less, which
5 is the majority of our customers. So it's a
6 misrepresentation to say, when you factor it in to
7 factor in the high usage, high consumption customers
8 into your comparison. And we didn't do the comparison
9 that way because we don't think it's appropriate.

10 Q. Are you saying it's not appropriate to compare
11 FPL's average rate for all sectors to the national
12 average rate for all sectors?

13 A. What I'm saying is when you -- you have to
14 look at -- I'm saying, no, not the way that you are
15 describing it. Because you have to look at consumption
16 patterns. And when you are -- you have to look at rate
17 classes, and you have to look at what the majority of
18 customers in that jurisdiction are paying.

19 And, furthermore, if you really want to do
20 sort of an apples and apples comparison, you have to
21 look at how much electricity customers use in a
22 particular region of the country. People in Florida
23 tend to use more electricity than people elsewhere.

24 So to have this simplistic analysis where
25 you're just adding, dividing gross numbers that has I

1 don't know how many categories of customers, total
2 revenues by I don't know how many categories of
3 customers, doesn't make any sense. It's not an apples
4 to apples comparison.

5 You have to look at if you're the average
6 customer in Florida Power & Light, what are you paying?
7 And that's the analysis that we tried to do.

8 Q. Well, I understand your answer. I'm sure you
9 know what the United States Energy Information
10 Administration is, do you not?

11 A. Yes.

12 Q. And you'd agree that that's the federal
13 government source, at least one of a few federal
14 government sources for nationally recognized energy
15 consumption, price, et cetera, information?

16 A. They're one of several.

17 **CHAIRMAN CARTER:** Do you need a number, Mr.
18 Wright?

19 **MR. WRIGHT:** I'm sorry?

20 **CHAIRMAN CARTER:** Do you need a number or are
21 you just --

22 **MR. WRIGHT:** I do need a number, Mr. Chairman.
23 I think it would be 395.

24 **CHAIRMAN CARTER:** 395, Commissioners. For
25 your records, 395.

1 **MR. WRIGHT:** And a short title, I would
2 suggest EIA Retail Price Data 2009.

3 **CHAIRMAN CARTER:** EIA Retail Price Data 2009.
4 Thank you.

5 (Exhibit 395 marked for identification.)

6 While we're getting ready, if you're not, if
7 you're not Mr. Wright or myself or the witness, your
8 microphone should be off. I'm getting some feedback in
9 here. So please make sure your red light is on if
10 you're not myself, Mr. Wright or the witness. Okay?
11 Thank you.

12 You may proceed, Mr. Wright.

13 **MR. WRIGHT:** Thank you, Mr. Chairman.

14 **BY MR. WRIGHT:**

15 **Q.** Mr. Olivera, I understand your, your objection
16 to the point I'm trying to make. You probably
17 understand the point I'm trying to make. And we will
18 argue this appropriately in our briefs.

19 You have explained why you think it's not an
20 appropriate comparison. So I'm going to ask you if you
21 would agree, looking at what is the third page in the
22 packet, which is page, in the lower left-hand corner
23 it's Page 2 of 2, but it shows about one-third of the
24 way down the page a U.S. total, and the next to the last
25 column on the right --

1 **A.** I'm sorry. I haven't, I haven't caught up
2 with you.

3 **Q.** I'm sorry.

4 **A.** You're on what page?

5 **Q.** It's the third page of the packet counting the
6 cover sheet as the first page.

7 **A.** Okay.

8 **Q.** Okay? It has tabular information about a
9 third of the way down and some footnotes and then some
10 references to other tables. Are you with me?

11 **A.** I think so.

12 **Q.** Okay. You have to look back at the previous
13 page to see the column headings. But if you do that,
14 you would see, I believe, that the right-hand two
15 columns are for all sectors. And then referring to the
16 U.S. total for all sectors for May 2009, which is the
17 next to the last column as you go left to right on the
18 table, the average price for the U.S. all sectors is
19 shown by the EIA report as 9.87 cents per kilowatt hour.

20 **A.** I see that. Yes.

21 **Q.** Thank you. I have just a few questions about
22 your conservation efforts which you discuss at Page 8 of
23 your testimony. Actually I have a very specific
24 question, but if you wanted to take a minute to look at
25 your, your testimony beginning at the bottom of Page 7

1 and continuing on to Page 8, I'd be happy to give you a
2 moment to do that.

3 **A.** Page 7, what line?

4 **Q.** Well, what I really want to ask you about is
5 the 12 power plants that you talked about at Line 2 and
6 3 on Page 8, but I wanted to give you a moment to put it
7 in context, if you want it.

8 **A.** Yes.

9 **Q.** Okay. What size of power plants are you
10 talking about there?

11 **A.** I don't remember exactly. I believe that
12 these are power plants in the 4-to-600-megawatt range,
13 but I'll give you that number subject to verification.

14 **Q.** Okay. I was thinking that you probably
15 intended to convey the impression that they were 12
16 500-megawatt class combined cycle plants. Is that --

17 **A.** As I said, I don't, I can't remember the exact
18 number, but it's in that range.

19 **Q.** Okay. So in the range of 5,000 to 7,000
20 megawatts? That would be 400 to 600 times 12 is --

21 **A.** Yeah. If you pick 500, it would be, what,
22 6,000.

23 **Q.** 6,000. Okay. You don't mean to assert that
24 you've eliminated the need for the energy that would be
25 generated by 12 power plants, do you?

1 **A.** When we talk about the impact, we're, a
2 significant contribution of that comes from the load
3 control programs, which have been very, very successful
4 on our system. And so by really shaving off the peak,
5 you eliminate the need to have those incremental
6 megawatts at the top of the stack of the dispatch stack.

7 **Q.** So it really does -- this testimony refers to
8 peak shaving capacity reductions; correct?

9 **A.** Yes. Part of it refers to that. But those
10 are, you know, real, real savings and real impact on the
11 environment when you don't have a plant that's running
12 and producing emissions. And it obviously, I think we
13 have shown in prior DSM hearings that these plant, that
14 these programs have had significant benefits for our
15 customers.

16 **Q.** Do you know how much energy FPL's programs
17 save on an annual basis?

18 **A.** I can't give you that number off the top of my
19 head. I'm sure that Marlene Santos can give you the
20 specifics.

21 **Q.** Do you have another witness who testifies
22 about conservation efforts besides yourself?

23 **A.** Well, we're going through the DSM hearings
24 right now, and so we just put on a number of witnesses
25 on that.

1 I think if you have specific information that
2 you want on energy efficiency, I'm sure we can ask
3 Ms. Santos to provide you that information.

4 **MR. WRIGHT:** Mr. Chairman, I'm happy to ask
5 Mr. Santos this question. I just want to get clear, my
6 question is, is -- here's the proffer. The Commission's
7 own report, Activities Pursuant to the Florida Energy
8 Efficiency and Conservation Act, states that total
9 savings for all of Florida's FEECA utilities are about,
10 estimated to be about 7,200 GWh in 2008. I would like
11 to simply ask Ms. Santos how much of that she thinks is
12 FPL's.

13 **BY MR. WRIGHT:**

14 **Q.** Would that be an appropriate question to ask
15 Ms. Santos?

16 **A.** I believe Ms. Santos can be prepared to answer
17 that question.

18 **Q.** Thank you. And I'll furnish a copy of this
19 report to your counsel.

20 **A.** Okay.

21 **Q.** And with that, I will move on to the next
22 line.

23 **MR. WRIGHT:** Mr. Chairman --

24 **CHAIRMAN CARTER:** Yes, sir.

25 **MR. WRIGHT:** -- I have once again uttered the

1 magic word, and Mr. Moyle has once again kindly agreed
2 to --

3 **CHAIRMAN CARTER:** Mr. Moyle. 396.

4 **MR. WRIGHT:** -- to distribute what I'm asking
5 be marked as 396. And we could call that FPL TYSP
6 Excerpt.

7 **CHAIRMAN CARTER:** Okay. When I think of 396,
8 I think of the SS-396 back in '72, not that I was
9 speeding or anything like that, but -- I was not
10 speeding.

11 (Exhibit 396 marked for identification.)

12 **MR. WRIGHT:** For clarity, it might, at the
13 risk of making the title too long, it might, it might
14 help to add Energy and Customers after Excerpt.

15 **CHAIRMAN CARTER:** Okay. Energy and Customers?

16 **MR. WRIGHT:** Yes, sir.

17 **CHAIRMAN CARTER:** So it would be FPL TYSP
18 Excerpt - Energy and Customers.

19 **MR. WRIGHT:** Yes, sir.

20 **CHAIRMAN CARTER:** Okay.

21 **BY MR. WRIGHT:**

22 **Q.** Mr. Olivera, I assume that you at least see
23 your Ten-Year Site Plan a couple of times a year; is
24 that fair?

25 **A.** I do read it.

1 **Q.** Good for you. You recognize the table here,
2 and it shows what it shows regarding the company's
3 number of customers and, and energy consumption actual
4 from '99 to 2008 and projected from 2009 to 2018;
5 correct?

6 **A.** Correct.

7 **Q.** All right. Thank you. And just looking at it
8 casually, you would agree that your total, total sales
9 customer -- now I'm getting tongue-tied.

10 Total sales to ultimate customers has
11 increased substantially from '99 to 2008 by about
12 16 percent or so, maybe 17 percent.

13 **A.** I can't do the math in my head, but it has
14 clearly increased.

15 **Q.** 85,000 to 130,000.

16 **MS. CLARK:** Mr. Wright, can you, for my
17 benefit, can you tell me where you are in this chart?

18 **MR. WRIGHT:** Certainly. On Page 43, which is
19 the last page of this brief exhibit, Column 16 is titled
20 Total Sales to Ultimate Customers.

21 **MS. CLARK:** Thank you.

22 **MR. WRIGHT:** That's all I had on that line.

23 **BY MR. WRIGHT:**

24 **Q.** The next line of questioning I want to pursue
25 with you, Mr. Olivera, has to do with FPL's claimed need

1 for the rate increase. I think we've established that
2 cumulatively FPL is asking for something between 1.3 and
3 \$1.4 billion a year of total cumulative base rate
4 increases in this case. Can you say yes as opposed to
5 nodding, please?

6 **A.** Yes.

7 **Q.** Thank you. Okay. If the Public Service
8 Commission were to hold in favor of the consumer
9 Intervenors on the issues in this case, will you agree
10 that the vast majority of the difference between our
11 positions and FPL's positions are in the areas of return
12 and depreciation?

13 **A.** To return, yes, partially. It's return,
14 depreciation, capital structure. And you have the
15 capital structure as sort of number one on your exhibit.

16 **Q.** This is actually the handout that, that the
17 Public Counsel used in his opening statement. I just
18 offered it to the witness to show what, what we're
19 talking about. The --

20 **MS. CLARK:** Mr. Wright, did the Public Counsel
21 hand it to all the parties?

22 **MR. WRIGHT:** I do believe that the Public
23 Counsel distributed these to all parties at the time he
24 made his opening statement.

25 **MS. CLARK:** Okay. Thank you.

1 **CHAIRMAN CARTER:** You may proceed.

2 **MS. CLARK:** Ms. Clark is welcome. Thank you,
3 Mr. Chairman. I really just wanted to hand that to
4 Mr. Olivera to refresh his understanding, as it were,
5 that, that -- the most of what our side is asking for, a
6 billion plus, is, is return capital structure and
7 depreciation, and he's agreed to that. So I think I can
8 move on within this line.

9 **BY MR. WRIGHT:**

10 **Q.** Correspondingly, you'd agree that the amounts
11 of O&M expenses that our side is advocating be
12 disallowed are fairly small relative to the total
13 magnitude of your increase, would you not?

14 **A.** No, I wouldn't. These, these are not
15 insignificant amounts. When you are trying to balance
16 the budget, these are pretty significant numbers.

17 **Q.** Well, 148.7 million of the rest of the
18 decrease is -- well, let me ask you to look at the third
19 page of the Public Counsel's opening statement
20 demonstrative exhibit. The total amount of the other
21 changes beside return capital structure and depreciation
22 is 235 million; correct?

23 **A.** I haven't done the math, but I assume that
24 that's right.

25 **Q.** It's shown at the bottom of the page.

1 **A.** As I said, I haven't done the math, but I
2 assume it's correct.

3 **Q.** Fair enough. And the storm damage is, is --
4 his number there is 148.7 million, but that's real close
5 to 150 million we've been talking about.

6 **A.** Correct.

7 **Q.** Okay. We've talked about that. I'm not going
8 to pursue that anymore.

9 And so the other two items are a total of
10 about 86 million out of some, something north of a
11 billion dollars; right? Okay. And of that, is it your
12 understanding that the \$42 million decrease in
13 compensation is basically for two things? First -- this
14 is a compound question, but I think you can answer it
15 yes or no. First, disallowing part of the incentive,
16 part or all of the incentive compensation, that's the
17 position taken by our side, and the other is disallowing
18 recovery for what we represent is a normal amount of
19 unfilled positions. Is that your understanding?

20 **A.** I have not studied their positions, the
21 calculations on the compensation issues.

22 **Q.** Okay. Well, I think I can, I think I can move
23 on within this line. You will agree that after we take
24 out the, after we account for the cap structure return,
25 depreciation, storm damage, we're down to something in

1 the range of 8 percent of your total requested increase?

2 **A.** And you do that math by doing what again? Can
3 you just walk me through how you get to 8 percent?

4 **Q.** Well, by taking our fundamental agreement
5 that, that your total year increases are somewhere,
6 they're a billion dollars for 2010.

7 **A.** Correct.

8 **Q.** Roughly. Public Counsel's and the consumers'
9 position is that the capital structure and return
10 adjustments are worth 509 million, our depreciation
11 related adjustments are worth 554 million, and the storm
12 damage adjustment is worth 150 million.

13 **A.** Yes. I see the numbers.

14 **Q.** Okay. What's left is about 86 million out of
15 something in the range of a billion, and that's how I
16 get the 8 percent. Does that sound about right?

17 **A.** If 80, 80 is -- about 80 is 8 percent of a
18 billion.

19 **Q.** Okay. Do you know what FPL's total projected
20 O&M costs in this case are?

21 **A.** It's around a billion three. I can confirm
22 that, but it's about a billion three.

23 **Q.** Okay.

24 **A.** It depends whether you count the energy
25 conservation stuff or not in the numbers.

1 **Q.** Okay. So 86 million out of that would be
2 probably closer to 6.5 or 7 percent?

3 **A.** Something along those lines.

4 **Q.** Thank you. Although your side, Florida Power
5 & Light Company, and our side, the consumer intervenors,
6 disagree as to what the depreciation rates are, is it
7 your understanding that our position on depreciation is
8 that FPL should be entitled to recover fair depreciation
9 expense?

10 **A.** Yes. But we have a different definition of
11 what's a fair depreciation expense.

12 **Q.** I understand that. That's why I stated the
13 preface in my question the way I did.

14 Here's, here's -- you have stated in several
15 responses to other attorneys that if you don't get your
16 increase, you might not make investments or might not
17 make decisions that you would otherwise make. Is that a
18 pretty fair characterization of what you said?

19 **A.** Not, not completely. What I have said is that
20 for us to continue to make the kind of investments that
21 we're making, we have to have a healthy company, we need
22 to continue on the path that we've been on, which means,
23 you know, adequate rates of return, it means maintaining
24 a healthy balance sheet, it means maintaining the credit
25 ratings that the company has. That's, when we talk

1 about it, that's really, it's in that context that I
2 made those comments.

3 Q. Do you mean to imply by your prior testimony
4 and that testimony that FPL would reduce its spending to
5 improve the energy efficiency of its generating fleet if
6 it does not get its requested increase?

7 A. No. I think we have testified and Mr. Keith
8 Hardy will testify that we have a very efficient fleet,
9 and we continue to make investments in that fleet. If
10 you're implying that we would stop making capital
11 investments, it's highly speculative. I don't know. I
12 don't know what -- it all depends on what the outcome of
13 all of this is; right?

14 Q. Mr. Olivera and Mr. Chairman, I was not
15 implying that. I was trying to understand whether your
16 testimony was intended to imply that.

17 A. My testimony is intended to say that we need
18 to maintain a financially healthy utility. We need to
19 continue on the same track that we've been on. And by
20 that, the financial track, and by that I mean maintain
21 the current equity ratio, allow us to earn the ROE that
22 we're requesting, and really have a, continue to
23 maintain the credit ratings that we have. And it's that
24 combination of factors that will allow us to continue to
25 make the investments.

1 So if any of those things begin to change, the
2 company gets downgraded and it becomes more expensive
3 for us to have access to capital, obviously that's going
4 to have an impact on our, on the costs of the new
5 generation that we build and it will have an impact on,
6 on customers.

7 **Q.** Well, I understood you to just say that --
8 well, let me ask you this. I mean, are you saying that
9 you need the whole increase to continue on the same
10 track to make the investments that you're planning to
11 make?

12 **A.** I'm saying that we have gone through and we've
13 analyzed all of the components and we have brought them
14 forward to you as really our proposal of what it takes
15 to maintain the track that this company has been on and
16 what we believe it takes to continue to make the
17 investments that we've been making and that we propose
18 to make.

19 **Q.** And now I have a series of some specific
20 questions for you.

21 West County 1, as to what might or might not
22 change if you don't get the increase, isn't it true that
23 West County Unit 1 and West County Unit 2 are either
24 online or about to come online this year?

25 **A.** They will both come online this year.

1 Q. Thank you. If you want to go on, that's fine,
2 but that's all I was looking for. If you got zero rate
3 increase in this case, would you complete West County
4 Energy Center Unit 3?

5 A. It's a, it's a, it's a hypothetical question.
6 We have -- the plant is under construction today. Would
7 it affect those plants in the near-term? Hopefully not.
8 We would try -- we would do everything in our power to
9 complete that plant. But it certainly would have an
10 impact on subsequent capital investments that the
11 company is making. We'd have to go back and look and
12 see, you know, what are the credit implications
13 associated with that. You know, we certainly will have
14 a pretty clear response from the investment community if
15 we're not granted rate relief, and we would have to go
16 back and make an assessment on that.

17 But I don't want to get too speculative on
18 this without having gone through kind of that exercise.
19 But it would be frankly looking at the financial
20 community and what impact it has and what impact it has
21 on our balance sheet.

22 Q. Would the company --

23 **CHAIRMAN CARTER:** Excuse me, Mr. Wright.

24 **MR. WRIGHT:** Yes, sir.

25 **COMMISSIONER EDGAR:** I'm sorry, Mr. Wright.

1 Could I jump in for just a second? And could you tell
2 me again the question that you just asked Mr. Olivera?

3 **MR. WRIGHT:** The specific question I asked him
4 was: Would you complete West County Energy Center Unit
5 3 if you got zero rate increase in this case?

6 **COMMISSIONER EDGAR:** Okay. Thank you.

7 And, Mr. Olivera, as part of your response to
8 that, are you, are you saying that your company has, has
9 not done an other options analysis as to what position
10 the company and therefore the ratepayers would be in if
11 a rate increase is not approved?

12 **THE WITNESS:** Yeah. I think we have, and I
13 think both Mr. Pimentel and Mr. Avera can talk you to
14 about kind of what the relative change of all this is.

15 He was asking me about one specific item of a
16 large capital budget. And so you would have to look and
17 say, when I -- I have to go back and look at all the
18 projects that we have, capital expenditure projects, and
19 look at what state of construction they are, whether
20 some things can be deferred or not.

21 Remember, West County 3 is one piece of a very
22 large CAPX program. So you've got pipeline development
23 costs, you've got the nuclear uprates involved, excuse
24 me, the modernizations of Canaveral and Riviera. Excuse
25 me. So all of those things you'd have to go back and

1 look at.

2 So to say that, to pick one over the other,
3 you know, I'd huddle with my team and we'd look at where
4 all these projects stand and what can get deferred and
5 what we can still continue and try to complete. Which
6 is why I said we'd do everything in our power to
7 complete West County 3 because it's pretty far along and
8 most of the equipment is already bought. But it
9 certainly would have an impact on some of the other
10 projects we're working on that are much earlier in the
11 development stage.

12 **COMMISSIONER EDGAR:** And I, I do understand
13 what you're saying about individual projects being in a
14 large project plan and being at different stages and a
15 number of economic factors and other factors that of
16 course would go into each individual decision and any
17 larger, more far-reaching decision. At least I think
18 that's kind of what you're telling me.

19 **THE WITNESS:** Right.

20 **COMMISSIONER EDGAR:** And so I guess just to
21 follow up on that a little bit, and I apologize, Mr.
22 Wright, but you've triggered it here, has the company --
23 and I do realize other witnesses are coming that will go
24 into it to more detail.

25 But I guess on a more larger general global

1 sense, has the company done an options analysis should a
2 rate increase not be approved at this point in time?

3 **THE WITNESS:** Yes. Generally in terms of how
4 much capital investment can a company that has, that
5 will almost certainly have credit downgrades. I mean,
6 if you followed this particular pattern or framework
7 that counsel has been discussing, first of all we're
8 going to leverage the company up. So we're going to
9 take on more debt. We almost certainly would get, I
10 don't know, at least a two, maybe three-notch downgrade
11 in our credit rating.

12 You will almost, certainly you're going to
13 have a far lower ROE. So we will be deemed to be a
14 riskier investment, which also affects our credit
15 rating.

16 So, you know, we can give ranges. It's hard
17 to give you absolute certainty because we can't always
18 predict what credit rating agencies will do. But
19 certainly our access to capital will be limited, and it
20 will be at a much higher cost than it is today.

21 So it would almost be certainly reflected in a
22 subsequent rate case that we would have to follow and
23 come in. And I think that probably would be the time
24 that we would say to you, look, this is all we can do,
25 given the kind of response and reaction that we have

1 gotten as a result of getting zero rate base increase.

2 **COMMISSIONER EDGAR:** All right. Thank you.

3 And I'm looking forward and expecting the other
4 witnesses that will follow will maybe elaborate on some
5 of the points that you've just raised and I know have
6 been raised day one, day two, at some point up to this
7 point.

8 **THE WITNESS:** Surely. Day three,
9 Commissioner.

10 **COMMISSIONER EDGAR:** Well, I meant leading up
11 to this moment right now.

12 Let's see. I think I had one other question,
13 so let me think just for a moment. I didn't mean to
14 point at you. Sorry about that.

15 All right. I'm going to leave it at that
16 right now. I appreciate the response, and, again, I
17 look forward to further elaboration.

18 **CHAIRMAN CARTER:** Mr. Wright.

19 **MR. WRIGHT:** Thank you, Mr. Chairman.

20 **COMMISSIONER EDGAR:** I thought of it. I
21 apologize. I need, I need some coffee.

22 Remind me, if you would, and I know it's in
23 here and I know I have it in my notes somewhere, but
24 what is the ROE presently?

25 **THE WITNESS:** I believe as of -- the June

1 surveillance report has an ROE of 10.6.

2 **COMMISSIONER EDGAR:** Okay. Thank you.

3 **CHAIRMAN CARTER:** Mr. Wright.

4 **MR. WRIGHT:** Thank you, Mr. Chairman.

5 **BY MR. WRIGHT:**

6 **Q.** Before I go on, Mr. Olivera, you've at least
7 reviewed to some degree the testimony of the consumers'
8 witnesses in this case?

9 **A.** I'm sorry. I lost the very beginning.

10 **Q.** I apologize. Am I correct that you have at
11 least reviewed to some degree the testimony of the
12 consumer witnesses in this case?

13 **A.** I have.

14 **Q.** Thanks. And you will agree, not agreeing with
15 them, but you will agree that there is testimony
16 presented on our side that, that FPL would still
17 maintain financial integrity.

18 **A.** Yes. That's the allegation.

19 **Q.** Correct. Can -- are you telling us with
20 certainty that FPL would have its credit downgraded if
21 you got a zero rate increase in this case?

22 **A.** I think I give you with a pretty high sense of
23 probability that a zero increase would result in a
24 downgrade. The question is how many, how many notches
25 of downgrade would this company get? And it would also

1 signal a huge change in, you know, sort of the
2 regulatory philosophy of the State of Florida, which
3 would have far, far-reaching implications beyond just
4 this rate case. And it would have a chilling impact,
5 frankly, on all the utilities that are regulated by this
6 Commission. It would not be just Florida Power & Light.

7 So I'd say that there's a -- I learned long
8 ago never to say absolutely, but I would tell you that
9 it's a, it's a very high probability that this company
10 would get downgraded. And I firmly believe that it
11 would be an incredibly strong signal that there's a
12 shift in direction in policy of this Commission, and
13 that this Commission has followed for many, many years
14 in a very progressive way, to use the discussion we had
15 earlier, the constructive regulation, which I think has
16 delivered great results for customers in the State of
17 Florida.

18 Q. So, again, in the probabilistic context in
19 which you gave your answer, you'd agree that there might
20 be no impact on the credit downgrade, but it's your
21 position that the probability is low?

22 A. I did not say that. I never said that there's
23 no impact. I said almost certainly. And I prefaced it
24 because I'm old enough that, to have learned that I
25 never -- never to say never.

1 **Q.** Okay.

2 **A.** But it is incredibly unlikely that this
3 company would not have a downgrade. And I will tell you
4 that it is for certain that the investment community
5 would look at an action like that by this Commission to
6 be a complete reversal, a complete change in regulatory
7 policy. And I can also tell you with certainty that it
8 would apply not just to FPL, but it would apply to every
9 company under the jurisdiction of this Commission.

10 **Q.** Would it be your understanding in its
11 evaluation of whatever comes out of this case that the
12 investment community would continue to look at the
13 financial metrics that it normally looks at?

14 **A.** I think they look at -- financial metrics is
15 an important component of it. But I think as you'll
16 hear from Pimentel, they also look at the regulatory
17 climate that you operate in. And that becomes sort of a
18 qualifier to the rating, and it can push your rating a
19 little down or a little up, depending on what they see
20 your prospects.

21 **Q.** I do have a few more specific questions that I
22 want to pursue along the lines I was asking you about
23 West County 1, 2 and 3. If you got zero rate increase
24 in this case, would it be your expectation that the
25 company would complete its nuclear uprates at St. Lucie

1 and 2 and Turkey Point 3 and 4?

2 **A.** I give you, give you a similar answer to West
3 County. We would try to complete as much of the
4 construction project, but we'd have to look at
5 everything else that we're doing. And so I can tell you
6 with certainty that we probably would be unable to
7 complete all of the projects that we're working on
8 because I think the cost would get very, very high and
9 our access to capital will be very, very limited. And
10 so we'd have to look at all of the projects that we're
11 working on.

12 And I just want to add one more point to this,
13 which is that, you know, this is a business where we
14 make decisions today that are five, ten years out. Very
15 seldom in this job, and if you are the senior management
16 of a company, you know, I don't make very many decisions
17 that affect today. Most of the decisions that we make
18 really affect, you know, where, what kind of service
19 customers are going to get four, five years from now.
20 And while it's easy to take sort of a short-term view
21 and say, okay, well, you know, you guys can get by for a
22 year, well, you shut down an awful lot of stuff that
23 can't get restarted back again at the end of that year.
24 These projects have very, very long planning cycles.

25 And just look back and look back at the things

1 that have been done and look back at the track record.
2 I mean, we have consistently delivered on the projects
3 that we have brought before you. I mean, a great
4 example is Turkey Point 5. All the efficiency and
5 frankly added reliability that that plant added to our
6 system and the customer benefits that have been accrued
7 by it, but that plant took four or five years to
8 develop.

9 The same way that we've been working on the
10 West County projects now for, I don't know, virtually
11 since I got this job, so since 2003 we started working
12 on West County. So very long cycles. And you can't
13 just start and stop them. It's not like a spigot.
14 Very, very difficult to do.

15 Q. Let me try to ask a wrap-up question along
16 this line and see where that gets us.

17 I think we've established that you're
18 constructing West County 1, 2 and 3 and that you're
19 working on St. Lucie 1 and 2 nuclear uprates and Turkey
20 Point 3 and 4 nuclear uprate. That's true?

21 A. Yes. Among other projects.

22 Q. It's also true that the company has need
23 determinations in hand, final, approved by this
24 Commission for the Cape Canaveral Next Generation Clean
25 Energy Center, the Riviera Beach Next Generation Clean

1 Energy Center, and Turkey Point 6 and 7 nuclear units.
2 Is that true?

3 A. That is correct, yes.

4 Q. Are you telling the Commission or us today
5 that if you don't get a rate increase, you won't build
6 any of these facilities?

7 A. No. I'm telling the Commission that we'll
8 have to look at what the response from the financial
9 community is, what impact it has on our credit ratings,
10 our ability to have access to capital, and we'd have to
11 figure out, we'd have to kind of prioritize. I don't
12 think we -- I can almost tell you with certainty we
13 cannot do them all and we have to kind of reprioritize
14 and reevaluate. And it would almost certainly result in
15 another rate case. We would come back and, if nothing
16 else, to tell you what we can and can't do within the,
17 within whatever parameters this Commission sets. And I
18 think that, if nothing else, we would have another
19 dialogue about what, what this Commission would have as
20 the future for Florida and what your expectations are in
21 terms of what investments the company should or
22 shouldn't be making within the constraints that you feel
23 should be placed on the company.

24 **COMMISSIONER ARGENZIANO:** Mr. Chairman?

25 **CHAIRMAN CARTER:** Commissioner Argenziano.

1 **COMMISSIONER ARGENZIANO:** If I may. I hate to
2 interrupt Mr. Wright, but questions, a couple of
3 questions come to mind, and a few questions that were
4 asked and a few of the answers by Mr. Olivera.

5 If -- I think what you're saying is that -- of
6 course everybody knows that a company has to be in good
7 financial standing, and I think you guys are. But I
8 think what I heard you say is that if you don't, if you
9 don't get the increases or you're not treated as you
10 always have been by the Commission, and what if the
11 Commission, and I'm not saying it is or isn't, but what
12 if they were wrong in the past, if you're not treated
13 the same way and maybe if you don't get everything you
14 ask for, that the financial community would downgrade
15 you?

16 **THE WITNESS:** I was responding specifically to
17 a question about a zero increase. So Counsel Wright was
18 talking about out of the billion-dollar request, that if
19 we got zero, what would be the implications of that.
20 And I do believe that a zero increase would result in a
21 credit downgrade. And because part of the increase is
22 predicated on lowering the ROE and asking the company to
23 take on more debt, leverage the company more, and those
24 two things in and of themselves will trigger a credit
25 downgrade.

1 The question would be, you know, how many
2 notches of a downgrade and would the company, for
3 example, still be able to maintain a credit rating that
4 people would be willing to invest money on? And that I
5 can't answer with certainty. I don't know how many
6 notches down. But I was referring to we would almost
7 certainly get a credit downgrade.

8 **COMMISSIONER ARGENZIANO:** And that is, and I
9 think you said it's because you weren't, wouldn't be,
10 and I can't remember the exact words you used, but
11 wouldn't be, there would be a departure from what the
12 Commission has always done. And is that -- and my
13 question is is it because they've always granted you an
14 increase?

15 **THE WITNESS:** No, not necessarily. Sorry,
16 Commissioner. I was referring --

17 **COMMISSIONER ARGENZIANO:** One other thing --
18 I'm sorry. One other thing that you might incorporate
19 into an answer is that aren't those same people who are
20 investors who are looking in the financial community,
21 who are looking at the health and regulatory climate of
22 the company also looking at the recent guaranteed
23 recoveries that are statutory? I mean, that's got to be
24 a component of financial stability.

25 **THE WITNESS:** Yes. The -- let me answer first

1 the last part of your question and then I'll go back.

2 Yes. They look at what portion of our total
3 revenues are represented by clauses and what portion of
4 that already has some returns that have either been
5 approved by the Legislature and/or by, by this
6 Commission. But that is already reflected in the
7 current ratings that the company has.

8 And when I was -- and then back to the first
9 part of your question. It isn't -- I mean, yes, they
10 look at what the Commission is saying. But when I was
11 answering the question from Mr. Wright, I was really
12 more anchored on what that would do to the credit
13 metrics, the financial credit metrics. And credit
14 rating agencies in the financial community will look at
15 what, what are your metrics? They, I mean, they will
16 listen to what this Commission says, but they ultimately
17 at the end of the day are going to look at what is the
18 financial expression of those decisions.

19 And the financial expression of those
20 decisions is a company that has, has on more debt, it's
21 more leveraged, it's a company that has a lower return
22 on equity, and it's a company that at least in the
23 current track is forecasted to spend a lot more cash
24 than is generated internally.

25 So, you know, if, if this was, if this was --

1 and I think this is also an important point to make. If
2 FPL generated enough cash of its own to fund all these
3 programs, then it can take a lot more, frankly a lot
4 more variability in the metrics and do it for, you know,
5 a certain period of time. But we are highly
6 dependent -- we are continuing to put in more money in
7 the business, more cash than what the business
8 generates. And Mr. Pimentel can walk you through some
9 of the specifics on that.

10 But it, but it's, that is the reason why we're
11 so dependent on the financial community, we're so
12 dependent on ensuring that we have the right credit,
13 credit metrics, because without that we don't have the
14 credit ratings, we don't have the standing to really
15 have access to financial markets. And --

16 **COMMISSIONER ARGENZIANO:** And I understand
17 that and I appreciate that, those, those issues. But I
18 also have to put into that the fact, and it has to be
19 looked at by the financial community that you have
20 guaranteed recoveries. And I understand if they are or
21 you were to drop it, it sends a different signal. But
22 otherwise, I mean, if you look at it a certain way, if
23 then the financial community only looks at your ROE or
24 your requests have always been granted, it would mean
25 that you constantly have to have an upward trend, even,

1 even in economic hardship, in times of economic
2 hardships as we have now.

3 In other words, what I think you're saying, I
4 understand the particulars and how they plug in into the
5 financial community, and as long as you add those
6 guaranteed recoveries in there too because I think
7 that's very important. If I was an investor or I was
8 looking into investing into a company, that would mean a
9 great deal to me, rather than going to a company that
10 doesn't have those guarantees. That has to be a certain
11 stability factor built in.

12 But I think I can also argue that if then
13 you're not always on an upward trend as ROE or
14 requesting a higher increase in rates, that the company,
15 according to what you're saying, that the financial
16 investment community would then perhaps turn around and
17 say, well, if they're not going to get the higher ROEs
18 every time they ask for higher increases, that they will
19 be downgraded all the time. And I just don't know that
20 that's, that you'd want to say that either.

21 **THE WITNESS:** No. If, if I implied that the
22 company has to keep earning ever-increasing rates of
23 ROE, I misspoke. It's really what is the appropriate
24 level of ROE that a company has to earn, has to earn to
25 be competitive in attracting the right sources of

1 capital? So not necessarily an ever-increasing trend.

2 But it's also a good time to make another
3 point, which is why I, I think I understand where you're
4 heading. We can't keep asking customers to, to pay for
5 ever high and increasing, ever higher bills, electric
6 bills, which is why when we make, when we look at the
7 investments that have to be made, we look at investments
8 that provide customer savings, provide savings in fuel,
9 because we are mindful of what the total bill looks
10 like.

11 And so we look at -- you know, the investments
12 we're making in improving the efficiency of the plants
13 are really aimed at doing a couple of things. Improving
14 the fuel efficiency so that we keep fuel prices down,
15 and if nothing else, if they go, if the fuel component
16 of the bill, if nothing else, if the fuel prices go up,
17 they won't go up as much because we've made those
18 investments, which we think is an important part. And
19 then we also look at, you know, what can we do to keep
20 cleaning up the emissions that these plants produce?
21 And thirdly is how do we keep making our infrastructure
22 really sturdier and more reliant? And it's not just
23 hurricanes, but it's also things like disruption in
24 fuel.

25 So, you know, it's always kind of a complex

1 picture that we're looking at. But we think that these
2 are necessary investments for, for our customers for the
3 long-term.

4 **COMMISSIONER ARGENZIANO:** Thank you.

5 Mr. Chair, I didn't mean to interrupt the
6 train of thought of Mr. Wright. It's just while those
7 were in my head, I thought I would ask them. And thank
8 you for the answers.

9 **CHAIRMAN CARTER:** Thank you, Commissioner.

10 Commissioner Edgar, you're recognized.

11 **COMMISSIONER EDGAR:** Thank you.

12 Mr. Olivera, you mentioned I think briefly ago
13 about some other witnesses coming that could, could
14 answer some of these questions in more detail. And so
15 to come back to, and I don't remember if it was my
16 question or Mr. Wright's, but regardless, if I may, the
17 question about kind of options analysis, my term, and
18 if, if a rate increase were not to be approved or all of
19 the request, I mean, there again, just looking at the
20 range of options, then who is the best witness to ask
21 some questions about how the company would go about
22 looking at, I think you said, I don't mean to put words
23 in your mouth, but, you know, looking at each project
24 and each case, where it is and doing that analysis, who
25 would be the best --

1 **THE WITNESS:** Yeah. I think the -- well, I
2 think we can answer a part of that question in terms of
3 saying, you know, how much capital expenditures can this
4 company support at lower levels of revenue?

5 **COMMISSIONER EDGAR:** Than has been requested.

6 **THE WITNESS:** Than has been requested. And I
7 think that question can be handled by Armando Pimentel.
8 I don't think that we are, any of us are prepared here
9 today to say definitively, kind of give you a menu
10 option and say, you know, at this level we can do this,
11 at this level we can do that. In some ways it's kind of
12 a constantly changing lineup.

13 Like as we -- a number of these projects are
14 all in different stages of development, so you almost
15 have to take a snapshot and say, okay, today when I look
16 at all these projects, what are they? And, and a number
17 of these projects have also significant termination
18 exposure, meaning that to stop them has a price. That,
19 you know, we sign contracts with people for equipment,
20 for services. And when you stop it in the middle of the
21 development effort, a company is generally, has a
22 responsibility to pay that party.

23 So you'd have to take a snapshot in time and
24 say for each of these projects --

25 **COMMISSIONER EDGAR:** Mr. Olivera, I'm sorry --

1 **THE WITNESS:** Sure. That's all right.

2 **COMMISSIONER EDGAR:** -- but I need to -- I
3 really don't mean to interrupt, although I am.

4 **THE WITNESS:** No. That's all right.

5 **COMMISSIONER EDGAR:** But on that, that point,
6 are you saying that contracts have been signed that are
7 dependent upon a rate increase being approved prior to
8 it coming before us?

9 **THE WITNESS:** The contracts have been signed
10 with an expectation that the company will maintain the
11 same financial profile that it has today. I think
12 that's absolutely, that part of it is true.

13 I think to go the next step I don't think
14 would be appropriate. But we have, we've made, we've
15 made commitments based on an expectation that, you know,
16 we'd be allow to earn returns that would maintain the
17 same credit ratings and that we'd maintain access to
18 capital markets that we have today.

19 **COMMISSIONER EDGAR:** Coming back to a comment
20 that you made just a moment ago, I, I certainly
21 understand a snapshot in time and that things are ever
22 changing, everything in life is ever changing, but I
23 certainly understand that for a, a large capital
24 intensive company. But yet I do feel like for -- let me
25 start it this way.

1 Do you believe that the current economic
2 situation that this state and consumers and everybody
3 else is in is a factor in the analysis of this rate
4 case?

5 **THE WITNESS:** I think this Commission has to
6 take into consideration a broad range of factors, and I
7 would hope that one of them would be the fact that for
8 '09, I'm sorry, for '10, the bills will go down, even if
9 the full requested increase is granted. So I think it'd
10 be presumptuous of me to talk too much more about what
11 this Commission's position is.

12 But I go back to really the long-term view.
13 I'm not sure that there will ever be a good time to come
14 in for a rate increase. I'm not sure that there would
15 ever be any time that anybody will say, great, increase
16 your rates. So it's kind of the world that we live in.
17 And, you know, we view our responsibility as continuing
18 to do the right things for the long-term.

19 And to your earlier question, it's not just --
20 I answered it from the credit metrics. But I should
21 have also answered it in the context of it's sort of our
22 expectation that this Commission would continue on the
23 same constructive regulatory path that has delivered the
24 kind of results that we show and that we're pretty
25 confident we can continue to deliver going forward.

1 **COMMISSIONER EDGAR:** And I, one of the things
2 I'm trying to think through as I'm listening to the
3 questions and the answers and, as you said, for the last
4 two days and the next days to come is what are the
5 options before us and what are the ramifications to the
6 best of our ability to ascertain on any of those range
7 of options that, that may be before us? And I would
8 expect that the company would, would have done some of
9 that before making the decision to come -- let me
10 finish -- before making the decision to come forward.

11 So I believe you testified earlier this week
12 that the cost of a rate case of this magnitude and this
13 complexity is somewhere in the 4 to 5 million, and I, I
14 accept, I accept that that would be the case,
15 recognizing all of, all of the work that goes into it.
16 I'm also wondering about, you know, kind of a risk
17 analysis, and for a company to make the decision at the
18 point in time the decision was made to move forward on a
19 rate case at this point in time, if that risk analysis
20 was, was done as to the position that the company is put
21 in with or without or with some variation. And so I'm
22 trying to think through options because I, and
23 ramifications because I do think that is part of our
24 responsibility under the statute.

25 **THE WITNESS:** Sure. Absolutely. I think part

1 of the answer is when you look at what the, what the
2 projected ROE of the company is without rate relief, and
3 I believe that it shows that it's about 4.7 percent
4 without rate relief. And we did spend a lot of time
5 looking at that. And we spent a lot of time looking at,
6 you know, what would it take to have an ROE that we
7 could live with without rate relief. And we concluded
8 that it required a huge seismic change to the company
9 that we didn't think it was in the best long-term
10 interest of our customers.

11 **COMMISSIONER EDGAR:** Thank you, Mr. Olivera.
12 Thank you.

13 **CHAIRMAN CARTER:** Commissioner Skop.

14 **COMMISSIONER SKOP:** Thank you, Mr. Chairman.
15 Just, Mr. Olivera, I just wanted to follow up
16 briefly on some of the questions that had been asked
17 with respect to contracts.

18 Is it customary and reasonable for FPL to
19 enter contracts as a result of need determinations
20 previously approved by this Commission?

21 **THE WITNESS:** We -- yes. We generally wait
22 for a need determination -- there's some development
23 costs that you have to go through even before you come
24 in here. So before we come here for, for a need
25 determination, we've got to have a project. All right.

1 We have to be able to tell you, you know, where the
2 project is going to be, give you a pretty good sense for
3 how much that project is going to cost. And so we
4 generally try to do -- not generally. We do an
5 engineering estimate of what it's going to cost. So
6 that requires commitment of dollars.

7 You've got to have a site, so we have to buy a
8 site. In the case of West County we had the site locked
9 up. You have to have some sense how you're going to get
10 the fuel there, because you can't ignore that. That's a
11 big piece of this. So we'll talk to, in the case of
12 West County, gas companies, and make some decisions on
13 that. That takes money. We'll talk to vendors about
14 what's the right equipment. That will take money.

15 So going up to the need, we will have spent
16 some money. What we won't do typically is sign a
17 contract for the actual equipment or the actual gas
18 delivery infrastructure. And there the time line is not
19 always precise. But, as you know, there's another step
20 in the approval, which is the site certification process
21 at the state level.

22 But we generally will start making commitments
23 after this Commission approves the need, and we
24 generally will start making commitments on equipment,
25 which is one of the, has long lead times. It's one of

1 the most costly components. And we will have
2 termination (phonetic) exposure before, significant in
3 some cases before the state cabinet votes as, on the
4 power plant siting board, for example.

5 **COMMISSIONER SKOP:** Okay. Assuming that a
6 need determination was granted by this Commission and
7 subsequently approved by the siting board or the cabinet
8 acting as the siting board, FPL therefore moves forward
9 with these commitments and proceeds to build the
10 projects. And I'll use the two recent conversion
11 plants, Riviera and Cape Canaveral, which, again, part
12 of the reason for approving those was to convert those
13 to more fuel-efficient units, which ultimately provides
14 a fuel benefit. But both of those projects combined
15 total approximately 200 -- \$2.5 billion in capital
16 investment, subject to check.

17 And if I thought I understood your testimony
18 correctly, the company can only absorb so much capital
19 investment on its own within the context of its existing
20 rate structure before such time as it would need to seek
21 an increase to recover the costs absent GBRA treatment
22 of making such additional capital investments; is that
23 correct?

24 **THE WITNESS:** That's correct.

25 **COMMISSIONER SKOP:** Okay. And then just

1 briefly with respect to the point raised by Mr. Wright
2 on the nuclear uprates. Would it not be the case that
3 nuclear construction is adequately protected by virtue
4 of the nuclear cost recovery statute?

5 **THE WITNESS:** Well, yes, in general. But I'm
6 also mindful of the fact that the nuclear cost recovery
7 process is also being, being litigated. And so, you
8 know, we, we look at that as well. So I think, I
9 believe that that was the clear intent of the
10 Legislature. But the Office of Public Counsel, for
11 example, is challenging -- in our most recent filing
12 there's several challenges having to do, one of them has
13 to do with, you know, not having signed an engineering
14 and procurement contract, even though Progress is
15 getting asked, you know, why did they sign an
16 engineering and procurement contract?

17 So there is, you know, some, some dispute
18 around several of these items, and the proposal is to
19 get some disallowances. So it's not a risk-free
20 proposition, and particularly given the kind of dollars
21 we're talking about. That's the first point.

22 Secondly, you know, we are, when we're
23 spending the money is well ahead of when we actually
24 start to get revenue recovery. And this will be the
25 case even in new nuclear. It's certainly the case in

1 the modernizations. So while the first modernization
2 for the Canaveral plant is not scheduled to come in
3 service until 2013, we're already, we've been spending
4 money on those plants, and we will -- and the, and the
5 cash spent on that is going to go up almost at a pretty
6 steep line as we make commitments on equipment and so
7 forth.

8 We won't see a return on that and, you know,
9 we may or may not have GBRA, depending on what this
10 Commission decides, until the plant goes in service,
11 assuming that it all goes well and sort of according to
12 plan.

13 So you're spending, you're going through a lot
14 of cash as you're going through this process, and with
15 an expectation that you're going to get a return on that
16 capital when the facility goes in service.

17 **COMMISSIONER SKOP:** Okay. So I guess in a
18 nutshell then, notwithstanding the statute, you still
19 feel that there is exposure and some aspect of
20 regulatory uncertainty associated with making those
21 significant capital outlays for nuclear construction?

22 **THE WITNESS:** Absolutely.

23 **COMMISSIONER SKOP:** Thank you.

24 **MS. CLARK:** Mr. Chairman, could I inquire how
25 much longer Mr. Wright has?

1 **CHAIRMAN CARTER:** Sure, you can inquire.

2 **MR. WRIGHT:** Mr. Chairman, of course Ms. Clark
3 may inquire, and I will give you the best answer that I
4 can. And unfortunately it's a, it's an answer that's
5 going to have a pretty wide, wide confidence interval
6 bounding it because of, you know, the way the witness
7 answers the question affects it and how many questions
8 come from others during the course of it on that
9 subject.

10 I am perfectly delighted for the Commissioners
11 to interpose their questions at any time, and no one
12 needs to apologize for that at all, ever.

13 You know, at the rate we're going, I'm going
14 to guess, you know, I'm going to guess 30 to 45 minutes.
15 It could be less if, if there were shorter answers and,
16 and no other questions. It could be longer.

17 **COMMISSIONER ARGENZIANO:** Mr. Chair?

18 **CHAIRMAN CARTER:** Commissioner Argenziano.

19 **COMMISSIONER ARGENZIANO:** I think you've been,
20 been really good with not pushing anybody, and I want to
21 just bolster that. And I don't -- you know, this is the
22 first rate case we've had before us in, what is it, 20
23 something years before the Commission and for this
24 company. And I think we should take all the time that
25 we need, you know, within of course the time frame that

1 we have, but I don't want to rush anybody. And I think
2 you've been doing a good job with that. And I just want
3 to let everybody know, Mr. Wright, Ms. Clark, anybody,
4 that I don't think we should rush anything. And I don't
5 want to give the impression that that's what we're
6 trying to do.

7 **CHAIRMAN CARTER:** Thank you, Commissioner.

8 **MS. CLARK:** Mr. Chairman, my purpose was just
9 gauging a break. That's all.

10 **CHAIRMAN CARTER:** Okay. Mr. Wright, you may
11 proceed.

12 **THE WITNESS:** Mr. Chairman, I could use a
13 quick five-minute break.

14 **CHAIRMAN CARTER:** Okay. All right then. I
15 was going to torture you guys. Let's do this. We'll
16 come back, Commissioners, we'll come back at 15 after.

17 (Recess taken.)

18 We are back on the record. And when we left,
19 Mr. Wright.

20 **MR. WRIGHT:** Thank you, Mr. Chairman.

21 **BY MR. WRIGHT:**

22 **Q.** Good morning one more time.

23 **A.** Good morning.

24 **Q.** The questioning by the Commissioners has
25 prompted a couple of questions that I would like to ask,

1 and I figure in the flow I will ask them now.

2 First question. This has to do with what the
3 Commission can consider in making its decisions. Can
4 the Commission consider the current state of the economy
5 in making its decisions in this case?

6 A. Yes. And as I believe I said earlier, I think
7 you have to look at it, and I would suggest that this
8 Commission look at it also in the long-term view. And I
9 won't -- I'll spare the group going through the whole
10 discussion again, but it's not a matter of turning it on
11 and off. That decisions we make today have implications
12 four or five years down the road.

13 Q. Thank you.

14 MS. CLARK: Mr. Chairman, I just -- by the use
15 of the term "can the Commission," I just want to make
16 sure he's not asking for a legal judgment on that.

17 CHAIRMAN CARTER: We didn't take it that way,
18 but --

19 MR. WRIGHT: And I did not intend it that way.

20 CHAIRMAN CARTER: Okay.

21 MR. WRIGHT: I certainly intended it as a
22 matter of policy, asking the President of the company
23 the question.

24 CHAIRMAN CARTER: You may proceed.

25 MR. WRIGHT: Thank you, Mr. Chairman.

1 **BY MR. WRIGHT:**

2 **Q.** If the Commission in this docket were to grant
3 FPL a zero rate increase, wouldn't it also send a signal
4 to Wall Street that, all things considered, the PSC is
5 making or would be making what it believes is the best
6 decision for all parties in light of the current state
7 of the economy?

8 **A.** Respectfully, Mr. Wright, Wall Street doesn't
9 think like that. Wall Street looks at, you know,
10 what -- it's a competitive market for capital, and Wall
11 Street looks at, you know, where, where are the best
12 returns on a risk adjusted basis. And their, you know,
13 markets are very efficient capital markets, and Wall
14 Street will make the decision based on their view of the
15 relative risk and their view of the kind of earnings
16 that this company can deliver. They will not look at,
17 you know, really the basis of the Commission's decision.
18 They will look at the results.

19 **Q.** As per your attorney's query a moment ago, by
20 the next question I'm not asking you for a legal
21 opinion. But as a, as a matter of policy, you'd agree
22 that it's the Public Service Commission's statutory -- I
23 should leave that word out -- it's the Public Service
24 Commission's job to make the best decisions it can in
25 the public interest, would you not?

1 **A.** Yes. And I believe that the Commission really
2 has a dual responsibility to balance the needs of the
3 customers and the needs of the company. So I would add
4 to that equation I think they have a responsibility to
5 make sure that companies are healthy and financially
6 viable, because they can't do the right thing for the
7 customer, customers without that.

8 **Q.** And I'll bet you heard me say something very
9 much like that in my opening statement, didn't you?

10 **A.** I heard a lot of things in your opening
11 statement.

12 **Q.** I think I said "fair to the customers, fair to
13 the company." Do you recall me saying that?

14 **A.** I would certainly agree with that.

15 **Q.** Okay. If the Commission were to grant no rate
16 increase in this case, wouldn't it send a signal to the
17 people of Florida that, all things considered, the
18 Public Service Commission is making the decision it
19 believes best for all parties in light of the current
20 state of the economy?

21 **A.** I would certainly agree that it sends a
22 signal, but I think it would send different signals than
23 what you are saying. I think it would send a signal to
24 consumers, but it would also send a strong signal to the
25 company, and it would certainly send, as I talked about

1 earlier, a strong signal to the financial community.

2 Q. In responding to questions I believe by, posed
3 to you by Commissioner Argenziano, you were saying
4 something to the effect of there's never a good time for
5 a rate case, and that whatever you asked for you felt
6 would be opposed. Was that about what you said?

7 A. I don't think I said it quite the same way.
8 But I, but I think I was, I believe I was responding to
9 a question from Commissioner Edgar that there's never a
10 good time for a rate increase. If we asked, in good
11 times or bad times, if you ask people do you want to pay
12 more at Publix, do you want to pay more at Tenet
13 Healthcare, for example, nobody will say that they're
14 willing, that they want to pay more.

15 Q. By your response earlier, did you mean to
16 imply that the consumers just blanket take the position
17 opposing rate increases, whatever the request is?

18 A. I think that most people don't want to pay
19 more for a service that they're getting. And it, it
20 takes a fairly sophisticated customer to say, you know,
21 there are times that maybe I -- in whatever products,
22 whatever I pay, there is these businesses, particularly
23 a regulated business like this, that there has to be a
24 component that's really an investment for, to maintain
25 what we're doing now.

1 I think -- I'll give you an analogy. You
2 know, most people think nothing when they -- they
3 recognize, if you're a homeowner, that every now and
4 then you're going to have to replace an appliance or
5 you're going to have to replace, you know, a
6 refrigerator, a washer or whatever. Most of the time,
7 in fact all the time you're generally going to end up
8 paying a higher cost than what you paid before, when you
9 first bought that appliance if you bought it ten years
10 ago. People expect, they recognize that nothing lasts
11 forever, and that when they replace it they have to pay
12 more.

13 It's the same thing in a utility at a simplest
14 level. You know, when -- nothing in our system lasts
15 forever. We've got to keep putting capital in the
16 business to replace everything from poles, transformers,
17 on up. And when we replace it, we, we pay more than
18 that equipment went in in the first place.

19 So a status quo and not putting capital in a
20 business, in our business is unrealistic, any more than
21 to expect that a homeowner, that their appliances will
22 last forever. And maybe that's not a point that we have
23 been able to make clearly enough in some of the
24 discussions that we've been having.

25 Q. Thank you for that answer. The question I was

1 trying to ask you, and I'll make it a little more
2 specific with this predicate question. You're familiar
3 with the consumer Intervenors in this case.

4 **A.** Yes.

5 **Q.** Public Counsel, FIPUG, Retail Federation,
6 South Daytona, the Federal Agencies; right?

7 **A.** Yes.

8 **Q.** Did you mean to imply by your earlier response
9 that the consumer Intervenors in this case would under
10 any circumstances oppose any rate increase by FPL?

11 **A.** To the best of my recollection, I don't ever
12 recall an intervenor recommending an increase in a rate
13 proceeding. I may be wrong, but I don't, I don't have
14 any recollection of an intervenor saying, yes, this
15 company should be granted an increase.

16 **Q.** Surely you followed the Tampa Electric case
17 recently concluded by this Commission, did you not?

18 **A.** I did.

19 **Q.** You're not aware that the consumers in that,
20 in that case --

21 **A.** I did not -- sorry.

22 **Q.** Thank you. Will you agree that the -- and we
23 can cite to the prehearing orders, if we need to. Will
24 you agree that in that case the consumer intervenors
25 recommended rate increases for Tampa Electric between

1 roughly \$26 million and \$39 million per year?

2 **A.** I did not read the testimony of all the
3 intervenors. I just looked at the summaries.

4 **Q.** Thank you. In response to a question by, by
5 Commissioner Edgar, I believe you said, something you
6 said I think on Monday, and that is that rate case
7 expense was roughly \$4 million to \$5 million. The
8 number I recall seeing in the MFRs is something like
9 \$3.6 million. Does that sound accurate?

10 **A.** 3.6 rounds up to four, so.

11 **Q.** Is Mr. Pimentel the appropriate witness to
12 nail that down?

13 **A.** I think, I think why don't we ask Mr. Barrett.
14 I'm sure he can look up what, the actual forecasted
15 cost. I think it's important to also note that it's not
16 just the actual rate case cost. It's really the time of
17 the senior team and all the people that support the
18 senior team that's not included as a rate case expense
19 that is frankly what I, has me the most concerned for a
20 rate case, during rate cases.

21 **Q.** Thank you for that answer.

22 I believe that it was Commissioner Argenziano
23 who asked you some questions about the cost recovery
24 clauses. But regardless, at least one Commissioner
25 asked you some questions about cost recovery clauses

1 this morning, and I did have a couple of follow-up
2 questions on that.

3 I think it's in your testimony. On Monday you
4 suggested that there's, that there's some risk of
5 disallowance under the cost recovery clauses; correct?

6 **A.** Correct.

7 **Q.** If you know, how much of FPL's requests for
8 recovery of costs through clause revenues was disallowed
9 in 2008?

10 **A.** I'm not sure I can give you an exact number
11 off the top, top of my head. I think there's probably
12 around \$6 million or so disallowance in the fuel bill.
13 But the point is -- I made a couple of points. The best
14 that we can do is to recover all of the costs that are
15 incurred. And for the overwhelming majority of the
16 dollars that are recovered through clauses, there is no
17 profit. So the most you can do is you can recover your
18 costs, but you have downside. You have no upside
19 because unless -- unlike base rates, you don't have an
20 opportunity to, to make a profit on that.

21 **Q.** You would agree, using the phraseology you
22 just used, that FPL recovers the overwhelming majority
23 of its requested costs in its cost recovery clauses,
24 would you not?

25 **MS. CLARK:** I'm going to object to the

1 characterization of "overwhelmingly."

2 **CHAIRMAN CARTER:** Rephrase. Just rephrase.

3 **MR. WRIGHT:** It was the phrase he used in his
4 previous answer, Mr. Chairman. He said, he said the
5 overwhelming -- what he said was the overwhelming
6 majority of our costs don't contain a capital component.
7 And even regardless, I think it's a fair, fair question
8 in any event.

9 **CHAIRMAN CARTER:** Ms. Helton.

10 **MR. WRIGHT:** The further proffer is he's
11 talked about --

12 **CHAIRMAN CARTER:** Hang on. Hang on. Hold on.
13 Just hold on.

14 **MR. WRIGHT:** Yes, sir.

15 **CHAIRMAN CARTER:** Ms. Helton.

16 **MS. HELTON:** I honestly don't know whether he
17 used that term or not. I do think that we have heard
18 today that the majority of the costs are recovered
19 through some type of clause proceeding, but I'm not sure
20 that it really matters that much at this point. Maybe
21 if we could just go through and let him finish the
22 question and let Mr. Olivera answer.

23 **CHAIRMAN CARTER:** Mr. Wright, you may proceed.
24 Mr. Wright, you may proceed.

25 **MR. WRIGHT:** Thanks.

1 **BY MR. WRIGHT:**

2 Q. Mr. Olivera, the number you remembered from
3 last year's consolidated clause proceedings is the same
4 number that I remember for last year. And so last year,
5 to the best of your recollection and my recollection,
6 FPL did not recover about 6 million. I think it was
7 actually about \$6.2 million of its requested cost
8 recovery out of a total cost recovery bill in the range
9 of \$7 billion. Is that accurate?

10 A. I don't remember what the total number is.
11 But we recovered the majority of the costs because we're
12 able to show that they were prudently incurred costs.
13 But at every step of the way there is a challenge on the
14 prudence of all the expenses. And we talked briefly
15 earlier today about the nuclear cost recovery.

16 And, again, I was making two points, that the
17 best you can do is recover what you have incurred. And,
18 secondly, that for, and I will say it again, the
19 overwhelming majority of the dollars we don't make a
20 profit on.

21 Q. You referred to a challenge to the, as I
22 understood it, to the company to demonstrate prudence of
23 its requested recovery under the cost recovery clause;
24 correct?

25 A. In what context? What is -- your question is

1 in regards to a challenge to what?

2 Q. I believe in your answer to my previous
3 question you said the company faces a challenge, which I
4 understood you to mean to demonstrate the prudence of
5 costs for which you're requesting a recovery under the
6 cost recovery clauses. Was that your intent?

7 A. I was referring to a specific comment that I
8 had made earlier about the nuclear cost recovery and the
9 challenges that are currently being made with regards to
10 the filings we've made.

11 Q. Thank you for that clarification. That's not
12 how I took your prior answer.

13 Let me ask you one quick question, I hope.
14 Would you agree that it's appropriate for the Commission
15 and any participating Intervenor parties to question the
16 reasonableness and prudence of FPL's costs that it
17 requests be recovered through cost recovery clauses?

18 A. Yes. But at every step of the way you have
19 to, internally you have to make sure that every decision
20 that you make is properly documented, properly noted.
21 And there's always some risk that for whatever reason,
22 and we live in an imperfect world, Counselor, that for
23 whatever reason something is not properly documented,
24 there's some screw-up somewhere along the way. And
25 that, that would be deemed, because we can't provide the

1 documentation, we can't provide an analysis that a
2 manager didn't think of doing ahead of time, that those
3 dollars will get disallowance. We live with that risk
4 every day. I accept it, it's part of the regulatory
5 environment that we live in. But I want to make the
6 point, we don't make a profit on that. The best we can
7 do is to recover the dollars that were incurred.

8 Q. Now you've mentioned a couple of times in the
9 last three or four minutes the nuclear cost recovery
10 clause. You would agree -- well, let me ask it this
11 way. Would you agree that the majority of costs that
12 FPL expects to recover under the nuclear cost recovery
13 clause, through the capacity cost recovery charge from
14 now until the time Turkey Point 6 comes online will be
15 for essentially construction return or return on
16 construction investment during the construction process?

17 A. I'm not sure that I understand your question.
18 Can you clarify? When you say --

19 Q. Sure.

20 A. -- the dollars that we're going to recover?

21 Q. Between now and 2018, say.

22 A. Uh-huh.

23 Q. They're going to be, there's going to be some,
24 there's going to be some preconstruction costs; correct?

25 A. Correct.

1 **Q.** And the rest of it, as I understand the way
2 the statute works, the rest of it will be the return on
3 the investment during construction.

4 **A.** Correct.

5 **Q.** And isn't it also true that even if the
6 company abandons the project at any point in time, the
7 statute provides that you would continue to earn a
8 return on, on the investment up to the point of
9 abandonment until it was fully amortized?

10 **A.** That is my understanding.

11 **Q.** Thank you.

12 **A.** But the point that I wanted to make on that is
13 it is a huge investment, huge amount of dollars, and
14 there is a risk for disallowance at every step of the
15 way. And we're not talking about a 5 or \$6 million
16 item, we're talking about a 14 to \$18 billion item. So
17 I think we have reason to, to monitor really what's
18 going on pretty closely.

19 **Q.** And I'm glad you mentioned that, because that
20 brings me to another question I had made a note to ask.
21 Both yesterday and today you've referred to your, what I
22 understand to be your Turkey Point 6 and 7 nuclear
23 expansion project as estimated to cost between 14 and
24 \$18 billion; is that accurate?

25 **A.** That is correct.

1 **Q.** Okay. I thought that, I believed -- not past
2 tense. I believe that I have seen estimates from the
3 company quoted in press articles between 12 and
4 \$24 billion. Do you recall seeing estimates like that?

5 **A.** I think since we've announced it, we've kind
6 of narrowed down that range. But I would also say that
7 it's a very preliminary range. We haven't signed an
8 engineering and procurement contract. And in fact we
9 haven't been able to come to terms that we're
10 comfortable with in that. So it's a very, very
11 preliminary estimate. It's a wide range and the
12 estimate is subject to a lot of change.

13 **Q.** And you're not in a position today, are you,
14 to promise your customers that, that the plant is going
15 to cost no more than \$18 billion, are you?

16 **A.** No, I'm not.

17 **Q.** Okay. You've mentioned, I think, a few times
18 in your testimony that, that FPL expects to make
19 something like \$16 billion of investment over the next
20 five years.

21 **A.** That's correct.

22 **Q.** How much of that do you expect would be in
23 nuclear?

24 **A.** I can't give you the number off the top of my
25 head.

1 **Q.** Ballpark percentage?

2 **A.** I mean, I can start noodling (phonetic)
3 numbers, but I think you're best off to ask Mr. Barrett,
4 who can, who's got the numbers, he's got the MFR. He
5 can give it to you.

6 **Q.** Thank you. I shall pose the question to
7 Mr. Barrett.

8 You've said several times and FPL's exhibits
9 show a projected decline in the residential bill next
10 year based on your projected reduction in fuel costs;
11 correct?

12 **A.** Correct.

13 **Q.** Okay. If fuel costs don't go down as
14 projected, rates will be higher than they otherwise
15 would under any scenario; correct?

16 **A.** If fuel bills go higher than the current
17 forecast, the bills will be higher than the \$100 or so
18 that we have forecasted.

19 **Q.** Okay. I think that I have it right. I think
20 this is on about Page 5 of your testimony. Sorry. It
21 is on Page 7 of your testimony. That as of today, as of
22 this year, I should say, FPL's generation is roughly
23 half gas. 48 percent is the value I see there at the
24 top.

25 **A.** Yes.

1 **Q.** And that's projected to increase to 61 percent
2 next year and 63 percent the year after?

3 **A.** Yes. That's in my testimony.

4 **Q.** Thank you.

5 **CHAIRMAN CARTER:** Number, Mr. Wright?

6 **MR. WRIGHT:** Yes, Mr. Chairman. I've got 397.

7 **CHAIRMAN CARTER:** 397. Excellent.

8 **MR. WRIGHT:** And my proposed short title is
9 EIA Natural Gas Prices, 2002-2009.

10 **CHAIRMAN CARTER:** Okay. Since I didn't get
11 that, I want you to give me that short title again.

12 **MR. WRIGHT:** Certainly, Mr. Chairman. EIA
13 Natural Gas Prices, 2002-2009.

14 **CHAIRMAN CARTER:** Okay. Hang on a second.
15 Let everybody get a copy before you proceed.

16 (Exhibit 397 marked for identification.)

17 You may proceed.

18 **MR. WRIGHT:** Thank you, Mr. Chairman.

19 **BY MR. WRIGHT:**

20 **Q.** Mr. Olivera, you have testified and I'm sure
21 that we agree that the prices of natural gas are
22 volatile. Yes?

23 **A.** Yes.

24 **Q.** If I could ask you to look at the meaningful
25 page of this, of this exhibit, it purports to show

1 monthly U.S. natural gas prices for the electric power
2 sector over the time period indicated, 2002 to almost
3 the present time; correct?

4 **A.** Correct.

5 **Q.** You'd agree that we, I know we would all agree
6 painfully that we had a pretty big price spike last
7 summer on natural gas; correct?

8 **A.** I'm sorry. Yes. We've seen huge volatility
9 in the price of gas, very painful last summer.

10 **Q.** And we had another one in the latter part of
11 2005; also correct?

12 **A.** Correct.

13 **Q.** Okay. I'll give you subject to check on the
14 number, but isn't it true that when the price of gas ran
15 up in the first half of last year, FPL came to this
16 Commission asking for Commission approval to recover
17 roughly \$746 million of fuel cost underrecoveries, as we
18 would denominate them, over the last half of 2008?

19 **A.** Subject to verification, we have come in from
20 time to time when there's been a runup in a fuel bill.

21 **Q.** Subject to verification of the actual number,
22 you'd agree that, you would agree that you came in and
23 asked for a bunch of money last summer; right?

24 **A.** I can't remember the exact time frame when we
25 came in, but certainly we have, there's plenty of

1 instances where we've come in when the price of fuel has
2 gone up.

3 Q. Last year the price of gas ran up roughly four
4 to \$5 a million Btu between the first of the year and
5 June; is that about right?

6 A. I can't give you that information off the top
7 of my head.

8 Q. Well, you could look at the graph, and I think
9 it'll show you that the price in January of 2009 was
10 just a hair over \$8 and the price in June -- actually
11 you can look at the numbers on the table. The price in
12 June was \$12.50 a million and the price in July was
13 \$12.05 a million.

14 A. That's what it says. But I don't know exactly
15 the source of the information, so I'm not going to
16 testify that these are absolutely the right numbers.

17 Q. I think we've already agreed that the EIA is a
18 recognized source of energy data, have we not?

19 A. The question is what's the context? You know,
20 we, sometimes we report it on a daily prompt. This is a
21 monthly data. It depends what point in time you pick
22 that will give you a different answer. If you pick
23 today's prompt, it's different than it was a week ago.
24 So I'm not going to testify that I understand the
25 numbers that you've given me.

1 Q. Well, I will ask you to answer this question
2 then. In the context of your personal knowledge, is it
3 your, in the context of your personal knowledge, is it
4 your understanding that market prices of natural gas
5 increased roughly \$4 a million Btu the first half of
6 last year?

7 A. I can't testify to the exact number. There's
8 been a huge amount of volatility in gas prices, and
9 we've seen movements of \$6 or \$8 in, in a calendar year.

10 Q. Just so I'm clear, the answer to my question
11 in the context of your personal knowledge is, I don't
12 know?

13 A. I don't know the exact movement of gas prices
14 in the specific time frame that you are giving me. I
15 don't have that information off the top of my head.

16 Q. Okay. Well, the real point is this. If we
17 had another \$4 price runup in natural gas, that would,
18 that would pretty much wipe out your projected fuel cost
19 decline, wouldn't it?

20 A. I can't work the math off the top of my head.
21 But I will say to you that it's precisely for those
22 reasons why we think it's so important to continue to
23 invest in making the system more efficient, because it's
24 one of the few things that we can do to really lower,
25 help lower that fuel price. The things we're doing

1 actually have more value when there's a big runup in gas
2 prices than when gas prices are low, because on a
3 proportional basis it saves the customers more money
4 than it would otherwise be.

5 **COMMISSIONER EDGAR:** Mr. Chairman, if I may.

6 **CHAIRMAN CARTER:** Commissioner Edgar.

7 **COMMISSIONER EDGAR:** Thank you, Mr. Wright.

8 Just a follow-up on that.

9 The term 1.3 billion has been used. It's
10 moved a little bit, so whatever that, that number is.
11 Can you tell me, and it doesn't have to be to the penny
12 of course, but generally, of that, the request, the
13 total request amount, how much of that, if granted, will
14 be used to increase efficiency, which I think is the
15 term, I think is the term that you just used in response
16 to Mr. Wright?

17 **THE WITNESS:** Yeah. It's, when I was talking
18 about efficiency here, I was talking about power plant
19 efficiency; right? So it's the capital recovery
20 associated with that.

21 **COMMISSIONER EDGAR:** With generation, yes.

22 **THE WITNESS:** I don't have a -- and so that's
23 one component of the efficiency. Of course we're making
24 other investments to make the system more efficient in
25 transmission and distribution. So in the context of

1 fuel I was picking a very, kind of a fairly narrow
2 definition.

3 **COMMISSIONER EDGAR:** You may, you may broaden,
4 just so I understand what you're referring to.

5 **THE WITNESS:** Yeah. I think in, in the first,
6 in the first pass it's probably several hundred million
7 dollars. We know for sure that it also has in it
8 \$200 million for West County. So in total numbers it's
9 probably four or \$500 million that's directly attributed
10 to the plants now.

11 The piece that's not shown in these numbers of
12 course is, you know, how the rate increase supports the
13 credit metrics that allow us to continue to build
14 facilities, but that for which we're not yet asking for
15 a base rate increase. So back to our earlier
16 conversation.

17 **COMMISSIONER EDGAR:** Thank you.

18 Thank you, Mr. Wright.

19 **CHAIRMAN CARTER:** Mr. Wright.

20 **MR. WRIGHT:** Thank you, Mr. Chairman.

21 **BY MR. WRIGHT:**

22 **Q.** Following on my questions about fuel, you're
23 not guaranteeing fuel cost, fuel charge reductions
24 effective in January, are you?

25 **A.** No, I'm not guaranteeing. But I think there

1 is a very high probability that gas prices will, will
2 remain low. I think that at least there's a consensus
3 around the experts that there is a supply demand
4 balance, there's a lot more supply than there is demand
5 right now in part because of the economy, and that that
6 will tend to depress gas prices for the foreseeable
7 future. So we think it's a very low probability.

8 **MR. WRIGHT:** Believe it or not, Mr. Chairman,
9 I think that we have, have rounded the home turn and
10 that I am nearly done.

11 **BY MR. WRIGHT:**

12 **Q.** I think that I only have a couple more
13 questions, Mr. Olivera. And these go, again, to the big
14 picture of the company's request that we discussed at
15 the outset of our colloquy today.

16 I'm looking at, at the company's MFR C-1,
17 which shows that absent rate relief and taking the
18 company's projected expense information as given, the
19 company would have roughly 725, \$726 million of net
20 operating income. And that number is the same as shown
21 on Line 8 of Schedule A1, Page 1 of 1. Is that familiar
22 to you?

23 **A.** I'm not the sponsor of that MFR, but that
24 sounds about right.

25 **Q.** Okay. That number takes as given the

1 company's projected expense numbers and rate base
2 numbers, does it not?

3 **A.** Yes. It takes into account O&M and capital
4 expenditures.

5 **Q.** And depreciation; correct?

6 **A.** And depreciation.

7 **Q.** Okay. If the Commission were to accept the
8 recommendations of the Public Counsel's depreciation
9 witness, that would have the effect of reducing the
10 company's depreciation expense by some \$554 million.
11 That's the number on their exhibit. We can -- do you
12 agree that that's, that's the representation of the
13 consumers' witnesses?

14 **A.** I have 230. The total that you're showing is
15 554.

16 **Q.** The total, I believe, is 554, which includes
17 both the adjustment to 230 million as amortization of
18 what we assert is the excess depreciation reserve, which
19 shows as a credit against depreciation expense, and a
20 modification of \$324 million based on Mr. Pous's
21 adjustments to depreciation rates.

22 **A.** Correct.

23 **Q.** Okay. So if the Commission adopted that and
24 you plugged the adjusted number into either schedule,
25 i.e., into the calculation of NOI, your NOI would go up

1 by that \$550 million, wouldn't it?

2 A. I haven't worked through all the math. But it
3 will have, it will have an impact on our net income.

4 Q. Well, I --

5 A. On the reported net income.

6 Q. Correct. And we've had a conversation about
7 depreciation being --

8 A. Uh-huh.

9 Q. -- accounting entries.

10 A. Uh-huh.

11 Q. Okay. So if, if the accounting entries made
12 for depreciation and amortization were reduced by
13 \$554 million, reported NOI would increase by that same
14 amount. So it would go from roughly \$726 million to
15 roughly \$1.26 billion; correct?

16 A. Look, I have not -- I don't know what -- we
17 need to compare what we have in our forecast and I need
18 to understand your exact definition of each of these
19 line items. And so I'm not going to give you a number
20 that I really don't understand, kind of a side-by-side
21 comparison. I don't know if there's some overlap in
22 some of the numbers you have or there isn't. So I'm not
23 prepared to sit here on the stand and say it's
24 \$500 million more of net income. And as I said, I'm not
25 the sponsor of C-1.

1 Q. Well, perhaps I shall pursue that with
2 Ms. Ousdahl, but I will ask my, my question of you.

3 If true that the depreciation works in the
4 simple arithmetic way that it seems to me that it works
5 anyway so that there's a dollar-for-dollar increase in
6 NOI in response to a dollar-for-dollar decrease in
7 depreciation expense, if that's how this works --

8 A. Yes.

9 Q. -- then you'd be up around \$1.25 billion of
10 NOI.

11 A. If somehow there's a, there's some magical or
12 theoretical number that creates that much depreciation.
13 But I think the question you have to ask yourself, you
14 know, how do you get to that number and is it an
15 artificially low number, which is one of the items that
16 we have a difference of opinion on. And we've talked
17 about surplus depreciation, and obviously we have
18 several witnesses that will address that, the technical
19 aspects of that.

20 But if you accelerate, you know, accelerate
21 those credits and not, and take them out of line with
22 the remaining life, we do, we are looking for a big
23 increase in three or four years' time. We've talked
24 about that. I think there are other witnesses that can
25 be more eloquent on that point.

1 You also have a second impact that we have not
2 talked about, but I'm sure Armando Pimentel can also
3 address, which is you begin to get into a quality of
4 earnings issue, meaning that, as we've said, these are
5 not, this is not cash. This is not \$500 million of cash
6 that's sitting out there and it doesn't represent
7 additional cash that will come in the door.

8 So investors are pretty sophisticated. They
9 would look at, you know, how much of your net income is
10 really being generated by, by real cash, what portion of
11 it is real cash. And I'm not the right guy to give you
12 any kind of ratio, but I think you have to take that
13 into consideration. It's not -- you can't -- if you
14 report, just to make the point, if all of your net
15 income that's reported is all effectively book earnings,
16 that is, there's no real cash coming in the door, that
17 has significantly different credit profile implications
18 than if you can show that substantially or all of that
19 is, is kind of a cash, cash return.

20 Q. Again understanding that we have a difference
21 of opinion, you would agree that the consumers'
22 witnesses, specifically Daniel Lawton on behalf of the
23 Citizens of Florida, have testified, have provided or
24 will be providing testimony regarding the impact of the
25 depreciation adjustments recommended by Public Counsel's

1 other witness on FPL's financial integrity?

2 **A.** Yes. And I hope that you will also agree that
3 we have a different point of view and that we have two
4 financial witnesses that will be testifying on that and
5 three, three different witnesses that will be testifying
6 on depreciation.

7 **Q.** Mr. Olivera, I think we agree on a lot of
8 things, including the fact that we have different points
9 of view.

10 **A.** Agreed to that.

11 **Q.** You mentioned that there would be a big
12 increase, in response to my previous question, that
13 there, in your characterization there would be a big
14 increase in rate base if we amortize the depreciation
15 surplus more rapidly; correct?

16 **A.** Correct.

17 **Q.** Okay. Wouldn't it be possible that we would
18 get to a point, say, in three, four, five years that the
19 depreciation surplus would be zero?

20 **A.** I think, without getting into the technical
21 analysis, and I think both Mr. Mike Davis -- Mr. Mike
22 Davis is probably the best guy to tell you, because
23 we've done some of that analysis to show, you know,
24 what, what will this do, kind of the what-if scenarios
25 if you accelerate that depreciation to be faster than

1 what we're proposing and what's the likely impact. And,
2 frankly, I am not, of all the things I deal with,
3 depreciation is one of the most complicated ones, and
4 I'm not the right guy to go through those mechanics with
5 you.

6 Q. Well, we agree on that too, that it's one of
7 the most complex things that we have to deal with. But
8 you testified that there would be a big increase in rate
9 base.

10 A. Yes.

11 Q. It seems --

12 A. I'm sorry.

13 Q. It seems like a fair characterization of that
14 testimony is that rate base would, other things equal,
15 be bigger than it would otherwise be if the Commission
16 adopted a more rapid amortization of the depreciation
17 surplus than that advocated by the company. Is that
18 fair?

19 A. I'm sorry. I couldn't follow it all, but let
20 me just make a point of clarification. When I said
21 that, that if the surplus depreciation is amortized at a
22 faster rate than we're proposing and that there would be
23 an increase at the back end, it's really based on the
24 analysis that Mr. Mike Davis has provided and based on
25 the conclusions that he has shown me.

1 **Q.** I too am trying for a clarification. You said
2 there would be a big increase in rate base.

3 **MS. CLARK:** Mr. Chairman, you know, I think
4 this has been asked and answered and the witness has
5 made it clear that a better witness to answer it is Mike
6 Davis. This just goes to the issue of trying to move
7 the hearing along.

8 **CHAIRMAN CARTER:** Mr. Wright.

9 **MR. WRIGHT:** Mr. Chairman --

10 **CHAIRMAN CARTER:** Yes, sir.

11 **MR. WRIGHT:** -- I'm trying to elicit a
12 clarification of the witness's prior answer in which he
13 stated that there would be a big increase in rate base.
14 The question I'm trying to ask him is does he mean that
15 it would be bigger than it would otherwise be. And he
16 can say yes, no or I don't know. I think he's explained
17 a lot already, but he can explain too.

18 **CHAIRMAN CARTER:** Okay. Ms. Helton. I'm
19 going to give you some easy ones today.

20 **MS. HELTON:** Well, you know, I'm not an
21 accountant, but it seems to me that this has been asked
22 and answered.

23 **MR. WRIGHT:** My problem, Mr. Chairman, is that
24 I did not hear yes, no or I don't know. What I heard
25 was this is a complex issue and you should better ask

1 Mr. Davis. If he will preface his answer by saying I
2 don't know, I cannot answer that question, ask
3 Mr. Davis, I will move on.

4 **CHAIRMAN CARTER:** Okay. Well, ask him again.

5 **THE WITNESS:** Would you repeat the question?

6 **BY MR. WRIGHT:**

7 Q. Of course. I was, I was asking, I was
8 attempting to ask you to clarify a previous statement
9 that you made in response to one of my questions in
10 which you said there would be a big increase in rate
11 base. And my question was, did you mean that rate base
12 will be bigger than it otherwise would be if the
13 Commission were to adopt something like the consumers'
14 accelerated amortization as opposed to the companies?
15 Was that your intent? That's my question.

16 A. Yes. And as I stated earlier, my answer is
17 based on the analysis that was conducted by Mr. Davis,
18 which showed that, as proposed by opposing counsel, that
19 rate base would grow higher than it otherwise would have
20 grown. And that's why I deferred you to Mr. Davis,
21 because I can't walk you through all the elements of the
22 analysis.

23 Q. And, again, without getting into the
24 accounting weeds, would you agree that a possible
25 outcome is that we would get to a point where there were

1 no, there would be no depreciation surplus or deficit
2 sometime down the road?

3 **A.** No. Because the data, the analysis that I
4 have seen suggests otherwise.

5 **Q.** What, what result does it suggest? Does it
6 suggest that you would be in a depreciation deficit
7 position?

8 **MS. CLARK:** Mr. Chairman, I would just renew
9 the objection on this line of questioning, that they
10 more appropriately go to Witness Davis.

11 **CHAIRMAN CARTER:** I'll allow.

12 **THE WITNESS:** Would you repeat the question?

13 **BY MR. WRIGHT:**

14 **Q.** The prior question was, would you agree that
15 it's possible that we would get to a point three, four,
16 five years down the road where there would be no
17 depreciation surplus and no depreciation deficit? You
18 said, no, because the analyses I have seen suggests
19 something different.

20 My follow-up question was, do you mean to
21 imply that there would be a depreciation deficit
22 position at any future time?

23 **A.** The answer is we don't know.

24 **Q.** Okay.

25 **A.** Because in four years' time there would be a

1 new depreciation study conducted. We've been doing them
2 every four years per the direction of this Commission.
3 And at the end of four years there will be an update to
4 the analysis that has been done so far, the analysis
5 that's been presented concurrent with this case, and we
6 don't know whether, what, what it will show. But there
7 are certain trends that I think Mr. Davis can point to
8 because we have a significant amount of investments that
9 are being made in assets that have a defined life. And
10 so I'm going to defer to him to kind of walk you through
11 at least directionally where he thinks this is going to
12 end up. But there will be another depreciation study
13 conducted in four years.

14 **Q.** Taking into account all the decisions that the
15 Commission is faced with, however they make them, for
16 y'all on some, for our side on some, if we wound up
17 where the number at the bottom right-hand corner of C-1,
18 which is now \$725,883,000, with something like
19 \$1.25 billion, would that be enough for FPL?

20 **A.** It -- certainly not the 700 and some million
21 dollar number. I think we've made the case that that is
22 a pretty low ROE for the company. And we would be,
23 frankly, you know, hard-pressed to continue doing what
24 we're doing at that level of ROE.

25 **Q.** I appreciate the answer that you gave, but let

1 me pursue that and then I'm going to ask my question
2 again.

3 You said that would produce a low ROE. That
4 assumes, that calculation that produces what I think the
5 company represents is about a 4.7 percent ROE; correct?

6 **A.** That's correct.

7 **Q.** That assumes the company's position on every
8 expense item in this case; correct?

9 **A.** Correct.

10 **Q.** Thank you. The question I asked you before
11 that was simply if, based on the decisions the
12 Commission makes in this case with regard to O&M,
13 depreciation, and everything else, the number shown
14 incorporating the Commission's adjustments into the
15 calculation was \$1.25 billion of NOI for FPL, would that
16 be enough?

17 **A.** I think I'd go, and I'm sorry, I don't mean to
18 be argumentative, but I go back to the quality of
19 earnings. If you said -- because you're giving me a
20 hypothetical case. If you said to me virtually all of
21 that, you know, we're going to ask you to, to flow back
22 a billion dollars, a billion two of surplus depreciation
23 in 2010 and that's the only, that's the only thing that
24 you get coming out of this case, that's actually a
25 pretty bad outcome for us. And so I'm having trouble

1 asking -- answering the question in such a hypothetical
2 manner.

3 **MR. WRIGHT:** Thank you, Mr. Olivera. And
4 thank you, Mr. Chairman. I am done.

5 **CHAIRMAN CARTER:** Thank you, Mr. Wright.
6 Mr. --

7 **MR. McGLOTHLIN:** Chairman Carter, before you
8 go down farther, I have one small item to bring up. I
9 think it'd be appropriate now.

10 **CHAIRMAN CARTER:** I'm all in favor of small
11 items, Mr. McGlothlin.

12 **MR. McGLOTHLIN:** I did not want to interrupt
13 either Commissioner Skop or the witness or Mr. Wright,
14 but there was a point during a response to Commissioner
15 Skop at which Mr. Olivera went beyond simply saying the
16 company is at risk for possible disallowance and
17 referred to a specific issue pending in the nuclear cost
18 recovery case, and appeared to defend himself against
19 OPC's position in that case.

20 So that we keep rate case issues in the rate
21 case and nuclear issues in the cost recovery docket, I
22 move to strike that portion of the response that
23 referred to the EPC contractual issue pending in that
24 other case.

25 **MS. CLARK:** Well, I would object to having

1 that stricken, because, as we've all painfully listened
2 to, a lot of the testimony and questions here was on
3 cost recovery clauses. And I think Mr. Olivera's point
4 was there is no guarantee of recovery under those
5 clauses.

6 **CHAIRMAN CARTER:** Ms. Helton.

7 **MR. McGLOTHLIN:** Had that been the point, he
8 could have stopped there. He went further and
9 identified a position of OPC against which he was
10 defending and described what he perceived the disparity
11 of treatment, and that goes beyond making the point that
12 there is potential disallowance.

13 **MS. CLARK:** It is a fact which supports his
14 point.

15 **CHAIRMAN CARTER:** Commissioner Skop, then
16 Ms. Helton.

17 **COMMISSIONER SKOP:** Thank you, Mr. Chair.
18 Just with respect to the reason I asked my question,
19 which I don't usually do, but it was in response to a
20 question that Mr. Wright had presented to the witness
21 with respect to the need for a rate increase as it
22 pertained to the uprates, and that was the, just the
23 basis for fleshing out, you know, because I do look at
24 them as separate and distinct issues.

25 **MR. McGLOTHLIN:** And to be clear, I don't

1 object to the witness making the point that they're not
2 guaranteed recovery under cost recovery mechanisms and
3 that there is what he called exposure to the possibility
4 of a, of an issue that could relate to, lead to a
5 disallowance if the Commission first makes a finding of
6 imprudence and then of unreasonable costs. That's all
7 basic ratemaking.

8 But to then complain in effect about a
9 particular position being advocated by the OPC in this
10 docket when that's being played out somewhere else is
11 the point to which I take exception.

12 **CHAIRMAN CARTER:** Okay. Commissioner Skop.

13 **COMMISSIONER SKOP:** Let me just make this
14 easy. I'll just move to strike, move to strike my
15 entire question as to that line of questioning and that
16 will resolve this issue, I believe.

17 **CHAIRMAN CARTER:** Ms. Helton? I was going to
18 say -- of course I was going to wait on Ms. Helton. I
19 was going to say we could give it whatever weight it,
20 you know, requires from the bench. But, Ms. Helton,
21 I'll give you an opportunity before I rule on it. I was
22 just thinking aloud.

23 **MS. HELTON:** Well, it seems to me that
24 Commissioner Skop has given me another easy way out, and
25 if Commissioner Skop --

1 **CHAIRMAN CARTER:** I suggest you take it.

2 **MS. HELTON:** If Commissioner Skop is willing
3 to strike his question, then I believe we should strike
4 the response as well.

5 **CHAIRMAN CARTER:** Strike the question and the
6 answer. Okay. All right.

7 Mr. Armstrong, good afternoon, or is it still
8 morning? No, it's afternoon.

9 **MR. ARMSTRONG:** Thank you, Mr. Chair,
10 Commissioners.

11 **CROSS EXAMINATION**

12 **BY MR. ARMSTRONG:**

13 **Q.** Mr. Olivera, good afternoon.

14 **A.** Good afternoon.

15 **Q.** That's where we are now.

16 In response to Commissioner Argenziano's
17 questions a short time ago, you confirmed that the
18 rating agencies and the investment community look at the
19 proportion of FPL revenue recovered in rate adjustment
20 clauses as one of the factors to establish utility
21 ratings. Do you recall that?

22 **A.** Yes.

23 **Q.** Can you explain why FPL did not provide the
24 Commission with a proportion of revenues recovered in
25 rate adjustment clauses by the other 18 utilities in

1 FPL's proposed utility proxy group?

2 **A.** I don't know what you're referring to.

3 **Q.** You're familiar with the 18, the proxy group
4 consisting of 18 other utilities which FPL's witnesses
5 have suggested will provide appropriate --

6 **A.** I'm generally familiar with it. I did not
7 sponsor the document. I don't have any intimate
8 detailed information of the document.

9 **Q.** Okay. So you can't explain why FPL did not
10 respond with the comparable proportion of revenues from
11 those other utilities that they recover through rate
12 adjustment clauses; is that right?

13 **A.** I don't, I don't know what document you're
14 referring to.

15 **MS. CLARK:** I have an objection to that. He
16 hasn't laid the foundation that we didn't agree to
17 provide it.

18 **CHAIRMAN CARTER:** Sustained. Move on,
19 Mr. Armstrong.

20 **MR. ARMSTRONG:** It's in staff's proposed
21 composite Exhibit 35, and it's two interrogatory
22 responses, Interrogatory 207 and Interrogatory for OPC
23 59.

24 **CHAIRMAN CARTER:** I'm sure staff is waiting
25 with bated breath to make their cross-examination,

1 Mr. Armstrong. Move on.

2 **BY MR. ARMSTRONG:**

3 Q. Okay. Mr. Olivera, in proposing a utility
4 proxy group for purposes of establishing a proposed ROE
5 in this docket, you agree that the proxy group, one of
6 the decisions and determinations that this Commission
7 needs to make is whether or not the risks and
8 uncertainties of those utilities are comparable to the
9 risk and uncertainties faced by FPL, would you not?

10 **MS. CLARK:** Mr. Chairman, I'm going to object
11 to this question. I think it goes beyond the scope of
12 this witness's testimony and it's more appropriately
13 directed to Mr. Avera.

14 **CHAIRMAN CARTER:** Well, let me do this. Let's
15 see if -- I'm going to give a little leeway. Let's see
16 if Mr. Olivera can answer it. If he can't, then we'll
17 just move on.

18 **THE WITNESS:** I'm sorry, Mr. Chairman. I did
19 not --

20 **CHAIRMAN CARTER:** It was, yeah, I know. We're
21 going to have to ask him -- it was a long question, but
22 we'll ask Mr. Armstrong if you'll restate the question,
23 please, sir.

24 **BY MR. ARMSTRONG:**

25 Q. Well, Mr. Olivera, in your past positions with

1 Florida Power & Light were you previously Chief
2 Financial Officer or Chief Operating Officer for the
3 company?

4 **A.** We don't have such. We don't -- we have a
5 Chief Financial Officer title. We don't have a Chief
6 Operating Officer. But I did have responsibility for a
7 significant portion of the operations of the company
8 before I became President.

9 **Q.** Okay. And you've testified in support of this
10 12.5 percent return on equity requested by Florida Power
11 & Light in this docket; correct?

12 **A.** Yes, I have.

13 **Q.** And you are aware, are you not, that in
14 establishing that 12.5 percent requested return on
15 equity, your return on equity witnesses looked at a
16 utility proxy group, are you not?

17 **A.** Yes. I'm aware at really a fairly high level
18 the process that they went through. I am not
19 sufficiently familiar with the details of how that
20 analysis was conducted, nor am I familiar with each of
21 the components that make up the peer group, or frankly
22 even all of the companies that were chosen to be part of
23 that peer group. I relied exclusively on the experts,
24 Mr. Bill Avera and our Chief Financial Officer,
25 Mr. Pimentel, for that information.

1 Q. Well, given that answer, Mr. Olivera, if I
2 were to ask you your personal opinion about the
3 comparability of risks and uncertainties for FPL versus
4 18 other utilities, wouldn't you agree that it would be
5 necessary to know what proportion of the revenue
6 requirements those other utilities recover through their
7 rate adjustment clauses to determine whether or not that
8 proportion --

9 **CHAIRMAN CARTER:** Mr. Armstrong, give him one
10 question at a time. I mean, I'm having trouble
11 following you.

12 **MR. ARMSTRONG:** Okay. I'll stop with the word
13 "clauses."

14 **CHAIRMAN CARTER:** One at a time. Okay?

15 **MR. ARMSTRONG:** Okay. I'll stop at that word
16 "clauses." I know he understands the question.

17 **CHAIRMAN CARTER:** Well, you know, we do have a
18 court reporter and she's trying to follow you too.

19 **MR. ARMSTRONG:** Sure.

20 **CHAIRMAN CARTER:** So we're going to give you
21 ample time to ask your questions, Mr. Armstrong.

22 **MS. CLARK:** Mr. Chairman, I would like to
23 renew my objection. We're really getting into the weeds
24 on this, and I think that the -- as Mr. Olivera has
25 said, the appropriate people to ask are Mr. Pimentel and

1 Mr. Avera. And it's outside the scope of his testimony.

2 **CHAIRMAN CARTER:** Ms. Helton. Well, let me
3 see.

4 Mr. Armstrong, I'll go to you first.

5 **MR. ARMSTRONG:** Mr. Chair, if I could respond?

6 **CHAIRMAN CARTER:** Yes, sir.

7 **MR. ARMSTRONG:** Mr. Chair, we've heard it
8 consistently, it's in this gentleman's prefiled
9 testimony, he's testified today a 12.5 percent return on
10 equity is necessary. Without a 12.5 percent return on
11 equity there are adverse consequences for this utility,
12 his utility that he runs, as well as other utilities, as
13 well as other customers of FPL, as well as customers of
14 other utilities in the state. I'm simply asking his
15 opinion. He is the CEO and President of this utility.
16 He's been involved in discussions with rating agencies,
17 discussions with institutional investors on a quarterly
18 basis.

19 **MS. CLARK:** Mr. Chairman, I think this is
20 going way beyond answering the objection.

21 **CHAIRMAN CARTER:** It sounds like you're trying
22 to rehabilitate the witness. Hang on, Mr. Armstrong.

23 **MR. ARMSTRONG:** No. I want his opinion,
24 Mr. Chair. I want his opinion.

25 **CHAIRMAN CARTER:** Hang on a second. Hang on.

1 Hang on.

2 Ms. Helton.

3 **MS. HELTON:** Well, you've heard me say I'm not
4 an accountant and I'm definitely not a return on equity
5 expert, but it seems to me, Mr. Chairman, that we have
6 gone -- we are getting into some specific details that
7 would be better answered by a witness who actually
8 worked with the proxy groups.

9 **CHAIRMAN CARTER:** Objection sustained. Move
10 on, Mr. Armstrong.

11 **BY MR. ARMSTRONG:**

12 **Q.** Mr. Olivera, Mr. Wright and you just discussed
13 your testimony about the risk of disallowance of
14 recovery and cost recovery clauses. Are you aware that
15 FPL's, FPL's witnesses have testified in this proceeding
16 that FPL does not project any underrecovery of cost
17 recovery, of costs recovered through those recovery
18 mechanisms?

19 **A.** Yes. It's what I would expect. I would
20 expect that every dollar we spend is a prudently
21 incurred cost and that we can show this Commission and
22 this Commission staff that every dollar we spend is
23 prudent. So I would be very disappointed if my staff
24 projected that somehow we were going to mess up and not
25 recover every dollar.

1 **Q.** Thank you. You're aware that FPL intends to
2 place tens of millions of dollars' worth of new meters
3 in the residences and businesses of its customers in the
4 Miami-Dade area, are you not?

5 **A.** I am aware that, more than aware, we have a
6 proposal for what we call automated, Automated Meter
7 Initiative that would ultimately result in replacement
8 of all residential meters and the majority of all other
9 meters.

10 **Q.** But in this docket FPL seeks to recover those
11 tens of millions of dollars for meters specifically to
12 be installed in the Miami-Dade area; isn't that correct?

13 **A.** The specific witness on the AMI project is
14 Marlene Santos. But to the best of my recollection, in
15 2010 and 2011 there's a total of about \$400 million for
16 the AMI project. The AMI project begins initially in
17 the Miami-Dade/Broward area, and then in subsequent
18 years rolls out to the rest of the state, the state, the
19 area we serve. I think that --

20 **Q.** So do you have any knowledge, do you know
21 whether or not those AMI meters will be invested in the
22 City of South Daytona in the 2010 and 2011 test years?

23 **A.** I believe that they would not. I believe
24 that, and subject to verification by Ms. Santos, I
25 believe that those meters would ultimately be installed

1 at a later date. But South Daytona would be part of the
2 overall program, and so those would be subsequent
3 capital dollars that would be spent outside the two-year
4 period we've been talking about.

5 Q. FPL's witnesses also testify as to the vast
6 sums which FPL spent to repair and replace facilities
7 damaged by the storms and the hurricanes of 2004 and
8 2005.

9 CHAIRMAN CARTER: Mr. Armstrong, do me a
10 favor. Pull your mike, I mean, really pull it a little
11 closer to you. There you go.

12 MR. ARMSTRONG: Should I slow down too?

13 CHAIRMAN CARTER: That's okay. Well, if
14 you're comfortable with that speed, I'm comfortable with
15 it too, but I do want to be able to hear you.

16 MR. ARMSTRONG: Okay. How about the reporter?
17 Would you want me to slow down?

18 CHAIRMAN CARTER: Hang on a second. Chris,
19 can you give me some volume on his microphone? Just
20 give me a voice check, Mr. Armstrong, just a voice
21 check.

22 MR. ARMSTRONG: Testing, one, two, three.
23 Like that?

24 CHAIRMAN CARTER: A little bit more, Chris.
25 Just a little more.

1 One more, Mr. Armstrong.

2 **MR. ARMSTRONG:** Testing.

3 **CHAIRMAN CARTER:** That's perfect.

4 **MR. ARMSTRONG:** So it was the microphone's
5 fault, not mine.

6 **CHAIRMAN CARTER:** Absolutely. Spoken like a
7 true lawyer.

8 **BY MR. ARMSTRONG:**

9 **Q.** Hi again, Mr. Olivera.

10 FPL's witnesses also testify as to the vast
11 sums which FPL spent to repair and replace its
12 facilities damaged by the storms and hurricanes of 2004
13 and 2005; correct?

14 **A.** Yes. Correct.

15 **Q.** And FPL justifiably recovers these costs,
16 whether in rate base or in the storm recovery mechanisms
17 available to it; correct?

18 **A.** Yes.

19 **Q.** And under the current rate mechanisms
20 available, FPL recovers the hurricanes and storm-related
21 costs from all of its customers; correct?

22 **A.** FPL recovers all the costs from all of its
23 customers. But I will make the same point that we have
24 made on other clauses. FPL has an opportunity to
25 recover up to all of the costs that are incurred.

1 And during hurricanes it's a very challenging
2 time. We were talking earlier about the documentation
3 and the requirements to achieve, to show the prudence,
4 and it's very challenging under hurricane conditions to
5 show that every dollar you spent is prudent. We have
6 thousands of people, thousands of our own employees
7 working in jobs they don't normally do, and many
8 thousand more people coming in from outside the state.
9 And it is very challenging. And it's one of the things
10 that I worry about, making sure that we get, we do all
11 the right things and we can show this Commission that
12 everything that was done was done in a prudent manner.

13 **Q.** Thank you. Do you know how much FPL spent to
14 repair and replace its facilities within South Daytona's
15 boundaries in 2004 and 2005?

16 **A.** I do not.

17 **CHAIRMAN CARTER:** Do you need a number,
18 Mr. Armstrong, or are you using it just for
19 cross-examination?

20 **MR. ARMSTRONG:** Mr. Chair, I'd request the
21 next number, which I believe is 398.

22 **CHAIRMAN CARTER:** 398.

23 **MR. ARMSTRONG:** And the short title is FPL's
24 Supplemental Responses to South Daytona Interrogatories.

25 **CHAIRMAN CARTER:** FPL -- go a little slower

1 with this. I'm going to have to write. FPL's --

2 **MR. ARMSTRONG:** Supplemental Responses to
3 South Daytona Interrogatories.

4 **CHAIRMAN CARTER:** Okay. Just hang on a second
5 until everyone gets a copy.

6 (Exhibit 398 marked for identification.)

7 **MS. CLARK:** Mr. Chairman, just for my
8 edification, can Mr. Armstrong tell me what issue these
9 lines of questions go to? And I want to, depending on
10 that, impose an objection on the grounds of relevancy.
11 I'm not sure that this has been identified as an issue
12 in this case.

13 **CHAIRMAN CARTER:** Mr. Armstrong?

14 **MR. ARMSTRONG:** Mr. Chair, FPL is requesting a
15 \$1.3 billion revenue increase based upon its allegations
16 of rate base and investments and assets located
17 throughout its service territories. The City of South
18 Daytona wants to know how much the value of the assets
19 serving it are located within its boundaries. We
20 want --

21 **MS. CLARK:** Mr. Chairman --

22 **CHAIRMAN CARTER:** Hang on a sec. Somebody has
23 got their -- let's make sure if you don't, if you're not
24 speaking, that you turn your microphone off because
25 we're getting feedback.

1 Go ahead, Mr. Armstrong.

2 **MR. ARMSTRONG:** In this docket my city has
3 gone to great expense, being the only local government
4 that has gone through the great expense of following
5 this docket, reviewing the MFRs, reviewing the
6 information provided. My city and the residents of my
7 city want to know how much they're being asked to pay in
8 an increase based upon how much is actually spent by FPL
9 to provide the service to them.

10 One of the critical ingredients of that is
11 what is the value of the assets in rate base that is
12 being used by FPL to provide that service. They have a
13 right to know, and it's always a question in utility
14 ratemaking about whether or not there are subsidies
15 flowing one way or another between a customer group or
16 within a customer group. My city wants this
17 information, and I believe it's certainly appropriate
18 information that this Commission should be considering
19 when it considers this rate increase request.

20 **CHAIRMAN CARTER:** Ms. Helton.

21 **MS. HELTON:** I thought you'd be coming my way.

22 **CHAIRMAN CARTER:** Absolutely. This is a fun
23 one.

24 **MS. HELTON:** I agree with Mr. Armstrong that,
25 you know, the Commission is required by the statute to

1 consider subsidies between rate classes. However, to my
2 knowledge the Commission has never broken out a specific
3 city and looked at it and compared it to the, how it may
4 be -- its members within its boundaries may be
5 subsidizing other cities. It's more of a rate class
6 question.

7 I still haven't heard Mr. Armstrong tell us
8 what issue in this case, where there are other
9 intervenors whose time we are taking, this is directed
10 to.

11 **CHAIRMAN CARTER:** Mr. Armstrong, let me hear
12 from you again on this. You heard what Ms. Helton said,
13 so we'll listen to you again on this.

14 **MR. ARMSTRONG:** The City of South Daytona is a
15 customer of Florida Power & Light. It is an Intervenor
16 on behalf of itself as well as the residents of the City
17 of South Daytona. Nowhere has Florida Power & Light
18 provided specific information that shows what investment
19 it's made in a facility serving my client and the
20 residents in my client's service area boundaries.

21 **MS. CLARK:** Mr. Chairman --

22 **MR. ARMSTRONG:** The fact that this, the fact
23 that no other city or county has intervened --

24 **CHAIRMAN CARTER:** We heard that part. Let's
25 speak to --

1 **MR. ARMSTRONG:** No. To ask for this kind of
2 information is totally irrelevant to the fact that my
3 client believes that it is being asked to increase, to
4 pay increased rates of 30 percent, when in fact if you
5 look at the test years in this docket and all, look at
6 the storm recovery costs, look at the AMI meters --

7 **CHAIRMAN CARTER:** Okay. Bring it in for a
8 landing. You are --

9 **MR. ARMSTRONG:** -- billions spent outside of
10 our area --

11 **CHAIRMAN CARTER:** Bring it in for a landing.
12 You're speaking to an objection, you're speaking to an
13 objection, so bring it in for a landing.

14 **MR. ARMSTRONG:** Well, I didn't realize I had a
15 timing constraint while I'm addressing objections.

16 **CHAIRMAN CARTER:** Well, you had -- first of
17 all, Mr. Armstrong, let's get one thing clear. You had
18 an opportunity to speak to the objection. I went to
19 Ms. Helton. I could have ruled then. But out of an
20 amount of courtesy that I extended to you that I thought
21 that all members, and particularly the lawyers that
22 practice before us on a regular basis, always extend to
23 each other as well as to the bench, out of an amount of
24 courtesy, I extended to you an opportunity to be heard
25 again. So I think that's about it.

1 Ms. Helton.

2 **MS. HELTON:** Mr. Chairman, I still haven't
3 heard an issue to which this is directed, and my
4 recommendation to you is that, unless the attorney for
5 South Daytona can show us to which issue, that we move
6 on.

7 **CHAIRMAN CARTER:** If you can't show us the
8 issue, Mr. Armstrong, I'll have to sustain. I'll have
9 to sustain the objection.

10 **MR. ARMSTRONG:** Certainly. And the standard
11 and the issue in this case and the standard in this case
12 is whether or not the rates requested are --

13 **CHAIRMAN CARTER:** Point to the issue in the
14 case.

15 **MR. ARMSTRONG:** -- just, reasonable and fair
16 to all customers, including my client. Just, reasonable
17 and fair. And I'm delving into that, whether or not the
18 rates requested by FP&L are just, reasonable and fair to
19 my client.

20 **CHAIRMAN CARTER:** The objection is sustained.
21 Move on.

22 **MR. ARMSTRONG:** And I'd note for the record
23 our expectation that our, or our belief that our due
24 process rights have been violated, and I'll just leave
25 that for appeal.

1 **CHAIRMAN CARTER:** Then you can take it to the
2 Supreme Court.

3 **MR. ARMSTRONG:** Thank you.

4 **CHAIRMAN CARTER:** That's fine. I mean, you
5 know, we have a separation of power. You can take it to
6 the courts.

7 **MR. ARMSTRONG:** Sure. I appreciate that,
8 Mr. Chair.

9 **CHAIRMAN CARTER:** The objection is sustained.
10 Move on.

11 **BY MR. ARMSTRONG:**

12 **Q.** Hello again, Mr. Olivera.

13 **A.** Hello again, Mr. Armstrong.

14 **Q.** Moments ago you confirmed that the past, you
15 confirmed the past constructive regulation of FPL and
16 the rates which they permit you to charge; is that
17 correct?

18 **A.** I'm sorry. Can you repeat your question?

19 **Q.** Yeah. I mean, moments ago you referred to the
20 constructive regulation that this Public Service
21 Commission has exercised in the past of FPL and its
22 rates.

23 **A.** Yes. I believe on a couple of occasions we've
24 talked about in the, using the words "constructive
25 regulatory environment."

1 **Q.** One of the basic positions of FPL in this
2 proceeding is that if the Commission does not authorize
3 FPL to earn all of its requested 12.5 percent, there may
4 be adverse implications on the investment community and
5 bond ratings and other adverse implications; is that
6 correct?

7 **A.** Yes. Generally what we've talked about is
8 that to the extent that it affects credit metrics and it
9 affects the financial indicators of the company, it
10 could have an adverse effect to the company.

11 **Q.** And if there is that adverse effect, you also
12 have stated that you believe it will ultimately result
13 in a higher capital cost for the utility and then higher
14 rates for its customers; is that correct?

15 **A.** Yes. What I said was that over the long-term,
16 that if we did not have appropriate returns and we had
17 down, downgrades in credit ratings, that ultimately that
18 translates into a higher cost for consumers.

19 **Q.** And in fact you testified that if the
20 Commission were to deny your rate increase, it is likely
21 in your opinion that the credit rating would be reduced
22 by two levels, I believe you said.

23 **A.** No, I didn't say two levels. I said that it
24 would almost certainly result in downgrades, but I
25 couldn't tell you with precision how many notches that

1 represented.

2 Q. I misheard you. You didn't say that if they
3 denied it outright, it would likely be a two-level
4 downgrade?

5 A. I never said a two-grade downgrade. I said
6 that it would have credit rating implications, that it
7 would have a downgrade, but I didn't know how many
8 notches, how many levels of downgrade, and how much --
9 where the company would land relative to investment
10 grade.

11 Q. Well, in your opinion, if the Commission were
12 to authorize, say, a 12.25 percent return on equity,
13 would you, would FPL experience those adverse effects?

14 A. I think if FPL is granted less, it's really a
15 question of where, where it stands. And as I mentioned,
16 have said on several occasions, it would also be kind of
17 a function of, you know, which specific items and the
18 overall quality of earnings of the company.

19 Q. Well, just focusing on the return on equity
20 for a second, because that was a lot of your interplay
21 in discussion with Commissioner Argenziano and
22 Commissioner Skop earlier, it focused a lot on the
23 return on equity. And my question to you would be at
24 what level, how low would the return on equity have to
25 go in your opinion before we'd see this adverse impact

1 of higher capital costs and higher rates for customers?

2 **A.** Mr. Armstrong and Commissioners, as we, we
3 have discussed at length over the last three days, you
4 can't look at just one component of the increase. You
5 know, you could say, you know, you can make a 15 percent
6 return but do it in an equity ratio, and I'm making
7 these up just to make the point, at 10 percent and take
8 on 90 percent debt. And that has a whole different
9 outcome than if you do it at 54, 55.8.

10 So you have to look at the interplay of really
11 the issues that are being litigated here. You have to
12 look at return on equity, you have to look at equity
13 ratio, you have to look at depreciation expense, and
14 then you have to pull up and look at the overall quality
15 of the earnings. So I can't answer you on, on the
16 hypothetical of kind of a single item.

17 **Q.** Well, let me take a shot at this. Assume that
18 the Commission grants your equity, your capital
19 structure and grants your request for depreciation
20 recovery and accelerated basis as you've requested.
21 Let's assume for the purposes of this question that all
22 those are granted by the Commission. Do you have an
23 opinion as to what level of return on equity, the lowest
24 level that you think could be authorized without having
25 that adverse impact on your bond ratings?

1 **A.** Bond rating or credit rating?

2 **Q.** Credit rating. I'm sorry.

3 **A.** I can't give you a precise number. And I
4 would defer, because then we get into, you know, what's
5 the quantification of each of these components. And
6 I'd like to defer that to Mr. Pimentel and Mr. Avera.

7 **Q.** After -- you testified previously that you had
8 followed the TECO rate case.

9 **A.** Generally I followed the TECO rate case.

10 **Q.** Okay. After the Commission authorized a 11.25
11 percent equity return for Tampa Electric, has the
12 investment community responded negatively in your
13 opinion?

14 **A.** I don't think I, it's appropriate for me to
15 comment on how investors view another company. I think
16 that's up to them to describe. And they may have their
17 own analysis and I'm sure a more thorough and detailed
18 point of view than I can give you.

19 **Q.** And actually let me clarify. Has the
20 investment community responded negatively as to Florida
21 Power & Light as a result of the 11.25 percent return?

22 **A.** I think that the investment community is well
23 aware that we have a rate case. I think the investment
24 community is well aware that Florida Power & Light has a
25 different risk profile than Tampa Electric and has a

1 different risk profile because we have greater
2 dependency on natural gas, which we've talked about the
3 volatility of that; that we, two-thirds of our customers
4 really reside in what I consider hurricane alley; and
5 that we are a nuclear operator.

6 So they recognize that there are some distinct
7 risk profile differences between the two companies, and
8 they also recognize that we are before this Commission
9 for a rate increase request.

10 Q. Yesterday it was published in the *South*
11 *Florida Business Journal* that in the past 12 months
12 Florida Power's stock price has gone from a low of
13 33.81 on October 10th, 2008, to a high of 61.90 on
14 August 22nd, 2008 (sic), and that FPL's stock price
15 remained near that high at \$58.17 yesterday. You agree
16 that the 11.25 percent return on equity awarded to TECO
17 by the Commission has not appeared to have negatively
18 affected the FPL stock as of today; isn't that true?

19 A. You're -- there's a whole series of events
20 that I think most of you are well aware of that has
21 driven the stock market. I mean, last summer we had a
22 huge drop in the stock market for reasons that are
23 completely unrelated to this Commission. They just
24 happen to do primarily with kind of a major financial
25 crisis in this country, and virtually all equity went

1 down significantly.

2 So you are picking kind of a low point that
3 had nothing to do with regulatory or regulatory actions
4 taken in Florida and comparing that to essentially
5 what's been a recovery in the financial markets. So I
6 reject your premise that this is all driven by the
7 outcome of this Commission and their decisions on the
8 TECO case.

9 Q. Well, and that actually wasn't my premise,
10 Mr. Olivera. But what I'm reacting to and wanted to
11 explore with you is the position FPL and you have taken
12 today, that if this Commission doesn't give you your
13 authorized return on equity of 12.5 percent, it doesn't
14 give you the 100 percent of your authorized revenue
15 requirements, that -- I mean of your requested revenue
16 requirements, that somehow that might have an adverse
17 impact, not only on FPL and its customers, but also
18 other Florida utilities and their customers. Is that
19 not your testimony today?

20 A. Yes. The testimony is that the decisions that
21 this Commission makes has ramifications for all the
22 utilities, and that investors are sufficiently
23 sophisticated that they're able to make differentiations
24 between the companies that are regulated by this
25 Commission.

1 Q. Given your answer just now, Mr. Olivera, I
2 don't see how I can square the fact that you, that
3 you're now indicating that the Commission, the decision
4 it makes does impact other utilities. But yet when I
5 was asking you solely in your opinion if you knew
6 whether or not the 11.25 percent return authorized for
7 TECO has impacted FP&L, you say that's not a fair
8 comparison.

9 A. Well, I didn't say that it wasn't a fair
10 comparison. What I said was you can't isolate the fact
11 that we are before this Commission, that we're asking
12 for a rate case. We're at a different stage of the
13 proceeding. And what I would say to you is that there
14 is an expectation, based on my limited discussions with
15 investors, there's an expectation that this Commission
16 would recognize that this company has a different risk
17 profile than, say, Tampa Electric, and that when this
18 Commission makes their decision, they will recognize
19 those differences in the risk profile in the final
20 determination of the ROE.

21 So when I say the investors are sophisticated,
22 what I mean by that is they are making, they recognize
23 that there are differences in risk and they also
24 recognize that it's probable that this Commission, it's
25 probably presumptuous of me to say that, that this

1 Commission will consider all the risk profiles. I
2 believe they will.

3 So that's really the way, that's where the
4 context of the answer that I was giving you. And I'm
5 sure that both Mr. Avera and Mr. Pimentel can get into
6 kind of the technical analysis of, you know, what makes
7 up each of those risk profiles. So I'm giving you a
8 50,000-foot answer.

9 Q. And in light of that answer, let's assume
10 Florida Power & Light, current today, A rating, you
11 receive your 12.5 percent return on equity. Florida
12 Power & Light other, triple B rating, and your return on
13 equity is 11.25 percent. In that second scenario,
14 wouldn't you agree that it would cost FP&L more in terms
15 of your interest rate payable to a prospective lender to
16 encourage that lender to actually make a loan to FP&L?

17 A. I'm sorry. I'm confused between FPL and FPL
18 other, so --

19 Q. Okay. FPL, as we have in testimony today, A
20 rated, requesting 12.5 percent return on equity, and
21 actually having gotten that authorized by this
22 Commission. And then let's assume another FPL, triple B
23 rating, with a return on equity of only 11.25.

24 A. A triple B will have a higher cost of
25 borrowing.

1 Q. All right. So isn't it logical then that
2 Tampa Electric's cost of borrowing funds will be higher
3 if the Commission were to authorize FP&L a 12.5 percent
4 return in this docket?

5 A. Look, I don't want to talk about Tampa
6 Electric's cost of borrowing. I think it's completely
7 inappropriate for me to sit here and comment on the
8 finances of another company and the outcome of the rate
9 case or how their investors view them. I don't think
10 it's appropriate.

11 **MR. ARMSTRONG:** Mr. Chair, I'm going to ask
12 that the witness be instructed to answer the question.
13 I believe, you know, over and over again he's opened
14 that door by suggesting to this Commission that if you
15 do not give them their 12.5 percent return on equity,
16 that it's going to have an impact not only on this
17 company and its customers, but also the other utilities
18 in the state and their customers.

19 And I'm simply asking, if he's making that
20 allegation, we just want this Commission to hear from
21 this witness who's made that allegation whether or not
22 there is an adverse impact on other utilities if you
23 were to grant the 12.5 percent return on equity to
24 Florida Power & Light.

25 That's, that's simply what we'd like this

1 witness to discuss with you. I know he didn't testify
2 about this. That's why I'm asking about it.

3 **CHAIRMAN CARTER:** Okay. Ms. Clark?

4 **MS. CLARK:** Yes. Mr. Chairman, I think the
5 context of what Mr. Olivera was, was saying was that the
6 Tampa -- the -- Wall Street does take into account the
7 actions of this Commission relative to all the
8 investor-owned utilities. But the comparison they're
9 asking him to draw can't be made because we are in a
10 different stage of the process in terms of a rate case,
11 and there are other factors happening in the financial
12 market that have an effect.

13 I believe his only point in talking about this
14 Commission and constructive regulation was it does have
15 an impact on Wall Street.

16 **CHAIRMAN CARTER:** Ms. Helton? Just a moment.
17 Ms. Helton needs a moment.

18 **MS. HELTON:** This is one I think I need to
19 confer on, if you could just give me a second.

20 **CHAIRMAN CARTER:** Okay. Let's take a break in
21 place. Nobody leaves.

22 **MR. MOYLE:** This is also one at some point
23 that we may have a little further conversation on it.

24 **CHAIRMAN CARTER:** On this issue?

25 **MR. MOYLE:** Yes.

1 (Pause.)

2 **CHAIRMAN CARTER:** Ms. Helton.

3 **MS. HELTON:** It sounds to me that the question
4 that's been asked is speculative. Maybe if we can bring
5 it back down to what's happened here in Florida, and if
6 we could talk about what happened to TECO after TECO's
7 rate case. And if Mr. Olivera is aware of that, that's
8 kind of where we're looking at it from.

9 **CHAIRMAN CARTER:** Let's kind of bring it in,
10 Mr. Armstrong.

11 **MR. ARMSTRONG:** Thank you, Mr. Chair.

12 The, what I have established through my prior
13 questions is two scenarios. FPL, A rated with a
14 12.5 percent return, and FPL hypothetical, triple B
15 rated with 11.25 percent. Now the witness testified
16 that certainly if it was triple B with 11.25, it would
17 cost them more.

18 **CHAIRMAN CARTER:** Are you talking to me or are
19 you talking to the witness?

20 **MR. ARMSTRONG:** I'm doing my -- I'm setting
21 the premise for my question, and I'm refreshing, I'm
22 refreshing the record since it's been a while since I
23 spoke last.

24 **CHAIRMAN CARTER:** Okay.

25 **MR. ARMSTRONG:** What the Commission -- what

1 the witness has testified was that, yes, it would cost
2 higher interest rates. They would have to give a higher
3 interest rate to potential lenders under the triple B
4 11.25 percent return scenario.

5 **BY MR. ARMSTRONG:**

6 **Q.** So relating that back to the testimony in this
7 record about the Florida Public Service Commission
8 having authorized a return on equity of 11.25 percent
9 for TECO and the fact that TECO is a triple B rated
10 company, my question was doesn't that mean that if this
11 Commission authorizes a 12.5 percent return for FPL, it
12 is very likely, let's just say it's likely that that
13 will result in TECO having a higher interest cost when
14 it goes to issue bonds?

15 **A.** I'm having trouble following.

16 **MS. CLARK:** Yeah. I don't think he's
17 established the foundation for that question.

18 **MR. ARMSTRONG:** I just, Mr. Chair -- that's
19 your thinking. I don't know how I didn't establish the
20 foundation when he's admitted that you're looking at FPL
21 scenario one and scenario two, it's going to raise the
22 interest cost. And I'm simply saying, ipso facto,
23 doesn't that mean that if we're looking at TECO at
24 triple B with 11.25 percent and we're looking at FPL
25 with 12.25 percent and a solid rating A, that that is

1 going to force TECO to pay higher interest rates in
2 order to entice lenders to lend money to it instead of
3 putting that money in FPL bonds or FPL stock where it
4 alternatively could put that money?

5 The record is replete with information about

6 --

7 **CHAIRMAN CARTER:** I though you -- don't lose
8 your train of thought, but let me ask you.

9 **MR. ARMSTRONG:** Okay.

10 **CHAIRMAN CARTER:** I thought you were asking
11 him based upon FPL and then a similarly situated FPL
12 with a lower rating. That's what, that's where I
13 thought you were going.

14 **MR. ARMSTRONG:** That's where I started, and he
15 agreed to all that. He agreed that FPL's cost of
16 borrowing would be higher if they were a triple B
17 utility with an 11.25 percent return on equity. He
18 agreed to that.

19 **CHAIRMAN CARTER:** Right. Another FPL.

20 **MR. ARMSTRONG:** Now -- that's right,
21 Mr. Chair. And then I had said he's aware, he followed
22 the TECO rate case. And in TECO we have a triple B
23 rated company, which is barely investment grade, which
24 this Commission authorized to earn 11.25 percent return
25 on equity. And I'm saying doesn't that make all the

1 sense in the world that that is very likely to cause
2 TECO to have to pay higher interest on its bonds when it
3 goes to issue them because those people who are thinking
4 about making that loan to TECO have an alternative?
5 They can buy bonds from FPL.

6 **MS. CLARK:** Mr. Chairman, first of all, I
7 think he's testifying. But what I would say is he has
8 not established that the metrics for TECO would be
9 exactly the same as his FPL B. There are lots of things
10 that go into establishing a bond rating and ability to
11 borrow, and he's not made, laid the foundation for
12 showing what he characterizes as a hypothetical FPL B
13 would be exactly the same as TECO.

14 **CHAIRMAN CARTER:** Ms. Helton?

15 **MR. ARMSTRONG:** Mr. Chair, if I could respond
16 to that briefly. Because based upon what I just heard,
17 the City moves to strike all testimony of FPL and its
18 witnesses that in any way, shape or form suggests that
19 if this Commission does not provide a 12.5 percent
20 return to Florida Power & Light, it will have adverse
21 impacts on other utilities and other utility customers
22 in this state. I think that's a fair trade-off.

23 **MS. CLARK:** And I think --

24 **CHAIRMAN CARTER:** I think that's interesting,
25 but we're not there yet.

1 **MR. MOYLE:** And that was somewhat the point
2 that FIPUG wanted to be heard on. A lot of the
3 discussion about what will happen, you know, in the
4 future with respect to Wall Street is speculative
5 largely. There are a lot of independent variables. You
6 know, we don't know and we're spending a lot of time on
7 it. There's nobody here from Moody's or Standard &
8 Poor's to say, hi, I'm here, let me tell you what our
9 organization thinks. It's, you know, it's hearsay and
10 speculative.

11 So, you know, we're not raising the objection
12 at this point, but just wanted to make that comment, and
13 at some point, you know, it may be interposed as an
14 objection.

15 **CHAIRMAN CARTER:** Hi.

16 **MS. HELTON:** Hi. When I made my earlier
17 comment, I think that Mr. Armstrong took that and
18 answered, or asked a different question. When I said we
19 could go back and look at what TECO had done, what I
20 meant was based on your decision in the, in the TECO
21 rate case that we, you heard this year, did the bond
22 rating agencies increase or decrease the rating for TECO
23 and does Mr. Olivera know the answer to that question?

24 It seems to me, you know, based on my very
25 limited knowledge about this subject area, that we're

1 going way beyond what I think is an appropriate line of
2 cross-examination for this witness.

3 **MR. ARMSTRONG:** Mr. Chair, may I be heard?

4 **CHAIRMAN CARTER:** Briefly, ever so briefly.

5 **MR. ARMSTRONG:** Very briefly. This witness
6 and other FPL witnesses put it into the record that if
7 this Commission doesn't give it a 12.5 percent return on
8 equity, it will have ramifications, adverse ones, on
9 other utilities and other utilities' customers in the
10 State of Florida. They did that, not me. They should
11 not be allowed to be able to make that kind of assertion
12 and delve into that, and then I on behalf of the City of
13 South Daytona cannot delve into that. They have not
14 established what TECO's parameters are. They haven't
15 established what TECO's revenue requirements are or
16 their risk. They haven't established that in this
17 record. So -- but they're allowed to testify, but I
18 can't delve into that myself on the basis that I haven't
19 established those parameters myself on behalf of the
20 City of South Daytona? If you're going to do it to one,
21 Mr. Chair, you should allow it on both.

22 **CHAIRMAN CARTER:** Let me ask -- hang on a
23 second. First of all, they didn't raise TECO, they
24 were -- not by name. I've been here all three days. It
25 seems like three days. Is it? Yeah. Three days.

1 Secondly is that I thought where you were
2 going with your hypothetical, because you had two
3 similarly situated companies, I thought that was fair.
4 But he did answer that he was not familiar with TECO,
5 then he said one time that he didn't know about TECO,
6 and then another time he said he was uncomfortable
7 discussing their rating. So I heard three different
8 answers to the same question on that issue.

9 So I think that I'm going to have to sustain
10 the objection, but I think you can get where you need to
11 get to without asking that question.

12 **MR. ARMSTRONG:** Okay, Mr. Chair, and I accept
13 that. And I do want to proffer that there is testimony
14 from other FPL witnesses regarding TECO and Tampa
15 Electric. I'm just making that proffer.

16 **CHAIRMAN CARTER:** When you get to the witness
17 that has the --

18 **MR. ARMSTRONG:** I can ask it of them; right?

19 **CHAIRMAN CARTER:** Yeah. The witness that has
20 the, the sample of the companies, 18 companies that you
21 mentioned.

22 Which witness is that, by the way, Mr. Butler?

23 **MS. BENNETT:** That's Mr. Avera and also
24 Mr. Pimentel.

25 **CHAIRMAN CARTER:** Okay. So there are two

1 witnesses for that you can ask. Okay.

2 **MR. ARMSTRONG:** Thank you, Mr. Chair.

3 **BY MR. ARMSTRONG:**

4 **Q.** Mr. Olivera, a short time ago you mentioned
5 that it was your belief that the Commission could
6 consider the state of the economy when making its
7 decision, but you suggested it should not only look at
8 the state of the economy today but over the longer term;
9 correct?

10 **A.** Correct.

11 **Q.** Are you aware that when the Commission is
12 reviewing rate increase requests from water utilities in
13 this state one of the issues that has arisen is the
14 affordability of the rate being requested? Are you
15 aware of that?

16 **A.** I am not aware of water cases and it's not
17 something I follow.

18 **Q.** Okay. Well --

19 **MS. CLARK:** But Mr. Armstrong is aware of the
20 water cases.

21 **CHAIRMAN CARTER:** Hang on a second. Just so
22 everybody -- you guys get kind of nutso close to
23 lunchtime. Hang on a second. Just hold on.

24 (Pause.)

25 By the way, nutso is a legal term.

1 Your objection, Ms. Clark?

2 **MS. CLARK:** I'm sorry. I was making an
3 observation. I apologize.

4 **CHAIRMAN CARTER:** Okay. Mr. Armstrong, you've
5 got three minutes.

6 **MR. ARMSTRONG:** Okay. Well, Mr. Chair, I
7 don't -- was there an objection there? I don't --

8 **MS. CLARK:** No, sir.

9 **MR. ARMSTRONG:** Oh, okay.

10 **BY MR. ARMSTRONG:**

11 **Q.** Mr. Olivera, do you believe that the
12 Commission considering your electric rate increase
13 request should consider the affordability of the rates
14 being requested?

15 **A.** I think it's one dimension that this
16 Commission needs to consider, the affordability. And as
17 I've said earlier, our bills will go down in 2010 based
18 on the current fuel price forecast.

19 **CHAIRMAN CARTER:** Mr. Armstrong, when I said
20 three minutes, I just meant that we're going for lunch
21 at 1:00. I didn't mean that you only had three minutes.

22 **MR. ARMSTRONG:** You know, Mr. Chair, you know,
23 based upon these answers, I think it's going to take me
24 a bit of time to continue.

25 **CHAIRMAN CARTER:** Okay. Okay. Well, let's

1 just do it now.

2 **MR. ARMSTRONG:** So if you want to break now,
3 that's fine.

4 **CHAIRMAN CARTER:** Let's just do it now. We'll
5 come back at 2:15.

6 (Recess taken.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)
 :
COUNTY OF LEON)

CERTIFICATE OF REPORTER

I, LINDA BOLES, RPR, CRR, Official Commission Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorneys or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 31st day of August, 2009.

Linda Boles
LINDA BOLES, RPR, CRR
FPSC Official Commission Reporter
(850) 413-6734