

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION


In the Matter of:

PETITION FOR INCREASE IN RATES DOCKET NO. 080677-EI
BY FLORIDA POWER & LIGHT COMPANY.

2009 DEPRECIATION AND
DISMANTLEMENT STUDY BY FLORIDA DOCKET NO. 090130-EI
POWER & LIGHT COMPANY.

VOLUME 44
Pages 5837 through 6016

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING.
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.



PROCEEDINGS: HEARING

COMMISSIONERS
PRESENT: CHAIRMAN MATTHEW M. CARTER, II
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

DATE: Thursday, October 22, 2009

TIME: Commenced at 9:30 a.m.
Concluded at 1:02 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: RAY D. CONVERY
Court Reporter
(850) 222-5491

PARTICIPATING: (As heretofore noted.)

ORIGINAL

DOCUMENT NUMBER-DATE

10888 OCT 27 09

FPSC-COMMISSION CLERK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME:	PAGE NO.
ROSEMARY MORLEY	
Direct Examination by Mr. Butler	5840
Prefiled Rebuttal Testimony inserted	5842
Cross-examination by Ms. Christensen	5862
Cross-examination by Mr. Moyle	5873
Cross-Examination by Mr. Wright	5885
Redirect Examination by Mr. Butler	5900
ROBERT BARRETT	
Direct Examination by Mr. Butler	5904
Prefiled Rebuttal Testimony inserted	5907
Cross-examination by Mr. McGlothlin	5993
Cross-examination by Ms. Bradley	5966
Cross-examination by Mr. Moyle	5978

EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NUMBER:

333, 334, 335, 336

ID.

ADMTD.

Premarked

5901

P R O C E E D I N G S

1
2 (Transcript follows in sequence from
3 Volume 43.)

4 ACTING CHAIRMAN EDGAR: Good morning. I call
5 this hearing to order today.

6 Ms. Bennett, any preliminary matters?

7 MS. BENNETT: No preliminary matters.

8 ACTING CHAIRMAN EDGAR: Any preliminary
9 matters from any of the parties?

10 Seeing none, Mr. Butler, your witness.

11 MR. BUTLER: Thank you, Madam Chairman. We
12 call Dr. Morley for her rebuttal testimony, and
13 Dr. Morley has been previously sworn.

14 Whereupon,

15 ROSEMARY MORLEY

16 was called as a witness on behalf of Florida Power &
17 Light Company and, having been previously sworn, was
18 examined and testified as follows:

D I R E C T E X A M I N A T I O N

19
20 BY MR. BUTLER:

21 Q Would you please state your name and address
22 for the record.

23 A Rosemary Morley, 700 Universe Boulevard, Juno
24 Beach, Florida.

25 Q By whom are you employed and in what capacity?

1 A I'm employed by Florida Power & Light as the
2 Director of Load Forecasting.

3 Q Have you prepared and caused to be filed 18
4 pages of prefiled rebuttal testimony in this proceeding?

5 A Yes, I have.

6 Q Do you have any changes or revisions to it?

7 A No, I do not.

8 Q If I asked you the same questions contained in
9 your rebuttal testimony today, would your answer be the
10 same?

11 A Yes, they would.

12 MR. BUTLER: Madam Chairman, I would ask that
13 Dr. Morley's prefiled rebuttal testimony be inserted
14 into the record as though read.

15 ACTING CHAIRMAN EDGAR: The prefiled rebuttal
16 testimony will be entered into the record as though
17 read.

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **REBUTTAL TESTIMONY OF DR. ROSEMARY MORLEY**

4 **DOCKET NO. 080677-EI**

5 **AUGUST 6, 2009**

6

7 **Q. Please state your name and business address.**

8 A. My name is Dr. Rosemary Morley. My business address is Florida Power &
9 Light Company, 700 Universe Boulevard, Juno Beach, Florida 33408-0420.

10 **Q. Did you previously submit direct testimony in this proceeding?**

11 A. Yes.

12 **Q. Are you sponsoring any rebuttal exhibits in this case?**

13 A. Yes. I am sponsoring the following rebuttal exhibits:

- 14 • RM-12, Summary of Forecasting Variance to Date
- 15 • RM-13, Summary of Adjustments to the Forecast
- 16 • RM-14, Calculation of the Adjustment for Minimum Use Customers
- 17 • RM-15, Monthly Forecast Variance

18 **Q. What is the purpose of your rebuttal testimony?**

19 A. The purpose of my rebuttal testimony is to explain why the Commission should
20 reject the load forecasts proposed by the Office of Public Counsel's (OPC)
21 witness Brown. My testimony explains the purpose and necessity of the
22 adjustments FPL made to its econometric model in developing its forecast of net
23 energy for load (NEL) and how those adjustments have significantly improved the

1 accuracy of FPL's forecast. I also demonstrate that the revisions to these
2 adjustments proposed by Ms. Brown are inappropriate and result in a substantially
3 less accurate and inherently biased forecast. In addition, my testimony addresses
4 issues raised by Ms. Brown and by SFHAA witness Kollen concerning the 2011
5 test year.

6 SUMMARY

7
8 **Q. Please summarize your rebuttal testimony.**

9 A. FPL's load forecast includes reasonable and appropriately developed adjustments
10 to its econometric model, including the adjustments for minimum use customers
11 and re-anchoring. These adjustments significantly improve the accuracy of FPL's
12 load forecast as evidenced by FPL's year-to-date variance on a weather
13 normalized basis which is less than +0.1%. By contrast, both of OPC's proposed
14 load forecasts understate or eliminate altogether the adjustments required for
15 minimum use customers and re-anchoring. As a result, and as reflected on
16 Exhibit RM-12, OPC's proposed load forecasts show a substantial bias towards
17 over-forecasting the actual level of NEL as evidenced by their year-to-date
18 weather normalized variance which ranges from -1.49% to -1.56%. In other
19 words, the revisions to the load forecast proposed by OPC inflate the errors in the
20 forecast more than fifteen fold. In summary, OPC's proposed forecasts are
21 clearly less accurate than FPL's load forecast and their recommended load
22 forecasts should be rejected. My testimony also explains why FPL's load forecast

1 for 2011 is reasonable, and does not rely on unfounded speculation regarding the
2 timing of the economic recovery.

3
4 **OPC's PROPOSED REVISIONS TO THE LOAD FORECAST**

5
6 **Q. Why did FPL make adjustments to the output of its econometric model in
7 developing its NEL forecast?**

8 A. FPL made adjustments to the output of its econometric model in order to improve
9 the accuracy of its NEL forecast. FPL's data, supported by outside sources
10 including ITRON and the U.S. Census Bureau, indicate recent changes in
11 consumption patterns. When such changes in consumption patterns are not fully
12 embedded in the historical data, adjustments to the output of the econometric
13 model are needed in order to avoid a bias in the forecast. A bias results in a
14 tendency to consistently understate or overstate the actual level of NEL. A good
15 forecaster strives to avoid such biases and instead aims to develop a forecast
16 which neither understates nor overstates actual values.

17 **Q. Has FPL documented the need for these adjustments?**

18 A. Yes. With the exception of the adjustment for the addition of the power sale
19 contract to the Seminole Electric Cooperative, all of the adjustments FPL
20 performed are needed collectively in order to correct for the econometric model's
21 tendency to over-forecast actual NEL levels as a result of the changes in
22 consumption patterns noted above. As shown on Exhibit RM-13, the output of
23 the econometric model had an average forecasting variance of -3.33% between

1 March 2008 and December 2008. The negative sign means that the econometric
2 model over-forecasted the actual level of NEL between March 2008 and
3 December 2008 by an average of 3.33%. Moreover, this was a consistent pattern
4 with the model over-forecasting each and every month and with the size of the
5 forecasting error increasing over time. As a result, the average forecasting error
6 in the last quarter of 2008 was -4.44% versus -3.33% for the March thru
7 December period as a whole. The pattern in forecasting errors between March
8 2008 and December 2008 clearly indicates the need for adjustments to the output
9 of the econometric model.

10 **Q. Ms. Brown states on page 32, lines 21 thru 22 of her testimony that the**
11 **econometric model's recent tendency to over-forecast simply replaced its**
12 **prior tendency to under-forecast. Is this correct?**

13 **A.** No. Prior to 2008, the econometric model did not exhibit any underlying bias in
14 terms of either under-forecasting or over-forecasting. This lack of bias is evident
15 in the random pattern of forecasting errors prior to 2008. Specifically, prior to
16 2008 the monthly direction of forecasting errors changed randomly with a month
17 or two of over-forecasting typically followed by a month or two of under-
18 forecasting and vice versa, with errors in over-forecasting and errors in under-
19 forecasting generally tending to offset one another. By contrast, the consistency
20 of over-forecasting since March 2008 clearly indicates a forecasting bias that
21 must be addressed.

1 **Q. Ms. Brown further claims that the MAPE statistics resulting from FPL**
2 **witness Hanser's in-sample and out-of-sample tests of the econometric model**
3 **indicate that no adjustments to the model are needed. Do you agree?**

4 A. No. Ms. Brown relies on MAPE statistics for a purpose for which they were not
5 intended, which is like trying to use a hammer where a screwdriver is needed. To
6 be clear, MAPE stands for mean absolute percentage error. As the name implies,
7 the MAPE statistic is based on the absolute forecasting error in each month. In
8 other words, a -2.0% error (i.e. over-forecasting the month's NEL by 2.0%) and a
9 +2.0% error (i.e. under-forecasting the month's NEL by 2.0%) both have an
10 absolute error of 2.0%. A bias in a forecast is indicated when the direction of the
11 monthly forecasting errors are predominantly in one direction (i.e. over-
12 forecasting) or another (i.e. under-forecasting). Because the MAPE statistic does
13 not take into account the direction of each month's forecasting error, it is not a
14 good measure of any underlying bias in a forecast.

15 **Q. Ms. Brown also claims on page 33, line 19 thru page 34, line 8 of her**
16 **testimony that the adjustment for minimum use customers is inherently**
17 **duplicative with the re-anchoring adjustment. Do you agree?**

18 A. No. Both adjustments are needed to address the bias toward over-forecasting
19 evident since March 2008. Based on March through December 2008 data the
20 adjustment for minimum use customers combined with the re-anchoring
21 adjustment results in a net adjustment of only -2.05%. By contrast, the trend in
22 forecasting error is -3.33% based on the March through December 2008 data and
23 -4.44% based on the last quarter of 2008. Moreover, as Exhibit RM-13 shows,

1 even accounting for the adjustments for mandated energy efficiency, minimum
2 use customers and re-anchoring, the cumulative adjustments to the forecast sum to
3 only -3.43%, a level that closely approximates the March through December 2008
4 forecasting error but is well below the trend in over-forecasting in the latter
5 months for 2008. The math simply does not add up to the duplication claimed by
6 Ms. Brown.

7 **Q. Ms. Brown implies that, since an increase in minimum use customers was**
8 **already occurring in 2008, the re-anchoring adjustment must already**
9 **adequately reflect the increase in minimum use customers. Do you agree?**

10 A. No. While it is true that the number of minimum use customers was already on
11 the rise in 2008, the re-anchoring adjustment is based on the average level of 2008
12 sales, and as such, was not designed to fully address the recent trend in over-
13 forecasting since March 2008, particularly the acceleration in the number of
14 minimum use customers that occurred during this time. Indeed, the re-anchoring
15 adjustment corrects for less than 40% of the March thru December 2008 average
16 forecasting error and an even smaller percentage of the forecasting error in the
17 later months of 2008. As such, it is clear that the re-anchoring adjustment alone
18 does not adequately address the model's tendency to over-forecast sales.

19 **Q. Is FPL's adjustment for minimum use customers overstated as Ms. Brown**
20 **claims on page 32, lines 15 and 16 of her testimony?**

21 A. No. If anything, the actual number of minimum use customers in 2009 indicates
22 that FPL's adjustment may have been on the low side. However, rather than
23 focusing on the accuracy of FPL's projections, Ms. Brown asserts that FPL's

1 adjustment for minimum use customers is overstated due to our estimate of the
2 long-run average percentage of residential customers qualifying as minimum use
3 customers and what she refers to as a formula error.

4 **Q. Is FPL's estimate of the long-run average percentage of residential customers**
5 **qualifying as minimum use customers appropriate?**

6 A. Yes. FPL used 7.0% as an estimate of the long-run average percentage of
7 residential customers qualifying as minimum use customers based on the average
8 percentage of minimum use customers during the 2003-2004 time period. The
9 2003 thru 2004 period is appropriate for this purpose because data from the U.S.
10 Census Bureau show that vacancy rates in Florida were very close to their long-
11 term averages during this time. Historically, vacancy rates in Florida were
12 relatively stable prior to the peak of the housing bubble in 2006. For example,
13 homeowner vacancy rates in Florida averaged 2.1% in 2003-2004, close to the
14 2.2% averaged between 1998 and 2005. Intuitively, the use of the 2003 thru
15 2004 period also makes sense in that it represents a period before the recent
16 housing boom and bust.

17 **Q. Why didn't FPL simply compute the average percentage of minimum use**
18 **customers since 1998, the period used to calibrate the econometric model?**

19 A. The data on minimum use customers, that is customers using between 1 and 200
20 kWh per month, are only available as far back as September 2002. However, as I
21 discussed above, data from the U.S. Census Bureau which are available for a
22 longer period of time support FPL's estimate of the long-term average percentage
23 of minimum use customers. Vacancy rates in Florida and the percentage of

1 residential customers qualifying as minimum use customers have historically
2 tracked one another. Therefore, the fact that vacancy rates were near their long-
3 term average between 2003-2004 indicates that the 2003 to 2004 period provides
4 a reasonable proxy for the long-term average of the percentage of residential
5 customers qualifying as minimum use customers.

6 **Q. Doesn't FPL have data on minimum use customers going back to 1997 based**
7 **on the file "empty_homes_history.xls" described by Ms. Brown on page 36,**
8 **lines 1 thru 18 of her testimony?**

9 A. No. The history going back to 1997 in the file "empty_homes_history.xls"
10 includes zero usage customers. As defined in my direct testimony, I am using the
11 term "minimum usage" customers to reflect those customers using between 1 and
12 200 kWh per month, not those using between 0 and 200 kWh a month. Hence,
13 Ms. Brown's suggestion that the data "was not reliable" on page 36, line 16 of her
14 testimony appears to be based on some confusion regarding the distinction
15 between the two series of data. If FPL had included zero usage customers in its
16 calculation of the impact from minimum use customers a larger adjustment would
17 have resulted.

18 **Q. Is Ms. Brown's estimate of the long-term average percentage of residential**
19 **customers qualifying as minimum use customers appropriate?**

20 A. No. Ms. Brown uses the period from September 2002 thru December 2007 to
21 estimate the long-term average percentage of residential customers qualifying as
22 minimum use customers, a period in which the percentage of minimum use
23 customers averaged 7.42%. Data from the U.S. Census Bureau show that

1 homeowner vacancy rates in Florida averaged 3.0% between September 2002 and
2 December 2007, well above their long-term average of 2.2%. Therefore, Ms.
3 Brown's assertion that the September 2002 thru December 2007 period be used to
4 estimate the long-term average percentage of residential customers qualifying as
5 minimum use customers should be rejected.

6 **Q. Ms. Brown also states on page 38, lines 5 thru 10 of her testimony that FPL's**
7 **assumption that all minimum use customers have zero usage results in an**
8 **inflated calculation of the adjustment for minimum use customers. Do you**
9 **agree?**

10 A. No. The refinement suggested by Ms. Brown has only a marginal impact on the
11 forecast. As shown on Exhibit RM-14, using 100 kWh as the assumed usage of
12 these customers results in a decrease of only 0.09% in the minimum use
13 adjustment in the 2010 test year. As I discuss below, of greater consequence is
14 the actual trend in the number of minimum use customers.

15 **Q. What percentage of residential customers qualify as minimum use customers**
16 **based on the most recent actuals available?**

17 A. As of June 2009, 9.03% of FPL's residential customers qualified as minimum use
18 customers. By contrast, FPL's load forecast assumed that only 8.55% of
19 residential customers would qualify as minimum use in June 2009. Based on this
20 actual data through June 2009, an updated adjustment for minimum use customers
21 for the test year would be 1.27%. As shown on Exhibit RM-14, this represents a
22 0.16% increase in the adjustment for minimum use customer in the 2010 test year
23 from FPL's filed forecast, even with the assumption that minimum use customers

1 use 100 kWh/month. Thus, FPL's proposed adjustment for minimum use
2 customers is not overstated and, if anything, may be too low in light of recent
3 actual data.

4 **Q. Does Ms. Brown express any other issues with FPL's forecast of minimum**
5 **use customers?**

6 A. Yes. On page 37, lines 21 thru 25 and page 38, lines 1 thru 4, Ms. Brown cites
7 discrepancies in the 2011 forecasted number of minimum use customers FPL
8 provided in response to OPC's third set of interrogatories, request number 175.
9 Consistent with the assumption of an improvement in the housing market in 2011,
10 FPL reduced the adjustment for minimum use customers by 50% in developing its
11 load forecast. Unfortunately, the projected number of minimum use customers in
12 2011 was incorrectly calculated in FPL's response to OPC's third set of
13 interrogatories, request number 175. While any confusion this may have caused
14 is regrettable and is being corrected with a supplemental interrogatory response,
15 this error had absolutely no impact on FPL's load forecast or MFR filing.

16 **Q. Ms. Brown on page 38, lines 11 thru 20 of her testimony describes what she**
17 **calls an error in the way FPL applied its re-anchoring adjustment. Is her**
18 **concern justified?**

19 A. No. FPL calculated the re-anchoring adjustment based on the average level of
20 2008 usage, after taking into account changes in mandated energy efficiency and
21 the addition of the Seminole Electric Power Sales. In developing the forecasts
22 for 2009, 2010 and 2011, the re-anchoring adjustment was then applied to the
23 output of the econometric model before any adjustments for mandated energy

1 efficiency or the Seminole Electric Power Sales. However, even if the re-
2 anchoring adjustment were applied to the output of the econometric model after
3 adjusting for mandated energy efficiency and the Seminole Electric Power Sales,
4 the impact on the forecast would be trivial, less than 0.05% in the 2010 test year.

5 **Q. Aside from the conceptual issues of how the adjustments to the load forecast**
6 **should be developed, does Ms. Brown accurately compute the methodology**
7 **she advocates?**

8 A. No. Ms. Brown's computation contains a serious arithmetic error. On her Exhibit
9 SLB-9, page 1 of 3, column k, the sum of "NEPACT" (i.e. mandated energy
10 efficiency) and new wholesale contracts (i.e. the Seminole Electric Power Sales)
11 in 2008 is incorrectly shown as -2,270,684,789 kWh. In reality, the sum of
12 mandated energy efficiency and the Seminole Electric Power Sales in 2008 is
13 -1,568,228,958 kWh. Exhibit SLB-9, page 1 of 3, column k, repeats the same
14 values for both 2008 and 2009 suggesting that this error may be typographical in
15 nature. However, the implication of this error on OPC's calculations is significant
16 since Ms. Brown advocates computing the re-anchoring adjustment based on the
17 "Revised NEL before Re-anchoring" for 2008 which is incorrectly calculated
18 based on the error in column k. Thus, even if one accepted OPC's flawed
19 methodology for computing the adjustments to the load forecast, this error means
20 that OPC's proposed re-anchoring adjustment shown in column n of Exhibit SLB-
21 9, page 1 of 3, would be significantly miscalculated. Correcting solely for the
22 impact of this arithmetic error, OPC's proposed re-anchoring adjustment, which is

1 shown as -0.075% in column n of Exhibit SLB-9, page 1 of 3, would instead be
2 -0.702%.

3 **Q. What impact does this specific error have on OPC's proposed load forecast?**

4 A. As a result of the error in column k of Exhibit SLB-9, page 1 of 3, the forecasted
5 values shown as the "Revised NEL Model" in column o are overstated in every
6 year. These figures, in turn, are used as OPC's proposed load forecast on Exhibit
7 SLB-9, page 2 of 3, which is shown as "Load Forecast Analysis Revenue
8 Calculations – Minimum Use Correction Only." Thus, even using OPC's flawed
9 methodology, OPC's proposed load forecast based on what it calls "Minimum
10 Use Correction Only" is overstated by approximately 698 GWh in 2009, by 704
11 GWh in 2010, and by 713 GWh in 2011.

12 **Q. Does this specific error also impact OPC's proposed increase in FPL's**
13 **revenue forecast?**

14 A. Yes. On Exhibit SLB-9, page 2 of 3, OPC proposes a \$43.7 million increase in
15 2010 and a \$37.5 million increase in 2011 in FPL's revenue forecast. However,
16 had OPC correctly reflected the sum of 2008 mandated energy efficiency and
17 incremental wholesale sales on Exhibit SLB-9, page 1 of 3, column k, their
18 proposed increase to FPL's revenue forecast would be \$19.8 million in 2010 and
19 \$13.3 million in 2011. Thus, OPC's error in the sum of the 2008 mandated
20 energy efficiency and incremental wholesale sales resulted in an overstatement of
21 FPL's revenues of \$23.8 million in 2010 and \$24.1 million in 2011.

22 **Q. Does this mean an increase in FPL's revenue forecast of \$19.8 million in 2010**
23 **and \$13.3 million in 2011 would be appropriate?**

1 A. Not at all. OPC has not demonstrated that any revision in FPL's revenue forecast
2 is needed. I merely wish to point out that OPC has not correctly implemented the
3 methodology they advocate.

4 **Q. How accurate has OPC's proposed load forecast been based on what it calls**
5 **"Minimum Use Correction Only"?**

6 A. OPC's proposed forecast based on what it calls "Minimum Use Correction Only"
7 has a year-to-date variance on a weather normalized basis of -1.49%, an error
8 more than fifteen times larger than FPL's forecasting variance during the same
9 period. Exhibit RM-12 provides a graphic illustration of the superior forecasting
10 accuracy of FPL's forecast.

11 **Q. What monthly pattern do you observe in OPC's proposed load forecast**
12 **based on what it calls "Minimum Use Correction Only"?**

13 A. Exhibit RM-15 shows the monthly patterns in the forecasting error of FPL's
14 forecast versus OPC's proposed load forecast based on what it calls "Minimum
15 Use Correction Only." The monthly pattern of OPC's forecast clearly shows a
16 consistent bias toward over-forecasting NEL. OPC's proposed "Minimum Use
17 Correction Only" load forecast has over-forecasted NEL each and every month of
18 2009 thru June. By contrast, FPL's forecast shows a far more random pattern in
19 the forecast error, with some months over-forecasted and some months under-
20 forecasted. This pattern demonstrates that there is no underlying bias in FPL's
21 load forecast.

1 **Q. Does OPC offer another proposed load forecast in addition to the one**
2 **referred to as “Minimum Use Correction Only” on Exhibit SLB-9, page 2 of**
3 **3?**

4 **A. Yes.** OPC also proposes a load forecast based on removing the re-anchoring
5 adjustment altogether. This proposed load forecast is referred to as “Minimum
6 Use Correction and Remove Re-anchoring” on Exhibit SLB-9, page 3 of 3. Ms.
7 Brown offers absolutely no explanation in her testimony to support the complete
8 removal of the re-anchoring adjustment. Not surprisingly, this revision further
9 compromises the accuracy of the forecast.

10 **Q. How accurate has OPC’s proposed load forecast been based on what it calls**
11 **“Minimum Use Correction and Remove Re-anchoring Adjustment”?**

12 **A.** As shown on Exhibit RM-12, OPC’s proposed “Minimum Use Correction and
13 Remove Re-anchoring Adjustment” load forecast has a weather-normalized year-
14 to-date variance of -1.56%, more than fifteen times as high as FPL’s forecasting
15 variance.

16 **Q. What monthly pattern do you observe in OPC’s proposed load forecast**
17 **based on what it calls “Minimum Use Correction Only and Remove Re-**
18 **anchoring Adjustment”?**

19 **A.** Exhibit RM-15 shows the monthly patterns in the forecasting error of FPL’s
20 forecast versus OPC’s proposed load forecast based on what it calls “Minimum
21 Use Correction and Remove Re-anchoring Adjustment.” OPC’s proposal again
22 chronically over-forecasts NEL with a negative forecasting variance each and
23 every month. This clearly indicates an underlying bias in OPC’s proposed load

1 forecast. Moreover, the trend in recent months is one of an increasing tendency to
2 over-forecast.

3 **Q. Aside from their lack of accuracy and forecast bias, what other conclusions**
4 **do you draw from your analysis of OPC's two proposed load forecasts as**
5 **presented by Ms. Brown?**

6 A. OPC's proposed "Minimum Use Correction Only" load forecast does not
7 represent any legitimate corrections to FPL's adjustment for minimum use
8 customers. Rather, the revenue impact shown on Exhibit SLB-9, page 2 of 3 is
9 the result of understating the adjustment for minimum use customers and
10 miscalculating the re-anchoring adjustment. The understatement of the
11 adjustment for minimum use customers results primarily from the inappropriate
12 time period Ms. Brown uses to estimate the long-run average percentage of
13 residential customers using between 1 and 200 kWh/month. The miscalculation
14 of the re-anchoring adjustment is the result of the false impression that a double-
15 counting exists between the re-anchoring adjustment and the adjustment for
16 minimum use customers. OPC's miscalculation of the re-anchoring adjustment is
17 then further compounded by its arithmetic error in summing the 2008 impact of
18 mandated energy efficiency and new wholesale sales as shown on Exhibit SLB-9,
19 page 1 of 3, column k.

20

21 OPC's proposed load forecast based on what it calls "Minimum Use Correction
22 and Remove Re-anchoring Adjustment" represents an even more extreme and less
23 successful attempt to revise FPL's forecast. Given the econometric model's

1 tendency to over-forecast the level of NEL, as shown on Exhibit RM-13, it is
2 difficult to imagine why anyone would conclude that a re-anchoring adjustment is
3 not required. By eliminating the re-anchoring adjustment and understating the
4 adjustment for minimum use customers, OPC attempts to address what is a 3.33%
5 to 4.44% bias toward over-forecasting with adjustments that sum to only a 2.0%
6 reduction in the output of the econometric model. Given this gap, it is not
7 surprising that OPC's "Minimum Use Correction and Remove Re-anchoring
8 Adjustment" load forecast has a weather-normalized year-to-date variance of
9 -1.56%.

10
11 In summary, OPC's proposed load forecasts are clearly inferior to FPL's load
12 forecast and should be rejected by the Commission. Likewise, the revenue
13 deficiency impacts calculations presented on Exhibit SLB-10 which rely on
14 OPC's proposed load forecasts should be rejected.

15 16 **LOAD FORECAST IN THE 2011 TEST YEAR**

17
18 **Q. OPC witness Brown on page 5, lines 1 thru 22 of her testimony and SFHAA**
19 **witness Kollen on page 7, line 11 thru page 9, line 13 of his testimony both**
20 **state that forecasts for the 2011 test year are too speculative to be relied on in**
21 **this proceeding. Is FPL's load forecast for the 2011 test year speculative?**

22 **A.** No. FPL's load forecast for 2011 is reasonable and is not the result of negative
23 speculation regarding the timing of the economic recovery. FPL's 2011 load

1 forecast to a large extent reflects the start of a recovery in customer and sales
2 growth. Accordingly, FPL's load forecast shows NEL increasing by 1.6% in
3 2011, its highest rate of increase since 2006. Likewise, FPL's load forecast shows
4 the number of customers increasing by 1.3% in 2011, its highest rate of increase
5 since 2007. It is also important to keep in mind that uncertainty regarding the
6 2011 test year is a two-sided risk. Indeed, based on the information currently
7 available, there is a relatively greater risk that FPL's 2011 load forecast is too
8 high rather than too low.

9 **Q. What factors suggest that the 2011 load forecast may be too high?**

10 A. The University of Florida released a new population forecast in March 2009
11 indicating even lower population growth through 2011. While the University of
12 Florida has a history of underestimating the state's long-run population growth,
13 their shorter term accuracy has been very good. Moreover, the reduction in short-
14 term population growth indicated by the University of Florida is consistent with
15 FPL's own experience which shows the number of customers continuing to fall on
16 an annual basis.

17 **Q. What impact would the University of Florida's March 2009 population
18 forecast have on FPL's load forecast for the test years?**

19 A. The University of Florida's March 2009 population projections would result in a
20 0.7% reduction in NEL in 2010 and a 1.5% reduction in NEL in 2011 relative to
21 FPL's filed load forecast.

22 **Q. Are there any other factors which would reduce the load forecast for the test
23 years?**

1 A. Yes. FPL's load forecast does not reflect any incremental DSM. In other words,
2 FPL's load forecast reflects only existing DSM programs and participation levels.
3 Incremental DSM is treated as a line item reduction to the load forecast as part of
4 the resource planning process.

5 **Q. What impact would incremental DSM have on the load forecasts for the test**
6 **years?**

7 A. In Docket 080407-EG, FPL has proposed 74.1 GWh of incremental DSM in 2010
8 and 148.6 GWh in 2011. These estimates would reduce FPL's projected NEL by
9 about 0.1% in both 2010 and 2011. Of course, to the extent that there are any
10 modifications in the actual level of incremental DSM, these impacts would be
11 affected. For example, in Docket 080407-EG, GDS Associates has proposed
12 594.2 GWh of incremental DSM in 2010 and 1191.5 GWh in 2011. These
13 estimates would reduce FPL's projected NEL by 0.6% in 2010 and by 1.1% in
14 2011.

15 **Q. Does this conclude your rebuttal testimony?**

16 A. Yes.

1 BY MR. BUTLER:

2 Q Dr. Morley, are you also sponsoring the
3 exhibits attached to your rebuttal testimony?

4 A Yes, I am.

5 Q And were these prepared by you or under your
6 direction, supervision or control?

7 A Yes, they were.

8 Q Do you have any changes or corrections to
9 them?

10 A No, I do not.

11 MR. BUTLER: Madam Chairman, I would note that
12 Dr. Morley's rebuttal exhibits, RM-12 through RM-15,
13 have been identified, premarked for identification as
14 Nos. 333 through 336.

15 COMMISSIONER EDGAR: Thank you.

16 BY MR. BUTLER:

17 Q Dr. Morley, would you please summarize your
18 rebuttal testimony?

19 A Yes. The purpose of my rebuttal testimony is
20 to address revisions to FPL's sales forecasts proposed
21 by OPC Witness Brown.

22 The ultimate objective of a forecast is to
23 provide an accurate prediction of the future. FPL's
24 sales forecast is meeting this objective. In order to
25 measure accuracy, we look at what is called the

1 forecasting variance which is the difference between
2 weather-normalized actuals and the forecast. The chart
3 immediately behind me compares FPL's sales forecasting
4 variance with those of OPC based on weather-normalized
5 year-to-day net energy per load through June. The goal
6 is to be as close to the zero line as possible, and
7 FPL's forecast is very close to zero. In fact, FPL's
8 year-to-day variance is less than 0.1 percent. This
9 clearly shows that FPL's forecast is highly accurate.
10 To a large extent, this accuracy is attributable to the
11 reasonable and appropriate adjustments FPL made to the
12 econometric model used to forecast sales.

13 OPC has proposed two alternative sales
14 forecasts based on either reducing or eliminating two of
15 these needed adjustments. As a result, OPC's proposed
16 sales forecasts are far less accurate than FPL's. As
17 you can see, each of OPC's proposed forecasts have a
18 year-to-date variance many times the size of FPL's. In
19 fact, each is 15 times as large as FPL's.

20 In addition to the year-to-date variance,
21 another important measure of how well the forecast is
22 performing is the monthly pattern in the forecasting
23 variance. A good forecast should be unbiased. In
24 statistical terms, this means that there should not be a
25 pattern of either consistently over-forecasting or

1 consistently under-forecasting. Conversely, in
2 statistical terms, a biased forecast is one that does
3 consistently over-forecast or under-forecast. The
4 monthly pattern in FPL's forecasting variance shown in
5 second chart confirms that FPL's forecast is unbiased.
6 By contrast, all of OPC's forecasts, including those
7 submitted in Ms. Brown's supplemental testimony, have a
8 consistently negative forecasting variance. In other
9 words, OPC's forecast chronically over-forecasts sales.
10 In statistical terms, this clearly indicates an
11 underlying bias in all of OPC's proposed forecasts. So,
12 by the important measure of whether a forecast is
13 unbiased, FPL's forecast is plainly superior to all of
14 OPCs.

15 In conclusion, FPL's sales forecast is a
16 superior forecast as it is both accurate and unbiased.

17 This concludes my rebuttal summary.

18 MR. BUTLER: Thank you, Dr. Morley. I tender
19 the witness for cross-examination.

20 ACTING CHAIRMAN EDGAR: Thank you.

21 Ms. Christensen.

22 CROSS EXAMINATION

23 BY MS. CHRISTENSEN:

24 Q Good morning, Commissioners. Good morning,
25 Ms. Morley.

1 A Good morning.

2 Q Now, as you've just discussed in your opening,
3 Ms. Brown noted that there was an error in the way the
4 re-anchoring adjustment was applied in the 2009-2011
5 timeframe where FPL applied the adjustments to the NEL
6 before the energy efficiency adjustment and the
7 wholesale adjustments rather than after. On page 10 and
8 11 of your rebuttal testimony, it appears that you agree
9 that this is what FPL did but you conclude that
10 Ms. Brown's concern is not justified.

11 Now, is it correct to say that your conclusion
12 was based on the magnitude of the error?

13 A I don't agree with it that it was an error at
14 all. I think that the way FPL did the forecast was
15 appropriate, and I think that's evident by the fact that
16 we have a lower year-to-date sales forecasting variance.

17 Q So am I correct in assuming you did not
18 quantify what Ms. Brown has termed an error?

19 A No, I did quantify it, and I believe, as I
20 show on page 11, line 4, it results in an impact of less
21 than 0.5 percent which is, you know, virtually zero for
22 all practical purposes.

23 Q Okay. Well, let me ask you this: The
24 re-anchoring adjustment is negative 1.29 percent,
25 correct?

1 A That's correct.

2 Q And in 2010 the minimum usage adjustment is
3 negative 1.1 percent, correct?

4 A Could you repeat the year, Ms. Christensen?

5 Q 2010, the minimum net usage adjustment is
6 negative 1.1 percent.

7 A Yes, that's correct.

8 Q So the total adjustment for re-anchoring and
9 minimum use in 2010 would be a cumulative negative
10 2.39 percent, correct?

11 A That's correct, and that's entirely
12 appropriate. We made those two adjustments because of
13 the model's tendency to over-forecast sales, and in fact
14 in 2008 it was over-forecasting by between 3.3 and I
15 believe 4.2 percent. That's a big number. So we made
16 those adjustments to correct that problem.

17 Q Well, let me draw you back to my questions,
18 which -- would you accept, subject to check, that the
19 energy efficiency adjustment for 2010 is 3,237,749
20 megawatt hours?

21 A Yes.

22 Q Okay, and would you further accept, subject to
23 check, that 2.39 percent of that 3.2 million-megawatt
24 hours is 77,382-megawatt hours?

25 A If you -- I would be happy to write those

1 figures down and --

2 Q Yeah, certainly. It is 2.39 percent of the
3 3,237,749-megawatt hours which would result in 77,382
4 megawatt hours.

5 A Yes.

6 Q Okay. And assuming then an average loss
7 factor of six percent, would you agree that this equates
8 to approximately 72,739-megawatt hours in sales?

9 A Yes.

10 Q And in an average rate of about 3.6 cents per
11 kilowatt hour for base rates, this would be about
12 approximately \$2.6 million, correct?

13 A I would accept that arithmetic, subject to
14 check.

15 Q Okay. And as you stated before, you would not
16 consider \$2.6 million a significant error in the
17 forecasting?

18 A No, not at all. And that is not the first --
19 that is not the question you asked me previously.

20 You asked me about the order of the
21 adjustments, not making the adjustment. I think it's
22 very important to make the adjustments, including the
23 adjustment for mandated energy efficiency. That was not
24 the question you asked me previously. You asked me
25 about the order of the adjustments.

1 Q Okay. In your rebuttal testimony you indicate
2 that your load forecast is pretty close to the actuals
3 for 2009, is that correct?

4 A That's correct.

5 Q And you say it's off by less than a positive
6 .1 percent, correct?

7 A Well, it's off by much closer than that. If
8 you -- again, referring to the chart behind me, it's
9 within 0.4 percent.

10 Q Okay. And did you update all of your
11 regression independent variables for 2009 to determine
12 whether the model was accurately forecasting in 2009, or
13 did you just compare the previous forecast outputs using
14 the forecasted variables?

15 A The way we perform a variance analysis is we
16 compare the forecast with the weather-normalized
17 actuals.

18 Q Okay. So it would be fair to say that you did
19 not update the input variables?

20 A No, because that is not the way we perform a
21 variance analysis. You see how well the forecast is
22 doing relative to the actuals. You don't change the
23 forecast.

24 Q Okay. So you would not know if the model was
25 really a good fit in 2009, correct?

1 A No, I disagree. I think the ultimate proof of
2 how well a forecast in a model is doing is how well the
3 forecast is doing.

4 Q But to test that, you would really need to
5 apply the actual variables for the same period, correct?

6 A No.

7 Q Okay. Well, let me ask you this: Has the
8 household disposable income decreased or increased from
9 your previous estimates in your model?

10 A We believe our forecast remains on target. We
11 forecasted a decline in real household disposable income
12 consistent with this recession, and we stand by that
13 forecast.

14 Q Well, let me have you answer the question that
15 I was asking which was: Has household disposal income
16 decreased or increased from the estimates that were in
17 your model?

18 A The actuals for real household disposable
19 income are not available for 2009 as of yet; however,
20 based on all the indications we have about the economy,
21 we believe our forecast for real household disposable
22 income remains on track.

23 Q Okay. So you don't know because the
24 information is not available or -- I'm not understanding
25 the answer to the question.

1 A The actuals for real household disposable
2 income for 2009 are not yet available; however, the net
3 energy for load for 2009 is available, and as you can
4 see, our forecast is performing very well.

5 Q Okay. And regarding real prices, it's the
6 same real price information. Is that available
7 currently for 2009?

8 A Yes.

9 Q Has that increased or decreased from the
10 inputs that you used in your model?

11 A I don't recall.

12 Q Okay. And regarding population, is the 2009
13 information available?

14 A Yes.

15 Q And has that increased or decreased from what
16 was used in your model?

17 A That has decreased. Our population forecast,
18 as I mentioned in August, was based on the November of
19 2008 University of Florida estimates. Those have since
20 been revised downwards. So, as I talk in my rebuttal
21 testimony, the risk to the forecast going forward is
22 probably that population and customers may be even lower
23 than projected. So that they're -- to the extent
24 that -- you know, forecasting, there's always an
25 uncertainty. The relative uncertainty in this case is

1 that the forecast may be too high.

2 Q Well, I assume that, if you had updated the
3 factors, the forecast would have been reduced; is that
4 correct?

5 A Without fully doing that process, I can't say,
6 but I do believe, because population is such an
7 important component in the forecast, that that is where
8 the relative risk is.

9 Q Okay. And if your forecast was reduced and
10 you still applied a re-anchoring or minimum-use
11 adjustment, your year-to-date variance of less than plus
12 .1 percent would actually become an under-projection,
13 correct?

14 A I'm not sure of that without performing that
15 calculation.

16 Q Okay. You would agree that the minimum-use
17 customers rose significantly in 2008?

18 A Yes, especially towards the latter half of the
19 year.

20 Q And you would also agree that the number of
21 minimum-use customers affects the overall average use
22 per customer, correct?

23 A Yes. We are certainly seeing that today.

24 Q And the database for your regression included
25 customers and kilowatt hours usage back to 1998,

1 correct?

2 A That's correct.

3 Q So the minimum-use customers in each month of
4 the database affected the average use per customer for
5 that month, correct?

6 A Yes.

7 Q However, you chose in your modeling to use the
8 minimum-use customers from 2003 through 2004, correct?

9 A Yes, and if I could explain for a moment,
10 we've always had a certain number of minimum-use
11 customers in our system. We don't adjust for that
12 accurate amount. We only adjust for the increment, if
13 you will, the addition in empty homes we've had in the
14 last year or two as a result of the housing crisis. So
15 we have to come up with kind of a baseline estimate of
16 the percent of empty use -- percent of minimum-use
17 customers, and we used 2003-2004 to come up with that
18 average because that's a time period where vacancy rates
19 were near their long-term average.

20 Q However, you did not use the longer-term
21 historical average, the 2000 -- or, I'm sorry, the 1998
22 through the 2007 time period, correct?

23 A No. That data is not available.

24 Q Okay. But it's not the minimum use that's
25 represented over the entire database when you use the

1 2003-2004, correct?

2 A We believe it's a reasonable proxy, and I
3 think the ultimate test of that is how well the forecast
4 is doing, which is clearly doing very well.

5 Q When you prepared your regression analysis,
6 you used a long period of monthly historical data for
7 several independent variables to forecast the dependent
8 variables, in this case energy, correct?

9 A I would ask you to repeat. You said a
10 "resident variable"? I don't think I caught the second
11 word.

12 Q Let me repeat the question. It might be -- to
13 make sure I don't stumble over the words. When you
14 prepared a regression analysis, you use a long period of
15 monthly historical data for several independent
16 variables to forecast the dependent variable, which in
17 this case is case energy, correct?

18 A Yes, we have monthly use-per-customer data
19 going back to -- we use monthly use-per-customer data
20 going back to 1999.

21 Q Okay. And so -- and that data would have
22 covered from '98 to 2008, correct?

23 A That's correct.

24 Q And we're talking -- in the historical energy
25 use as an input into the model, to derive a relationship

1 between the independent variables and the energy use,
2 correct?

3 A That's correct.

4 Q And the historical energy use data reflected
5 the use of all of FPL customers including minimum-use
6 customers, correct?

7 A Yes.

8 Q It didn't just reflect the periods that were
9 considered close to the long-term averages, correct?

10 A That's correct. It considered the full
11 period.

12 Q Okay. And if you know -- this is a slightly
13 different topic -- how many times has the University of
14 Florida updated it's population assumptions in the last
15 year and a half, if you know?

16 A I've been asked that question a lot, so I
17 should know it off the top of my head. They revised it
18 I'm going to say about six times.

19 MS. CHRISTENSEN: Okay. That's all the
20 questions I have. Thank you, Ms. Morley.

21 THE WITNESS: Thank you, Ms. Christensen.

22 ACTING CHAIRMAN EDGAR: Ms. Bradley?

23 MS. BRADLEY: No questions.

24 ACTING CHAIRMAN EDGAR: Mr. Moyle.

25 / / / / /

CROSS EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. MOYLE:

Q I have a few. Do you have expert -- are you testifying as an expert in this case, do you know, or a fact witness or --

A I'm testifying on the load forecast.

Q Okay. So would it be fair to indicate that you have familiarity with statistics and forecasting?

A Yes.

Q Okay. So just so I'm clear, statistics is something you're comfortable talking about, right?

A I think it depends on the question, but yes.

Q Well, with respect to statistics, do you have any understanding as to a variation with respect to it being material on a statistical basis? Did you follow that question?

A I think I did, and there's probably several ways of -- it depends on what you're looking at. It's -- sometimes you look at a standard deviation. I don't know if that's where you were getting to.

I think in forecasting, you know, variation may depend on, you know, what you're looking at. Certainly, if you're looking at an error, you would be very interested in any trend. That's why we made our adjustment to the forecasting model, not just in terms

1 of the magnitude, but the fact that there was such a
2 consistent trend in the model over-forecasting.

3 Q And is a standard deviation in statistics --
4 is it truly standard?

5 A It's got a standard formula.

6 Q Well, I guess really what I want to talk
7 about -- you've got those big charts behind you up
8 there, and, you know, were making a point about, well,
9 OPC's is wrong by one and a half percent and yours was
10 half a percent higher. I mean, at the end of the day,
11 to my way of thinking, the cumulative error is -- or
12 it's not even an error, it's just a forecast being off
13 by about one percent, correct?

14 A No. I'd like to address a couple of things in
15 that. Just to be clear, in the chart we are within --
16 as shown here, within 0.4 -- .04 percent versus OPC,
17 which is off by -- which is over-forecasting by between
18 one and a half and 1.6 percent, and in the world of
19 forecasting -- maybe not statistics, but in the world of
20 forecasting, that is a significant difference, and I
21 certainly couldn't go to my boss and say, hey, I'm only
22 within -- I'm in some standard deviation of the error.
23 That would not be acceptable in forecasting.

24 Q Okay. I apologize about the .004 percent. My
25 eyes were not getting there when you handed the

1 handouts. I was wrong on that. So you're saying that,
2 with respect to forecasting, a one-percent variation is
3 significant, but with respect to statistics, it's not?

4 A Well, I think it depends on what you're
5 looking at in statistics. I would say for forecasting,
6 it is significant, and I think what is more significant
7 in OPC's proposed forecasts is the consistency of the
8 trend because what happens when you have a forecast
9 which is consistently either under- or over-forecasting,
10 then that error tends to get larger over time.

11 Q And the University of Florida had a consistent
12 trend in their errors in forecasting population over the
13 last couple of years, have they not?

14 A Yes, and I believe this is addressed in a
15 late-filed exhibit that staff requested is that there --
16 on a long-term basis, the University of Florida -- and
17 when I say long-term, I'm going ten years or more. On a
18 long-term basis they have consistently under-forecasted
19 long-term population growth, but when we look at a
20 shorter period of time, that has not been the case
21 particular recently with the decline in population.

22 Q The error in the short term, they've also
23 predicted -- well, tell us about the short term. You
24 had talked about -- you were asked a question by OPC
25 about the University of Florida's forecast being in

1 error over the short term, and I don't think you gave us
2 the information about how the error was realized. Could
3 you do that?

4 A Sure. I'm trying to be really quick here. I
5 wanted to -- well, let me go to that -- is that the --
6 our forecast for population from the University of
7 Florida assumed that in 2009 the population was going to
8 increase by about 75,000, and that was based on their
9 November, 2008 projections. They have subsequently come
10 up with another forecast and also with an estimate of
11 the actual number of population for 2009, and that
12 estimate of the actual level of population in 2009 shows
13 not an increase but a decrease by about 58,000. So
14 that's a fairly significant revision on their part.

15 Q And that would be a lot more than the
16 1.5 percent shown on your chart with respect to a
17 forecast variance, would it not? Initially it was a
18 75,000 increase and now it's a negative number?

19 A Oh, absolutely, and that's why, as I discuss
20 in my rebuttal testimony, the risk of the forecast going
21 forward is that it may actually -- our forecast may
22 actually be too high because of the downturn in
23 population.

24 Q There was a story -- I don't know if you saw
25 the paper today. There was a story about it is

1 projected that Florida may only pick up one
2 congressional seat because of population changes in the
3 upcoming census. Did you see that this morning in the
4 *Democrat*?

5 A I didn't have time to read the paper this
6 morning, unfortunately.

7 Q Well, I guess the question and the point I
8 want to make on that is that, when you actually go about
9 and make a decision about a congressional seat, they
10 actually count people. They go out and they do a
11 census. Are you aware of that, that the census is an
12 actual count? You send something in the mail -- I mean,
13 they're trying to get realtime data. It's not based on
14 forecasts.

15 MR. BUTLER: I'm going to object to this line
16 of questioning. I don't see the connection to
17 Dr. Morley's rebuttal testimony.

18 ACTING CHAIRMAN EDGAR: Mr. Moyle, are we
19 getting far afield?

20 MR. MOYLE: Well, it is, admittedly, probably
21 far afield, but I think the point that I want to try to
22 make, and I can ask her the point, is --

23 ACTING CHAIRMAN EDGAR: Can you draw that
24 point to her rebuttal?

25 / / / / /

1 BY MR. MOYLE:

2 Q Sure, sure. You would agree, would you not,
3 that real data is better for making decisions as
4 compared to forecasts because forecasts are variable but
5 real data is a historical piece of information? You
6 would generally agree with that proposition, would you
7 not?

8 A You know, I believe I've been asked this
9 question before, and as I said previously, it depends on
10 what you're looking at and your usage. In terms of the
11 census, of course, they do count people. They only do
12 that every ten years because it's only practical,
13 probably, to do it in that. So no, I cannot agree with
14 that.

15 Q So you would agree with -- I guess you would
16 say you'd need more information as to what it is you're
17 looking at as to whether realtime data would be a better
18 indicator as compared to a forecast?

19 A Yes, what you're looking at and what you're
20 trying to do.

21 Q If I understand your bone of contention with
22 OPC, it's that you have a difference in forecasts. When
23 you forecast net energy for load, you forecast it on a
24 long-term basis; do you not?

25 A We forecast it monthly. We have -- and we

1 also have a long-term forecast.

2 Q Okay. And your long-term forecast, how many
3 years does it go out?

4 A Quite a few. More than 20.

5 Q More than 20?

6 A Correct.

7 Q So if the graph that you put up there that you
8 showed with the 1.5 percent under-forecast of OPC,
9 that's year-to-date, is that right, or through June, I
10 guess?

11 A Yes.

12 Q Okay. And if we put that out on a broader
13 scale, say, you know, a ten-year scale, it very could
14 well be that the OPC forecast is more accurate than the
15 Power & Light forecast if you did it on a ten-year
16 basis, correct?

17 A No. I wouldn't necessarily agree with that.
18 In fact, one thing we have looked at is, one of the best
19 indications of how well a forecast is going to do going
20 out in the future is how well the forecast is doing
21 currently. In OPC's case, they would have -- they had a
22 compound error because basically they're
23 over-forecasting this year's sales significantly, and in
24 order to overcome that, we would have to have really
25 unrealistic growth next year. So, no, I don't think I

1 could agree with that, Mr. Moyle.

2 Q But if you're looking at a point ten years --
3 I mean, you don't know what's going to happen in ten
4 years, do you? We can't see ten years into the future.

5 A I would agree with you that the further out we
6 go -- and if you're talking ten, 20 years, yes, the
7 impact of this year will have less impact as you go
8 further out, but I think, if we're talking about the
9 years 2010 and 2011, I think the sales forecast variance
10 this year is very relevant.

11 Q You were asked questions about forecasts for
12 2009 household disposable income, and you said that
13 information is not available to you, is that right?

14 A That's correct.

15 Q But you did say that you believe that it's on
16 track, that your indications are that the forecast for
17 disposable income is on track; is that right?

18 A That's correct.

19 Q Okay. And what does that track show?

20 A Well, basically we assumed that there would be
21 a decline in real household disposable income this year
22 consistent with a severe recession, and all indications
23 are that we are in a severe recession and we will -- the
24 Florida economy certainly will continue to struggle for
25 the next year or so.

1 Q So what percentage of reduction in disposable
2 income did you assume or did your forecast indicate?

3 A I believe it was a peak decline of about
4 four percent in April this year, and then the declines
5 would, you know, gradually get lessened, and again this
6 is something we've heard on the news a lot lately, you
7 know, we still have declines but not so bad, and that's
8 basically what our forecast calls for.

9 Q And in preparing that forecast, isn't a key
10 driver of that forecast what you think salaries may do
11 if people -- I mean, disposable income is how much money
12 a family or a person has to spend after taxes, correct?

13 A I think you asked me two questions. Can I --

14 Q Okay.

15 A Can I get the first one again?

16 Q What's disposable income?

17 A It is income from wages and salaries, interest
18 income, transfer payments, adjusted for income taxes.

19 Q Okay. And do you know -- you talked about
20 interest income. That would be like from investments or
21 monies invested in a certificate of deposit, for
22 example; is that right?

23 A That's correct.

24 Q Do you know what -- isn't it true that the
25 lion's share of disposable income for Floridians comes

1 from salaries?

2 A That's correct.

3 Q And with respect to the forecasts, don't the
4 forecasts also indicate that salaries are not increasing
5 presently or in the next year?

6 A I think the -- our forecast for real
7 disposable income is driven by more employment and
8 average work hours than salary levels.

9 Q Okay. But my question was specific as to
10 salaries. What do your salaries show? What are you
11 forecasting with respect to salaries for 2009 and 2010?

12 A We don't have a forecast of salaries. We have
13 a forecast of real household disposable income.

14 Q So as we sit here today, you don't have
15 information as to salaries and whether, as a general
16 sense, those are going up, staying stagnant, or going
17 down in the state of Florida as a whole?

18 A No. We find that employment is really more of
19 a driver, and we certainly have tracked, you know, how
20 unemployment has been increasing in Florida.

21 Q So the four-percent reduction you believe is
22 largely attributable to unemployment, high unemployment,
23 as compared to a reduction in salaries?

24 A Yes.

25 Q And you do track unemployment, right? I guess

1 there's statistics available for that.

2 A Yes.

3 Q Are there statistics available for salary?

4 MR. BUTLER: I'm going to object. I don't
5 think that Mr. Moyle's question goes to anything in
6 Dr. Morley's rebuttal testimony, and if he can point to
7 where it is, then that would be fine. Otherwise, I
8 object.

9 ACTING CHAIRMAN EDGAR: Mr. Moyle, can
10 you point to a --

11 MR. MOYLE: Well, she talked about the general
12 state of the economy, and, you know, she previously
13 answered about the, you know, four-percent reduction,
14 but it was interesting -- you know, we had a salary --

15 ACTING CHAIRMAN EDGAR: I take that as a no.
16 Sustained.

17 BY MR. MOYLE:

18 Q All right. On page 10 of your testimony, I
19 guess FPL made a mathematical error, is that right, in
20 its calculation of the minimum-use customers?

21 A No, we did not make an error in the
22 calculation of our sales forecast, our MFRs. We did
23 make an error in a response to an interrogatory from --
24 that was addressed to OPC, which we have corrected.

25 Q And that was a mathematical calculation error

1 that was made?

2 A Yes.

3 Q Okay. And I just want to spend a couple of
4 minutes on this difference between a minimum-use
5 customer and a zero-use customer. Can you try to
6 explain in terms that a lawyer might be able to
7 understand the difference between a minimum-use customer
8 and a zero-use customer?

9 A Sure. I will try to do that. I think of
10 zero-use customers being more akin to an inactive meter,
11 meaning the meter's not running, they're not using
12 anything, where a minimum-use customer is using between
13 one and 200 kilowatt hours a month, which is far below
14 what an average residential customer is using, and I'll
15 leave it at that.

16 Q And in your testimony, like on page 8, line
17 10, you state, "As defined in my direct testimony, I am
18 using the term minimum-use customer to reflect those
19 customers using between one and 200 kilowatts per hour,
20 not those using between zero and 200 kilowatts per
21 month," and my reading of that indicates that the
22 distinction between those two measurements is really one
23 kilowatt hour, is that right?

24 A That's correct.

25 Q Okay. And that's the distinction that you

1 just pointed out, in effect, somebody doesn't even have
2 a meter on; is that right? If it's a zero-use, the
3 meter is not charged?

4 A I don't know that's the case, Mr. Moyle. I
5 would say there's no usage.

6 Q And what's the significance of that, the
7 difference between a minimum-use and a zero-use, for the
8 purposes of forecasts?

9 A We adjusted for minimum-use customers, meaning
10 they have some usage but it is far below what a normal
11 customer would be using.

12 MR. MOYLE: Okay. That's all I have. Thank
13 you.

14 ACTING CHAIRMAN EDGAR: Mr. Wright.

15 CROSS EXAMINATION

16 BY MR. WRIGHT

17 Q Thank you, Madam Chairman. I do have a few
18 questions for Dr. Morley.

19 A Good morning.

20 Q Good morning, Dr. Morley. Welcome back.

21 A Thank you.

22 Q I do have a few questions about your forecasts
23 and the forecast errors and adjustments that you
24 discussed in your rebuttal testimony. At page 5 you
25 discuss the bias toward over-forecasting evident since

1 March, 2008, and I'd like to begin by exploring that.
2 You discuss a trend -- and I think you talk about this
3 at page 3, 4 and 5 of your rebuttal testimony. You
4 discuss an observed trend in forecasting error of
5 negative 3.33 percent for the period March, 2008 through
6 December, 2008; correct?

7 A Yes.

8 Q Just so I'm clear and I understand what we're
9 talking about here, does this mean that on average for
10 that period the actual observed value was 3.33 percent
11 less than the value predicted by your model?

12 A Yes.

13 Q Okay. And so, similarly, the average of
14 negative 4.4 percent for the fourth quarter of 2008
15 means that for that period the average forecast error
16 was four point -- the average -- the forecasted value
17 was on average 4.44 percent less than the predicted
18 value, correct?

19 A Yes.

20 Q When you refer to the average -- and we can
21 just talk about the fourth-quarter number here. When
22 you talk about the average of -- being negative
23 4.44 percent for that three-month period, is that an
24 average of the three monthly variances?

25 A That's correct.

1 Q And I take it from the tenor of your testimony
2 that you'd agree that a forecast error of more than
3 three percent, plus or minus, is significant; would you
4 not?

5 A Yes, but just to add a little bit to that, I
6 also think it's important to note the consistency in the
7 monthly pattern of the error, not just the level.

8 Q Right. And I think you talked about that in
9 your testimony. So it is two separate questions, and
10 what your testimony I think specifically addresses is,
11 if it's always off in the same direction, that by itself
12 is significant; correct?

13 A Yes.

14 Q And then the question I was going on to ask
15 beyond that is, if it's consistently off by
16 three percent or so, is that a significant error?

17 A Yes.

18 Q Okay. You testified I think at the bottom of
19 4 in your testimony that before 2008 the model was doing
20 fine. Is that correct?

21 A What I say specifically is there was not this
22 consistent pattern of having a string of eight months or
23 more of over- or under-forecasting.

24 Q Right. There was a pattern of positive
25 variances and negative variances, correct?

1 A Yes.

2 Q Talking about your forecasts for 2008 with
3 respect to which you observed the errors that you
4 subsequently corrected, when was that forecast prepared
5 or when were those forecasts prepared as applicable?

6 A The forecast -- the net-energy-for-load
7 forecast was prepared in January, 2009.

8 Q I'm sorry. I was meaning to ask you about the
9 forecast values for 2008 that you observed to be
10 erroneous getting on toward the end of 2008, and my
11 question I meant to be was: When was your 2008 forecast
12 that turned out to have this bias in it prepared?

13 A It wasn't our 2008 forecast. It was our
14 model.

15 Q Oh. Perhaps it would help me if we could just
16 pick a period. Let's say October, 2008. Your model
17 predicted a certain value, correct?

18 A Yes.

19 Q And that value was somewhere in the range of
20 four and a half percent off, correct?

21 A Yes.

22 Q When you say the model was wrong as opposed to
23 the forecast being off, what does that mean? Does that
24 mean -- did you run the model in September of '08 and it
25 predicted a value for October that turned out to be four

1 and a half percent off, or -- I'm just trying to
2 understand, when you say it was the model that was off
3 as opposed to the forecast that was off, what does that
4 mean?

5 A It means that the model was off. I'm sorry.
6 I'm a little -- I'm not clear on what the question is.

7 Q Well, your testimony says that the model
8 over-forecasted the actual level of NEL.

9 A Yes.

10 Q Okay. I would understand that to mean that
11 the model prepares a forecast estimate for each month,
12 is that correct?

13 A Yes.

14 Q And then what you observed was that the
15 forecasted NEL value -- sticking with our October, 2008
16 example, the forecasted -- the value forecast by your
17 model for 2008 was off by something in the range of
18 four, four and a half percent?

19 A Correct.

20 Q My question -- the question I'm trying to get
21 at is, when did you calculate the forecast value that
22 turned out to be off by four and a half percent?

23 A Are you talking about for the year as a whole
24 or for October?

25 Q Well, right now I'm talking about October.

1 I'd like to get to the point of the year as a whole,
2 but --

3 A We would have calculated that once the October
4 values were known. So it would have been around
5 November.

6 Q You would have calculated the observed
7 variance in November?

8 A Correct.

9 Q When was the forecast of the October value
10 prepared that subsequently turned out to be inaccurate?

11 A Probably in early November.

12 Q I apologize, but I'm confused. Why would you
13 be -- early November of what year?

14 A 2008.

15 Q Why would you have been forecasting October,
16 2008 in November of 2008?

17 A Because we need to calibrate our model.

18 Q At some point prior to October, 2008, was
19 there a forecast value of NEL for October of 2008?

20 A Yes.

21 Q When?

22 A When was there a forecasted value?

23 Q I fear that perhaps we are talking past each
24 other, and I don't know why or how that is, but let me
25 try it again.

1 At some point -- in November of 2008 you did
2 some recalibration calculations that confirmed that your
3 October 2008 actual value was off by let's just say four
4 and a half percent from a previously-predicted value.

5 Is that true?

6 A From the previously-predicted value from this
7 model. If I could -- that we also had a forecast for
8 2008 that would have been prepared as part of the budget
9 in a prior -- like a year prior.

10 Q Was it the value that was prepared from the
11 budget that was compared to the actual value observed in
12 2008 to calculate the forecast error?

13 A No, it was this model.

14 Q Okay. Do you compare your -- back up one
15 step.

16 Do I understand that you prepared -- like I
17 guess you prepare a forecast for budget purposes for a
18 couple of years into the future.

19 A Yes.

20 Q Do you compare those -- the values that are
21 predicted by those budget type forecasts to actual
22 performance?

23 A Yes.

24 Q For October, 2008 relative to the -- let's say
25 the October-November 2007 budget forecast, would the

1 variance for -- from the actual observed October '08
2 value as compared to the predicted value from the budget
3 forecast also have been on the order of four and a half
4 percent?

5 A I don't remember what the magnitude was. I do
6 remember that, before we developed this new model, we
7 were having a problem of over-forecasting sales, and
8 this model, along with the adjustments that we made,
9 have really helped address that problem.

10 Q Do you use the same -- with the understanding
11 that you have adjusted and corrected, in your view, the
12 model that you're now using, but do you use the same
13 model for the budget forecast that we're talking about
14 here?

15 A This -- the model that we developed in
16 January, 2009 that we're using for this rate case is the
17 same forecast that we're using for all our official
18 purposes now. That forecast was not necessarily the
19 same as previously-developed forecasts.

20 Q Do you use -- as a general proposition -- and
21 again, leaving aside the fact we know you made some
22 changes and what you believe to be improvements in the
23 model. Do you use the same model for your budget NEL
24 forecast that we're talking about here?

25 A Could you -- I'm sorry, but when you say

1 that -- the budget forecasts that we're talking about
2 here, could you give me the year, the budget year you're
3 referring to?

4 Q Well, for 2008 you prepared budget forecasts
5 in something like October or November of 2007.

6 A Yes.

7 Q You used a model to prepare that forecast.

8 A Yes.

9 Q Was that the same model that was subsequently
10 determined to be in error?

11 A That model is not the same as the model that
12 we are using in this rate case. There were revisions to
13 that.

14 Q I understand that. I was trying to break it
15 up.

16 A Okay.

17 Q Was the model that you used for the budget
18 forecast prepared in the fall of '07 the model that
19 turned out to predict erroneous values for 2008?

20 A No, it was a different model. But just to
21 clarify, again, the model that we're looking at here is
22 the model we're using in the rate case, and that is the
23 model that had the four-percent over-forecasting
24 variance.

25 Q I understand your testimony to be that you

1 have made corrections, adjustments to the model. Did
2 you start with -- for this rate case. Was the starting
3 point for the model for this rate case the same model
4 you were using through 2007?

5 A No.

6 Q Ah-ha.

7 A We did other enhancements to the model. For
8 example, we are using real household disposable income
9 now. I believe we were using personal income, which is
10 more of an aggregate number, before. And we also are
11 looking at cooling degree hours instead of days now.

12 Q So would it be fair to say -- would it be
13 accurate to say that you actually changed some variables
14 in the model?

15 A Yes, we made enhancements.

16 Q And that some of the coefficients of the
17 independent variables also changed?

18 A Yes.

19 Q Okay. We covered a couple of those -- you
20 covered a couple of those in your previous response.
21 You changed from cooling degree days to cooling degree
22 hours.

23 A Correct.

24 Q And you made an enhancement in your disposable
25 income variable.

1 A Yes.

2 Q What if any other significant changes did you
3 make between the prior model and the one used for the
4 rate case?

5 A And, of course, the adjustments that we've
6 talked about, those were also enhancements, but not --
7 if you're talking about the regression model itself, I
8 think that those are the main ones.

9 Q Did you change the population variable as the
10 independent variable from the prior model to the current
11 model?

12 A No. We've always looked at population as an
13 input into our customer model. Of course, the vintage
14 of the numbers would be different, but we have always --
15 we've always included population.

16 Q So the data changes as the University of
17 Florida Bureau of Economic and Business Research
18 estimates change?

19 A That's correct.

20 Q When did you recognize the bias in the model
21 that you have discussed in your testimony that seems to
22 have been sometime in late 2008 that you recognized
23 that? Is that accurate?

24 A Yes, because that's when we calibrated and
25 developed the model.

1 Q When was the forecast that is the subject of
2 this rate case, your sales forecast for 2010 and 2011,
3 prepared?

4 A I think, as I mentioned a moment ago, January,
5 2009.

6 Q Thank you for keeping me straight on that.
7 Was the underlying problem with the prior
8 model that somehow you missed the economic downturn
9 maybe through the input data or whatever?

10 A No. I think the basic problem was the prior
11 model was over-forecasting, and it had -- that was the
12 basic problem.

13 Q But it wasn't over-forecasting through 2007,
14 correct?

15 A No, it was over-forecasting in 2007.

16 Q All right. Randomly?

17 A No.

18 Q Well, in light of that answer, I do not
19 understand your statement at page 4, lines 13 and 14,
20 which is, "Prior to 2008, the econometric model did not
21 exhibit any underlying bias in terms of either
22 under-forecasting or over-forecasting."

23 A Okay. So let me try to address this
24 confusion. We do a forecast every year, and we had a
25 particular model that we used that was probably

1 developed in late 2007, and that was one forecast, okay.
2 And that -- and then in late 2008 we began to assemble a
3 new model. That new model is what I refer to -- the
4 pages that you just cited, we recalibrate the model to
5 see how it was doing, and that was -- that new model was
6 showing that tendency.

7 Q So you did like a back-cast modeling of '07
8 using the 2008 model, and then that's --

9 A No.

10 Q No?

11 A No. We looked at the model we're using in
12 this rate case and looked at the pattern in residuals
13 for that model.

14 Q Do your forecast estimates for 2010 have a
15 confidence interval? And by that I mean, can you say
16 that you are X-percent, like 90 percent confident that
17 your NEL forecast for 2010 will be between two values, X
18 and Y, or such and such a percentage of the main line
19 estimate?

20 A No, we don't have specific confidence
21 intervals; however, as I mentioned before,
22 historically -- and we have looked at this -- one of the
23 best indications of how well a forecast will do in a
24 future year is how well it's doing currently.

25 Q So you don't have a confidence interval at

1 all?

2 A That's correct.

3 Q You can't say that you're 90 or 95 percent
4 confident that your estimate for 2010 will be within
5 between 95,000 GWH and 105,000 GWH?

6 A No, but we are very confident in our
7 forecasts, and I think the variance to date shows why.

8 Q Would you agree that, as a general
9 proposition, the accuracy of a model is likely to be
10 less the further out in time the forecast goes?

11 A Yes.

12 Q If the underlying data input to your model
13 shift, that would -- I shouldn't say would. Wouldn't it
14 be true that that could cause a change in the output
15 estimate the forecast?

16 A Yes.

17 Q So wouldn't it be true that, if the recovery
18 occurs earlier than anticipated, it would be likely that
19 your forecast estimate from January, 2009 would, given
20 my assumption, understate the actual value?

21 A Yes, that is true. What is also true, if
22 population is lower than we forecasted, as appears to be
23 case, the opposite would be true.

24 Q Thank you.

25 Just a moment, Madam Chairman.

1 I do have it right, you're net-energy-for-load
2 forecast is in the range of a hundred, 102,000 GWH per
3 year for the next couple of years; correct?

4 A Could you repeat that?

5 Q Yeah, the question was simply do I have it
6 right that the company's net-energy-for-load forecast
7 for the next couple of years is in the ballpark of a
8 100,000 gigawatt hours or a hundred billion kilowatt
9 hours each year?

10 A Yes.

11 MR. WRIGHT: I think that's all I have. Thank
12 you, Madam Chairman. Thank you, Dr. Morley.

13 ACTING CHAIRMAN EDGAR: Mr. Wiseman.

14 MR. WISEMAN: No questions, Your Honor.

15 ACTING CHAIRMAN EDGAR: Are there questions
16 from staff?

17 MS. BENNETT: No questions.

18 ACTING CHAIRMAN EDGAR: Are there questions
19 from the bench?

20 I think I have one. When you are evaluating
21 accuracy or veracity of a forecast after the fact, how
22 do you determine what is error in the forecast and what
23 is internal or built-in bias?

24 A I think, when we're looking for bias, that
25 we're really looking for a pattern, a very consistent

1 pattern. For example, when we look at -- when we had
2 our discussion previously with Mr. Wright, is the model
3 was showing a pattern where all the errors from March
4 through December were over-forecasting, and that's a
5 problem. So I think you're really looking at the
6 pattern, like a one month here or there. You have maybe
7 two months in a row, three months in a row, not such an
8 issue, but if you have a pattern where it's like eight,
9 ten months in a row, that's a problem.

10 ACTING CHAIRMAN EDGAR: Thank you.

11 Mr. Butler, redirect?

12 REDIRECT EXAMINATION

13 BY MR. BUTLER:

14 Q Thank you, Madam Chairman, just very briefly.

15 Dr. Morley, to clarify a couple of numbers in
16 the record, at least as I have heard them, you were
17 asked by Ms. Christensen about the information that
18 appears on page 11 of your rebuttal testimony where you
19 calculate what the impact would be if the re-anchoring
20 adjustment would apply to the output of the econometric
21 model after adjusting for energy efficiency and sum of
22 all sales, and I heard you say 0.5 percent. Is that
23 correct or is it 0.05 percent?

24 A I meant to say 0.05 percent.

25 Q Thank you. And, similarly, you were referring

1 to the one point in responding to Ms. Christenson to the
2 forecast variance for FPL shown on the chart behind you,
3 Exhibit RM-12, and I heard you to say 0.4 percent, is
4 that correct or is it 0.04 percent?

5 A It's .04 percent.

6 MR. BUTLER: Thank you. That's all the
7 redirect that I have.

8 ACTING CHAIRMAN EDGAR: Okay. Let's take up
9 exhibits.

10 MR. BUTLER: I would move the admission of
11 Exhibits 333 through 336.

12 ACTING CHAIRMAN EDGAR: Any objections?

13 Hearing none, show Exhibits 333 through 336
14 entered into the record at this time.

15 (Exhibit Nos. 333 through 336 received in
16 evidence.)

17 ACTING CHAIRMAN EDGAR: I believe that is it
18 for this witness?

19 MR. BUTLER: I think that's it. May she be
20 excused?

21 ACTING CHAIRMAN EDGAR: You may be excused.
22 Thank you very much.

23 MR. BUTLER: Thank you.

24 Shall we call our next witness?

25 ACTING CHAIRMAN EDGAR: I was just going to

1 say, Mr. Butler, we'll give her a just a moment to
2 collect her things and then, yes, please, call your next
3 witness.

4 MR. BUTLER: Thank you. That would be
5 Mr. Barrett appearing for his rebuttal testimony.

6 ACTING CHAIRMAN EDGAR: Mr. Butler, we're
7 ready when you are.

8 MR. BUTLER: Thank you, Madam Chairman.

9 Before we introduce Mr. Barrett and have him
10 give his summary, we have just handed out late-filed
11 Exhibit 419, and it came to my attention this has not
12 been moved into the record earlier. It was an exhibit
13 that staff had requested that performed a comparison of
14 what were originally-submitted budget proposals to the
15 actual approved budgets for O&M. There was an exhibit
16 to that effect in Mr. Barrett's testimony, direct
17 testimony on capital but not O&M, and my recollection is
18 that staff had requested this exhibit. So I wanted to
19 hand it out at this point. We'll just move it into
20 evidence at the end of Mr. Barrett's rebuttal testimony,
21 but I wanted to be sure that the parties had access to
22 it if they had any questions for Mr. Barrett about it.

23 ACTING CHAIRMAN EDGAR: Okay. So we'll take
24 that up at the end and it has been distributed to
25 everybody. Mr. Moyle.

1 MR. MOYLE: I'm just trying to remember, I
2 know that earlier in September, we had discussions about
3 late-filed exhibits, and I think FIPUG and the Attorney
4 General had voiced objections. This was one that was
5 requested during the hearing, Mr. Butler?

6 MR. BUTLER: That's my recollection is that it
7 was requested by staff, as I say, as kind of a
8 counterpart to one that Mr. Barrett had on capital, and
9 this showed the O&M and the counterpart information.

10 ACTING CHAIRMAN EDGAR: That is my
11 recollection as well, but I fully admit that my
12 recollection is a little hazy.

13 MR. MOYLE: I appreciate getting it so we can
14 digest it a little bit before we have to --

15 ACTING CHAIRMAN EDGAR: And if there are
16 questions, we can take them up at the appropriate time.

17 Yes, Mr. Wright.

18 MR. WRIGHT: Just so I'm clear, we would be
19 able to ask Mr. Barrett about these adjustments and what
20 if any implication they have for the company's request
21 in this case; is that accurate?

22 COMMISSIONER EDGAR: That is my understanding,
23 but let me ask Mr. Butler if his witness is prepared to
24 do so.

25 MR. BUTLER: He is and that's fine with us,

1 too. It's not literally the subject of his rebuttal
2 testimony, but we don't have any objection to questions
3 on this late-filed exhibit.

4 MR. WRIGHT: Thank you, Madam Chair.

5 ACTING CHAIRMAN EDGAR: Okay. Thank you.

6 Mr. Butler.

7 Whereupon,

8 ROBERT BARRETT

9 was called as a witness on behalf of Florida Power &
10 Light Company and, having been previously sworn, was
11 examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. BUTLER:

14 Q Thank you, Madam Chairman, and Mr. Barrett has
15 been previously sworn.

16 Would you please state your name and address
17 for the record, Mr. Barrett?

18 A Robert Barrett, 700 Universe Boulevard, Juno
19 Beach, Florida.

20 Q By whom are you employed and in what capacity?

21 A Florida Power & Light, Vice-president of
22 Finance.

23 Q Have you prepared and caused to be filed 23
24 pages of prefiled rebuttal testimony in this proceeding?

25 A Yes.

1 Q And did you prepare errata that were filed
2 with the Commission to your testimony on August 21,
3 2009?

4 A Yes.

5 Q Do you have any further changes or revisions
6 to your pre-filed rebuttal testimony?

7 A No.

8 Q With those changes, if I asked you the same
9 questions contained in your rebuttal testimony, would
10 your answers be the same?

11 A Yes.

12 MR. BUTLER: Madam Chairman, I'd ask that
13 Mr. Barrett's rebuttal testimony be inserted into the
14 record as though read.

15 ACTING CHAIRMAN EDGAR: First, Mr. Butler, a
16 question for -- again, my memory is somewhat hazy. Has
17 the errata been introduced or marked or entered in, or
18 does it -- did you just say that an errata had been
19 filed?

20 MR. BUTLER: It had been filed. I don't think
21 that we had earlier and we had not planned here to
22 introduce it as an exhibit. We can certainly do so if
23 that's the Chair's pleasure. It had been filed and
24 served on all of the parties, and if -- I'll tell you
25 what, it's very short. If you would like, I can just

1 have Mr. Barrett go through and orally note the changes
2 to his rebuttal testimony.

3 ACTING CHAIRMAN EDGAR: Yes, please.

4 BY MR. BUTLER:

5 Q Okay. Mr. Barrett, would you please identify
6 and note the errata to your rebuttal testimony?

7 A Certainly. On page 6, line number 7, the
8 number 22 million should be 28 million; page 12, line
9 21, MFR C-37 should be MFR C-36; Exhibit REB-22, it's
10 line 20, in the footnote there, the 22 million should be
11 28 million; and in REB-23, Footnote No. 6 should read,
12 "projects shifted from late 2008 and budgeted in 2009,
13 no impact on 2010 test year." And that's it.

14 COMMISSIONER EDGAR: Thank you. Thank you, Mr.
15 Butler. That's helpful to me, and with those changes
16 noted, the prefiled rebuttal testimony of the witness is
17 entered into the record as though read.

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **REBUTTAL TESTIMONY OF ROBERT E. BARRETT, JR.**

4 **DOCKET NO. 080677-EI**

5 **AUGUST 6, 2009**

6

7 **Q. Please state your name and business address.**

8 A. My name is Robert E. Barrett, Jr. My business address is Florida Power & Light
9 Company, 700 Universe Boulevard, Juno Beach, Florida 33408.

10 **Q. Did you previously submit direct testimony in this proceeding?**

11 A. Yes.

12 **Q. Are you sponsoring any rebuttal exhibits in this case?**

13 A. Yes. I am sponsoring the following rebuttal exhibits:

- 14 • REB-21, FPL 2009 O&M Budget Performance
- 15 • REB-22, FPL 2009 Capital Budget Performance
- 16 • REB-23, FPL 2008-2010 Non-Fuel O&M Expense Analysis
- 17 • REB-24, MFR Audit Responses to Issues 4 and 6

18 **Q. What is the purpose of your rebuttal testimony?**

19 A. The purpose of my rebuttal testimony is: (1) to explain why the Commission
20 should reject the arguments of the Office of Public Counsel's (OPC's) witness
21 Brown and the South Florida Hospital and Healthcare Association's (SFHHA's)
22 witness Kollen that the 2010 and 2011 revenue requirements forecasts are
23 unreliable; (2) to explain why the Commission should reject the recommendation

1 of the OPC and SFHHA witnesses that the Commission should not approve the
2 Company's proposed 2011 subsequent year increase; and (3) to explain why the
3 Commission should reject the arguments of the OPC and SFHHA witnesses
4 against the continuation of Generation Base Rate Adjustment (GBRA)
5 mechanism.

6 **Q. Please summarize your rebuttal testimony.**

7 A. FPL filed a full set of Minimum Filing Requirements (MFRs) for the 2010 and
8 2011 test years that were subject to a rigorous forecasting process. The
9 Company's forecasts of revenue requirements included in these MFRs are
10 reasonable and reliable for setting base rates in 2010 and 2011 in this proceeding.
11 The forecasts were based on assumptions prepared by internal and external
12 subject experts and reviewed and approved by management using a rigorous
13 process. The forecasts reflect reasonable assumptions that have proven reliable
14 thus far in 2009.

15
16 The Company has consistently been among the best in the industry in cost
17 management and is committed to provide reliable electric service at a reasonable
18 cost to its customers. The Company made significant reductions in its level of
19 expenditures in 2008 in response to the worst economic downturn in Florida in
20 more than a generation. Most of those cost reductions were in response to the
21 unprecedented slowdown in growth in the state and the impact of that economic
22 environment is reflected in the forecasted resource needs for 2009 through 2011.

1 Performance relative to 2009 budgets to date confirms that the Company's
2 forecasts are reasonable and reliable.

3
4 The Company's forecast of revenue requirements for test year 2011 is reasonable
5 despite being one year further out in time. The Company followed the same
6 rigorous process for 2011 as it did for 2009 and 2010, and the underlying
7 assumptions continue to be appropriate. Use of the Company's proposed 2011
8 test year to approve a subsequent year adjustment in this proceeding is efficient,
9 and the Commission's monthly surveillance of the Company's earnings ensures
10 that customers are adequately protected. OPC's and SFHHA's concerns are
11 unwarranted.

12
13 Finally, the use of the GBRA mechanism, as proposed by the Company, is an
14 appropriate and effective way to implement the recovery of base revenue
15 requirements for previously approved generating units with the fuel benefits they
16 provide passed automatically to customers through the fuel clause. The Company
17 has successfully used the GBRA for Turkey Point 5 and will use it in 2009 for
18 West County Units 1 and 2. The GBRA protects customers through its true-up
19 mechanism, helps reduce the need for lengthy base rate proceedings for all
20 parties, and protects the Company from potential regulatory lag. The
21 Commission should reject as unfounded OPC's assertion that the GBRA
22 undermines the Commission's regulatory scrutiny.

2010 TEST YEAR FORECAST

1

2

3 **Q. SFHHA witness Kollen's testimony claims that the Company has reduced**
4 **2009 costs relative to its 2009 budgets, "rendering the 2009 budget unreliable**
5 **as the basis for the 2010 test year forecast." (Kollen, Pages 7, 16) Do you**
6 **agree with that assertion?**

7 A. No. The Company's forecast of revenue requirements for the 2010 test year is
8 reliable for setting new rates. FPL is seeking new rates to be effective beginning
9 January 1, 2010. Because incremental revenues will be recovered prospectively,
10 it is appropriate that those revenues reflect the costs projected for that period.
11 Using any period other than 2010 would cause a mismatch between revenues and
12 expected costs. The Company's performance relative to its 2009 O&M and
13 capital budgets will have no material impact on its 2010 revenue requirements,
14 and there is nothing in that performance that casts any doubt on the continued
15 validity and appropriateness of the 2010 forecasts.

16 **Q. What was the Company's year-to-date performance relative to its O&M**
17 **budget in April 2009?**

18 A. As shown on Exhibit REB-21, through April 2009 the Company was \$38 million
19 below its budget of O&M expenses.

20 **Q. What are the sources of those year-to-date O&M variances, and what is the**
21 **Company's expectation for the full year 2009?**

22 A. As shown on Exhibit REB-21, approximately \$19.1 million of the \$37.6 million
23 favorable variance relates to timing of activities within the year including the

1 Department of Energy (DOE) spent fuel settlement that had been budgeted to
2 occur later in the year. The remaining approximately \$19 million represents
3 reductions that are expected to be realized at year end and include \$5 million in
4 generation costs largely related to the later commercial in service date of West
5 County Unit 1 and the placement of units in inactive reserve status; \$10 million in
6 Distribution savings related to field support and other productivity initiatives; and,
7 about \$4 million throughout various other areas.

8 **Q. Do those expected year-end under runs versus the 2009 O&M budget affect**
9 **the 2010 test year forecast of O&M?**

10 A. No. These savings are specific to the 2009 budget and reflect changes in the
11 operating environment within 2009. For example, the cost avoided by the later
12 commercial operation date for West County Unit 1 has no impact on its level of
13 required operating costs for 2010. Similarly, the Distribution cost savings include
14 lower than budgeted fleet fuel savings experienced in early 2009. Those
15 reductions have not changed the Company's view of fleet fuel prices for 2010.
16 The 2010 test year forecast still reflects the level of resources the Company
17 expects to be required in 2010.

18 **Q. SFHHA witness Kollen asserts that, "For the first four months of 2009, the**
19 **Company cut its capital expenditures by \$170 million from budget levels,"**
20 **and that this should be deducted from rate base as well as a similar**
21 **adjustment in 2010 (Kollen, Pages 63). Do you agree with this assertion?**

22 A. No. Mr. Kollen's approach is completely inappropriate due to its simplifying
23 assumptions and extrapolations of year-to-date activity. He assumes that all

1 favorable year-to-date budget variances are permanent, indicative of future under
2 runs, and represent items that impact base revenues requirements in 2010 without
3 any support whatsoever. As shown on Exhibit REB-22, the Company's April
4 year-end forecast of capital expenditures reflects \$36 million in projected cost
5 savings. Of this amount, \$23 million represents items that do not affect the base
6 revenue requirements in the Company's forecast. The remaining \$14 million
7 reflects about \$22 million related to recovery of capital expenditures under the
8 DOE spent nuclear fuel settlement which was not reflected in the Company's
9 budget.

10 **Q. Do those expected year-end under runs versus the 2009 capital budget affect**
11 **the 2010 test year forecast of capital expenditures?**

12 A. With the exception of the DOE settlement payments, no. As shown above, the
13 expected under runs in capital expenditures in 2009 are almost entirely related to
14 renewable projects recoverable through a clause and have no impact on the 2010
15 projected retail rate base as filed in this proceeding, or, in the case of the DOE
16 settlement, have been addressed in Exhibit KO-16 included in FPL witness
17 Ousdahl's rebuttal testimony.

18 **Q. SFHHA witness Kollen asserts the increase in O&M from 2008 to 2010 "is**
19 **excessive when compared with the Company's actual experience in recent**
20 **years." (Kollen, page 15) Do you agree with this assertion?**

21 A. No. The forecasted level of O&M expenses in 2010 is reasonable and reflects the
22 expected operations of the Company in 2010. Mr. Kollen cites MFR Schedule C-
23 1, Jurisdictional Adjusted Amount of O&M as his basis for comparison of 2010

1 versus 2008 which shows an increase in O&M expense of \$387.4 million.

2 **Q. Does Mr. Kollen use the correct O&M expenses to make his comparison of**
3 **2010 to 2008?**

4 A. No. Mr. Kollen uses the Jurisdictional Adjusted Amount from MFR C-1 for his
5 comparison. This amount includes all proposed Company Adjustments that are
6 not relevant for comparison to 2008. A more relevant starting point is the
7 Jurisdictional Adjusted per Commission amount from MFR C-1.

8 **Q. Are other adjustments necessary to provide a meaningful analysis of O&M**
9 **expenses in 2008 and 2009?**

10 A. Yes. Exhibit REB-23 provides a more meaningful comparison of all years, 2008,
11 2009 and 2010. Several items affected O&M expenses in 2008 that render it not
12 useful as a "status quo" year (Kollen, page 17) unless properly adjusted. As
13 mentioned in my direct testimony, the Company took meaningful steps to reduce
14 costs in 2008 as the seriousness of the economic downturn began to unfold.
15 Those cost reduction actions included the deferral of approximately \$11 million
16 of work from 2008 to 2009 which is reflected in the 2009 O&M budget. This
17 deferral does not affect the resource estimates for the 2010 test year as it was
18 budgeted as incremental work in 2009. Results in 2008 were also improved by
19 the \$44 million reduction of expense due to the Associated Electric & Gas
20 Insurance Services Limited (AEGIS) environmental insurance policy
21 commutation. There were other one-time items reducing 2008 O&M expenses
22 that totaled about \$14 million and included reductions in incentive compensation,
23 favorable injuries and damages reserve adjustments and a one-time credit on

1 medical administrative fees. These three adjustments made 2008 actual results
2 better than "normal" by \$69 million.

3 **Q. Are similar adjustments required to provide a meaningful analysis of 2009**
4 **O&M expenses?**

5 A. Yes. A limited number of adjustments are required to make 2009 comparable to
6 2008. First, the \$11 million of 2008 activities deferred to 2009 should be
7 removed. Secondly, the \$19 million of cost reductions identified on REB-21
8 should be reflected. Next, the \$9.7 million of DOE spent nuclear fuel settlement
9 proceeds received in 2009 should be added back as a one-time item, similar to the
10 treatment of the AEGIS environmental insurance expense reduction in 2008. The
11 Company is proposing an errata adjustment to address the expected future
12 recovery of settlement dollars under the DOE spent nuclear fuel settlement.
13 Lastly, based on the Company's forecasted inflation rate of 2.00 percent, as
14 disclosed on MFR Schedule C-1, the expected inflation impact of \$27 million
15 should be removed from the 2009 O&M to make it comparable with 2008
16 expenses. When all of these adjustments are made to "normalize" 2009 the
17 resulting growth over 2008 is 1.4 percent as shown on Exhibit REB-23 line 15,
18 column (c).

19 **Q. Are any additional adjustments required to make 2009 O&M expenses**
20 **comparable to 2008?**

21 A. Yes. Mr. Kollen claims that it is appropriate to consider the impact on O&M
22 expenses of "limited known and measurable changes" (Kollen, Page 17) As
23 shown on Exhibit REB-23, lines 18-23, column (b), there are about \$28 million of

1 O&M expenses in 2009 that are known and measurable differences from 2008. It
2 should be noted that given the size and complexity of FPL's operations there are
3 many differences when comparing operations across years; however, this limited
4 number of items is discrete and measurable. After adjusting for these items, 2009
5 shows a 0.7 percent decrease in O&M expenses relative to the adjusted 2008.

6 **Q. What are the results of performing a similar analysis on the Company's**
7 **forecasted O&M expenses for 2010?**

8 A. Similar adjustments have been made for 2010 and are shown on Exhibit REB-23,
9 columns (d) through (f). When all appropriate adjustments are applied to the
10 Company's forecast, as discussed above, the 2010 level of expenditures is 2.9
11 percent higher than the adjusted 2009 level of expenses. In fact, the average
12 annual growth from 2008 to 2010 is only 1.1 percent (Exhibit REB-23, Line 25,
13 Column (f)).

14 **Q. Is there a more meaningful measure of the Company's cost performance**
15 **than that proposed by SFHHA witness Kollen?**

16 A. Yes. A more meaningful analysis of O&M expenses is a multi-year analysis as
17 provided in MFR Schedules C-37 and C-41, the Commission's O&M benchmark
18 calculation and variance explanations using 2006 as a base year compared to the
19 Company's projections for 2010. It is more appropriate to take a longer view of
20 the Company's performance rather than subjecting the analysis to aberrations that
21 exist from year to year. It is also appropriate to consider a longer view of the
22 Company's cost performance as more reflective of the level of sustainable cost

1 performance because most of the base O&M expenses are fixed rather than
2 variable.

3
4 Applying the Commission benchmark metrics of customer growth and inflation
5 yields a 2010 Test Year Benchmark of \$1,504 million. The Company's 2010
6 Adjusted O&M Expenses are projected to be \$1,565 million, or \$61 million above
7 the benchmark. Of this \$61 million, approximately \$26 million is related to the
8 additional costs of placing new generating units into service at Turkey Point and
9 West County. The remaining \$35 million above the Commission benchmark
10 level of O&M is due to a number of cost drivers as discussed more fully on MFR
11 C-41 and include the significant impact of the economic deterioration on the
12 Company's customer service costs and increased regulatory compliance costs.
13 Adjusting the 2010 benchmark to include the incremental costs of operating the
14 new Turkey Point and West County units yields an average annual growth in
15 O&M expenses over the 2006-2010 period of only 0.6 percent.

16 **Q. SFHHA witness Kollen asserts that, "utilities manage their O&M expenses in**
17 **response to the timing and level of ratemaking recoveries" (Kollen, page 20).**
18 **Has FPL followed this approach to managing its O&M expenses?**

19 **A.** Absolutely not. All expenses that were incurred and those that are being forecast
20 are necessary to the provision of reliable, efficient electric services and are
21 therefore appropriate to be recovered from customers as reasonable costs of
22 service. In keeping with its obligation to serve, and more importantly, the
23 Company's commitment to provide safe, reliable and cost effective electric

1 service to its customers, the Company has only very limited ability to manage the
2 timing of when it incurs fixed costs of the business. This is evidenced by the fact
3 that, during this unprecedented economic downturn, the Company has continued
4 to invest in infrastructure at a time when revenues have been falling.
5 Consequently, returns to shareholders have fallen every year during the term of
6 the 2005 Stipulation and Settlement Agreement (Settlement Agreement). In 2006,
7 the first year of the settlement agreement, return on equity (ROE) was 12.0
8 percent, fell to 11.9 percent in 2007, and then fell further to 10.8 percent in 2008.
9 In 2009, ROE is projected to be 9.3 percent. Absent the revenues requested in
10 this proceeding in 2010, ROE is projected to be 4.7 percent. The Company has
11 demonstrated a commitment to invest for the needs of its customers even during
12 difficult times.

13 **Q. SFHHA witness Kollen further asserts that, “the Commission should reduce**
14 **the Company’s proposed test year payroll expense to reflect productivity**
15 **improvements” (Kollen, page 25). Is this an appropriate adjustment?**

16 **A.** No. Mr. Kollen uses five and ten-year average non-farm output per hour to infer
17 2 percent annual productivity improvement potential and then applies that to 2008
18 payroll. While it is useful to note Mr. Kollen’s application of longer term trends
19 as appropriate when evaluating cost performance, there are several problems with
20 the specifics of his approach. A better measure of the Company’s productivity is
21 payroll dollars per customer rather than payroll per hour. The Company’s goal is
22 to serve customers reliably at a reasonable cost, not to achieve a particular payroll
23 cost per hour. Per SFHHA Interrogatory 297 and the Company's actual/projected

1 customers found on MFR Schedule C-33, the Company's base pay per customer
2 was \$187.51 in 2006, \$199.48 in 2007 and \$206.58 in 2008. In 2007, base pay
3 per customer was 6.4 percent higher than 2006 and 2008 was 3.6 percent higher
4 than 2007. Projections for 2009 and 2010 are 3.5 percent and 4.9 percent
5 respectively. Thus, the projected increases in base pay per customer in 2010 and
6 2011 are lower than the average increase in that metric from 2006 to 2008.

7 **Q. SFHHA witness Kollen's overall assessment is that the Company's O&M**
8 **expense forecast is "wildly excessive and cannot reasonably be justified given**
9 **the present economic circumstances" (Kollen, page 17). Is this an**
10 **appropriate assessment?**

11 **A.** Absolutely not. FPL's effort to keep costs low has been our guiding philosophy
12 for many years. In fact, even with the approval of this rate request FPL's retail
13 rates are expected to be the lowest of all investor owned utilities in Florida and
14 well below the national average. As discussed by FPL witness Reed, FPL has
15 consistently outperformed its peers in productive efficiency. (Reed, pages 20-22).
16 Exhibit JJR-6, page 31 of 47 demonstrates that during the period 1998 to 2007
17 FPL was best-in-class among the "Straight Electric Group" of 27 utilities. In
18 2007, the last year for which comparative industry data is available, FPL's non-
19 fuel O&M per customer, at \$334, was almost 47 percent lower than its peers.
20 These comparisons were made using the FERC Form 1 data. Adjusting for
21 differences in non-fuel O&M between the FERC Form 1 data and MFR C-37,
22 FPL's non-fuel O&M per customer in 2009 is about \$345 and for 2010 it is about
23 \$369, 41 percent lower than the industry's performance in 2007. FPL has

1 established its cost performance track record over many years as among the best,
2 if not the best, in the industry. FPL's projections for 2010 and 2011 reflect the
3 continuation of that strong performance.

4 **Q. Please summarize your assessment of Mr. Kollen's "top-down" and "bottom-**
5 **up" approaches and recommendation for O&M expenses.**

6 A. Neither approach is applied in a manner that fairly or reasonably measures FPL
7 cost control performance. Mr. Kollen's "top-down" approach relies upon use of
8 an unadjusted 2008 base year for determining the appropriate level of 2010 O&M
9 expenses. As discussed above, this fails to consider real and measurable
10 differences between 2008 and the projected 2010 test year. Mr. Kollen makes no
11 explicit application of his "bottom-up" approach other than to suggest its use to
12 the Commission. Mr. Kollen's overall recommended reductions to the
13 Company's requested O&M expenses in 2010 are inappropriate and not
14 supportable. The Company's forecast of O&M expenses in 2010 reflects the
15 benefits of FPL's continuing cost management efforts and is reasonable.

16 **Q. Do you agree with OPC witness Brown's statement on page 42 of her**
17 **testimony that FPL's payroll should be reduced to reflect a level of unfilled**
18 **positions?**

19 A. No. The budgeting process assumes that each department plans for the optimal
20 staffing level required to meet the corresponding workload. These resources
21 include part-time staff, full-time staff, some level of overtime, and the use of
22 third-party resources where appropriate. FPL's budget is focused on the cost, not
23 the headcount, that aligns with the activities performed by the company during the

1 period in question. During that period, operating conditions as well as attrition
2 rates and hiring rates may necessitate a reevaluation of the mix of resources
3 discussed above, without necessarily impacting budgets. This resource flexibility
4 renders headcount comparisons not meaningful when evaluating funding levels.
5 Ms. Brown's proposal to reduce FPL's budgeted payroll does not fully capture the
6 dynamics of this equation as further described in FPL witness Slattery's
7 testimony.

8
9 **2011 SUBSEQUENT TEST YEAR**

10
11 **Q. Office of Public Counsel (OPC) witness Brown charges that, owing to the**
12 **current economic instability, "the 2011 Test Year projections incorporate an**
13 **unacceptable additional level of uncertainty and should be rejected" (Brown,**
14 **Page 7). Do you agree with that conclusion?**

15 **A.** No, I do not. There is broad consensus among economists that the current
16 recession began in late 2007; however, that official declaration by the National
17 Bureau of Economic Research was not made until the fourth quarter of 2008.
18 This created a mismatch between perceptions of the economic environment and
19 the interpretations of the lagging economic data throughout much of 2008.
20 Consequently, as described in my direct testimony, the Company revisited its
21 assumptions for the 2009 planning process several times in 2008 (Barrett Direct,
22 Pages 18-19). Additionally, the Office of Economic and Demographic Research
23 of the state legislature uncharacteristically revised its population forecast three

1 times in 2008, contrary to the standard pattern of biannual releases. There is no
2 doubt that there was uncertainty that extended through the summer 2008.

3 **Q. Has the Company's forecast of 2009 through 2011 been rendered unreliable**
4 **by this increased uncertainty in 2008?**

5 A. No. Since late 2008 and early 2009 when the forecasts used in this proceeding
6 were finalized, the level of uncertainty has not been as great as that experienced in
7 early 2008. The official declaration of the recession seems to have removed some
8 of the prior uncertainty in the economic forecasts. Contrary to 2008, when the
9 state's official population forecast was revised three times over the course of the
10 year, only one forecast has been released this year. According to the Office of
11 Economic and Demographic Research of the state legislature's office no
12 additional population revisions are planned through August of this year. As
13 discussed in FPL witness Morley's testimony, the March 2009 latest population
14 revisions confirm FPL's expectation of a lingering recession in population growth
15 for the next few years. In fact, as explained by Dr. Morley, the Company's sales
16 forecast for 2009 used in the preparation of the Company's MFR's has proven to
17 be very accurate through June, with a weather-normalized variance of less than
18 0.1 percent.

19 **Q. Do the Company's forecast assumptions for 2010 and 2011 remain**
20 **reasonable and reliable as a basis for setting rates in this proceeding?**

21 A. Yes. As discussed earlier, the Company's updated base O&M forecast for 2009,
22 as of April 2009, is within 1 percent of the Company's 2009 budget. The
23 Company's updated capital forecast, as projected in April 2009 is within 1.3

1 percent of the Company's capital budget. The Company's performance against its
2 sales forecast, O&M budget and capital budget confirm that its forecast process
3 and assumptions are reliable. That same rigorous process, including assumption
4 review and approval, was applied to the forecasts of 2010 and 2011.

5 **Q. OPC witness Brown asserts, "if economic recovery is either faster or greater**
6 **than expected under FPL's assumptions, then there is the potential for excess**
7 **earnings at ratepayer expense" (Brown, Page 5). Do you agree with that**
8 **assertion?**

9 A. No. First, Ms. Brown addresses only one potential variation from the Company's
10 assumptions regarding the economic outlook and its impact on operating results.
11 In fact, the Company has prepared a reasonable forecast of revenue requirements
12 for 2010 and 2011 with the expectation that variations around the forecast are
13 equally likely to be positive or negative. Using this forecast for setting rates
14 ensures that the risks borne by the Company and customers are symmetrical. The
15 Company has consistently followed this approach to preparing forecasts.

16
17 Secondly, it is not correct to assume that a faster economic recovery will
18 necessarily significantly increase earnings for the Company. Just as the Company
19 was able to reduce costs during 2008 largely due to the severe downturn in
20 customer and load growth, a faster than expected recovery might in fact lead to
21 additional costs not contemplated by this forecast of revenue requirements,
22 particularly in the front end. Those costs would offset, in whole or part, the
23 impact of increased revenues on earnings. Without knowing more about the

1 specifics of a recovery, it is not possible to quantify the impact that a faster
2 recovery would have on earnings in a reasonable way.

3
4 Lastly, Ms. Brown asserts that “FPL would have no obligation to then reduce
5 rates without customer or Commission intervention” (Brown, Page 5). Again, this
6 risk is symmetrical. For instance, if FPL’s earnings prove to be insufficient due to
7 the forecast being too optimistic, FPL’s only recourse would be to initiate another
8 rate proceeding and be subject to further earnings attrition during the pendency of
9 that proceeding. Correspondingly, if the Commission determined through its
10 monthly surveillance process that the Company was over-earning, the
11 Commission or a party could initiate a rate decrease proceeding.

12 **Q. In consideration of the possibility of further economic pressure on the**
13 **Company, OPC witness Brown asserts “if revenues are down, FPL can take**
14 **actions to cut expenses to attempt to achieve net income targets” (Brown,**
15 **Page 6). Do you agree?**

16 A. It is true that the Company demonstrated an ability to effect some cost reductions
17 in response to the economic downturn in 2008; however, given the largely fixed
18 nature of the Company’s costs, the ongoing commitment to provide reliable
19 electric service to its customers and the continuing impact of reductions that were
20 already made in 2008, the opportunities for further cost reductions are limited.
21 The reductions achieved in 2008 were largely related to eliminating spending for
22 growth activities. The sales, O&M and capital budgets for 2008 assumed historic
23 levels of customer growth in 2008; however, by December 2008 the actual

1 number of customers was 123,000 below plan. This large variance created
2 corresponding substantial opportunities for cost reductions. By contrast, the
3 forecast assumes the Company will add only about 10,000 customers in 2009 and
4 29,000 customers in 2010 (based on annual averages). While 2008 afforded the
5 Company the opportunity to reduce growth related expenditures compared to the
6 earlier high-growth years, there are very limited funds in the 2009 and 2010 plans
7 related to growth activities and hence little opportunity for further reductions.

8 **Q. SFHHA witness Kollen asserts “the Company is not harmed if the**
9 **Commission rejects the proposed 2011 subsequent year increase because it**
10 **can file another case in 2010 using more current assumptions and data”**
11 **(Kollen, Page 8). Do you agree with that assertion?**

12 **A.** No. Although the Company can indeed file another case in 2010 if the
13 subsequent year increase is not granted, it is not accurate to say the Company
14 would not be harmed. Mr. Kollen’s claim of no harm ignores the significant
15 impact on the time and resources of the Company. Furthermore, he completely
16 ignores the cost in time and resources to the Commission, its staff, and all other
17 interested parties.

18
19 The Company’s forecast of 2011 is reliable and there are symmetrical protections
20 for the Company and the customer in the event that variances from the forecasts
21 significantly affect earnings, up or down. More frequent proceedings are
22 administratively burdensome and costly for all parties.

1 Additionally, periodic base rate proceedings, such as those in 2002, 2005 and now
2 2009, have been prepared, filed and executed by the Company in addition to its
3 daily business operations. The Company has been able to meet its regulatory
4 commitment to file timely and accurate financial information without building a
5 large permanent staff devoted to processing rate cases, in part because the filings
6 have been infrequent. Moreover, a stable regulatory environment has allowed
7 FPL and its customers to benefit from a business model that is highly customer-
8 focused and operationally driven. If base rate proceedings were to become a
9 regular occurrence that business model might need to change with the potential of
10 adding costs to be borne by customers.

11

12

CONTINUATION OF THE GBRA MECHANISM

13

14 **Q. With respect to the GBRA, OPC witness Brown asserts that, while it “may be**
15 **an efficient and effective way for FPL to increase rates without regulatory**
16 **consideration of all aspects of its operation, it does not outweigh the risks to**
17 **ratepayers and...would transfer risks from FPL to its ratepayers” (Brown,**
18 **Page 8). Do you agree with that assertion?**

19 **A.** No. The GBRA strikes an appropriate balance of the risks and rewards and
20 apportions them appropriately between customers and the Company. Under the
21 Company’s proposal, only plants that have undergone an extensive review and
22 received a Certificate of Need from the Commission are eligible for GBRA
23 recovery. The need determination proceeding includes a comprehensive

1 economic analysis of the proposed plant addition and a determination that the
2 proposed plant is the low cost alternative for customers. The GBRA adjustment
3 to base rates is approved for implementation based upon the costs projected and
4 approved in the Need Order. After the plant is placed into service, the final
5 capital costs are trued-up, with any cost under-runs returned to customers while
6 any cost over-runs are borne by the Company unless and until approved by the
7 Commission after a prudence review. This mechanism thus affords substantial
8 protection to the customer.

9 **Q. OPC witness Brown further states, "Once rates are established, the impacts**
10 **of economic recovery may result in higher returns to FPL's shareholders"**
11 **that could absorb the revenue requirements associated with a new power**
12 **plant (Brown, Page 8). Do you agree with that assertion?**

13 **A.** No. The impact of a different economic environment than that assumed in the
14 forecast will certainly have an impact on the Company's operating results;
15 however, it is wrong to assert that the risk is not borne equally by customers and
16 the Company. The GBRA is designed to appropriately match the revenue
17 collected with the underlying revenue requirements associated exclusively with
18 the new power plant. With power plant additions such as West County Unit 3, the
19 Company has demonstrated a benefit to customers derived through greater fuel
20 efficiency that will be passed to customers through the Fuel Cost Recovery Clause
21 immediately upon the commercial operation of the unit. By virtue of the GBRA,
22 the revenue requirements of the unit are appropriately netted against those fuel
23 savings. Absent the GBRA mechanism, the non-fuel revenue requirements would

1 need to be the subject of a separate base rate proceeding, while the fuel savings
2 would be passed on more quickly, therefore creating improper price signals to
3 customers.

4 **Q. SFHHA Witness Kollen asserts that the “proposed GBRA mechanism**
5 **constitutes a single issue and one-way base rate increase mechanism that fails**
6 **to consider cost reductions that the Company may achieve in other areas”**
7 **(Kollen, Page 10). Do you agree with that assertion?**

8 A. No. While it is true that the GBRA is a single issue mechanism, it matches the
9 increased revenue requirements associated with a power plant with the offsetting
10 fuel savings for that plant. Thus, for the single issue the GBRA addresses, it
11 appropriately “considers the cost reductions that the Company” achieves with
12 respect to that issue. Furthermore, the effects of revenue and expense increases
13 and decreases for all Company operations will be monitored by the Commission
14 and its staff through the monthly surveillance process to provide regulatory
15 scrutiny and customer protection.

16 **Q. OPC Witness Brown asserts, “In past years, FPL has in fact absorbed new**
17 **power plants without increasing base rates at the time” (Brown, Page 11).**
18 **Why is that no longer the case?**

19 A. The current economic environment is very different. As I stated in my direct
20 testimony, for the period 1999 to 2006 retail sales growth averaged 2.9 percent
21 annually. Power plant additions were added primarily to meet the need of a
22 growing customer base. That growth provided additional base revenues to help
23 offset the cost of new plant base revenue requirements. Additionally, FPL was

1 able to implement significant productivity savings to achieve its current industry
2 leading cost performance and the benefits of those productivity savings are
3 already reflected in FPL's test year forecast. Today things are very different. For
4 the period 2006 to 2010, FPL's retail sales are expected to actually decline 0.6
5 percent annually on average. This decline in sales will be accompanied by a
6 decline in revenues. It is simply no longer possible for FPL to "absorb" the
7 significant increases to its base costs.

8 **Q. Florida Industrial Power Users Group (FIPUG) witness Pollock recommends**
9 **that, if the GBRA is approved, the Commission should limit its application to**
10 **West County Unit 3 (Pollock testimony, Page 39). Do you agree?**

11 **A.** No. For the reasons described above and in my direct testimony, the GBRA is a
12 fair and efficient mechanism to adjust base rates for the addition of new power
13 plants. It is appropriate for West County Unit 3, and it will be just as appropriate
14 for power plants that are added after West County Unit 3.

15
16 **FPSC STAFF AUDIT REPORT**

17
18 **Q. On page 6 of her testimony, FPSC witness Welch stated that FPL recorded**
19 **non-recurring expenses in 2008 as detailed in the Staff Audit Report**
20 **Findings 4 and 6. Is there any concern that these expenses may be included**
21 **in the 2010 and 2011 budget?**

22 **A.** No. As further detailed in my Exhibit REB-24, issues 4 and 6 discussed in the
23 Staff Audit Report have no impact on the 2010 and 2011 test years.

1 Q. Does this conclude your testimony?

2 A. Yes.

1 BY MR. BUTLER:

2 Q Thank you. Mr. Barrett, did you also prepare
3 or have prepared under your direction, supervision and
4 control exhibits that are attached to your prefiled
5 rebuttal testimony?

6 A Yes.

7 MR. BUTLER: Madam Chairman, I would note that
8 these are his exhibits REB-21 through REB-24, and those
9 have been pre-identified at Exhibits 337 through 340.

10 ACTING CHAIRMAN EDGAR: Thank you.

11 BY MR. BUTLER:

12 Q With that, Mr. Barret, I would ask that you
13 summarize your rebuttal testimony.

14 A The purpose of my rebuttal testimony is to
15 explain why the Commission should reject the arguments
16 of the witnesses for the Intervenors on three issues:
17 Their contention that the 2010 and 2011 revenue
18 requirements forecasts are unreliable, their
19 recommendation to not approve the company's proposed
20 2011 subsequent-year increase, and their opposition to
21 the continuation of the generation base rate adjustment
22 or GBRA mechanism.

23 First they contend that the 2010 and 2011
24 forecasts are not reliable because year-to-date 2009
25 performance versus budget shows favorable variances. As

1 my testimony demonstrates, most of the O&M and capital
2 variances either represent timing within the year, the
3 shifting of work from 2009 to 2010 subsequent to our
4 filing of 2010, or expenditures that are not related to
5 the base rate proceeding such as items recovered through
6 clauses.

7 The year-to-date activity for 2009 that were
8 available when I prepared my rebuttal testimony,
9 together with the company's re-forecast of 2009, support
10 the reliability of the forecasts filed in this
11 proceeding.

12 The witness for the Hospital Association
13 further asserts that 2010 O&M expenses should be
14 equivalent the company's O&M performance in 2008. As I
15 demonstrate in my testimony, that's overly simplistic
16 and inappropriate without sufficient adjustments to both
17 years for comparability. I offer such adjustments and
18 demonstrate the 2010 O&M forecast is reasonable.

19 To accept the Intervenors' position that FPL
20 can operate in 2010 at a level of resources equivalent
21 to 2008 is to ignore more than \$200 million of real and
22 measurable differences between those years.

23 Second, OPC's witness asserts that the
24 forecast for 2011 is too uncertain given the current
25 economic environment and should be rejected. My

1 testimony describes how the level of uncertainty has
2 decreased rather than increased since the beginning of
3 the recession in late 2007. Most importantly, the
4 uncertainty around the 2011 forecast is balanced between
5 customers and the company. Additionally, FPL has filed
6 a complete set of MFRs in support of the subsequent-year
7 adjustment. The only outcome from following
8 Intervenors' recommendation will be to force the company
9 into filing another rate case in 2010.

10 Finally, OPC's assertion that the GBRA
11 transfers risk from shareholders to customers is false.
12 The GBRA is an effective and efficient mechanism for
13 adjusting rates specific to approved generating plant
14 additions. Only plants that have been reviewed and
15 approved through a need determination process qualify
16 for GBRA treatment to ensure that they have received
17 adequate scrutiny by the Commission. The GBRA times the
18 base rate increase with the corresponding change to fuel
19 rates to better align costs and benefit. The GBRA also
20 affords a high level of cost protection for customers
21 through its true-up provision, and it's appropriate that
22 the Commission approve its continued use.

23 It's been further asserted that the company
24 should absorb the cost of new power plants. This
25 assertion is without merit. The company's projection of

1 future revenue requirements in this case shows that,
2 even with GBRA recovery for West County 3, the company
3 still is in need of a rate increase in 2011. Current
4 rates have not been and are not projected to be
5 sufficient to support the necessary investments in the
6 company's basic infrastructure, much less to enable to
7 company to absorb new power plants. GBRA is fair,
8 balanced and effective in implementing base rate
9 increases for approved generating plants.

10 Thank you, and this concludes my summary.

11 MR. BUTLER: Thank you. I tender the witness
12 for cross-examination.

13 ACTING CHAIRMAN EDGAR: Thank you. Mr.
14 McGlothlin, questions?

15 CROSS EXAMINATION

16 BY MR. MCGLOTHLIN:

17 Q Yes, thank you.

18 Mr. Barrett, please refer to page 15 of your
19 rebuttal testimony, and more specifically the question
20 and answer that begin at line 21 and carry over to the
21 next page. At that point in your testimony you refer to
22 the updated O&M forecasts for 2009 and the projected
23 capital expenditure forecasts for April of 2009, do you
24 not?

25 A Yes.

1 Q It's true, is it not, that the forecasts for
2 results in 2009 were prepared in 2008?

3 A Yes.

4 Q And in your testimony you say, "That same
5 rigorous process, including assumption review and
6 approval, was applied to the forecasts of 2010 and
7 2011," correct?

8 A Correct.

9 Q Now, the timing of that process occurred at
10 the same time you were preparing projections for 2009,
11 correct?

12 A Yes.

13 Q So the projections for 2010 were prepared in
14 2008?

15 A Late 2008, yes.

16 Q So the projections for the subsequent test
17 year were also prepared in 2008?

18 A Correct.

19 Q The subsequent test year being 2011?

20 A Yes.

21 Q So while you say the process was the same, the
22 assumptions that were reviewed during the process had to
23 be different because they're looking at different
24 timeframes, correct?

25 A Well, the assumptions were prepared in the

1 same time period, but they were for a different
2 subsequent period, yes.

3 Q In 2008, the process occurred.

4 A Yes.

5 Q But the process involved assumptions from 2010
6 and different assumptions for 2011.

7 A Correct.

8 Q And 2011 is looking farther out into the
9 future than 2010, correct?

10 A Correct.

11 Q Using the same process that was used in the
12 2008 timeframe, is FPL able to tell us what sales will
13 be in 2015?

14 A We can make a forecast of it.

15 Q Do you think that's as reliable as the sales
16 forecast for 2010?

17 MR. BUTLER: Excuse me. I'm going to object
18 to this line of questions about the accuracy of the
19 sales forecast. We just had the witness up here who was
20 talking about sales forecasts, and it's not part of Mr.
21 Barrett's rebuttal testimony.

22 ACTING CHAIRMAN EDGAR: Mr. McGlothlin.

23 MR. MCGLOTHLIN: The thrust of Mr. Barrett's
24 testimony is that the parties and the Commission should
25 be able to rely on the projections for the subsequent

1 test year. That's what I'm probing here.

2 MR. BUTLER: This witness doesn't go to all of
3 the forecasts. It's broken up into pieces. We just had
4 Dr. Morley testify on exactly that subject, on the
5 reliability of the sales forecasts.

6 ACTING CHAIRMAN EDGAR: Ms. Cibula.

7 MS. CIBULA: I think it should be allowed, and
8 he can say whether or not he has any knowledge of it.

9 ACTING CHAIRMAN EDGAR: Per the recommendation
10 of counsel, the objection is overruled. Mr. McGlothlin.

11 BY MR. MCGLOTHLIN:

12 Q Do you think the forecast for the 2015 sales
13 is as reliable as the forecast for, say, the 2010 test
14 year?

15 A Probably not.

16 Q So you would agree with me that distance and
17 time bears on the accuracy and reliability of
18 assumptions even if the same process is applied to those
19 different assumptions?

20 A I believe there are probably gradations of
21 that statement. The further out you go, it's probably
22 less reliable. We're talking about a couple of years
23 here, and so I feel comfortable that the forecasts we've
24 put together for 2009, '10 and '11 are sufficiently
25 accurate and reliable.

1 Q Gradations notwithstanding, you agree that
2 distance and time bears on the accuracy and reliability
3 of a forecast?

4 A It can.

5 Q The projections for 2011 on which you base the
6 subsequent test year are based essentially on the
7 assumption of a down economy, correct?

8 A It's based on an assumption of an economy that
9 is beginning to improve in 2011.

10 Q On the basis of a down economy that's
11 beginning to recover, FPL forecasts a deficiency of
12 \$240 million revenue deficiency in 2011, correct?

13 A That would be incremental deficiency over and
14 above 2010.

15 Q Yes, and that's based on the use of a
16 12.5 percent return on equity in the calculation?

17 A Yes.

18 Q If you'll look at page 15, lines 12 through
19 18 -- I'll give you a second to review your testimony
20 there. The revenue deficiency that FPL calculates for
21 2011, the subsequent test year based upon your prior
22 answer, is a function of the forecasted absence of sales
23 growth, correct?

24 A Yes.

25 Q And at page 16, lines 11 through 13, you also

1 assumed a different scenario, one that includes faster
2 than expected recovery; did you not?

3 A I don't believe so.

4 Q Well, let's look at it. Page -- lines -- page
5 16, beginning at line 17, you say, "It's not correct to
6 assume that a faster economic recovery will necessarily
7 significantly increase earnings for the company." So,
8 on the one hand you assess a scenario that assumes a
9 down economy at the beginnings of recovery, but don't
10 you also address a recovery faster than the one you
11 first depict?

12 A I believe your prior question was we did a
13 scenario with sensitivity. We did not. I was
14 addressing a point in Ms. Brown's testimony. We have
15 one forecast for 2011, and I was simply qualitatively
16 rebutting the point that a faster economic recovery
17 means anything.

18 Q Okay. I take your point. I think what you've
19 told me is that FPL did not perform a second analysis
20 with different assumptions, but FPL did address what
21 would happen in the event that a faster recovery such as
22 one premised by our witness, Brown, would transpire;
23 correct?

24 A No. As I said, Witness Brown made an
25 assertion, and I said you can't necessarily just assume

1 that.

2 Q What can you not necessarily assume with
3 respect to her assertion?

4 A Her assertion that a faster economic recovery
5 means better economic results for the company.

6 Q All right. I think we're getting close.

7 On the one hand, with respect to FPL's
8 forecast of a down economy that is just beginning to
9 recover, FPL says, in that scenario, in 2011, we project
10 we would have a revenue deficiency of \$240 million;
11 correct?

12 A If I could just rephrase that a little bit.
13 Our forecast of 2011 with the underlying economic
14 assumptions that include a lingering recession just
15 beginning to recover, and continued investment in the
16 business, indicate an increased revenue deficiency of
17 \$240 million; correct.

18 Q All right. And with respect to Witness Sherry
19 Brown's testimony in which she testified, among other
20 things, that a faster recovery would ameliorate the need
21 for additional revenues, in your testimony you say not
22 so fast, we disagree with that contention; correct?

23 A I believe what I said was you can't just a
24 *priori* say that.

25 Q Okay. So, in other words, FPL's position is,

1 if we have a down economy, we need a revenue increase;
2 on the other hand, if we have a faster recovery, we
3 still need a revenue increase; correct?

4 A I didn't say that. What I said was our
5 forecast for 2011 indicates a need for a \$240-million
6 rate increase. What I further said was, if you change
7 the assumptions, unless you actually do another
8 forecast, you can't just say we do or don't need a rate
9 increase. Ms. Brown seemed to assert that she could
10 just kind of unilaterally say we don't need a rate
11 increase.

12 Q At page 16, line 11, you say, "In fact, the
13 company has prepared a reasonable forecast of revenue
14 requirements for 2010 and 2011 with the expectation that
15 variations around the forecast are equally likely to be
16 positive or negative," and I think you alluded to that
17 sentence in your summary; did you not?

18 A Yes.

19 Q Tell me what you mean when you say,
20 "Variations are equally likely to be positive or
21 negative"?

22 A Essentially what that means is we put together
23 a forecast with no bias towards it being conservative or
24 optimistic, that we try to go right down the middle of
25 the fairway, if you will, such that -- you know, any

1 forecast is going to have variations around it, and we
2 believe that the forecast we put for all the major
3 assumptions could just as likely be too high or too low
4 so that it's balanced and that the risk is therefore not
5 in favor of one party or the other.

6 Q Now, read for me if you will the testimony
7 beginning at line 17 through 23.

8 A We're still on page 16?

9 Q Yes.

10 A Seventeen through 23. So basically at the
11 bottom of the page.

12 "Secondly, it is not correct to assume that
13 faster economic recovery will necessarily significantly
14 increase earnings for the company. Just as the company
15 was able to reduce costs during 2008 largely due to the
16 severe downturn in customer and load growth, a faster
17 than expected recovery might in fact lead to additional
18 costs not contemplated by this forecast of revenue
19 requirements, particularly in the front end. Those
20 costs would offset in whole or in part the impact of
21 increased revenue or earnings."

22 Q And if you'll complete the next sentence,
23 please.

24 A "Without knowing more about the specifics of a
25 recovery, it is not possible to quantify the impact that

1 a faster recovery would have on earnings in a reasonable
2 way."

3 Q And this is the area of your testimony in
4 which you responded to Ms. Brown, the exchange we had
5 earlier in this cross-examination; correct?

6 A Yes.

7 Q And won't you agree with me that, with respect
8 to Ms. Brown's testimony and the possibility of a faster
9 recovery, it is FPL's contention that in that event FPL
10 contends it will continue to need the same revenue
11 increase that it forecasts in 2011?

12 A That's not my contention. My contention is,
13 based on our forecast, we need the \$240-million
14 increase, and as I said, you can't -- without knowing
15 the specifics of the recovery, it's not possible to
16 quantify the impact of those changes.

17 Q But in your -- in FPL's analysis, it did make
18 certain assumptions about the nature the economy, the
19 down economy that is just beginning to recover; did it
20 not?

21 A Yes.

22 Q And with respect to that scenario, you say our
23 process and our rigor and our assumptions are so good
24 that we can pinpoint where the possibilities of being
25 above or below are 50 percent in either direction;

1 correct?

2 A I don't think I said --

3 MR. BUTLER: I'm sorry. I was just going to
4 say, I'm going to object to that. It's
5 mischaracterizing Mr. Barrett's rebuttal testimony.

6 MR. MCGLOTHLIN: Well, let me rephrase.

7 ACTING CHAIRMAN EDGAR: Mr. McGlothlin, will
8 you rephrase?

9 MR. MCGLOTHLIN: I will.

10 ACTING CHAIRMAN EDGAR: Thank you very much.

11 BY MR. MCGLOTHLIN

12 Q Is it true, sir, that at line 11 on page 16
13 you say, "In fact, the company has prepared a reasonable
14 forecast of revenue requirements for 2010 and 2011 with
15 the expectation that variations around the forecast are
16 equally likely to be positive or negative"? Did you say
17 that?

18 A I did.

19 Q Now, you say that with respect to the
20 assumptions that the company employed with respect to a
21 down economy just beginning to recover, but with respect
22 to a different scenario, that is, a faster recovery than
23 that which is the premise of the -- subsequent to the
24 test year period, you say, "It's not possible to
25 quantify the impact that a faster recovery would have on

1 earnings in a reasonable way." Did you say that as
2 well?

3 A I did.

4 Q Okay. Now, would you agree with me that a
5 faster recovery would translate -- likely translate into
6 additional sales than those projected by the company in
7 the subsequent test year?

8 A Yes.

9 Q And that would be a growth in sales compared
10 to the current status quo, correct?

11 A By "status quo," do you mean the current
12 forecast or the current level of sales?

13 Q And the forecast used for the subsequent test
14 year.

15 MR. BUTLER: I'm sorry. I'm confused by the
16 question, and it seems like he's comparing the increase
17 to two things, current conditions and the forecast for
18 the test years.

19 BY MR. MCGLOTHLIN:

20 Q Well, let's take them one at a time. Would
21 you agree there would be additional sales compared to
22 today?

23 A I don't know.

24 Q You don't believe that an increase in -- a
25 faster recovery would mean sales higher than currently

1 with a down economy?

2 A I do not know. We're forecasting a decline in
3 sales, so it depends on how robust that recovery might
4 be.

5 Q So, with respect to the scenario examined
6 by -- assumed and examined by FPL when it put together
7 the subsequent test year, FPL's process and assumptions
8 were so good that it had the degree of precision that
9 you described in your testimony, but with respect to a
10 scenario involving a recovery faster than that assumed,
11 you can't even tell me whether that would translate into
12 higher sales than currently are projected?

13 A Okay. Now you've shifted gears to say
14 currently projected versus today.

15 Q Okay. If you'd rather operate from the
16 standpoint of the assumptions included in the subsequent
17 test year, let's do that.

18 A Okay.

19 Q All right.

20 A So a faster recovery than what we assumed for
21 the subsequent test year would result in higher sales in
22 the subsequent test year than our current forecast --

23 Q All right.

24 A -- but not necessarily higher than today.

25 Q Well, let's continue to use the subsequent

1 test year as the baseline for my questions then.

2 A Okay.

3 Q You've said that a faster recovery would mean
4 more sales than forecasted for purposes of the
5 subsequent test year. Would greater sales also
6 translate into greater profitability than that projected
7 for the subsequent test year?

8 A If nothing else changed, yes, but a faster
9 recovery necessarily means there's probably other things
10 changing. It could be a high inflationary recovery in
11 which case costs would be increasing faster. It could
12 be a situation where there are new homes being built
13 akin to the '05-'06 boom in which case new investment
14 would need to made. So unless you know the
15 characteristics of this supposed recovery happening
16 faster than we forecasted, you really can't say what's
17 going to happen to the company's earnings, and that was
18 the whole point of my rebutting Ms. Brown's kind of
19 simplistic assumption that we're just going to be better
20 off.

21 Q In terms of profitability and earnings, is
22 sales growth a good thing or a bad thing for Florida
23 Power & Light Company?

24 A As long as that growth pays for itself in
25 terms of the costs that it brings onto this system, it

1 would be good thing. There could be situations where
2 increased sales growth would come at a level of
3 investment required to get those sales that don't make
4 them profitable. You just can't say unless you actually
5 run a scenario with a holistic set of assumptions.

6 Q Doesn't growth in sales largely explain why
7 FPL was able to go some 25 years without a base rate
8 increase?

9 A That's one part of the equation. FPL's
10 significant productivity improvements in cost management
11 and increased efficiency of its operations has been a
12 significant contributor to why we've been able to stay
13 out of the rate increase arena.

14 Q So I want to go back to one of the earlier
15 questions. It is true, is it not, that in your
16 testimony you say, on the one hand, if the subsequent
17 test -- if the conditions that we project for the
18 subsequent test year prevail, we will need an additional
19 increase in revenues; and if, on the other hand, the
20 recovery begins and proceeds at a faster pace than we've
21 assumed, we still will need a revenue increase. Isn't
22 that your testimony?

23 A I have not addressed the latter question,
24 counsel.

25 Q Well, you have addressed it in the testimony

1 to which I've referred you, have you not?

2 A I have said you cannot tell what the impact on
3 the company would be unless you have a holistic set of
4 assumptions and essentially do another forecast. We
5 have a forecast for 2011 that we believe is reasonable
6 based on our view of the economy, based on our view of
7 how we will be operating the business. That results in
8 a need for 240 million of additional revenues in 2011
9 over 2010. If things change, we have not calculated
10 what that does.

11 Q Said differently, do you agree with me that
12 there is uncertainty with respect to conditions that
13 will prevail in 2011?

14 A Certainly.

15 Q And with respect to that uncertainty, you are
16 saying essentially -- FPL is saying essentially, give us
17 a rate increase now, and if we over-earn, you can always
18 bring us for in for a base rate reduction?

19 A No. What I'm saying is I think we've put
20 together a fairly reasonable forecast for 2011 based on
21 everything that we know today, and there are protections
22 for the customer in the surveillance process that the
23 Commission has, but we've put together a complete set of
24 MFRs, a complete set of assumptions that underpin those,
25 and we believe it's reasonable for setting rates.

1 Q But you do agree that there is a degree of
2 uncertainty about 2011?

3 MR. BUTLER: I'll object that that's been
4 asked and answered at least once earlier.

5 BY MR. MCGLOTHLIN:

6 Q I'll rephrase.

7 Given that you've agreed with me that there's
8 uncertainty attached to 2011, would you agree with me
9 that your approach effectively places the risk of that
10 uncertainty on the ratepayers?

11 A No, I would not.

12 Q Even though your testimony is that the
13 Commission should give FPL a rate increase for 2011 and
14 then the customers should rely on protections in the
15 form of surveillance and subsequent actions to protect
16 them in that event, correct?

17 A That is a mechanism available to the
18 Commission to make sure that we do not over-earn. As
19 you just heard from Dr. Morley, we believe that there's
20 significant uncertainty on the downside on the sales
21 forecast given the customer forecast that may have some
22 downside pressure.

23 So my whole point in this testimony in
24 addressing this assertion by Witness Brown was that the
25 risks, the uncertainty around the forecast are balanced,

1 and there's also going to be things that are kind of
2 puts and takes, if you will, things that offset, and any
3 forecast is going to have that. We've put together a
4 forecast that we believe, as I said, is right down the
5 middle of the fairway, and that there will be some
6 variation around it, certainly within the realm of
7 variation that this Commission would probably normally
8 accept in terms of any kind of a band around earnings,
9 but in the event that there were a downside and we were
10 to under-earn, we have the obligation to our investors
11 to come back and ask for a rate increase. If we -- you
12 know, we're in a situation where we're over-earning,
13 then any party, including the Commission itself could
14 bring us in.

15 Q Is that the balance that you describe in your
16 earlier testimony -- is the balance that you were
17 describing, does that relate to the idea that the
18 Commission should award a subsequent test year
19 adjustment in the amount of \$240-million incremental to
20 the 2010 request and then, whether FPL under-earns or
21 over-earns, there is always the remedy subsequent to the
22 2011 test year?

23 A The balance I was referring to is my belief
24 that the assumptions that underpin the forecast are
25 balanced, kind of a P50, if you will, such that there is

1 equal likelihood that they could be up or down in equal
2 and offsetting directions. That's what I meant by
3 balance.

4 Q At page 18, lines 12 through 17, you respond
5 to the statement made by Witness Kollen who appeared for
6 the Hospital and Healthcare Association, and you said,
7 "Mr. Kollen ignores the cost and time and resources to
8 the Commission and staff and all the interested parties
9 in the event that FPL is denied the subject test year
10 and has to come in for a rate increase thereafter."

11 Now, certainly, Mr. Barrett, you're not
12 testifying that the reason FPL seeks a subsequent test
13 year is its concern for the costs that others would
14 incur in the event of a rate case; are you?

15 A Certainly.

16 Q If several parties and, more generally, FPL's
17 customers indicate they would rather risk the
18 possibility of a rate case in the future than see FPL
19 receive an unwarranted \$240-million increase in 2011,
20 would that persuade you that's not a strong argument in
21 FPL's behalf.

22 MR. BUTLER: I would object to
23 Mr. McGlothlin's characterization of FPL's request. It
24 assumes facts not in evidence.

25 ACTING CHAIRMAN EDGAR: Sustained.

1 MR. MCGLOTHLIN: I believe the witness agreed
2 that his testimony is that one reason FPL advances in
3 support of its subsequent test year adjustment --

4 ACTING CHAIRMAN EDGAR: Mr. McGlothlin, I
5 sustained the objection.

6 MR. MCGLOTHLIN: I'm sorry. I did not hear
7 your comment.

8 ACTING CHAIRMAN EDGAR: Okay.

9 BY MR. MCGLOTHLIN:

10 Q I believe you said in answer to an earlier
11 question that the balance you describe in your testimony
12 is that the chances are 50-50 that the request for a
13 subsequent test year adjustment would either leave FPL
14 in an under-earnings situation or an over-earning
15 situation, correct?

16 A I think I just said that my interpretation of
17 what you meant by balance was that the balance around
18 the forecast assumptions themselves are balanced equally
19 likely to be above or below. The context of
20 under-earning or over-earning was in terms of if it were
21 to get -- if it were to turn out such that we
22 under-earned or over-earned, there are remedies. The
23 context of balance, though, has to do with, we put
24 together a forecast in our view that has no bias towards
25 being either overly optimistic or overly pessimistic.

1 That's what I mean by balance.

2 Q Okay. But we also addressed the possibility
3 that the -- if granted, the subsequent test year
4 adjustment would leave FPL in an over-earning situation
5 subject to surveillance and possible remedial action,
6 correct?

7 A That is a possibility, yes.

8 Q And in that event, customers and parties would
9 incur the cost of a base rate proceeding in any event;
10 would they not?

11 A There is a chance that they would incur a cost
12 in that event versus a certainty that they would incur a
13 cost if we had to file again because of not having a
14 subsequent year adjustment.

15 Q I want to change subjects and talk about your
16 rebuttal testimony that addresses the base rate
17 adjustment. At page 16, referring to -- you referred to
18 the testimony of OPC Witness Sheree Brown who testified
19 that in past years FPL has absorbed the cost of new
20 power plants without increasing base rates at that time.
21 Do you recall that testimony on your part?

22 A Yes.

23 Q And in response to that, you say, "The current
24 economic environment is very difficult. It is simply no
25 longer possible for FPL to absorb the significant

1 increases to base cost." Do you see that comment?

2 A I don't. Which line number is that?

3 Q Well, I think it's page 16.

4 A I don't believe it's 16.

5 MR. BUTLER: Mr. McGlothlin, the discussion of
6 the GBRA mechanism starts on page 19. Is it perhaps a
7 different page?

8 BY MR. MCGLOTHLIN:

9 Q Page 21.

10 A I'm there.

11 Q The question beginning at line 16, and your
12 answer beginning at line 19. Sorry for the pause there.
13 I'll give you a moment to review that information.

14 A Okay.

15 Q I take it you don't dispute her assertion.
16 Your point is that, in your view, current conditions
17 don't provide the same ability to absorb the costs that
18 occurred in the past when those plants were added
19 without requests for increases in base rates?

20 A Yes.

21 Q And when I say they were added -- well, let me
22 back up, and I'm referring to what happened in the past
23 again.

24 A Okay.

25 Q These power plants were constructed, placed in

1 service and added to rate base without a concurrent
2 request for a modification of base rates, correct?

3 A Prior to Turkey Point 5, which received GBRA
4 treatment in 2007, that would have been the case.

5 Q All right. That's the time period to which I
6 refer. And when I say they were added to rate base,
7 that means that, when the plants began commercial
8 service, FPL recognized and incurred the costs of owning
9 and operating those plants on its books; correct?

10 A Yes.

11 Q And those costs would have been reflected in
12 its calculation of revenues, costs, net operating income
13 and earnings.

14 A Correct.

15 Q And they would have been reflected in the
16 company's earned rate of return as well?

17 A Yes.

18 Q Earned rate of return is measured by
19 subtracting the total operating costs from operating
20 revenues and then relating the resulting net operating
21 income to the rate base, correct?

22 A Correct.

23 Q So if costs go up, all other things being
24 equal, net income goes down, and if rate base goes up,
25 all other things being equal, return on equity goes

1 down; correct?

2 A By "all else being equal," I'm assuming you
3 mean revenues.

4 Q Yes. We're holding everything constant except
5 for the additional costs that are recognized.

6 A Yes, although that's not the circumstance that
7 happened during the period that you're interested in.

8 Q Being really simplistic to get the
9 relationships.

10 A Got it.

11 Q So saying that FPL absorbed those power plants
12 prior to Turkey Point No. 5 in existing base rates is
13 another way of saying that earnings from the then
14 current rates was used to absorb those costs?

15 A The revenues from those rates provided enough
16 to cover the cost of those plants and provide a return.

17 Q Now, as FPL builds and places into service
18 units that are more efficient in converting fuel to
19 electricity, it accomplishes fuel savings; correct?

20 A Yes.

21 Q And that would have been true with respect to
22 those plants prior to Turkey Point No. 5 that were
23 constructed, placed into service and recognized in costs
24 without the modification of base rates at the time?

25 A Yes.

1 Q So when FPL placed those units into service
2 and recognized the cost of those units for accounting
3 purposes, those fuel savings were achieved when the
4 units were placed into service.

5 A Yes, and I'm not completely familiar with the
6 heat rates of all of those units, but presuming that
7 they were lower than the system average heat rate, there
8 would have been fuel savings that would have been passed
9 along to customers.

10 Q That's the assumption that underlies my
11 question; yes, sir.

12 And that's another way of saying that the
13 point at which fuel savings began is the same point in
14 time at which the cost recovery began, correct?

15 A Since rates didn't change, I'm going to
16 contend a little bit with your assertion that cost
17 recovery began. We began reflecting the cost of those
18 plants.

19 Q Well, would you agree that, to the extent base
20 rates were sufficient to generate revenues that covered
21 the cost of the new units and continued to provide
22 earnings to the company, FPL accomplished the cost
23 recovery of those new units?

24 A Yes.

25 Q So based upon what transpired prior to Turkey

1 Point No. 5, it's clear that it isn't necessary to have
2 a discrete increase in base rates to achieve this
3 matching of costs and fuel savings; is it?

4 A In that time period, it was not necessary;
5 however, times have changed as my rebuttal testimony
6 goes on to talk about.

7 Q Yes.

8 A Primarily the lack of growth in the top line
9 revenues. So while Turkey Point 5 and subsequent units,
10 West County's 1, 2 and 3 will provide fuel savings to
11 customers, we don't anticipate, absent a GBRA, any
12 additional revenues to help cover the cost of those
13 units.

14 Q I understand that's your testimony and we're
15 going to get to that.

16 First, though, it's obvious enough, but just
17 to make the point clear, there was no generation base
18 rate adjustment in place when in the past FPL placed new
19 units into service and simultaneously absorbed the costs
20 without a base rate increase; correct?

21 A Prior to Turkey Point 5, there was no GBRA.

22 Q I'm going to give you a very simple
23 hypothetical and there are a couple of numbers involved
24 but I've tried to keep it very simple, so you may want
25 to take a note or two. I want you to assume

1 hypothetically that at the time one of those units came
2 on line prior to Turkey Point No. 5 when there's no
3 GBRA, base rates were generating \$500 million of
4 revenues, earnings were \$100 million, and the revenue
5 requirements associated with the new unit were
6 \$20 million. Do you have those figures in mind?

7 A Uh-huh.

8 Q And assume there's no base rate increase and
9 FPL absorbed the cost of those units based upon the
10 revenues generated by their then current base rates.
11 Would you agree that, under that hypothetical, the
12 earnings would be reduced from \$100 million to
13 \$80 million because of the \$20 million revenue
14 requirement associated with the new unit?

15 MR. BUTLER: I'm sorry, Mr. McGlothlin, in
16 your hypothetical, can you clarify -- are you assuming
17 no growth in revenues from year to year?

18 BY MR. MCGLOTHLIN:

19 Q Yes. Deliberately simplistic, yes.

20 A I'm going to make one more clarifying remark.
21 We would have to assume a zero tax rate because revenue
22 requirements are pre-tax whereas income is after tax.

23 Q With that clarification, go ahead.

24 A So, yes, the hundred would drop to 80.

25 Q Okay. And would you agree that, under the

1 hypothetical as Mr. Butler clarified, the revenues stay
2 at \$500 million?

3 A Yes.

4 Q In other words, in that scenario, earnings
5 would decrease by \$20 million but customers' bills would
6 stay the same. They would continue to generate the
7 \$500 million.

8 A Yes.

9 Q Now, that is a simple hypothetical designed to
10 illustrate what would have happened at the time FPL was
11 absorbing the costs of new units without a base rate
12 increase and without a GBRA.

13 Now, assume the same situation but also assume
14 that the GBRA that FPL -- for which FPL seeks approval
15 in this case was in place at that time and that the
16 particular unit would have been eligible for a GBRA
17 recovery. In that circumstance, would you agree that
18 there would be no diminution of earnings because of the
19 base rate adder? They would stay at \$100 million, but
20 that customers would pay not the \$500 million, but
21 \$520 million.

22 MR. BUTLER: I'm going to object to
23 Mr. McGlothlin's hypothetical to this extent: He
24 characterized the first of his two examples as being
25 what would have been the case during this period when

1 FPL was absorbing the cost of the new units without base
2 rate increases, but we've clarified that in his
3 hypothetical there was no increase year to year in
4 sales, and actually one of the main points of both
5 Mr. Barrett's testimony and Ms. Brown's is that there
6 was a period when sales were going up. So I don't think
7 it was representative.

8 MR. McGLOTHLIN: The hypothetical is
9 deliberately simplistic, is designed to show the impact
10 on customers' bills of a situation in which base rates
11 are adequate to absorb the costs but there is in place a
12 rider or a mechanism by which the cost of a new plant
13 automatically are added to the customers' bills, and
14 I've provided some simplifying assumptions, but that's
15 not uncommon for purposes of illustration.

16 ACTING CHAIRMAN EDGAR: And it is a
17 hypothetical.

18 MR. McGLOTHLIN: Yes, it is.

19 ACTING CHAIRMAN EDGAR: Overruled.

20 THE WITNESS: So, yes, in your hypothetical,
21 the revenue would then be 520.

22 BY MR. McGLOTHLIN:

23 Q So earnings would be unaffected, customers'
24 bills would go up, even though under the hypothetical
25 I've described, it's a given that base rates at the time

1 were adequate to absorb the cost of the new plant. That
2 would be the effect of a GBRA in that circumstance.

3 A In your simple hypothetical where everything
4 else is equal, and keep in mind, too, you're talking
5 about income, not rate of return.

6 Q Would you answer my question first?

7 A Yes. The rate of return would necessarily
8 change because we're adding investment.

9 Q All right. Fair enough.

10 Now, with respect to Ms. Brown's testimony and
11 the point that I've suggested to you by cross, you say
12 the current economic environment is different from those
13 times; correct?

14 A Correct, among other differences from those
15 times, including our ability to drive out productivity
16 savings.

17 Q But isn't it true that FPL's proposed
18 generation base rate adjustment with GBRA is not limited
19 to the current environment of the economy? Isn't it
20 true that FPL requests that the GBRA be placed in effect
21 and made permanent for the future?

22 A It's our request that it be continued
23 indefinitely, yes.

24 Q So it's not limited to 2010, and it's not
25 limited to the West County unit that's projected to come

1 on service in 2011; is it?

2 A Correct.

3 Q In the decades to come, do you anticipate that
4 FPL will be adding new customers to its system?

5 A Yes.

6 Q In the decades to come, do you think FPL will
7 increase sales?

8 A I hope so.

9 Q In the decades to come, do you think it's
10 reasonable to expect that we'll see economic
11 circumstances very different than those that prevail
12 today and in 2010 and in 2011?

13 A That would be our expectation.

14 Q In the decades to come, do you think FPL's
15 system could -- and operations might benefit from such
16 things as electric cars or other advents that we can't
17 even predict today?

18 A I have no idea.

19 Q Do you remember the period in the '80s when
20 mortgage rates were 15 percent and up?

21 A Yes.

22 Q Do you recall the conventional wisdom at the
23 time was that we would never see another fixed-rate
24 mortgage?

25 A I don't recall that.

1 Q Do you remember when it was predicted that oil
2 would reach \$200 per barrel?

3 A Yes.

4 Q And didn't it duck under \$40 per barrel in the
5 last several months?

6 A I believe it did, yes.

7 Q So as we sit here today, we can't really
8 predict what economic conditions may be in the next --
9 in the decades to come; correct?

10 A That's correct, but one thing we can predict
11 is that, if the GBRA as we've proposed it is approved,
12 it will only ever allow us to earn our approved rate of
13 return on that asset and can only move the overall
14 company earnings closer to that overall rate of return
15 as allowed by this Commission. If we were over-earning
16 before we had GBRA, it brings us back down closer to the
17 midpoint. If we're under-earning, it brings us back
18 closer to the midpoint. It in and of itself cannot
19 cause us to over-earn.

20 Q It may not cause you to over-earn, but it
21 could cause customers' bills to go up and become higher
22 than necessary to support your investment. Isn't that
23 what we demonstrated with the example I gave you?

24 A In your hypothetical, sure, the numbers worked
25 out that way, and as we talked about, that was just a

1 hypothetical, overly simplistic.

2 Q Well, you jumped ahead of me a little bit. I
3 don't mind that answer, but my point and my question to
4 you next is: Isn't it true that in time to come we
5 could see again a situation in which then current base
6 rates are sufficient to cover the cost of a new unit in
7 whole or in part without the application of a mechanism
8 such as the GBRA?

9 A I don't know.

10 Q Is it possible?

11 A It's possible.

12 Q I'm going to change subjects on you again. I
13 refer you to page 19 of your rebuttal testimony, line
14 23. You say, "The need determination proceeding
15 includes a comprehensive economic analysis of the
16 proposed plant addition and a determination that the
17 proposed plant is a low-cost alternative for customers,
18 the GBRA adjustment is approved from implementation
19 based upon costs projected and approved in the new
20 order."

21 Now, the economic analysis -- do you have that
22 reference, Mr. Barrett?

23 A Yes.

24 Q The economic analysis to which you refer is an
25 economic analysis of a proposed plant as compared with

1 alternatives to that proposed plant, correct?

2 A It compares the proposed plant to all of the
3 alternatives, yes.

4 Q And that economic analysis performed in the
5 determination of need proceeding does not determine that
6 a base rate increase will necessarily be warranted at
7 the time that unit is placed into service, does it?

8 A No, it does not.

9 MR. MCGLOTHLIN: No further questions.

10 CHAIRMAN CARTER: Ms. Bradley?

11 CROSS EXAMINATION

12 BY MS. BRADLEY:

13 Q Thank you.

14 Ms. Slattery punted a question to you, so let
15 me ask you, how much are Florida Power & Light's dues to
16 Affiliated -- I'm sorry -- Associated Industries?

17 A I don't know, but I do know that they are
18 below the line, so they're not part of this request.

19 Q So when she punted them to you and said you
20 could answer that question --

21 A My answer is it's not part of the request that
22 we're asking and I don't know what we pay to AIF.

23 Q Do you have any idea why Ms. Slattery thought
24 you could answer the question?

25 A I think she was thinking that it was part of

1 the rate request, the forecast that I'm the sponsor of,
2 but it's not part of our forecast that we're asking for
3 recovery of. So I'm able to verify that it's not in the
4 numbers that we're asking for.

5 Q Someone indicated earlier, I thought, that
6 y'all paid dues or have to pay for the rating companies
7 that have been discussed the last few days.

8 A Are you talking about the credit rating
9 agencies?

10 Q Yes.

11 A Yeah. I believe that would have been
12 Mr. Pimentel.

13 Q All right. How much do y'all pay for that?

14 A I believe he was asked that question in his
15 testimony. I'm not going to speculate. So I think it's
16 in the transcripts.

17 Q It's what?

18 A I think it's in the transcripts. Yeah, I
19 think he answered that question, and I don't remember.

20 Q As to how much was paid each one?

21 A How much we pay S&P, how much we pay Moody's
22 and how much we pay Fitch. I think I recall back in
23 September him being asked that question.

24 Q All right. I understood you were the money
25 man.

1 A He's the big money man.

2 Q He's the big money man.

3 So the big money man doesn't tell you what
4 y'all spend on these items?

5 A I don't deal with the credit rating agencies.
6 That's our treasury group, and they report to him.

7 Q All right. Do you have any knowledge of that?

8 A You could ask me a question and I'll tell you
9 if I know.

10 Q Do you know whether those dues have stayed the
11 same the last few years or if there's been any increases
12 or decreases in that?

13 A I do not know, but just to clarify, they're
14 not really dues. I think it's a fee that we pay for a
15 service.

16 Q Do you have any knowledge of a range of those?
17 I mean, are they hundreds, thousands?

18 A I think it's in the hundred thousand or less
19 kind of number, but I'm not positive. I'm pretty
20 confident that it's in the record, though.

21 Q Okay. You were a sponsor of Schedule C-15,
22 correct?

23 A What's the title of that?

24 Q It's a list of dues that y'all pay.

25 A Yes.

1 Q And can you tell me if I'm reading this
2 correctly? Y'all paid -- are these in the hundreds of
3 thousands?

4 A They're in dollars --

5 Q Oh, they're in dollars.

6 A I'm sorry. They're in thousands of dollars.

7 MR. BUTLER: I'm sorry, Ms. Bradley. Could
8 you give me the citation to the document you're
9 referring to again, please?

10 BY MS. BRADLEY:

11 Q I'm sorry, C-15.

12 So you've paid something like 1,894
13 times thousands of dollars to EEI for dues.

14 MR. BUTLER: Madam Chairman, I'm going to
15 object to this as being entirely outside the scope of
16 Mr. Barrett's rebuttal testimony.

17 MS. BRADLEY: Actually, on page 17 he
18 discusses whether or not they can reduce expenses on
19 various things, and on page 4 they talked about reducing
20 costs, and I think these are some of the expenses and
21 the costs that they have.

22 MR. BUTLER: But Mr. Barrett testified broadly
23 to the subject of the company's budgets in his direct
24 testimony. This certainly would have been appropriate
25 subjects there. Here Mr. Barrett was rebutting specific

1 points made by Intervenor witnesses, none of which
2 related to the subject of dues.

3 ACTING CHAIRMAN EDGAR: Ms. Bradley, can you
4 speak to the objection as to how your question is
5 appropriate for rebuttal versus when we were on direct?

6 MS. BRADLEY: Well, on those two areas, he
7 talks about there was a discussion about reducing
8 expenses and whether or not expenses could be reduced
9 and whether they would want to and that type of thing,
10 and I think these are part of the expenses that possibly
11 could be reduced.

12 ACTING CHAIRMAN EDGAR: But as to why rebuttal
13 rather than direct?

14 MS. BRADLEY: Because he talked about them on
15 rebuttal. He talked about reducing and whether they had
16 expenses that could be reduced.

17 ACTING CHAIRMAN EDGAR: Ms. Cibula.

18 MS. CIBULA: I think it's within the scope of
19 the rebuttal.

20 ACTING CHAIRMAN EDGAR: Overruled.

21 Ms. Bradley, proceed, and please restate the
22 question.

23 MS. BRADLEY: Thank you. I will do so if I
24 can remember it.

25 ACTING CHAIRMAN EDGAR: That's part of the

1 reason why I asked you to do it.

2 BY MS. BRADLEY:

3 Q We'll give it a shot here anyway.

4 Isn't it true, sir, that y'all paid something
5 like -- and help me with this amount. It's the
6 second one down. How much did you pay to EEI, Edison
7 Electric Institute? It says "Professional." How much
8 were those dues?

9 A Can you refer me to which year we're looking
10 at because I've got several years here? It's the same
11 exact schedule but several different years, the upper
12 right-hand corner.

13 Q "Projected test ended 12/31/10."

14 A Ten. Edison Electric Institute, line 2, I
15 believe. Is that what you're looking at?

16 Q Yes.

17 A 1,894,000.

18 Q And that was for dues? I mean, that's
19 projected for dues?

20 A That's dues and participation in projects and
21 things like that.

22 Q And you paid how much to Florida Chamber of
23 Commerce or will be projected to pay to Florida Chamber
24 of Commerce?

25 A Let me just line this up. I believe it is

1 38,000.

2 Q What about the U.S. Chamber, Annual Education
3 Fund?

4 A 83,000.

5 Q Let me see if I can match these up. What
6 about line 28, the INPO, Institute for Nuclear Power
7 Operations?

8 A 3,386,000, and, of course, that's an industry
9 oversight group for the nuclear industry and really
10 something that we have to be part of as a nuclear
11 operator.

12 Q How about line 5, the North American
13 Electrical Liability Coordinating Council? It says
14 "Professional."

15 A 2,798,000, and that's the coordinator for all
16 of the different electric regions around the country.

17 Q Do you know the total amount that you paid
18 for -- you project to pay for dues in 2010?

19 A I believe it's about 14 million.

20 Q And you pay those or similar amounts each
21 year?

22 A Yes. Most of this is just kind of a cost of
23 being in this business.

24 Q Well, you're not required by anybody to belong
25 to the Florida Chamber of Commerce, are you?

1 A No. As I said, most of these -- and the
2 bigger dollar items are really just kind of a cost of
3 being in this business, like the FCG, the FRCC, the NRG,
4 the SEE, INPO, NEI, all the big dollar items. So, you
5 know, probably 13 million of the 14 million are really
6 just a function of being an electric company and a
7 nuclear company.

8 Q And on the next page there's list of a number
9 of other groups. Do you see that?

10 A No. Actually I seem to only have page 1 of 2
11 with me. Counsel, do you have a second page?

12 Q Let me see if we can find another copy of it.

13 A Sorry about that.

14 Q Have you got one?

15 A Okay. I've got it.

16 Q Let me ask you to look at 3, 4, 5, 6, 7, that
17 line -- those lines.

18 A Okay.

19 Q Now, what are -- are those dues or are those
20 donations, or what are all those?

21 A I believe they're dues to be part of those
22 groups. You're talking about the various chambers?

23 Q And how much did you pay, line 3, to the
24 Greater Miami Chamber of Commerce?

25 A 32,000.

1 Q And what about Miami-Dade Beacon Council?

2 A 17,000.

3 Q Miami Beach Chamber of Commerce, line 8.

4 A 10,000.

5 Q What was the total for the projected dues for
6 those organizations?

7 A I'm sorry. The ones that I just read?

8 Q No, the list. Are those all the groups that
9 you belong to, that Florida Power & Light belongs to?

10 A Well, the MFR specifically asked for those
11 that are 10,000 or greater. So you see on line 15,
12 there's an aggregation of things that are less than
13 10,000. So it would be this number plus whatever else
14 fell into that smaller bucket.

15 Q And how much was that total?

16 A The total, if you're referring to line 17, is
17 14,000,873. I don't have any subtotal of any smaller
18 groups.

19 Q Okay. And that's fairly consistent from year
20 to year?

21 A Yes.

22 Q Since you filed the petition for this rate
23 case, you've instructed the staff to reduce O&M
24 expenses; have you not?

25 A I'm not sure I follow what you mean by

1 "instructed staff to reduce." Are you talking about --

2 Q Directed staff.

3 A Are you talking about the aviation costs and
4 the executive comp that was discussed yesterday?

5 Q No, I was talking about internally in your
6 business, in your company.

7 A Oh, I'm sorry. I thought you meant Commission
8 staff. I was mistaken. Could you just rephrase that
9 again? I'm sorry.

10 Q Since you filed the petition -- and I'm not
11 following where you're going with that at all.

12 A I heard "staff" and I thought Commission
13 staff. I apologize.

14 Q I'm assuming you wouldn't have the authority
15 to direct Commission staff.

16 A I misunderstood you.

17 Q Okay. All right. Since you filed the
18 petition, have you given any directions or are you aware
19 of any directions being given to the employees or staff
20 at your Florida Power & Light Company to cut O&M
21 expenses?

22 A We're always looking for opportunities to
23 reduce costs, and this year is no exception. We are
24 looking for opportunities to either reduce costs or
25 shift costs so that we can try to earn an appropriate

1 return.

2 Q And so you're aware of directions to cut
3 expenses, correct?

4 A Yes.

5 Q Do you have any idea how much of that has been
6 done so far, what the actual expenses are so far for
7 this year?

8 A The exhibit to my rebuttal testimony, I
9 believe it's REB-21, which is the O&M expenses, we've
10 identified about \$19 million at year-end that we expect
11 to be lower than what we had budgeted for 2009.

12 Q Was that the exhibit that you presented this
13 morning?

14 A No. This was in my prefiled.

15 Q All right. So the amount that was part of the
16 petition was not the actual expenses?

17 A As part of my rebuttal testimony, the exhibit
18 REB-21 identified as of April, and probably sometime in
19 May or June when we prepared the exhibit, we were
20 looking out from the vantage point of year-to-date
21 April, and we saw about \$19 million of reductions to
22 what we had budgeted for 2009 that would be achievable.

23 Q And has that been adjusted since that time?

24 A We look at it every month, and actually since
25 that time -- I guess it's been a couple of months since

1 I've been back here, but with August actuals, we think
2 there's even a little bit more that can be achieved in
3 2009. A lot of it, though, is by shifting things from
4 2009 to 2010, obviously not with any intention of
5 increasing our request for 2010. We're just going to
6 have to find a way to do work next year. So there's
7 been some permanent savings in 2010 and there's been
8 some things that -- or, excuse me, 2009, and some things
9 that we've been able to shift from maybe fourth quarter
10 to first quarter, that sort of thing.

11 Q I'm not sure if I understood what you were
12 saying. Were you trying to say that you're going to
13 have to find ways to do work cheaper?

14 A We're always looking for ways to do work
15 cheaper.

16 Q But we know of those -- do you know the amount
17 of additional reductions that you've taken, projected?

18 A As of April -- or, excuse me, as of August,
19 additional to what is here in my prefiled testimony. As
20 of August, we've identified about \$50 million that would
21 be less than the budget for 2009.

22 Q All right.

23 A A lot of that, as I said, is being shifted to
24 2010, and it's going to give us quite a hill to climb in
25 2010.

1 Q Can I assume though that the same would apply
2 to 2002 as to 2009, that you would continue to look at
3 ways to reduce costs so that it's not the big hit in
4 2010 that you mentioned?

5 A We will continue to look for ways to reduce
6 costs where we can.

7 MS. BRADLEY: I don't think I have anything
8 further. Thank you.

9 ACTING CHAIRMAN EDGAR: Mr. Moyle.

10 CROSS EXAMINATION

11 BY MR. MOYLE:

12 Q Thank you.

13 I want to follow up on some of the points that
14 other lawyers brought up with you. John Moyle on behalf
15 of FIPUG. And then I have some questions focused on
16 your testimony, but on that last point that you were
17 talking about with Ms. Bradley, just so I'm clear, in --
18 I had to step out briefly, but you said that you have
19 reduced 50 million in costs for your 2009 budget, is
20 that right, as of August?

21 A Let me recharacterize it. We haven't reduced
22 our budget per se. What we've identified is, as of
23 August when we look out towards the balance of the year,
24 we've identified about \$50 million that we would
25 estimate to be coming in below budget, and a lot of that

1 has to do with deferring work from '09 to '10. Some of
2 it has to do with some real savings that are maybe
3 one-time in 2009, but yeah. In my prefiled testimony it
4 was -- 19 million was the year-end estimate, and that's
5 grown to about 50 million.

6 Q Okay. And that's a significant growth, going
7 from 19 to 50, correct?

8 A Yes.

9 Q Presumably some of those are recurring costs,
10 are they not?

11 A Some may, but there's going to be some other
12 cost pressures that we have. Medical, for instance,
13 we're going to be significantly over budget in medical
14 costs this year and expect that next year we're going to
15 be over what we put into the 2010 forecast. So we're
16 going to have to overcome that as well.

17 Q Now, reducing expenditures in this year, that
18 helps with your earnings, correct, from a perspective of
19 reported earnings to Wall Street?

20 A Yes.

21 Q Was that part of the reason why these
22 50 million in cuts were taken or, as you said, some of
23 them were shifted into 2010 to help earnings?

24 A We -- some of it is due to -- most it are due
25 to operating events. For instance, a great example is

1 the West County Unit 1 came into service about two
2 months later than we had expected. So there was a
3 significant amount of O&M that we didn't expend because
4 the unit wasn't operating yet, and that's a savings.

5 Q Yes, sir, and you talked about that in your
6 testimony. I'm trying to understand the difference
7 between the 19 and the 50, and I know you said some were
8 deferrals and -- do you have an itemization of what
9 makes up that 30?

10 A I do have -- actually I --

11 MR. BUTLER: Madam Chairman.

12 ACTING CHAIRMAN EDGAR: Mr. Butler.

13 MR. BUTLER: We have an updated version of
14 REB-21 that reflects the figures that Mr. Moyle and
15 Mr. Barrett are discussing here, and we can distribute
16 it if parties are interested in our doing so.

17 MR. MOYLE: I mean, I was following up on
18 questions that Attorney General's counsel asked. Maybe
19 I could take a minute and look at the information and
20 make a decision from there.

21 ACTING CHAIRMAN EDGAR: No good deed,
22 Mr. Butler. That's a joke, by the way.

23 MR. MOYLE: I can move on to another line and
24 we can --

25 ACTING CHAIRMAN EDGAR: Let's move along. Mr.

1 Butler, thank you for --

2 MR. MOYLE: I would like to see the
3 information. He raised it, but if it saves time, I can
4 move along and then take a break or something and look
5 at it at that point if that's --

6 ACTING CHAIRMAN EDGAR: Let's try it that way
7 and see where it takes us. Okay.

8 BY MR. MOYLE:

9 Q All right. Thank you, Mr. Butler.

10 Another point that was raised, Mr. McGlothlin
11 had a discussion with you about the reliability of
12 forecasts, and I think you agreed that forecasts are
13 less reliable the further out in time you go; correct?

14 A Yes.

15 Q And he asked you to compare 2015 to 2010, and
16 you agreed that forecasts for 2015 were less reliable
17 than 2010; correct?

18 A Yes.

19 Q Okay. You would also agree that forecasts for
20 2011 are less reliable as compared to 2010, correct?

21 A I wouldn't necessarily agree with that. I
22 mean, as I mentioned to Mr. McGlothlin, I think there
23 are gradations of how far out in time you go and, you
24 know, clearly five years is different than two years,
25 and so I wouldn't necessarily agree that we don't have

1 as much visibility into the next year or two that we do
2 into five years hence.

3 Q But I thought the theory was, the further out
4 in time you go, the less likely you are of a forecast,
5 and I was just trying to understand whether that theory
6 applied consistently on the continuum of time or whether
7 it didn't, and it seems to me that you're saying, no, it
8 doesn't comply continually on the further out in time
9 you go because 2011 is somehow different. Is that what
10 you're saying?

11 A I'm saying that I wouldn't look at 2011 the
12 same way I'd look at 2015 --

13 Q Okay. But you would agree, if you look at
14 2010 and 2011, the same question Mr. McGlothlin asked
15 you comparing 2015 to 2010, that forecasts for 2011 are
16 less reliable than forecasts for 2010; correct?

17 A No, I would not.

18 Q You talked about one of the reasons that you
19 are asking this Commission, as I understand it, to
20 provide a generation based rate adjustment and a
21 subsequent year adjustment is because it will avoid the
22 need for a rate case. Is that generally accurate?

23 A It has the potential to avoid the need. The
24 GBRA particularly has the potential to avoid the need
25 for a rate case.

1 Q Okay. Do you agree that a rate case serves as
2 sort of the ultimate true-up as that term has been used
3 in this proceeding?

4 A Yes.

5 Q Okay. From a policy perspective, you would
6 agree that an ultimate true-up is a beneficial thing for
7 regulators and for customers, would you not?

8 A I would agree generally that that's the case;
9 however, there are, again, gradations of how often. I
10 mean, clearly we wouldn't to be here every month looking
11 at the prior month and looking at the next month. So I
12 think it's reasonable to look out one or two years, two
13 years in our request, and think that the Commission can
14 take comfort in the forecast that we've put together,
15 and all parties can take some comfort that we have some
16 visibility in the next couple of years.

17 Q And your last litigated rate case, what we're
18 doing today, was over 20 years ago; correct?

19 A Correct.

20 Q Would you think that that might be a little
21 too long to have a litigated rate case?

22 A I will say that we have -- first of all, I
23 don't know if that's too long or not because the
24 Commission does have the surveillance process to know
25 how we're doing as far as earnings if things were to get

1 out of line on the high side to call us in, or if we
2 feel the need to come in because we're under-earning.
3 So there is that kind of mechanism to make sure we kind
4 of stay on track, but I will point out that in the '05
5 case we did file an full set of MFRs and we got to the
6 brink of hearings so that there was a complete
7 exhaustive set of evidence that was presented there.

8 Q But you would also agree that, in the process
9 of having a litigated case, that you have -- that this
10 commission and parties have an opportunity to get in and
11 dig in in little more detail? Like Ms. Bradley was
12 asking you about dues paid to various organizations, just
13 filing the MFR doesn't allow for that type of
14 questioning; correct?

15 A Well, not live. I mean, obviously through the
16 discovery process, depositions, et cetera, there's a lot
17 of probing that goes on. So I think there's a fair bit
18 that goes on even if you don't get to the point of a
19 hearing.

20 Q Okay. And the GBRA mechanism, I think we've
21 agreed that it would have an effect of making it less
22 likely that you would come in for a rate case; correct?

23 A It has the potential to make it less likely,
24 yes.

25 Q I mean, if it works as designed, it will have

1 that effect, correct, because you'll be able to recover
2 the cost of your new plant through that mechanism and
3 not have to come in for a rate case?

4 A Well, it reduces the likelihood of it, but a
5 case in point, West County 3. If we get a GBRA rate
6 increase for West County 3, we still need the
7 240 million in 2011 despite getting full recovery for
8 West County 3. So it doesn't guarantee that we won't
9 need to come back in to look at other
10 non-generating-plant kinds of costs. It just reduces
11 the likelihood.

12 Q Now, you made a comment -- talking about that
13 240 million that you're looking for in 2011, you made a
14 comment in response to a question, and I thought you
15 said that it was a certainty that you would have to file
16 a rate case without a subsequent-year adjustment.
17 That's not -- you didn't mean that, did you? That's not
18 really the case that it's a certainty that you're going
19 to file a rate case if this Commission does not allow
20 you that 240 million in 2011?

21 A I guess what I should have said is it's our
22 expectation that we would have to file a rate case.

23 Q Right, because there's a lot of variables as
24 to what the ultimate decision may be. If it's a
25 negative 135, that would be different than a -- you

1 know, a hundred million to the positive, correct? So
2 you'd have to consider and make a judgment about indeed
3 whether you would have to come in for a rate case,
4 correct?

5 A Correct.

6 Q Okay. Thank you for clarifying that.

7 I want to talk a minute about -- one of the
8 things that is bolstering the GBRA in the 2011
9 adjustment is the rate case, and I think you had
10 characterized it as administratively and costly -- a
11 rate case proceeding is administratively burdensome and
12 costly, correct?

13 A Yes.

14 Q Okay. And to ascertain the cost impact, what
15 are the rate case expenses in this case; do you know?

16 A You know, I don't know, because it was about
17 four million I think prior to this latest delay, and so
18 I don't know -- the meter is still running. So I really
19 don't know.

20 Q Would it be -- for purposes of my questions,
21 can we call it five, let's call it five million?

22 A That may be low, but we'll go with that for
23 purposes of your question.

24 Q Okay. All right. So, if we're talking about
25 five million in rate case expense, the cumulative total

1 ask that FPL is making in this case is approximately
2 1.5 billion; correct?

3 A Correct.

4 Q And, according to my math, five million out of
5 1.5 billion is one-third of one percent. Would you
6 agree with that?

7 A Sure.

8 Q And you would also agree that one-third of
9 one percent cumulatively -- and we have opportunities to
10 have the ultimate true-up -- is not a significant amount
11 of money in comparison to the total ask of 1.5 billion,
12 correct?

13 A No, those are apples and oranges. Five
14 million is a lot of money to me.

15 Q And it's a lot of money to me, but I'm asking
16 you the question in the context comparing it to the \$1.5
17 billion ask.

18 A I don't know why they're mutually exclusive,
19 but it's a much smaller number than 1.5 billion, if
20 that's your point.

21 Q You haven't heard any of the witnesses of the
22 Intervenors in their testimony or during
23 cross-examination complaining about the cost of rate
24 cases, have you?

25 A I have not heard everybody testify, but I've

1 not heard that, no.

2 Q Now, counsel for the Attorney General asked
3 you about this MFR, and specifically about dues paid to
4 Associated Industries of Florida. Were you here
5 yesterday when Ms. Slattery was on the stand and was
6 asked the question about dues paid to Associated
7 Industries of Florida?

8 A No.

9 Q Okay. And is it your testimony that you have
10 no information about the dues paid to Associated
11 Industries of Florida or just that it's below the line
12 and therefore it's not pertinent?

13 MR. BUTLER: Let me object to that as asked
14 and answered.

15 MR. MOYLE: I was -- just wanted to make clear
16 what his testimony was.

17 MR. BUTLER: I think he stated it quite
18 clearly in response to Ms. Bradley's questions.

19 MR. MOYLE: His -- I'm sorry.

20 ACTING CHAIRMAN EDGAR: I thought it was
21 clear, too. I'm not sure what --

22 MR. MOYLE: Well, I thought in his answer he
23 talked about below the line and, you know, for some
24 reason, I just wanted to be clear whether he had
25 information or not. I mean, if -- I think the point is,

1 one, if he has information, it's relevant with respect
2 to bias, but if he doesn't have any information, you
3 know, I guess I would just ask that it be cleared up,
4 that I be permitted to ask the question.

5 ACTING CHAIRMAN EDGAR: Mr. Butler?

6 MR. BUTLER: He testified that he didn't have
7 the figure as to what the dues were is my understanding,
8 and then went on to clarify that they are recorded below
9 the line and kind of explained that's why he doesn't
10 because what he is responsible for is the amounts that
11 are in the forecast.

12 MR. MOYLE: But the point of confusion is
13 that, if he knows it's recorded below the line, he's the
14 financial guy. You know, you would think that there
15 might be information as to the amount. You know -- I
16 mean, he has the information it's below the line. He's
17 the financial guy. I just wanted to clarify that he
18 was -- I don't know. It could be 10,000, it could be
19 100,000, it could be a million.

20 MR. BUTLER: He is not generally the financial
21 guy. He is the person who is sponsoring the company's
22 financial forecast that the test year revenue request is
23 based on, and as I explained, because that's not an
24 element of the forecast, it's below it's the line. It's
25 not something that would be in, you know, his purview,

1 and so I also certainly take -- excuse me -- take
2 exception to the comment about somehow those figures
3 biassing his testimony.

4 MR. MOYLE: Briefly.

5 ACTING CHAIRMAN EDGAR: One more chance.

6 MR. MOYLE: He's the Vice-president of Finance
7 for the company. I think it's a fair question to ask
8 particularly given his distinction between above the
9 line, below the line. I'm not trying to show bias with
10 respect to this witness of it, but you know, we have a
11 party --

12 ACTING CHAIRMAN EDGAR: Although I think
13 that's what I heard you say.

14 MR. MOYLE: My bias comment was referred -- to
15 one of my brethren at this table, not with respect to
16 him. I mean, plainly we have one intervenor in this
17 case who supporting FPL's rate increase of \$1.5 billion.
18 It's a business organization. And I think it's relevant
19 and pertinent information how much they're paid in dues,
20 if he knows.

21 ACTING CHAIRMAN EDGAR: Thank you, Mr. Moyle.
22 Thank you Mr. Butler. This is the way I am going to ask
23 that we proceed. First, it's rare, but I'm going to ask
24 that the comment from Mr. Moyle about potentially
25 showing bias from the witness, whatever the exact words,

1 be struck. Secondly, I am going to ask -- allow the
2 witness to respond to the question. And, third, I'm
3 going to ask you to re-pose the question.

4 BY MR. MOYLE:

5 Q Thank you.

6 Sir, as the vice-president of finance for
7 Florida Power & Light, do you have any information as to
8 the amount of dues that Florida Power & Light pays to
9 Associated Industries of Florida or has paid?

10 A I do not know what our dues to AFI are.

11 Q And the response to that question covers --

12 A So the answer is no.

13 Q Okay. So both current and past, correct?

14 A Correct.

15 Q And presumably no information about future
16 dues as well, correct?

17 A Correct.

18 Q Thank you. Thank you.

19 You made a point in conversations with
20 Mr. McGlothlin about it being very difficult to make
21 judgments about 2011 because you don't know the nature
22 of the hoped-for and anticipated economic recovery,
23 correct?

24 A I made statements regarding his hypothetical,
25 yes.

1 Q And you would agree -- I mean, you talked
2 about new homes and inflation, and that there's a lot of
3 variables and components as to how a recovery may look;
4 correct?

5 A I believe that's what I said, yes.

6 Q And given your answer to Mr. McGlothlin,
7 wouldn't it logically also follow that, with respect to
8 making a decision about rates in 2011, that those same
9 variables would apply to an entity trying to make
10 determinations about rates in 2011?

11 A This is where I said -- well, let me first
12 answer no. This is where my comments around balance in
13 the forecast come into play. We believe we put a
14 forecast together that is balanced in terms of the
15 interplay between the major assumptions such that it
16 should be within the realm of reasonableness and
17 reliability for this commission.

18 Q In response to a question from Ms. Bradley
19 about paying three million dollars plus in dues to a
20 nuclear group, you had sort of indicated that you had to
21 belong to that group. Do you recall that?

22 A Yeah. I believe that I said that that's part
23 of being a nuclear company. I don't know exactly what
24 the requirements are, but I believe we have to be part
25 of that.

1 Q Okay. But that organization doesn't have any
2 regulatory authority over the company, does it?

3 A I don't believe so, but that's really outside
4 the scope of my testimony.

5 Q You've heard of the Nuclear Regulatory
6 Commission. That's a governmental entity, correct?

7 A Yes.

8 Q Let me direct your attention to certain
9 portions of your testimony if I could, page 6, line 6.

10 A I'm there.

11 Q You state on page 6, "The remaining
12 \$14 million reflects about 192 million related to
13 recovery of capital expenditures under the DOE Spent
14 Nuclear Fuel Settlement which was not reflected in the
15 company's budget." What 22 million in capital
16 expenditures are you referring to?

17 A First, if I could make a correction, this was
18 one of the errata that I read at the beginning. That 22
19 is 28.

20 Q Thank you.

21 A And it has to do with capital expenditures
22 related to spent fuel storage that are expected to be
23 spent in 2009.

24 Q And is this the dry cask monies that you're
25 spending to create these new places to store the spent

1 nuclear fuel rods?

2 A Yes, amongst, you know, other capital costs
3 for the handling of the fuel and such, and these are
4 covered by the settlement that we entered into with the
5 DOE.

6 Q And we'll look at that document Mr. Butler has
7 to update this, but a couple of other questions related
8 to adjustments made to your O&M. You had a \$44-million
9 reduction in expense related to Associated Electric and
10 Gas Insurance Services, Limited, environmental insurance
11 policy. Are you familiar with that?

12 A I am.

13 Q Okay. Was that a one-time reduction or a
14 recurring reduction?

15 A That was a one-time reduction.

16 Q And why do you have a one-time reduction? Was
17 that a settlement of a lawsuit, or what was going on
18 there?

19 A I believe it was thoroughly discussed with
20 Witness Ousdahl.

21 Q Well, when you put it back in your rebuttal,
22 it brings it back up. Can you briefly summarize it?

23 A This was a commutation of an insurance policy
24 that had been purchased I believe back in '98 or '99,
25 and it resulted in a reduction of expense of

1 \$44 million.

2 Q Are those monies credited back to ratepayers?

3 A They were reflected as a reduction in expense
4 in 2009, and since there were no change to rates, it did
5 not explicitly go back to ratepayers, nor was the policy
6 purchased with ratepayer money if you want to look at it
7 that way.

8 Q And your expense for -- your O&M total expense
9 for 2010 is approximately three percent higher than
10 2009, is that correct?

11 A Where are you looking at figures?

12 Q I'm on page 9, line 9. Do you see that?

13 A Yes.

14 Q And I was asking you -- approximately
15 three percent. It says 2.9 there, but I'm just trying
16 to get a sense of your relative O&M from 2009 to 2010.
17 Am I correct that it is an increase of 2.9 percent?

18 A When you make the adjustments reflected on
19 REB-23, my exhibit, yes.

20 Q And then how does the \$50-million reduction
21 that you discussed with Ms. Bradley factor into that
22 three-percent figure, if it does?

23 A It's hard to say. To the extent some of that
24 50 -- well, first of all, it lowers 2009, but -- so, to
25 the extent that it didn't impact 2010, it would make the

1 percentage a little bit higher. To the extent it makes
2 us need to spend more money in 2010, it makes it even
3 higher.

4 Q But if it's a \$50-million reduction, doesn't
5 it make the percentage lower?

6 A This percentage is going from '9 to '10. So
7 if lowers '9. The 50 million lowers '9. So it makes
8 the growth bigger.

9 Q Okay. If that 50 million came in in '10, if
10 you didn't make it in '9, then it would make it lower;
11 correct?

12 A No.

13 Q If you add \$50 million in potential savings in
14 O&M, okay, and you didn't put them in in 2009 but you
15 put them in in 2010, wouldn't that make the two
16 percent -- 2.9 percent increase lower?

17 A Okay. I follow your math now, and that's not
18 what's happening here. These are monies that will be
19 saved in 2009, not monies that would be saved in 2010.
20 In fact, some of these monies might need to be spent in
21 2010, therefore making 2010 even higher than what we
22 filed.

23 Q And isn't the point of some of this is that
24 you do have some flexibility about when you can put
25 savings in or you can make expenditures in your O&M

1 budget?

2 A There is some flexibility. Some of it is a
3 result of things that kind of happen to us, if you will,
4 things that are outside of our control, some things that
5 are inside of our control. We do have some limited
6 flexibility around moving the timing of some things,
7 but, you know, aside from that, it's not the same kind
8 of flexibility that we had in 2008 when growth just
9 basically stopped.

10 Q You are a Vice-president of Finance for
11 Florida Power & Light Company, correct?

12 A Yes.

13 Q As we sit here today, do you believe that
14 Florida Power & Light Company is fiscally sound and
15 stable?

16 A Absolutely.

17 Q Do you think it -- the same question with
18 respect -- through 2009, do you expect it to be
19 financially sound and stable through 2009?

20 A I think I'm going to ask you to define
21 "financially sound and stable" for me, if you would.

22 Q Well, how did you define it in response to my
23 previous question?

24 A Basically good bond ratings, access to
25 capital, able to fund required investments. So using

1 that definition, in 2009 I expect us to be financially
2 sound although under pretty good pressure. We're
3 expecting to earn rates of return on equity in the low
4 nines.

5 Q Well, that's why I asked the question, because
6 on page 11, line 9, you're testifying that your return
7 on equity is projected to be 9.3 percent; correct?

8 A Yes.

9 Q And a 9.3 percent return is not going to make
10 the company financially unsound in 2009, correct, given
11 your answer to my previous question?

12 A I wouldn't necessarily agree with that. I
13 think it depends on who you're asking. I think it's
14 going to be a cause of alarm for investors, particularly
15 if they expect that level of return to continue. If
16 they expect it to be a temporary blip that can be
17 remedied by this proceeding and that the receipt of
18 really required revenue increases, then I think that --
19 then it's just seen as that, a temporary blip. If it
20 were to be seen as a new expectation for returns, that's
21 a whole different ball game.

22 Q And I'm asking you because we don't have the
23 investors here, but with respect to you, you would agree
24 that a 9.3 percent -- well, never mind.

25 Let me ask you this: With respect to 2008,

1 was the company financially sound in 2008, using your
2 definition?

3 A It was financially sound although challenged
4 as we went through the credit crisis.

5 Q And the rate of return that you achieved in
6 2008 was 10.8, correct?

7 A Correct, and investors well understood that
8 that was in the middle of a rate freeze period that
9 would be coming to an end at the end of this year, and
10 so in some measure we were able to look beyond that and
11 say, you know, they're looking at the long term, how are
12 things going to be in the long term.

13 Q On page 12, you are responding -- the Hospital
14 Association's witness indicated that the O&M expense
15 forecast is wildly excessive and can't be justified in
16 these present economic circumstances, and you disagree
17 with that contention; correct?

18 A Correct.

19 Q Now, I guess you don't disagree that the
20 present economic circumstances warrant belt-tightening,
21 do you?

22 A No, I would agree with that.

23 Q Okay. And salaries are part of O&M expenses,
24 are they not?

25 A They are.

1 Q And were you here yesterday when the company
2 made a concession and reduced salaries due to the tough
3 economic times and other considerations that it might be
4 somewhat of a distraction? Were you here when that was
5 announced?

6 A I don't believe that's what happened, but what
7 I heard was that we agreed to keep executive
8 compensation flat I believe for '9, '10 and '11.

9 Q And are you aware that part of that concession
10 related to recognition of the tough economic times?

11 A Yes.

12 Q And if we are indeed in these tough economic
13 times, which I don't think there is a dispute about,
14 wouldn't it also follow that, with respect to other
15 things that the company is requesting recovery for, that
16 it would be appropriate to provide relief to ratepayers,
17 given the tough economic times, on things like return on
18 equity? You would agree with that, would you not?

19 MR. BUTLER: I'm going to object to this as
20 well beyond the scope of his rebuttal testimony. He has
21 no testimony on what the appropriate cost of equity is.

22 MR. MOYLE: He just -- I just read all his
23 return on equity portions.

24 MR. BUTLER: He was simply -- he observes in
25 his testimony what the return will be. He does not

1 testify to what the appropriate return should be. We
2 had two witnesses that covered that subject extensively.

3 ACTING CHAIRMAN EDGAR: Mr. Moyle, can you
4 rephrase?

5 BY MR. MOYLE:

6 Q Yeah, if you could just give me a minute.

7 You're responding in your rebuttal to
8 testimony of a witness who indicated that they thought
9 Florida Power & Light Company's O&M expenses were too
10 high particularly in light of the tough economic
11 circumstances, correct?

12 A Correct.

13 Q Okay. You would agree that the tough economic
14 circumstances, that fact is not limited to decisions
15 about things like O&M and salaries, correct, that that
16 -- the tough economic times is a factor that goes beyond
17 those two items?

18 A Those items are what I addressed in my
19 testimony.

20 Q Yes, sir, but you addressed other things in
21 your testimony. Can you answer my question with respect
22 to agreeing whether the tough economic times extend
23 beyond O&M?

24 A They might, yes.

25 Q I wanted to go into the portion of your

1 testimony that you talk about the symmetrical
2 forecasting. If I understand the point you're making on
3 symmetrical forecasting is is that you try not to make a
4 forecast so it's biased high or low but it's, as you
5 used the term, right down the middle of the fairway;
6 correct?

7 A Correct.

8 Q Mr. McGlothlin said it's a 50-50. Is that a
9 fair comparison as well?

10 A That's a fair qualitative assessment. It's
11 not quantitatively, statistically necessarily a normal
12 distribution where we're at the 50th percentile.

13 Q A flip of the coin is a 50-50 proposition,
14 correct?

15 A It is.

16 Q Are you aware that the vast majority of
17 commissions in the United States make rate decisions
18 based on historical information as compared to
19 forecasted information?

20 A No, I'm not aware of that.

21 MR. BUTLER: And a bit belatedly, but I'm
22 going to object to the question as assuming facts not in
23 evidence.

24 BY MR. MOYLE:

25 Q Mr. McGlothlin asked you questions about your

1 statement on line 16.

2 A Which page?

3 Q I'm sorry. It's on page 16, line 17, about
4 it's not correct to assume that a faster economic
5 recovery will necessarily significantly increase
6 earnings for the company. Do you see that?

7 A Yes.

8 Q Okay. If you assumed that you had a sales
9 growth rate of three percent, all other things being
10 equal, that would, would it not, significantly increase
11 earnings for the company?

12 A We could argue about the word "significantly,"
13 but it would increase earnings for the company.

14 Q Well, flip over if you would, because -- flip
15 over to page 21 of your testimony.

16 A I'm on there.

17 Q On line 19 you state, and I quote, "As I
18 stated in my direct testimony, for the period 1999 to
19 2006, retail sales growth averaged 2.9 percent annually.
20 Power plant additions were added primarily to meet the
21 need of a growing customer base. The growth provided
22 additional base revenues to help offset the cost of
23 power plant revenue requirements." And I guess what I
24 was trying to understand is, how in 1999 to 2006 a
25 three percent growth rate provided enough revenue where

1 you didn't need to seek any additional monies to put new
2 power plants in, but on page 16 you're suggesting that
3 an economic recovery may not necessarily significantly
4 increase earnings for the company?

5 A Those are two different statements.

6 Q And is the distinction because of the years,
7 we don't know what the recovery's going to look like?
8 How do you reconcile those two statements?

9 A First of all, you took one of two statements
10 on page 21. It never suggested that three percent
11 revenue growth in and of itself would enable us to
12 absorb new power plant additions. It goes on to say,
13 "Additionally, FPL was able to implement significant
14 productivity savings to achieve its current
15 industry-leading cost performance." And -- so it's a
16 combination of a growing top-line revenue and the
17 ability to implement some productivity savings to save
18 other base costs that enabled us to absorb those plants.
19 That's very different than saying three percent causes
20 significantly increased earnings. Those are two
21 different statements.

22 Q Well, you're going to continue going forward
23 to have these efficiencies that we've talked about,
24 correct?

25 A The efficiencies that we have been able to

1 achieve primarily over the last decade are embedded in
2 and part of our forecast. So incremental gains of that
3 same magnitude really are just not possible at this
4 point. It's kind of, you know, diminishing returns.
5 You know, once we're -- as Witness Reed will talk about
6 when he gets up here, we're about half the industry
7 average in terms of O&M -- non-fuel O&M cost per
8 customer. So that has enabled us to absorb some
9 infrastructure investments in addition to having this
10 top-line revenue growth that happened during the '99 to
11 2006 period that I referred to.

12 Q You have a background in accounting, correct?

13 A No, I do not.

14 Q In finance?

15 A Finance.

16 Q The difference between recurring and
17 non-recurring is something you're familiar with?

18 A Yes.

19 Q Would it be fair to characterize the
20 efficiencies as recurring as compared to non-recurring?

21 A Yes.

22 Q Mr. McGlothlin asked you some questions about
23 the GBRA, and is it your understanding that the GBRA, if
24 it were to be allowed, would be a limited proceeding,
25 that there would be an inability of Intervenors or

1 Public Counsel to come in and argue and say, well, wait
2 a minute, yes, they have this additional capital
3 expenditure on these power plants, but look over here,
4 the sales growth has gone up wildly. We never expected
5 this back when we were making this decision in 2009,
6 that we would have a 10-percent sales growth, and they
7 have more than enough money to address the addition of
8 the power plant similar to your testimony on line 21.
9 Is it your understanding that the GBRA mechanism would
10 not allow those arguments to be made at the point in
11 time when the company was seeking to put in service the
12 power plant that was benefitting from the GBRA?

13 A Yes, it's my understanding the GBRA would be a
14 limited-scope proceeding just focused on the GBRA, and
15 as I have said before, the GBRA in and of itself is not
16 go to go exacerbate any kind of an over-earnings
17 situation at all. In fact, if we were earning above the
18 allowed midpoint, bringing an asset in at the midpoint
19 kind of brings down an overall over-earning situation.

20 MR. MOYLE: Madam Chair, that is just about it
21 for me with the caveat about the document that was
22 referenced at the start. You know, I'd like to be able
23 to look at that, and whether we want to take a break now
24 or whether it would be permitted for me to look at it
25 over lunch and come back on that document, however --

1 whatever the preference is.

2 ACTING CHAIRMAN EDGAR: Well, you probably
3 were reading my mind because I was going to next ask, as
4 I have sometimes, Mr. Wright, if you could give me just
5 an approximate idea. Do you have questions for this
6 witness and, if so, a time, roughly?

7 MR. WRIGHT: Thank you for asking, Madam
8 Chairman. I do have questions for this witness. You
9 know, depending on the nuances and the length of
10 responses, you know, it could be as little as less than
11 15 minutes or more than half an hour. I don't think it
12 would hit 45 minutes, but I do have some questions at
13 that order of magnitude anyway.

14 ACTING CHAIRMAN EDGAR: Thank you. And
15 Mr. Wiseman.

16 MR. WISEMAN: Your Honor, I'm not going to
17 have any questions of this witness.

18 ACTING CHAIRMAN EDGAR: And what about staff,
19 do we have -- or -- do we? Do you have questions for
20 this witness?

21 MS. WILLIAMS: I do have questions but it's
22 probably under five minutes.

23 ACTING CHAIRMAN EDGAR: Okay. Then let's --
24 at this point, we've been going for about three hours,
25 so let's take a 15-minute break and come back in the --

1 between quarter to and ten to, give the witness and the
2 rest of us a short stretch.

3 Mr. Moyle, I would ask, if you can use that
4 time to look over this document, and then we'll see if
5 that gives you the time that you need.

6 MR. MOYLE: Thank you.

7 ACTING CHAIRMAN EDGAR: Thank you. We are on
8 recess.

9 (Recess.)

10 ACTING CHAIRMAN EDGAR: Let's go ahead and
11 gather together again and see where we are. Did I lose
12 Mr. Wright? Oh, he's coming.

13 Mr. Moyle, let's begin with you. I think
14 that, when we took a short break, you were going to
15 review the document that had been passed out previously,
16 Late-filed Exhibit No. 419.

17 MR. MOYLE: Yeah. I didn't know that we put a
18 number on it, but --

19 ACTING CHAIRMAN EDGAR: That's the number.

20 MR. MOYLE: Oh, it is, okay.

21 MR. BUTLER: Madam Chairman, to avoid
22 confusion, I don't think so. We handed out 419 --

23 ACTING CHAIRMAN EDGAR: Okay. Please clarify
24 it for me, then. Sorry.

25 MR. BUTLER: Sorry. We handed out 419 at the

1 beginning of Mr. Barrett's testimony, but then in
2 response to a question, an exchange between Mr. Moyle
3 and Mr. Barrett regarding the update to the REB-21, I
4 said we had a version that was available. I gave
5 Mr. Moyle a copy of that, and I think that's what he's
6 been looking at.

7 ACTING CHAIRMAN EDGAR: Okay. Thank you for
8 that clarification.

9 MR. MOYLE: Okay. And thanks, Mr. Butler, for
10 providing it. I've looked at it. I don't intend to ask
11 questions about it or offer it, so I think it's a moot
12 point, and provided no other party is going to -- I
13 don't think anybody's going to do that, so I think I'm
14 finished with my cross, and thank you for the
15 opportunity to look at this.

16 ACTING CHAIRMAN EDGAR: Okay. And that does
17 include the other version that was -- well, the 419 as
18 well because I thought, Mr. Moyle, when that was passed
19 out, that you had asked also if you -- I think we're
20 saying the same thing. You're done with this witness,
21 correct?

22 MR. MOYLE: Yes.

23 ACTING CHAIRMAN EDGAR: Okay. That works for
24 me. Okay.

25 MS. WILLIAMS: I do want to note that staff

1 will want to enter this into the record, the update to
2 REB-21. I want to put that out there now.

3 ACTING CHAIRMAN EDGAR: Mr. Moyle, does that
4 change your circumstances?

5 MR. MOYLE: It does. Thank you.

6 ACTING CHAIRMAN EDGAR: Yeah, thank you for
7 jumping in there. It was the appropriate time.

8 MR. MOYLE: Could I have just a minute?

9 ACTING CHAIRMAN EDGAR: You may.

10 MR. BUTLER: Madam Chairman?

11 ACTING CHAIRMAN EDGAR: Mr. Butler.

12 MR. BUTLER: While Mr. Moyle is conferring,
13 let me note something else just to complicate things
14 slightly.

15 ACTING CHAIRMAN EDGAR: Lovely. Go right
16 ahead.

17 MR. BUTLER: I don't know if anybody is
18 interested in having -- I just want to be sure that
19 people are aware, REB-21 has a counterpart for capital
20 which is REB-22. Both of them in Mr. Barrett's
21 testimony are based on actuals through April, and the
22 point of this exhibit or this document that we had
23 handed Mr. Moyle and he is considering now what he wants
24 to ask concerning it has to do with an update to the O&M
25 expenses. We have also an update to the capital, and I

1 just -- I didn't want it to be something that it comes
2 up only right near the very end. If anybody wants to
3 see it, we're certainly happy to distribute it. If no
4 one does, we're happy to just leave it be as well.

5 ACTING CHAIRMAN EDGAR: Thank you.

6 Ms. Williams?

7 MS. WILLIAMS: It sounds like staff wants that
8 as well.

9 ACTING CHAIRMAN EDGAR: What's the best way to
10 proceed?

11 MS. WILLIAMS: Could we have Mr. Butler pass
12 that update out around to the parties and then decide
13 what to do from there?

14 ACTING CHAIRMAN EDGAR: Okay.

15 MR. BUTLER: And I will just at this point
16 also pass out to all of the parties the REB-21 update.
17 I had given it to particular parties who wanted it, but
18 just to be sure everybody does --

19 COMMISSIONER EDGAR: Okay. Well, let's go
20 ahead and distribute two -- my understanding, two
21 documents, updated versions of two of the exhibits for
22 this witness. We'll go ahead and distribute them. We
23 can mark them at this time and then see what's next.

24 Yes, Mr. Moyle.

25 MR. MOYLE: I need a minute to confer with

1 Mr. Wright. I'm a little hesitant because, you know,
2 this sort of just came about as the result of a question
3 that was asked by the Attorney General, and, you know,
4 we've worked hard to try to not allow a bunch of
5 supplemental stuff coming in, and if it's coming in --
6 we haven't really had time to digest it, and I think I'm
7 okay if everything comes in across the board, but to,
8 you know, sort of selectively put in some stuff without
9 updating everything, then I think we're going down a
10 road that's going to be difficult.

11 ACTING CHAIRMAN EDGAR: Well, it is always --
12 I think for all of us, certainly for me anyway, only to
13 speak for myself, one of those conundrums: Do we have a
14 desire for updated, most-current information and
15 certainly a recognition that at some point we are at a
16 moment in time. So case-by-case is generally the way I
17 think is the best way to deal with this.

18 Commissioner Skop.

19 COMMISSIONER SKOP: Thank you, Madam Chair. I
20 guess typically we've been breaking for lunch about this
21 time. I do have an appointment I need to go to. It
22 might be beneficial -- if the parties need time to
23 confer, perhaps this might be near a good breaking
24 point. I would just ask that, if it would be possible
25 if we could reconvene at 2:45. Given the fact that

1 there are only three of us participating today, I'd
2 greatly appreciate that consideration.

3 ACTING CHAIRMAN EDGAR: I was kind of hopeful
4 that we could finish with this witness before lunch, but
5 realizing that we do have a number of questions that
6 have come up, and, Commissioner, we always try to
7 accommodate as many schedules as we possibly can.

8 So let's figure out where we are with these
9 documents and what is the best way to proceed, and then
10 maybe we can go to lunch. I know that I could use some
11 food.

12 Okay. So these have been passed out. I
13 believe everybody has them. Mr. Butler, will you please
14 one more time briefly describe what we have before us?

15 MR. BUTLER: Certainly. I'll start with the
16 first one which says at the top of it, "2009 O&M
17 Variances to Budget," and I guess if we are marking --

18 ACTING CHAIRMAN EDGAR: Well, that is my
19 thinking. Let me look to -- does that raise -- give
20 massive heartburn to anybody?

21 I'm hearing no, so -- oh, Ms. Williams.

22 MS. WILLIAMS: I think what we wanted to do is
23 give staff an opportunity to review it and make sure
24 that they do in fact need it. If they end up deciding
25 they don't want it in, we don't need to mark it. So if

1 we could wait until after lunch and just have him
2 describe it now and then we could mark them later if
3 need be.

4 MR. BUTLER: That's fine with me. Sometimes
5 the number helps avoiding having to remember what it was
6 referring to, but if you'd rather wait till after lunch
7 to mark it, it's fine. I'll just tell you what they are
8 and we can --

9 ACTING CHAIRMAN EDGAR: Why don't you describe
10 so that we all have it, and then we will, excuse me, go
11 on lunch break and take it up when we come back.

12 Mr. Butler.

13 MR. BUTLER: Thank you. In any event, the
14 document titled "2009 O&M Variances to Budget" is the
15 same form of exhibit as what is in Mr. Barrett's
16 rebuttal testimony at REB-21, and it shows the variance,
17 the difference from what had been projected in the
18 forecasts that are part of -- I'm sorry -- that were
19 budgeted for 2009 of the actual expenditures and the
20 projected remaining year expenditures, but, whereas in
21 the case of the document in the original testimony the
22 actuals ran only through April, the actuals now run
23 through August, and then it's a re-projection for
24 September through December, and it shows the total
25 variances line of \$51 million, meaning that the current

1 expectation is to spend \$51 million less than had been
2 originally budgeted. And then the second document is
3 entitled "2009 Capital Budget --" or "Capital Variances
4 to Budget," and it follows essentially the same format
5 and is updated for the same purpose of reflecting
6 actuals through August instead of through April.

7 ACTING CHAIRMAN EDGAR: And that is the update
8 to REB --

9 MR. BUTLER: 22.

10 ACTING CHAIRMAN EDGAR: -- 22. Thank you.

11 Okay. Any questions about any of that while
12 we're all together?

13 Hearing none, okay. Then what I would ask is,
14 while we are on lunch break, at a minimum, Mr. Moyle and
15 Mr. Butler and Ms. Williams maybe get together and talk
16 about this. All other parties are, of course, invited
17 to join at your pleasure. And per Commissioner Skop's
18 request, we will come back at 2:45 to begin again with
19 this witness, and we are on lunch break.

20 (The transcript continues in sequence with
21 Volume 45.)

1 CERTIFICATE OF REPORTER

2 STATE OF FLORIDA)

3 COUNTY OF LEON)

4 I, RAY D. CONVERY, do hereby certify that I was
5 authorized to and did stenographically report the
6 foregoing proceedings at the time and place herein
7 stated.

8 IT IS FURTHER CERTIFIED that the foregoing
9 transcript is a true record of my stenographic notes.

10 I FURTHER CERTIFY that I am not a relative,
11 employee, attorney, or counsel of any of the parties,
12 nor am I a relative or employee of any of the parties'
13 attorney or counsel connected with the action, nor am I
14 financially interested in the action.

15 DATED this 27th day of October, 2009, at
16 Tallahassee, Leon County, Florida.

17
18
19
20 

21 _____
22 RAY D. CONVERY