


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

PETITION FOR INCREASE IN RATES DOCKET NO. 080677-EI
BY FLORIDA POWER & LIGHT COMPANY.

2009 DEPRECIATION AND DISMANTLEMENT DOCKET NO. 090130-EI
STUDY BY FLORIDA POWER & LIGHT
COMPANY.



VOLUME 49

Pages 6551 through 6831

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS:	HEARING
COMMISSIONERS PARTICIPATING:	CHAIRMAN MATTHEW M. CARTER, II COMMISSIONER LISA POLAK EDGAR COMMISSIONER NANCY ARGENZIANO COMMISSIONER NATHAN A. SKOP
DATE:	Friday, October 23, 2009
TIME:	Commenced at 9:30 a.m. Concluded at 9:45 p.m.
PLACE:	Betty Easley Conference Center Room 148 4075 Esplanade Way Tallahassee, Florida
REPORTED BY:	JANE FAUROT, RPR (850) 413-6732
PARTICIPATING:	(As heretofore noted.)

DOCUMENT NUMBER - DATE

10926 OCT28 09

FPSC-COMMISSION CLERK

I N D E X

WITNESSES

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NAME:

PAGE NO.

John J. Reed

Direct Examination by Mr. Anderson	6556
Prefiled Direct Testimony Inserted	6559
Prefiled Rebuttal Testimony Inserted	6597
Cross-Examination by Mr. Moyle	6621
Cross-Examination by Mr. Wright	6635
Redirect Examination by Mr. Anderson	6655

Terry Deason

Direct Examination by Mr. Butler	6668
Prefiled Rebuttal Testimony Inserted	6671
Cross-Examination by Mr. Wiseman	6708
Cross-Examination by Mr. McGlothlin	6719
Cross-Examination by Ms. Bradley	6764
Cross-Examination by Mr. Moyle	6769
Cross-Examination by Mr. Wright	6795
Redirect Examination by Mr. Butler	6811

EXHIBITS

1	EXHIBITS		
2	NUMBER:	ID.	ADMTD.
3	537 Historic Test Year versus Forecasted Test Year	6624	6662
4	538 Miami Herald Article Re 2-26-2008 Blackout	6642	6662
6	168 - 179		6661
7	381		6661
8	382		6812
9	Staff's Exhibits admitted		6814-6815 6822
11	539 Transcript, Special		
12	Agenda Conference		6813
13	540 CD, FPL's Response to OPC's Second POD, Number 4.	6817	6817
15	541 FPL's Response to OPC's Number 69 Interrogatory	6817	6817
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(For pagination, Page 6554 left blank.)

P R O C E E D I N G S

1
2 (Transcript follows in sequence from
3 Volume 48.)

4 **CHAIRMAN CARTER:** Call your next witness.

5 **MR. BUTLER:** That would be Mr. Reed.

6 **CHAIRMAN CARTER:** Mr. Reed. Okay.

7 **MR. MOYLE:** Mr. Chair, could we have a couple
8 of minutes?

9 **CHAIRMAN CARTER:** Yes. Let's do this -- also,
10 too, guys, is that you all know, about how the doors,
11 they do the automatic lock. We should have air
12 conditioning, but the doors are going to could do their
13 normal things, stretch break and a necessary room break.
14 We will come back at 15 after.

15 (Recess.)

16 **CHAIRMAN CARTER:** We are back on the record,
17 and when we last left, you were calling your next
18 witness.

19 Mr. Anderson, you're recognized.

20 **MR. ANDERSON:** Thank you, Chairman Carter.
21 FPL calls as its witness Mr. John Reed.

22 JOHN REED

23 was called as a witness on behalf of Florida Power and
24 Light Company, and having been duly sworn, testified as
25 follows:

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. ANDERSON:

Q. Mr. Reed, have you been sworn?

A. Yes, I have.

Q. Would you tell us your name and your business address?

A. John Reed. My business address is 293 Boston Post Road, Marlboro, Massachusetts.

Q. By whom are you employed and in what capacity?

A. I am the Chairman and Chief Executive Officer of Concentric Energy Advisors.

Q. Have you prepared and caused to be filed 38 pages of prefiled direct testimony in this proceeding?

A. Yes, I have.

Q. Do you have any changes or revisions to your prefiled direct testimony?

A. No, I do not.

Q. If I asked you the same questions contained in your direct testimony, would your answers be the same?

A. Yes, they would.

MR. ANDERSON: Chairman Carter, FPL asks that the prefiled direct testimony of the witness be inserted into the record as though read.

CHAIRMAN CARTER: The prefiled testimony of the witness will be inserted into the record as though

1 read.

2 **BY MR. ANDERSON:**

3 Q. You are sponsoring exhibits to your direct
4 testimony?

5 A. Yes, I am.

6 Q. These are JJR-1 through 12?

7 A. That's correct.

8 **MR. ANDERSON:** Mr. Chairman, I would note that
9 these exhibits have been premarked in the staff
10 composite exhibit list as Exhibits 168 through 179.

11 **CHAIRMAN CARTER:** 168. Hang on one second,
12 Mr. Anderson.

13 **MR. ANDERSON:** Thank you.

14 **CHAIRMAN CARTER:** 168 through 179.

15 Commissioners, that is on Page 27.

16 Mr. Anderson, you may proceed.

17 **BY MR. ANDERSON:**

18 Q. Have you prepared and caused to be filed
19 20 pages of prefiled rebuttal testimony in this
20 proceeding?

21 A. Yes, I have.

22 Q. Do you have any changes or revisions to your
23 prefiled rebuttal testimony?

24 A. No.

25 Q. If I asked you the same questions contained in

1 your prefiled rebuttal testimony, would your answers be
2 the same?

3 A. Yes, they would be.

4 MR. ANDERSON: FPL asks that the prefiled
5 rebuttal testimony be inserted into the record as though
6 read.

7 CHAIRMAN CARTER: The prefiled testimony of
8 the witness will be inserted into the record as though
9 read.

10 BY MR. ANDERSON:

11 Q. You have one exhibit to your rebuttal
12 testimony?

13 A. I do.

14 Q. That is JJR-13?

15 A. Correct.

16 MR. ANDERSON: Chairman Carter, that has been
17 premarked as Exhibit 381 on staff's composite exhibit
18 list.

19 CHAIRMAN CARTER: Commissioners, that is Page
20 43, Exhibit Number 381.

21 You may proceed, Mr. Anderson.
22
23
24
25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**
2 **FLORIDA POWER & LIGHT COMPANY**
3 **DIRECT TESTIMONY OF JOHN J. REED**
4 **DOCKET NO. 080677-EI**

5
6 **Q. Please state your name and business address.**

7 A. My name is John J. Reed. My business address is 293 Boston Post Road West,
8 Suite 500, Marlborough, Massachusetts 01752.

9 **Q. By whom are you employed and what is your position?**

10 A. I am the Chairman and Chief Executive Officer of Concentric Energy Advisors,
11 Inc. ("Concentric").

12 **Q. Please describe your duties and responsibilities in that position.**

13 A. Concentric is an economic advisory and management consulting firm,
14 headquartered in Marlborough, Massachusetts, which provides economic and
15 financial services related to the energy industry.

16 **Q. Please describe your background and professional experience.**

17 A. I have more than 30 years of experience in the energy industry, having served as
18 an executive in energy consulting firms, including the position of Co-Chief
19 Executive Officer of the largest publicly-traded management consulting firm in
20 the U.S., and as Chief Economist for the largest gas utility in the U.S. I have
21 provided expert testimony on a wide variety of economic and financial issues

1 related to the energy and utility industry on numerous occasions before
2 administrative agencies, utility commissions, courts, arbitration panels, and
3 elected bodies across North America. A copy of my Curriculum Vitae is included
4 as Exhibit JJR-1. A list of prior proceedings in which I have provided testimony
5 is included as Exhibit JJR-2.

6 **Q. Are you sponsoring any exhibits in this case?**

7 A. Yes. I am sponsoring the following exhibits:

- 8 • JJR-1: Curriculum Vitae
- 9 • JJR-2: Testimony List
- 10 • JJR-3: Situational Assessment Rankings
- 11 • JJR-4: Productive Efficiency Rankings
- 12 • JJR-5: Operational Metrics Rankings
- 13 • JJR-6: Benchmarking Workpapers
- 14 • JJR-7: FPL 2007 Assessment and Efficiency Tables
- 15 • JJR-8: FPL 2007 Combined Rankings
- 16 • JJR-9: 2007 Greenhouse Gas Emissions Comparison
- 17 • JJR-10: Consumer Price Index and Producer Price Index
- 18 • JJR-11: Average Weekly Earnings – Electric Utility Employees
- 19 • JJR-12: Utility Construction Costs

20 **Q. Are you sponsoring or co-sponsoring any Minimum Filing Requirements in**
21 **this case?**

22 A. No, I am not.

I. TESTIMONY OVERVIEW AND SUMMARY

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

Q. What is the purpose of your testimony in this proceeding?

A. I have been asked by Florida Power & Light Company (“FPL” or the “Company”) to conduct an analysis of FPL’s operational and financial performance over the past few years through the use of a benchmarking study, and to comment on how the results of that benchmarking study may be incorporated into this rate case. I have also been asked to review the macroeconomic and service area economic drivers that have contributed to FPL’s requested rate increase. In addition, I have been asked to review the benchmarking efforts conducted by FPL witnesses and comment on the accuracy and fairness of their analyses.

Finally, I have been asked to opine on the appropriate use of the Test Year upon which FPL should set base rates.

Q. How is your testimony organized?

A. After this overview and summary, my testimony is presented in the following sections:

II. Benchmarking Approach

III. Benchmarking Results

IV. Regulatory Construct and Policy Overview

V. Economic Drivers of FPL’s Requested Rate Increase

1 VI. Appropriate Test Year For New Rates

2 VII. Conclusion

3 **Q. Please summarize your testimony.**

4 A. My review of FPL's performance has demonstrated that the Company has out-
5 performed similarly sized companies across an array of financial and operational
6 metrics. The Company has achieved this result in spite of the fact that it is
7 somewhat disadvantaged by the exogenous factors that are known to have an
8 impact on efficiency, as shown in the situational assessment metrics contained in
9 Exhibit JJR-3. FPL's customer base consists of a high percentage of residential
10 customers with low usage, its sales volume has been decreasing in the past year
11 and is expected to continue this trend due to Florida's economic downturn, and its
12 infrastructure is aging. In addition, the state's emerging energy policies will
13 likely place future cost pressures on FPL to continue to reduce harmful air
14 emissions and improve the efficiency of its generation fleet.

15

16 In terms of productive efficiency, FPL is one of the top performers among
17 comparable companies, as shown in metrics contained in Exhibit JJR-4. FPL has
18 ranked in the top quartile of the 28 companies in the Straight Electric Group for
19 nine out of the past 10 years. In terms of operation and maintenance expenses
20 specifically, FPL has ranked in the top quartile among comparable companies and
21 first among regional utilities over the past 10 years. On individual metrics where
22 FPL has not been a top performer, the characteristics of FPL's service area and

1 recent economic factors explain much or all of the underperformance. It is
2 important to note that FPL's cost trends have improved over the past 10 years
3 relative to its industry peers, even while undertaking significant expenditures to
4 decrease the impact of its operations on the environment, in support of the state's
5 emerging clean energy policy.

6
7 It is important to note that FPL's high level of productive efficiency has not been
8 achieved at the expense of customer service or system reliability, as shown in
9 metrics contained in Exhibit JJR-5. FPL is, and has been, a top decile performer
10 in controlling the duration of its transmission and distribution system outages, and
11 has consistently achieved above-average performance on the frequency of
12 interruptions. Furthermore, FPL has been and remains a very strong performer on
13 customer service quality and customer satisfaction measures.

14
15 FPL's commitment to reducing the environmental impact of its operations begins
16 with a clean and efficient generation fleet. Due to its low-carbon fuel mix, FPL is
17 recognized as a clean-energy company, with one of the lowest carbon emissions
18 profiles among major U.S. utilities. The company's fossil generation fleet
19 performance continues to be in the top decile among comparable companies in
20 every year in terms of availability and forced outages. Its nuclear generation
21 fleet, despite operational challenges in recent years, has continued to be a critical

1 factor in FPL's ability to achieve its favorable air emissions profile and its
2 capacity to support its commitment to environmental stewardship.

3
4 The benefits of FPL's strong performance in terms of financial and operational
5 metrics are substantial. For 2007 alone, if FPL had been merely an average
6 performer among the 28 straight electric companies, its non-fuel operation and
7 maintenance costs charged to customers would have been between \$700 million
8 and \$1.3 billion higher than its actual costs.

9 **Q. How should these results be incorporated into the ratemaking process?**

10 A. It is appropriate to consider the Company's productive efficiency, service quality,
11 and responsiveness to state policies in setting the allowed return on equity in this
12 proceeding. The customer benefits from FPL's superior performance are clear
13 and substantial. The cost differential at issue within the reasonable range of cost
14 of equity estimates is relatively small compared to the value of the customer
15 benefits produced by FPL's superior performance. It is consistent with both cost-
16 based regulation and the long-standing latitude of regulators to recognize low-cost
17 efficient service in setting an appropriate return. Based on my benchmarking
18 results and the economic requirements necessary to maintain FPL's outstanding
19 quality of service, I urge the Florida Public Service Commission ("FPSC" or
20 "Commission") to authorize an ROE of 12.5 percent as supported by the
21 testimony of FPL witness Pimentel.

II. BENCHMARKING APPROACH

1

2

3 **Q. Please describe your approach to benchmarking the Company's**
4 **performance.**

5 A. Providing reliable and reasonably-priced electric service involves a complex array
6 of infrastructure, general corporate services, customer services and financial
7 resources. Assessing whether a particular company has successfully achieved
8 both its service and cost obligations involves an evaluation of its productive
9 efficiency and its service quality. Productive efficiency is best measured on a
10 relative basis. I have measured FPL's productive efficiency against three
11 different peer groups of companies to evaluate its relative performance in specific
12 years, and across time to capture the trend in its performance. In addition, one
13 must ascertain whether any cost improvements that may have been achieved were
14 done at the expense of reducing customer service or reliability. These measures
15 are considered separately from productive efficiency. One final element to
16 consider is a company's responsiveness to regulatory and environmental policy
17 objectives in the states in which it operates. I have considered all of these aspects
18 of FPL's performance and, where possible, measured and quantified the
19 associated customer benefit.

1 **Q. In general, what steps did you take in constructing your benchmarking**
2 **analysis?**

3 A. The first two steps of the benchmarking analysis were to define the timeframe
4 over which the analysis was to be performed, and develop the composition of the
5 peer groups used to compare to FPL. The third step was to define the operational,
6 financial and reliability/service quality metrics that were to be used in the
7 benchmarking. Finally, in recognition of the significantly different service area
8 characteristics that the different peer group members face, and the consequently
9 different performance challenges created by these service area characteristics, I
10 developed a situational assessment ranking which reflects the “degree of
11 difficulty” that each peer group member faces in seeking to maximize its
12 productive efficiency.

13 **Q. What time frame did you use for your benchmarking analysis?**

14 A. In general, I used the most recent 10 years of data for both the situational
15 assessment and the performance metrics. These are the years 1998 through 2007.
16 In some cases, such as for generating unit performance and reliability measures,
17 data was only available for the most recent five years.

18 **Q. Please describe the process you used to develop these benchmarks.**

19 A. I developed merit order benchmarking results for both the operational and
20 economic performance of the companies in the comparables groups. These
21 generally measure the level of cost input per unit of “output,” such as customer
22 service expense per customer, or operations and maintenance (O&M) expense per

1 megawatt-hour (MWh) sold. These cost diagnostics are presented individually by
2 rank or merit order, with the lowest cost per unit of output being ranked number
3 one. In order to develop an "overall" assessment based on rank order, I took an
4 average of all the rank order values and developed a merit order based on those
5 averages. This approach shows FPL's relative overall merit order. In addition, I
6 conducted a "situational assessment" which used the same method to rank the
7 level of challenges to performance that different companies face in order to put
8 the benchmarking results in context.

9 **Q. How did you select the companies to include in your benchmarking peer**
10 **groups?**

11 A. My objective in determining the sample set of electric utility companies was to
12 achieve the largest group for which consistent data were available and which was,
13 broadly speaking, operationally similar to FPL. Since FPL is a large electric-
14 only utility with ownership in generating resources, I established a group of
15 companies with electric-only utility operations who have at least 500,000
16 customers and own generating resources. I refer to this group of 27 comparable
17 companies as the "Straight Electric Group." I also wanted to perform a
18 comparison to other investor-owned electric utilities subject to the same
19 jurisdictional authority. This "Regional Group" includes Progress Energy
20 Florida, Gulf Power Company and Tampa Electric Company. Finally, I also
21 looked at other large utility companies. These include companies with electric
22 operations and at least two million electric customers, yielding a group of six

1 companies I refer to as the "Large Utility Group." American Electric Power
2 Company, Incorporated met the screening criteria. However, due to its substantial
3 operations in the Texas ERCOT market, and ERCOT's competitive
4 retail/customer choice market structure, reported data did not permit meaningful
5 comparisons to companies outside of ERCOT. The composition of each of my
6 comparable groups is shown in Exhibit JJR-6, page 2 of 47.

7 **Q. Why did you focus on number of customers as a key measure for refining**
8 **your comparable groups?**

9 A. The purpose of this benchmarking analysis is to develop a meaningful comparison
10 of FPL's costs and economic metrics that are indicative of utility performance.
11 Many of the challenges and opportunities for a company are a function of its size.
12 Since my focus is on controllable economic efficiencies, size is an important
13 attribute and a utility's size tends to vary most directly as a function of the
14 number of customers it serves.

15 **Q. How did you conduct your situational assessment, and what is the purpose of**
16 **this analysis?**

17 A. Drawing comparisons through the use of benchmarking is inherently difficult
18 because no two utility companies face the same set of circumstances in terms of
19 service area economic factors, and because utilities have an obligation to serve all
20 customers within their service area. The purpose of a situational assessment is to
21 recognize that the cost advantages or disadvantages that many utilities face are the
22 product of circumstances beyond their control. For example, utilities with faster

1 growing service territories, with a more dispersed service territory, with no
2 indigenous fuel supplies, that have a higher proportion of low load factor, smaller
3 residential customers, and that are more transmission dependent all face greater
4 cost challenges than do utilities without these characteristics.

5

6 My situational assessment examines these factors, which are then used to place a
7 utility's cost performance in the context of the market it serves. Often, a utility's
8 above-average or below-average performance on a single performance metric can
9 be explained by the results of the situational assessment.

10 **Q. What data sources did you rely on for the benchmarks you are presenting?**

11 A. For the benchmarking analysis, I compiled data from various sources to provide
12 sufficient metrics to assess FPL's overall performance relative to the comparable
13 groups. For most data, I relied upon FERC Form 1 reports (as reported by SNL
14 Financial). For supplemental metrics related to FPL's operational performance, I
15 was able to review data from the North American Electric Reliability Corporation
16 (NERC), Edison Electric Institute (EEI), and Institute of Nuclear Power
17 Operations (INPO).

III. BENCHMARKING RESULTS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

Q. Please begin by describing the results of your situational assessment.

A. The results of this assessment are provided in Exhibit JJR-3, pages one through 10. This exhibit shows the rank order of each of the companies, in each of the comparison groups, for each metric, as well as an overall score in the far right column based on the average rank. These metrics generally provide insight regarding the operational challenges that the various companies face that could be expected to adversely affect cost. In this situational assessment, a ranking of one indicates the company with the highest level of challenge related to economic efficiency for a particular measure. The situational assessment helps to explain the challenges a utility company faces in keeping costs low.

Q. Would you please identify the exogenous factors you assessed and describe how FPL was challenged by each one?

A. I looked at eight different factors from publicly reported statistical sources that indicate challenges to operational performance. The results are presented in Exhibit JJR-3, pages one through 10 and the following is a summary of each metric:

- **Percent Sales Residential:** More than half of FPL's sales by volume are sales to residential customers. FPL has a greater proportion of residential sales than any other company in any of the comparable groups in any year. Residential customers are more expensive to serve

1 than commercial and industrial customers, and utilities with a higher
2 proportion of residential customers tend to have higher costs and
3 higher rates.

4 ● **Percent Sales Other:** Other sales represent all sales other than sales to
5 residential, commercial, and industrial customers. This category
6 includes Sales for Resale. Sales for Resale present the lowest cost per
7 unit for a utility company. FPL, with a very low volume of other
8 sales, is the most challenged in the Regional Group and the Large
9 Utility Group each year, and the most or second-most challenged in
10 the Straight Electric Group each year.

11 ● **Use per Customer:** Use per customer measures the average volume of
12 sales for each customer. Since many of the costs of serving an
13 individual customer do not vary with the level of consumption, utilities
14 with lower use per customer levels tend to be higher cost operations.
15 FPL is consistently the most challenged in the Regional Group, having
16 the lowest use per customer each year. In the Large Utility Group,
17 FPL is either the most or second-most challenged each year. In the
18 Straight Electric Group, FPL has the second or third lowest use per
19 customer each year.

20 ● **Change in Customers (%):** Increases or decreases (in percentage
21 terms) in the number of customers create challenges in terms of
22 managing capital expenditures, plant utilization and fixed cost

1 amortization. FPL's customer growth rate has always placed it in the
2 top half of the Straight Electric Group, and it is often in the top
3 quartile in terms of the challenge represented by this metric.

4 • Change in Sales Volume (Rolling Five Year Growth): Like changes in
5 customer base, dramatic shifts in sales volume pose challenges to any
6 company. FPL has been challenged by more dramatic changes in sales
7 volume as compared to both the Regional Group and Large Utility
8 Group. When measured on a rolling five year basis, FPL's change in
9 sales volume has placed it as most challenged in the Regional Group in
10 six out of the last seven years and most challenged in the Large Utility
11 Group in five out of the last seven years.

12 • Percent Generation Nuclear: The costs for nuclear generation are
13 comparatively higher than coal-fired, oil-fired, gas-fired and
14 hydroelectric generating resources. FPL has a higher percentage of its
15 generation produced by nuclear resources than its peers in any of the
16 comparison groups. FPL is ranked first in every year in terms of
17 percentage nuclear generation in the Regional Group and in the top
18 half in the Straight Electric and Large Utility Groups. This places
19 significant pressure on FPL's cost structure and its ability to maintain
20 competitive rates relative to its peers in the region.

21 • Energy Losses: Energy losses are a product of the transmission and
22 distribution infrastructure through which the energy is transmitted.

1 Electric utilities which are more transmission dependent experience
2 higher losses than utilities which are able to site generation closer to
3 load centers. This metric represents a significant challenge for FPL.
4 FPL is consistently the most challenged in the Regional Group, and
5 either the most, or second most challenged each year in the Large
6 Utility Group. In the Straight Electric Group, FPL is in the most
7 challenged quartile each year.

- 8 • Accumulated Provision for Depreciation as a Percent of Gross Plant:
9 This metric is a reasonable proxy for the age of a utility's asset base.
10 Utilities with a higher proportion of accumulated depreciation to gross
11 plant are systems which tend to be older. The higher this proportion is
12 the more challenged a utility will be in terms of the need for
13 maintenance and capital expenditures. FPL is consistently in the most
14 challenged quartile on this metric, and consequently faces greater
15 capital expenditure requirements.

16
17 The detailed results of the situational assessment are presented in Exhibit JJR-6,
18 pages five through 13.

19 **Q. How would you summarize the situational assessment?**

20 A. It is important to keep the situational assessment in context. I offer these metrics
21 as a means of "getting the lay of the land" in understanding the productive
22 efficiency metrics. This is not a perfect means of capturing all of the challenges

1 or advantages of the companies in the comparables groups, but represents a
2 reasonable cross-section of publicly available measures of a utility's operating
3 environment. While only a high-level snapshot, these data indicate that FPL is
4 consistently one of the three most "challenged" companies within the comparison
5 groups, as the results for 2007 show in Exhibit JJR-7.

6 **Q. In general, what are the results of your productive efficiency benchmarking**
7 **analysis?**

8 A. I have utilized 21 productive efficiency metrics which I combined to create 11
9 benchmark metrics against which to compare FPL's performance to the three
10 different peer groups, across the 10-year study period. Exhibit JJR-4, pages one
11 through 10, present the merit order rankings for each company, on each metric,
12 for each year. The underlying values for the productive efficiency metrics are
13 provided on pages 14 through 35 of Exhibit JJR-6.

14
15 The "high-level" conclusions that I have drawn from this analysis are:

- 16 • FPL has ranked in the top quartile of the 28 companies in the Straight
17 Electric Group in every year for the past 10 years and in the top decile
18 for the past six years.
- 19 • FPL has ranked as the top (out of four) regional utility in every one of
20 the past 10 years.
- 21 • FPL has ranked as the top large utility (out of seven) in every one of
22 the past 10 years.

- 1 • On the individual metrics where FPL has not been a top performer, the
2 characteristics of FPL's service area and recent economic drivers
3 explain much or all of the underperformance.
- 4 • FPL's cost trends have improved over the past 10 years relative to its
5 industry peers, with the exception of system-average fuel costs. The
6 addition of new nuclear capacity as described by FPL witness Stall and
7 new renewable capacity as described by FPL witness Bennett will help
8 to lower system-average fuel costs.

9 **Q. What metrics did you use to assess FPL's performance?**

10 A. FPL's performance was measured across a variety of expense categories. I
11 included high-level measures, such as total non-fuel O&M expenses, as well as
12 various subcategories. These subcategories include:

- 13 • Non-Fuel Production O&M expenses
- 14 • Transmission O&M expenses
- 15 • Distribution O&M expenses
- 16 • Administrative and General (A&G) expenses
- 17 • Customer expenses
- 18 • Uncollectible expenses

19

20 In addition, I looked at performance metrics outside of O&M expenses to measure
21 corporate performance. These metrics include:

- 22 • Days sales outstanding

- 1 ● Labor Efficiency
- 2 ● Gross asset base
- 3 ● Additions to plant relative to customer growth

4

5 To ensure that FPL's performance on cost metrics did not occur at the cost of
6 lower reliability or safety, I also compiled a variety of metrics to measure FPL's
7 operational performance, which are discussed in detail later in my testimony.

8 These metrics include:

- 9 ● Nuclear capacity factor
- 10 ● Nuclear forced loss rate
- 11 ● Nuclear industrial safety accident rate
- 12 ● Fossil plant equivalent availability factor (EAF)
- 13 ● Fossil plant equivalent forced outage rate (EFOR)
- 14 ● Distribution system average interruption frequency index (SAIFI)
- 15 ● Customer average interruption duration index (CAIDI)
- 16 ● Distribution system average interruption duration index (SAIDI)
- 17 ● Customer service efficiency and quality

18

19 The detailed definitions of each of the productive efficiency and operational
20 metrics I used are presented on pages three and four of Exhibit JJR-6.

1 **Q. How did you adjust the metrics to account for companies of different sizes?**

2 A. Most metrics are calculated on an expense per-customer or an expense per-MWh
3 sold basis. The productive efficiency metrics presented in my analysis are an
4 average of the per-customer values and the per-MWh values for each cost
5 element. For example, the A&G expenses productive efficiency metric reflects
6 each utility's A&G expenses per MWh sold and A&G expenses per customer, and
7 presents the average performance rank on these two metrics as the measure of
8 A&G productive efficiency.

9 **Q. Which metrics provide the best indication of FPL's overall performance**
10 **efficiency relative to the comparables group?**

11 A. While each metric is significant and may help identify particular areas of strength
12 and explain FPL's results, the best indication of FPL's overall level of
13 performance in controlling costs is total non-fuel O&M expenses. This category
14 covers all four primary operating functions (generation, transmission, distribution
15 and customer service), and includes all administrative and general functions. This
16 metric also has the advantage of removing the effects of environmental policy
17 decisions (e.g., reduction in coal use) from the costs being studied.

18
19 FPL's performance is particularly strong in controlling non-fuel O&M expenses
20 each year. It is the top performer in Regional Group, and the Large Utility Group
21 each year. In the Straight Electric Group, FPL is in the top quartile every year in
22 controlling its non-fuel O&M expenses. Most recently, in 2007, FPL was the

1 second highest ranked utility out of the 28 companies in the Straight Electric
2 Group in controlling non-fuel O&M expenses on combined per-customer and per-
3 MWh basis.

4
5 FPL's performance has translated into real cost savings to its customers. In 2007
6 alone, this performance has saved customers between \$700 million and \$1.3
7 billion as compared to costs that customers would have incurred if FPL's non-fuel
8 O&M expenses had been merely average (consistent with the average of the 28
9 companies in the Straight Electric Group).

10 **Q. Would you please summarize the results of the other productive efficiency**
11 **metrics?**

12 **A.** Yes. I looked at a number of productive efficiency metrics in analyzing FPL's
13 overall performance, as summarized in the following:

- 14 ● **Production, Transmission, and Distribution O&M Expenses:**
15 Production O&M (less fuel and purchased power expenses) has
16 consistently been one of FPL's greatest strengths. FPL is consistently
17 in the top quartile of the Straight Electric Group, and the top performer
18 in the Regional Group and Large Utility Group. In 2007, FPL ranked
19 fourth out of the 28 companies in the Straight Electric Group in
20 Production O&M expenses. FPL has also performed well in
21 controlling Transmission O&M Expenses (in addition to the "per-
22 customer" and "per-MWh" measurement used in other metrics, the

1 overall merit-order ranking for Transmission O&M also takes into
2 account Transmission O&M expenses per mile of transmission line).
3 FPL has consistently been in the top two quartiles, and most recently,
4 the top performer in the Regional Group. Finally, looking at
5 Distribution O&M expenses, FPL's improvement is most notable.
6 FPL has improved from the fourth quartile of the Straight Electric
7 Group in 1998 to the second quartile in 2007. It has also become the
8 top performer in the Regional Group over that time.

- 9 • A&G, Customer, and Uncollectible Expenses: FPL is consistently a
10 top performer in controlling A&G Expenses. FPL has been in the top
11 quartile in the Straight Electric Group each year, and is one of the top
12 two performers in the Regional Group and Large Utility Group each
13 year. FPL has typically been in the top half of the Straight Electric
14 Group and Large Utility Group in terms of controlling customer
15 expenses; however, when compared to the Regional Group, FPL is
16 consistently the top performer on this metric. In controlling
17 Uncollectible Expenses, FPL typically performs in the top quartile of
18 the Straight Electric Group, and is one of the top two companies in the
19 Regional Group and Large Utility Group.

- 20 • Days Sales Outstanding: In analyzing Days Sales Outstanding, which
21 is a measure of the average level of accounts receivable in relation to

1 total electricity sales over a year, FPL exhibited mid-level performance
2 in each group, every year.

3 • Labor Efficiency: FPL has consistently been a strong performer in
4 terms of Labor Efficiency. In analyzing Labor Efficiency, which is a
5 combined metric that includes Salaries, Wages, Pension and Benefits
6 per Employee and Employees per Customer, the results show that FPL
7 has ranked in the top quartile in nine out of the last 10 years in the
8 Straight Electric Group, and has been a top performer in the Regional
9 Group in eight out of the last 10 years.

10 • Gross Asset Base and Additions to Plant: FPL's level of Gross Asset
11 Base per Customer is generally comparable to its peers in each of the
12 comparable groups. FPL's Gross Asset Base expressed on a per kWh
13 basis is noticeably above its peers, which is linked to FPL's high
14 proportion of residential customers, and the Company's low use per
15 customer. FPL's Additions to Plant per New Customer demonstrate
16 superior performance. FPL is the lowest cost performer each year in
17 the Large Utility Group and in the top quartile in eight out of the last
18 10 years in the Straight Electric Group. In the Regional Group, FPL is
19 either the second or third ranked, indicating that its costs on this metric
20 are at or near average.

1 **Q. How does FPL compare in the overall merit order rankings?**

2 A. As shown in Exhibit JJR-7, FPL is currently the overall top performer in the
3 Regional Group, the Large Utility Group and in the Straight Electric Group in
4 terms of productive efficiency in 2007. It should be noted that these results are
5 based entirely on the ranking of the performance metrics, without any adjustment
6 made for the challenges demonstrated in the Situational Assessment.

7 **Q. Is there a means of considering both the challenges identified in the**
8 **situational assessment and the productive efficiency ranks from your**
9 **benchmarking analysis?**

10 A. Yes. Exhibit JJR-8 combines the productive efficiency merit order rankings and
11 the situational assessment rankings. When viewed on these axes, a bandwidth
12 around the diagonal line running from the upper left corner to the lower right
13 corner (shown in yellow on the chart) reflects the utilities whose productivity is
14 consistent with the challenges identified in the situational assessment. The further
15 away (either above or below) that a utility's performance is from this line, the
16 more exceptional is its performance (either exceptionally good or exceptionally
17 poor). As shown in Exhibit JJR-8, FPL's performance in 2007 was exceptionally
18 good, and FPL most outperformed its straight electric peers on a basis which
19 considers both absolute productivity measures and the relative challenges it faced.

1 **Q. Are there any sensitivities associated with the benchmarking analysis you**
2 **wish to point out?**

3 A. Yes. There are some points of which the Commission should be aware in judging
4 these results. In looking at economic efficiencies, it is easy to assume that the
5 companies represented in the data set are all equivalent in terms of safety,
6 customer satisfaction and other important operational standards, but that is not
7 always the case. If a utility's management decides to launch major service quality
8 initiatives, these initiatives may well have appropriate attendant costs but the data
9 illustrate only the cost impact and not the off-setting service improvement. To
10 examine these issues, I have separately analyzed FPL's trends and performance
11 on a set of operational metrics.

12 **Q. Did your analysis indicate that FPL's level of operational performance was**
13 **diminished in any way as a result of FPL's cost control activities?**

14 A. No. I analyzed a number of operational performance metrics to examine FPL's
15 level of performance over time and relative to the industry. These results are
16 presented in Exhibit JJR-5. Page one of this exhibit presents FPL's values for
17 each of these metrics for each year that data were available. Page two presents
18 FPL's merit order rank on each item, as compared to its industry peers. On the
19 whole, I found FPL's operational performance to be improving, and above
20 industry norms, on all performance metrics. FPL's investment in its nuclear units
21 has resulted in recent performance improvements, as further explained in the
22 direct testimony of FPL witness Stall. However, while FPL's cost control

1 activities have not affected its level of performance to date, the rising cost of labor
2 and materials, as discussed later in my testimony, make it virtually impossible to
3 avoid cost increases without an impact on performance.

4 **Q. Please describe the operational metrics you examined, and the results of this**
5 **analysis.**

6 A. I examined fossil generating plant performance, nuclear generation plant
7 performance, distribution system reliability, and customer service efficiency and
8 quality. The results of this analysis are summarized below:

- 9 • Fossil Plant Equivalent Availability Factor: FPL's fossil generation
10 fleet has consistently performed well above industry average in terms
11 of its availability. From 2002 through 2007, FPL has been in the top
12 quartile when compared to the industry average, and was in the top 20
13 percent of fossil units in 2007.
- 14 • Fossil Plant Equivalent Forced Outage Rate: FPL's fossil units have
15 performed exceptionally well compared to the industry on this metric.
16 From 2002 through 2007, FPL ranked in the top quartile compared to
17 the industry average, and was in the top 20 percent of fossil units in
18 2007.
- 19 • Nuclear Plant Capacity Factor: FPL's nuclear generation performance
20 in terms of capacity factor has been near industry average from 2002
21 to 2007. As discussed in FPL witness Stall's testimony, this
22 performance is largely due to industry events which resulted in

1 significant regulatory impacts affecting the entire nuclear industry.
2 FPL has made significant investments in these units based on these
3 industry events, and these investments have already resulted in
4 performance improvements.

- 5 ● Nuclear Plant Forced Loss Rate: FPL's Nuclear Plant Forced Loss
6 Rate, a measure of how well an owner is maintaining and operating
7 plant equipment has been close to industry average from 2002 to 2007.
8 As previously noted, FPL has made significant investments in its
9 nuclear operating equipment since 2005, and has shown an
10 improvement in this metric in each subsequent year.
- 11 ● Nuclear Industrial Safety Accident Rate: FPL's Nuclear Industrial
12 Safety Accident Rate, a measure of accidents per 200,000 man-hours
13 worked, has been at or near industry average in each year since 2003.
- 14 ● Distribution System Average Interruption Frequency Index, Customer
15 Average Interruption Duration Index, and Distribution System
16 Average Interruption Duration Index: In analyzing FPL's Distribution
17 System Average Interruption Frequency Index, FPL has consistently
18 performed in the top half of the industry in each year since 2003.
19 FPL's Customer Average Interruption Duration Index has been
20 outstanding, with FPL being in the top decile among industry peers in
21 each year over the last five years. Similarly, FPL's Distribution
22 System Average Interruption Duration Index, has been in the top

1 quartile in each year over the last five years, and was in the top decile
2 in 2006. These metrics indicate that FPL is providing above average
3 service to its customers in terms of reliability.

- 4 • Care Center Cost, Abandonment Rate, and Average Speed of Answer:
5 In terms of FPL's level of customer service as measured by Care
6 Center Cost per customer, Abandonment Rate, and Average Speed of
7 Answer, FPL has significantly outperformed its peers. Based on
8 industry data, from 2003 to 2007, FPL has ranked in the first or second
9 quartile in four out of the last five years. In 2007, FPL ranked in the
10 first quartile as compared to industry average in all three metrics.

11 **Q. What conclusions have you reached regarding your operational**
12 **benchmarking results?**

13 A. FPL's superior performance on the productive efficiency benchmarks has not
14 occurred at the expense of operational performance or customer satisfaction. On
15 all of these metrics, FPL has achieved above average performance, often far
16 above average, and there is no evidence of a trend towards declining performance
17 or customer satisfaction.

18

19 Notably, the operational metrics demonstrate that FPL has achieved the following
20 performance levels:

- 21 • Top decile performance in every year for fossil plant performance;

- 1 • Top decile performance for customer average interruption duration and
2 distribution system average interruption duration, and consistently
3 above average performance for distribution system average
4 interruption frequency; and
- 5 • Top quartile performance for customer service efficiency, and above
6 average performance on customer service quality/satisfaction.

7

8 As stated earlier, FPL is above average on all items except nuclear plant
9 availability metrics (specifically, capacity factor and forced loss rate), and is
10 frequently in the top quartile or decile. FPL witness Stall's testimony discusses
11 the recent operational challenges that FPL's nuclear fleet has experienced, and
12 explains the causes of those challenges and FPL's excellence program for these
13 assets. FPL has achieved its top quality productive efficiency rankings even
14 while increasing nuclear plant O&M and capital improvement expenditures as
15 described in the testimony of FPL witness Stall.

16 **Q. Is there any other operational area in which you examined FPL's relative**
17 **performance?**

18 A. Yes, there is. Given Florida's very ambitious goals for greenhouse gas emissions
19 reductions, I also calculated FPL's approximate level of CO₂ emissions relative to
20 a peer group.

1 **Q. Please describe how you compared FPL to other utilities in terms of**
2 **greenhouse gas emissions.**

3 A. I created a dataset of comparable companies whose energy generation was within
4 50 percent (above or below) of FPL's 2007 generation level. Exhibit JJR-9 shows
5 that FPL produced 97,169,891 MWh of net generation in 2007. There were eight
6 utility companies within ± 50 percent of FPL's figure. For this comparison, I also
7 considered Progress Energy Florida, Gulf Power Company, and Tampa Electric
8 Company (the regional comparables group).

9
10 As shown in Exhibit JJR-9, FPL is the cleanest utility among both the eight-utility
11 and regional comparables groups, with an average of 0.41 tons of carbon dioxide
12 emitted per MWh. FPL's exceptional performance in the area of greenhouse gas
13 emissions is a direct result of FPL's commitment to addressing global climate
14 change consistent with the state's evolving energy policies.

15 **Q. Are there benefits associated with FPL's commitment to a clean energy**
16 **portfolio that are not reflected in base rates?**

17 A. The costs that FPL has incurred in ensuring that the generating units that make up
18 FPL's portfolio are as clean and efficient as possible are significant. While FPL's
19 investment in its generating portfolio has resulted in fossil units that are
20 significantly more efficient, the costs associated with these improvements are
21 reflected in FPL's total rates. However, the savings associated with this improved
22 efficiency are not reflected in base rates, but instead are ultimately reflected in

1 lower fuel and environmental compliance costs, which are recovered through
2 separate adjustment clauses.

3

4 **IV. REGULATORY CONSTRUCT AND POLICY REVIEW**

5

6 **Q. Does the Florida Public Service Commission have the authority to recognize**
7 **corporate performance in setting rates for public utilities?**

8 A. Yes. Florida Statute 366.041(1) provides the Commission with the authorization
9 to “give consideration, among other things, to the efficiency, sufficiency, and
10 adequacy of the facilities provided and the services rendered; the cost of
11 providing such service and the value of such service to the public; the ability of
12 the utility to improve such service and facilities; and energy conservation and the
13 efficient use of alternative energy resources” in determining the just, reasonable,
14 and compensatory rates for services provided within the state by any and all
15 public utilities under its jurisdiction.

16 **Q. Are you aware of whether regulatory commissions in practice consider a**
17 **utility’s performance as a factor in setting the appropriate return on equity**
18 **for utilities that they regulate?**

19 A. Yes. Regulators at both the state and federal levels reward utilities for superior
20 performance by either explicitly, or implicitly, reflecting performance in setting
21 the allowed rate of return. The underpinnings of such an approach extend back at
22 least to 1923 in the Supreme Court’s decision in Bluefield Water Works (262 U.S.

1 679). For example, many public utility commissions have referred to that case in
2 the context of setting rates of return giving due consideration to a company's
3 efficiency, a key element of performance.

4 **Q. Would it be appropriate for the Commission to consider FPL's superior
5 performance in its return on equity determination in this case?**

6 A. Yes. Consideration of FPL's superior performance would be consistent with this
7 and other Commissions' authority and precedent, as well as in the public interest.
8 In terms of this case, it would be appropriate to consider and recognize the high
9 performance of FPL and the benefits and value such service provides to customers
10 in selecting a return on equity within the cost of equity range identified by FPL
11 witness Avera, and at a level equal to or greater than the amount requested in FPL
12 witness Pimentel's testimony.

13

14 **V. ECONOMIC DRIVERS OF FPL'S REQUESTED RATE INCREASE**

15

16 **Q. Please discuss the macroeconomic and service-area economic trends that are
17 principal drivers of FPL's requested rate increase.**

18 A. As discussed in Section III of my testimony, FPL has done an exceptional job of
19 controlling costs and achieving a very high level of productive efficiency, even
20 though it faces circumstances that make it one of the most operationally
21 challenged utilities in the nation. Notwithstanding FPL's performance in

1 controlling costs, it is facing a set of macroeconomic and service-area economic
2 drivers that compel it to seek a rate increase for 2010.

3 **Q. What is the relevant period for considering the economic drivers of FPL's**
4 **requested rate increase?**

5 A. FPL's last general base rate increase was in 1985. Base rates were subsequently
6 reduced in 1990, and were lowered by \$350 million on an annual basis in 1999
7 and another \$250 million on an annual basis in 2002 as a result of stipulated
8 reductions. Rates were increased in May 2007, in accordance with the terms of
9 the Generation Base Rate Adjustment (GBRA) mechanism that recognized the
10 cost of placing new generating units into service. Given this rate history, I have
11 focused my review of economic drivers on data since 2001.

12 **Q. Please describe the macroeconomic trends that have affected FPL's costs.**

13 A. Two common measures of the macro-economy's general price level are the
14 Consumer Price Index for urban consumers (CPI-U) and the Producer Price Index
15 for finished goods (PPI). Exhibit JJR-10 shows the performance of the CPI-U and
16 PPI for finished goods since 2001. The CPI-U and PPI have increased nearly 20
17 percent and 23 percent, respectively, between 2001 and 2008. Since 2005, when
18 FPL's last rate case was settled, these two indices have increased by
19 approximately seven percent and nearly nine percent, respectively.

20

21 Since 2003, industrial commodities have accelerated their rate of growth over
22 general inflation as measured by the CPI-U. Exhibit JJR-10 presents the PPI for

1 cement, concrete products, copper and brass mill shapes, copper ores, fabricated
2 iron and steel pipe, tube, and fittings, iron ore, and steel mill products versus the
3 CPI-U. While each of these industrial commodities has outpaced general
4 inflation, copper ores, copper and brass mill shapes and steel mill products
5 experienced the greatest increases. There is also a clear divergence between these
6 commodities and the CPI-U in 2003. A similar divergence occurs for cement,
7 concrete products, and iron ore in 2004. These commodities are essential to
8 FPL's capital expenditure program, and thus, their prices are putting significant
9 upward pressure on costs even beyond the general inflationary pressure measured
10 by the CPI.

11
12 An additional area that has had a significant impact on FPL's costs is the cost of
13 utility labor. Like the overall price level and the price of specific fuels and
14 commodities, the cost of labor has continued to climb since 2001. Exhibit JJR-11
15 shows electric utility employee average weekly earnings as reported by the
16 Bureau of Labor Statistics. Since 2001, average weekly earnings have increased
17 from approximately \$996 to approximately \$1,289, or 29.6 percent in nominal
18 growth. As noted previously, FPL's last rate case was settled in 2005, and since
19 then, electric utility employee compensation has regained its upward momentum.

20
21 Lastly, overall utility construction costs have increased significantly in recent
22 years. The Handy-Whitman Index of Public Utility Construction Costs provides a

1 good indication of the rising cost of construction incurred by FPL. This index is
2 calculated on a regional basis and incorporates all construction costs including
3 materials and labor. Exhibit JJR-12 presents the Handy-Whitman Index for the
4 South Atlantic region between 2001 and 2008. There are separate data series for
5 steam production plant, hydraulic production plant, nuclear production plant,
6 transmission plant and distribution plant. All five series show a general upward
7 trend with transmission and distribution plant outpacing the others after 2005. As
8 noted earlier, since FPL's last rate case was settled in 2005, these costs have
9 increased significantly.

10 **Q. Please describe the current economic environment faced by FPL and its**
11 **impact on revenues.**

12 A. Florida is in the midst of a severe economic downturn. FPL's customer growth
13 has fallen since 2007. Likewise, economic activity has slowed over the past two
14 years. Employment has been declining and personal bankruptcies are increasing
15 while real household income has been contracting. All of these factors have
16 plunged Florida into a severe economic downturn. As a result, FPL's sales
17 growth and revenue growth are declining. The recession is expected to continue
18 through 2009, which will result in continued lower sales growth and decreased
19 use per customer.

20
21 As described in the testimony of FPL witness Morley, from 1985 to 2005, FPL's
22 customer base grew at an average annual rate of about 85,500 customers, or 2.8

1 percent per year. During the same time, energy use per customer grew at about
2 0.6 percent per year. As a result, FPL's electric sales almost doubled in the 20-
3 year period ending in 2005. From 2006 through 2010, as discussed above, both
4 customer growth and sales are expected to slow dramatically due to the economic
5 slowdown. However, the growth in new service accounts is expected to slow
6 only moderately despite the absence of sales growth. This is due to requests for
7 new service installations with potentially little or no new revenues associated with
8 many of them in the short term due to high vacancy rates, as well as high vacancy
9 rates for premises associated with existing service accounts. It is this addition of
10 new service accounts that, in part, requires FPL to continue to invest in its
11 infrastructure today in order to be ready to serve its customers in the future. The
12 combination of the costs associated with continued growth in new service
13 accounts and the declining revenue as a result of decreased customer growth and
14 sales have put greater pressure on FPL's financial performance.

15
16 At the same time that revenues are declining, costs are increasing sharply. FPL's
17 commitment to the maintenance and improvement of its generation fleet and
18 transmission infrastructure requires a significant investment in these assets. The
19 increasing cost of material and labor, as previously discussed, has resulted in
20 sharply increased O&M and capital expenditures. Transmission and substation
21 capital expenditures to maintain reliability of delivery service are forecasted to
22 increase 2.9 percent over 2006 levels while operation and maintenance expenses

1 are forecasted to increase approximately 46 percent from 2006 to 2010. In order
2 to maintain its fossil-fired generation fleet, FPL forecasts an increase of
3 approximately 77 percent in capital expenditures, from approximately \$231
4 million in 2006 to \$410 million in 2010.

5
6 In addition, the costs of compliance with both state and federal mandates have put
7 significant pressure on FPL's cost structure and its ability to manage costs.

8 9 VI. APPROPRIATE TEST YEAR FOR NEW RATES

10
11 **Q. Which year is FPL proposing to use as the basis for its overall jurisdictional
12 revenue requirement calculation?**

13 A. FPL is proposing to use 2010 as the Test Year upon which to base its revenue
14 requirement calculation.

15 **Q. Would you please explain the basis of selection of a 2010 Test Year?**

16 A. Certainly. Based on the stipulation to the Company's 2005 rate settlement
17 agreement, FPL's base rates were to remain unchanged from January 1, 2006
18 through December 31, 2009, and would remain effective until new base rates
19 were set. As a result, FPL's base rates could not change until January 1, 2010, at
20 the earliest. Therefore, it is reasonable to set the Test Year at 2010 since this
21 would be the year in which the new rates would go in effect.

1 **Q. What are the regulatory principles that apply to the selection of a Test Year?**

2 A. The entire purpose of establishing a Test Year is to measure the expenses,
3 investment, costs of capital, taxes, and billing determinants as they are projected
4 to exist during the period for which the rates will be in effect, so as to allow the
5 Commission to “test” whether the rates approved by the Commission will result in
6 the utility significantly under-earning or over-earning its authorized rate of return.
7 The establishment of a proper Test Year begins with the use of a 12-month base
8 period, which is then adjusted for known or measurable changes, or which is used
9 as the basis for a partially or fully forecasted Test Year. Whichever approach is
10 selected, the Test Year must be representative of future conditions (which reflect
11 the effective date of the new rates) or the “test” is not valid. FPL’s proposed use
12 of a 2010 Test Year meets these regulatory principles and the use of 2009 or an
13 earlier test year does not.

14

15 **VII. CONCLUSION**

16

17 **Q. What are your conclusions?**

18 A. FPL has demonstrably superior performance in many areas of financial and
19 operational efficiency, which provides customers significant savings as compared
20 with average performance. These benefits are the result of focused efforts by the
21 Company and are enhanced by FPL’s strong customer service record.

1 FPL has done an exceptional job of controlling costs and achieving high levels of
2 service to its customers, even in the face of many economic drivers over which it
3 has little or no control. Macro-economic trends in the CPI and PPI, as well as
4 labor and material costs, have put enormous cost pressures on FPL. In addition,
5 the global economic crises, as well as Florida's economic downturn, have
6 negatively affected FPL's revenue growth.

7
8 It is well within the purview of this Commission, on the basis of the quantifiable
9 benefits the Company has already achieved and provided to customers, to support
10 an ROE that represents strong performance and demonstrated commitment to
11 superior quality of service. It is consistent with both cost-based regulation and the
12 long-standing latitude of regulators to recognize efficient, high quality service in
13 setting a compensatory return.

14 **Q. Does this conclude your direct testimony?**

15 **A. Yes.**

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **REBUTTAL TESTIMONY OF JOHN J. REED**

4 **DOCKET NO. 080677-EI**

5 **AUGUST 6, 2009**

6

7 **Q. Please state your name and business address.**

8 A. My name is John J. Reed. My business address is 293 Boston Post Road West,
9 Suite 500, Marlborough, Massachusetts 01752.

10 **Q. Did you previously submit direct testimony in this proceeding?**

11 A. Yes.

12 **Q. Are you sponsoring any rebuttal exhibits in this case?**

13 A. Yes. I am sponsoring the following exhibit:

14 ● Exhibit JJR-13, Average Customer Savings

15 **Q. What is the purpose of your rebuttal testimony?**

16 A. The purpose of my rebuttal testimony is to comment on the testimony of the
17 following witnesses:

18 ● South Florida Hospital & Healthcare Association (SFHHA) witnesses
19 Kollen and Baudino; and

20 ● Florida Industrial Power Users Group (FIPUG) witness Pollock.

1 Specifically, I will address issues raised by these witnesses related to Subsequent
2 Year Adjustment, management of Operation and Maintenance (O&M) Expenses,
3 recognition of superior performance in setting the Return on Equity (ROE), and
4 the recognition of Power Purchase Agreements (PPAs) in setting the common
5 equity ratio.

7 SUMMARY

8
9 **Q. Please summarize your rebuttal testimony.**

10 **A.** My rebuttal testimony provides the Commission with additional information on
11 the topics listed above, including examples demonstrating how other regulators
12 have addressed these issues. As discussed in my rebuttal testimony, the FPL
13 proposals that I address are consistent with how these issues have been addressed
14 in other states and should be approved by the Commission. Specifically:

- 15 • FPL's proposal that its superior performance in keeping costs under
16 control should be recognized in establishing the authorized return on
17 equity in this case is consistent with the Commission's prior treatment of
18 management performance and is consistent with how several other states
19 have addressed the issue. Contrary to SFHHA witness Baudino's
20 testimony that this would result in excessive rates, FPL's superior
21 performance has produced approximately \$1 billion per year of savings for

- 1 its customers, while a 50 basis point increase in the authorized ROE would
2 represent only \$60 million in additional revenue requirements.
- 3 • A rate adjustment for expected post-test-year cost changes, which is what
4 is reflected in FPL's proposed subsequent year adjustment, is commonly
5 used in ratemaking and reasonably balances the need for administrative
6 efficiency in the ratemaking process with the requirement that a utility be
7 afforded a reasonable opportunity to earn its authorized return.
 - 8 • SFHHA witness Kollen's claims that FPL's projected O&M costs are
9 "wildly excessive" are both untrue and unsupported. FPL's non-fuel
10 O&M costs, which are what are covered in base rates, are among the
11 lowest in the nation and FPL has historically kept the increases in these
12 unit costs to far less than the rate of inflation. The projected cost increases
13 for the test year are the product of inflationary pressure and the need to
14 maintain service adequacy and reliability. My analysis indicates that FPL
15 should be recognized as having achieved superior performance in
16 controlling costs, rather than being penalized through the exclusion of
17 reasonable costs from its revenue requirement.
 - 18 • The financial pressure on a utility's credit metrics from significant fixed
19 cost obligations in Purchase Power Agreements (PPAs) is real and
20 requires recognition in the ratemaking process. The appropriate vehicle
21 for this recognition is to consider the effects of imputed debt when setting
22 the common equity ratio to be used for ratemaking purposes. This

1 approach is often used by regulators in other states, and is what FPL has
2 proposed in this case.

3
4 **REBUTTAL OF ISSUES RELATED TO THE RECOGNITION OF**
5 **MANAGEMENT PERFORMANCE IN SETTING AN AUTHORIZED RETURN**
6 **ON EQUITY**

7
8 **Q. SFHHA's witness Baudino recommends that the Florida Commission reject**
9 **the recognition of superior performance in the setting of an allowed Return**
10 **on Equity. Do you agree with this recommendation?**

11 A. No, I do not. SFHHA witness Baudino states that "increasing the investor
12 required return to recognize factors such as 'exemplary management' would over
13 compensate investors and result in excessive rates to ratepayers" (See Direct
14 Testimony and Exhibits of Richard A. Baudino, at page 34 lines 17 – 19). In fact,
15 there is historic precedent and numerous cases of public utility commissions
16 recognizing management performance in setting an appropriate ROE.

17 **Q. What precedent exists for this type of recognition?**

18 A. The judicial underpinnings of such recognition extend back at least to 1923 in the
19 Supreme Court's decision in *Bluefield Water Works & Improvement Co. v. Public*
20 *Service Commission of West Virginia*, 262 U.S. 679, (1923). Many public utility
21 commission orders reference that case in the context of setting rates of return
22 giving due consideration to a company's efficiency. In a number of cases from

1 the late 1970's to the mid-1990's, commissions reviewed utility efficiency and
2 either explicitly or implicitly reflected that in setting an allowed rate of return.

3 **Q. Are you aware of similar cases in other jurisdictions?**

4 A. Yes, I am. In addition to Florida, these include Iowa, New Mexico, Rhode Island
5 and Utah.

6 **Q. Please describe the regulatory contexts of these precedents.**

7 A. In a 1992 order deciding a MidWest Gas rate case, the Iowa Utilities Board (the
8 "Board") explicitly awarded the company 50 basis points in its allowed ROE in
9 recognition of superior management efficiency and benefit to ratepayers. The
10 Board noted in its order the Iowa statutory provision (Iowa Code §476.52 (1991)),
11 allowing such recognition:

12 If it "determines in the course of a proceeding ... that a utility is
13 operating in such an extraordinarily efficient manner that tangible
14 financial benefits result to the ratepayer, the Board may increase
15 the level of profit or adjust the revenue requirement for the utility."

16

17 The order goes on to note some of the factors the Board considers when making
18 adjustments to a utility's return of equity. In its final determination, the Board
19 stated:

20 [The] Board adjusts the cost of common equity upward by 50 basis
21 points, finding that consistently superior service, beneficial
22 corporate restructuring, and investment in a pipeline

1 interconnection stemmed from extraordinary management
2 efficiency and resulted in tangible financial benefit to ratepayers
3 (Iowa Utilities Board, May 15, 1992. Re Midwest Gas, a Division
4 of Iowa Public Service Company, Docket No. RPU-91-5).

5

6 In the context of a general rate case, the New Mexico Public Service Commission,
7 in 1978, awarded Southwestern Public Service Company "an extra" 50 basis
8 points in setting its ROE in part as a means of recognizing "the efficiency and
9 prudence" of company actions while keeping its costs competitive. The order
10 stated:

11 The Commission believes that regulatory incentives should be
12 provided for efficient management. Such incentives need not
13 always be punitive. In an instance where a utility management's
14 activities have resulted in the development of farsighted utility
15 planning at minimal costs to the ratepayers, positive incentives are
16 warranted and will ultimately accrue to the benefit of the ratepayer
17 (New Mexico Public Service Commission, December 5, 1978. Re
18 Southwestern Public Service Company, Case No. 1435).

1 In addition, in Rhode Island, the Rhode Island Public Utilities Commission
2 ("RIPUC"), as part of a general rate case for Narragansett Electric Company, took
3 note of corporate performance in setting ROE. The RIPUC noted:

4 In establishing a reasonable return from within a range, the
5 commission has in the past given consideration to the service
6 record of the company and the general attitude of management in
7 meeting its public service obligations. In recognition of the
8 company's performance the Commission finds the fair rate of
9 return to be 13.75 which is the upper end of the range proposed
10(Rhode Island Public Utilities Commission, November 8, 1980.

11 Re Narragansett Electric Company, Docket No. 1499)

12
13 In two cases the Utah Commission noted that various elements of utility
14 performance warranted recognition in setting the ROE for a company.
15 Specifically, in a 1990 order in a Utah Power and Light general rate case, the
16 Utah Commission noted:

17 We recognize that management performance is an appropriate
18 factor for the Commission to consider in setting the ROE within a
19 reasonable range (Public Service Commission of Utah, February 9,
20 1990, Re Utah Power and Light Company, Docket No. 89-035-10).

1 Later, in a 1995 case for Mountain Fuel Supply Company, the Commission
2 echoed that perspective:

3 The Commission agrees that the Company's gas procurement
4 performance merits recognition and is a factor contributing to the
5 stipulated return-on-rate base (Public Service Commission of Utah,
6 October 17, 1995 Re Mountain Fuel Supply Company, Docket No.
7 95-057-02).

8 **Q. Are there more recent examples of regulators incentivizing management
9 performance through the use of ROE adders?**

10 A. Yes. In Virginia pursuant to H.B. 3068 (now Chapter 888) and S.B. 1416 (now
11 Chapter 933), commonly referred to as electricity "re-regulation" legislation,
12 which became law on July 1, 2007, recognition of performance is authorized. The
13 legislation provides Virginia utilities with an opportunity to earn returns
14 competitive with those of their peers in the Southeastern U.S. and also authorizes
15 the State Corporation Commission to adjust a utility's authorized return to reward
16 it for good performance, including superior customer service, or penalize it for
17 poor performance.

18

19 In addition, the Texas Public Utility Regulatory Act, as amended in September of
20 2007, requires that the Texas Commission consider certain factors in determining
21 an electric utility's rate of return, including: (1) the efforts and achievements of
22 the utility in conserving resources; (2) the quality of the utility's services; (3) the

1 efficiency of the utility's operations; and (4) the quality of the utility's
2 management (Texas Public Utility Regulatory Act, Subchapter B, Sec. 36.052,
3 September 2007).

4
5 Furthermore, the Florida Commission plainly has the discretion to reward a
6 utility's superior management and efficiency by approving an upward adjustment
7 to the utility's authorized rate of return and has done so as recently as 2002. In
8 the petition of Gulf Power Company for a rate increase in 2002, the Florida
9 Commission explained the factors leading to approval of a reward adjustment as
10 follows:

11 The testimony of Gulf witnesses Labrato and Fisher demonstrates
12 that Gulf's service is excellent. In addition, testimony of customers
13 at the customer service hearings was very favorable. We find that
14 Gulf's past performance has been superior and we expect that level
15 of performance to continue into the future. In recognition of this,
16 we find that Gulf deserves to have 25 basis points added to the
17 mid-point ROE of 11.75%. Thus, a 12% ROE shall be used for all
18 regulatory purposes, including, for example, implementing the cost
19 recovery clauses and allowances for funds used during
20 construction (Docket No. 010949-EI; Order No. PSC-02-0787,
21 FPSC June 10, 2002).

22

1 **REBUTTAL OF ISSUES RELATED TO THE SUBSEQUENT**
2 **YEAR ADJUSTMENT FOR SIGNIFICANT INCREASES IN O&M**
3 **EXPENSES**

4
5 **Q. SFHHA witness Kollen and FIPUG witness Pollock both argue that the**
6 **Subsequent Year Adjustment is unnecessary and simply avoids a necessary**
7 **regulatory process to review FPL's expenses. Do you agree with this**
8 **position?**

9 A. No, I do not. SFHHA witness Pollock claims that the Subsequent Year
10 Adjustment is nothing more than a back-to-back rate increase. Specifically,
11 Witness Pollock states that "such back-to-back rate increases fail to properly
12 balance the utility's needs with the needs of its customers. Assuming its 2011
13 assumptions are accurate (which FIPUG disputes), FPL is really asking the
14 Commission to guarantee that it will achieve the authorized return. Providing such
15 a guarantee is contrary to accepted regulatory practice, which is to provide an
16 opportunity to earn the authorized return" (See Testimony and Exhibits of Jeffrey
17 Pollock, at page 32, lines 20 through 23, page 33, lines 1 through 2). In fact, the
18 use of a Subsequent Year Adjustment is a common regulatory practice utilized in
19 Florida and other jurisdictions to efficiently address expected increases in
20 expenses.

21 **Q. Please describe the Florida Commission's past use of the Subsequent Year**
22 **Adjustment.**

1 A. As stated in FPL witness Deason's rebuttal testimony, the Florida Commission
2 has statutory and rule authority to approve subsequent year adjustments to rates,
3 and has exercised that authority when a utility proves or projects with reasonable
4 certainty that there will be future changes in factors considered in setting rates
5 that will affect the utility's ability to earn a fair and reasonable return on its
6 investments. As illustrated by the cases in which subsequent year adjustments
7 have been granted, the Florida Commission has used the adjustment to meet the
8 requirement of providing a utility a reasonable opportunity to earn its authorized
9 rate of return.

10 **Q. Are you aware of other Commissions that utilize this mechanism?**

11 A. Yes, I am. In March 2009, the California Public Utilities Commission ("California
12 PUC") authorized Edison International subsidiary Southern California Edison
13 ("SCE") a \$308.1 million rate increase for 2009. The California PUC also
14 authorized an additional \$205.3 million increase for 2010 and a \$219 million
15 increase for 2011. SCE indicated that the rate increases were necessitated by
16 system load growth, the need to replace aging distribution infrastructure and
17 business systems, increased expenses to meet regulatory requirements for
18 electricity generation and procurement, higher operations and maintenance
19 expenses, and increased employee costs (Docket No: Ap-07-11-011. Decision 09-
20 03-025. 3/12/2009).

1 In 1993, Potomac Electric Power Company requested, and the Maryland Public
2 Service Commission approved, a two step rate increase. The increase in base
3 rates included a \$23.2 million increase effective March 13, 1994 and a \$2.2
4 million increase effective June 5, 1994 (Docket FC-929; Approved by
5 Commission 3/4/1994).

6
7 In August of 2000, the Public Service Commission of Wisconsin issued an order
8 approving Wisconsin Electric Power Company's ("WEPCO's") request for an
9 increase in base rates. In this case, the Public Service Commission of Wisconsin
10 found that it was reasonable to implement an increase in WEPCO's retail electric
11 rates by \$36,538,000 for the 2000 test year and to further increase WEPCO's
12 Wisconsin retail electric rates by \$27,521,000 effective January 1, 2001, to allow
13 the company to recover incremental costs associated with its electric reliability
14 and safety construction expenditures (Final Decision in Application of Wisconsin
15 Electric Power Company for Approval of Plan to Improve Reliability Through
16 Infrastructure and Incentives and Request for Rate Increase for Test Year 2000,
17 Docket No. 6630-UR-111, at page 7).

18
19 Clearly, subsequent year adjustments are simply a means by which a Commission
20 sets rates that allow a fair and reasonable return to utilities, when the factors
21 considered in establishing rates change between the first test year and the

1 subsequent year such that fair rates set for the first year may no longer be
2 adequate to allow a fair and reasonable return in the subsequent year.

3

4

**REBUTTAL OF ISSUES RELATED TO THE MANAGEMENT OF
OPERATION AND MAINTENANCE EXPENSES**

5

6

7 **Q. SFHHA witness Kollen claims that the requested level of increased O&M**
8 **expenses is excessive and can't be justified. Do you agree with this assertion?**

9 A. No, I do not. SFHHA witness Kollen claims that the requested level of increase
10 in O&M expenses for the test year is "wildly excessive and cannot reasonably be
11 justified given the present economic circumstances, particularly in South Florida,
12 the Company's proven ability to implement cost reductions, including the effects
13 of productivity improvements through capital investment and continued efficiency
14 improvements through the adoption of best practices" (See Direct Testimony and
15 Exhibits of Lane Kollen, at page 17, lines 5 through 9). Witness Kollen's claims
16 would be more appropriately applied to an organization, unlike FPL, that has not
17 been successful in managing its costs.

18

19 FPL's superior achievement in managing its O&M expenses is indicative of an
20 ability to produce a given level of service quality and reliability at relatively low
21 cost. The superiority of this performance is demonstrated by the fact that FPL has
22 achieved a rank of 1, 2 or 3 for each of the years studied (out of the 28 companies

1 studied), as shown in Exhibit JJR-6 in my Direct Testimony. A high rank
2 indicates that FPL's financial controls and operational performance have
3 combined to produce very significant savings for FPL's customers. Specifically,
4 in the area of non-fuel O&M expenses, FPL has managed to hold these expenses
5 to an increase of 11.4% from 1998 through 2007, while the Consumer Price Index
6 increased approximately 27.2% from 1998 to 2007 and the Handy-Whitman
7 index, commonly used to measure increases in construction costs for electric
8 utilities, increased by 40% to 60% for different cost categories.

9 **Q. Is it reasonable to expect FPL to continue to manage its non-fuel O&M**
10 **expenses to the same levels to which it has previously managed them?**

11 **A.** No, it is not. FPL's corporate commitment to superior operating efficiency has
12 put the Company in the enviable position of being a low cost provider. This is
13 evidenced by the fact that in 2007, FPL was the second highest ranked utility out
14 of the 28 companies in the Straight Electric Group in controlling non-fuel O&M
15 expenses on combined per-customer and per-MWh basis, while decreasing retail
16 rates in 1990, 1999, and 2002.

17
18 FPL's performance has translated into real cost savings to its customers. In 2007
19 alone, this performance has saved customers between \$700 million and \$1.3
20 billion as compared to costs that customers would have incurred if FPL's non-fuel
21 O&M expenses had been merely average (consistent with the average of the 28
22 companies in the Straight Electric Group). While Florida is in the midst of a

1 severe economic downturn, FPL cannot achieve additional operating cost savings
2 beyond that which it has already achieved through its demonstrated commitment
3 to managing costs. In order to ensure that customers continue to receive the level
4 of service that FPL has historically provided, O&M expenses must be allowed to
5 reflect a level commensurate with the operational improvements necessary to
6 continue to provide exemplary service to customers.

7 **Q. If the Commission ultimately determines that it is appropriate to recognize**
8 **FPL's superior performance through an ROE adder, how would the effect of**
9 **this adder compare to the savings that FPL customers have enjoyed over the**
10 **past several years?**

11 **A.** As I stated above, FPL customers saved approximately \$1 billion in 2007 alone as
12 a result of FPL's superior ability to manage costs, while being more operationally
13 challenged than its peers. FPL's exceptional performance in this area is
14 demonstrated in Exhibit JJR-13, which shows that FPL's customers have realized
15 significant cost savings over the past 10 years when compared to the costs they
16 would have faced if FPL had only achieved "average" performance on its cost
17 controls, rather than being a top performer.

18
19 An ROE adder in recognition of FPL's performance of 50 basis points would
20 represent approximately \$60 million in revenue requirements. Clearly, the effect
21 of recognizing FPL's performance through an ROE adder is diminutive compared
22 to the benefits that FPL's customers have realized and will continue to realize.

1 **REBUTTAL OF ISSUES RELATED TO THE TREATMENT OF POWER**
2 **PURCHASE AGREEMENTS IN SETTING FPL'S COMMON EQUITY RATIO**

- 3
- 4 **Q. FIPUG witness Pollock argues that the Florida Commission should exclude**
5 **imputed debt for purchase power obligations in setting the common equity**
6 **ratio since these costs are allowed to be recovered through the Fuel and**
7 **Capacity Cost Recovery Clauses and ratings agencies do not necessarily**
8 **recognize power purchase obligations as imputed debt in evaluating a**
9 **utility's financial strength. Do you agree with witness Pollock's position?**
- 10 **A. No, I do not. SFHHA witness Pollock claims that since the cost of purchasing**
11 **power under PPAs can be passed through to customers, ratings agencies such as**
12 **Moody's regard these PPAs as operating costs with no long-term debt-like**
13 **attributes and therefore imputes no debt for such contracts where recovery is**
14 **guaranteed (See Direct Testimony and Exhibits of Jeffrey Pollock, at page 24 lines**
15 **2 through 17). In fact, rating agencies recognize the financial effects that stem**
16 **from the debt-like features of the PPAs. The debt rating agencies have**
17 **increasingly considered those effects when evaluating the creditworthiness of the**
18 **utility purchaser under a PPA. The rating agencies treat the PPA's fixed cost**
19 **obligations as "imputed debt", which is seen as increasing the financial leverage**
20 **of the utility, decreasing the interest coverage levels of the utility, and reducing its**
21 **credit quality.**

1 Q. What is “imputed debt” and how does it affect a utility’s cost of and access to
2 capital?

3 A. Imputed debt represents the inherent financial risk of fixed payment obligations
4 associated with long term PPAs. Imputed debt is a rating agency construct
5 whereby the agency develops a risk-adjusted value of the fixed payments under
6 the PPA and “imputes” that value as debt when developing the metrics used to
7 determine a company’s credit rating. Standard & Poor’s (“S&P”) states that it
8 views electric utility purchased-power agreements as debt-like in nature, and has
9 historically capitalized these obligations on a sliding scale. S&P applies a 0% to
10 100% “risk factor” to the net present value of the PPA’s capacity payments, and
11 designates this amount as the debt equivalent (“Standard & Poor’s Methodology
12 For Imputing Debt For U.S. Utilities’ Power Purchase Agreements,” May 7, 2007).

13
14 Through this process, rating agencies attempt to capture the risks that a PPA may
15 impose on a utility-purchaser and reflect those in the credit rating, even if
16 Generally Accepted Accounting Principles (“GAAP”) do not require a PPA to be
17 recorded on the balance sheet as a long-term obligation. The risk apportionment
18 of the PPA, the size of the utility’s financial obligation, and the term of the PPA
19 will all likely be considered in the debt imputation to the utility, and can most
20 certainly have a significant negative impact on credit rating. This will, in turn,
21 put upward pressure on the utility’s cost of debt, and the utility’s access to capital
22 in a tight market may be limited.

1 **Q. Have other Commissions recognized the imputed debt associated with Power**
2 **Purchase Agreements?**

3 A. Yes, they have. State Commissions have given explicit consideration to the
4 effects of imputed debt when considering whether a proposed PPA is “least cost”
5 or in the public interest. These considerations have included an adjustment to the
6 direct cost of power under the PPA when evaluating the PPA against power
7 supply alternatives, and increasing the utility’s target equity ratio to offset the
8 debt imputation effects.

9
10 For example, in 2001, Nevada adopted what was at the time one of the country’s
11 more aggressive renewable portfolio standards (“RPS”), which ultimately
12 required the state’s utilities to sign a substantial number of new, long-term
13 contracts for renewable power. In June 2005, the Nevada legislature passed
14 Assembly Bill 3 which became Chapter 2 (22nd Special Session) that modified
15 Nevada’s RPS and increased the target percentages for energy from renewable
16 resources. At the same time, the legislature recognized that the goal of
17 significantly increasing the number of renewable energy contracts signed would
18 be difficult without proactively addressing the issue of imputed debt. The
19 legislation addressed imputed debt directly by requiring the Commission to adopt
20 regulations that established “methods to classify the financial impact of each
21 long-term renewable energy contract and energy efficiency contract as an
22 additional imputed debt of a utility provider. The regulations must allow the

1 utility provider to propose an amount to be added to the cost of the contract, at the
2 time the contract is approved by the Commission, equal to a compensating
3 component in the capital structure of the utility provider. In evaluating any
4 proposal made by a utility provider pursuant to this paragraph, the Commission
5 shall consider the effect that the proposal will have on the rate" (See State of
6 Nevada, Assembly Bill No. 3, Section 29.7 (b), pg. 21).

7
8 The Wisconsin Public Service Commission ("Wisconsin PSC") expressly
9 recognizes the debt associated with PPAs. The Wisconsin PSC sets a common
10 equity ratio target based on what they call a "Financial Capital Structure" that
11 includes imputed debt on PPAs that supports a given credit rating. This
12 determines the amount of equity that will be included in the "Regulatory Capital
13 Structure" in setting rates. The effect is to allow the company to carry a higher
14 equity ratio and have it considered within the ratemaking process (Edison Electric
15 Institute, Understanding Imputed Debt Issues, June 2008 citing Wisconsin Public
16 Service Commission, Final Decision, Docket No.6690-UR-118, January 15,
17 2008).

18
19 In addition, the Delmarva Public Service Commission has recognized the
20 financial risk associated with long term PPAs. On August 1, 2006, in response to
21 Commission directives, Delmarva Power and Light filed a draft Request for
22 Proposals (RFP) for long term contracts to supply its standard offer service

1 customers. Throughout the process, there was a substantial amount of discussion
2 about the terms and conditions of the RFP, including the imputed debt cost factors
3 in bid evaluation. On November 21, 2006, the Delaware Public Service
4 Commission issued Order No. 7081, which found that Delmarva's (DP&L)
5 imputed debt adjustment should be used in their RFP. The Order stated:

6 We believe that the RFP should provide that DP&L will be
7 permitted to assess the incremental equity amount to be equal to
8 30% of the net present value of the bid's capacity payment, and
9 that a portion of the energy price may also be included if DP&L
10 concludes that a portion of the bid's energy component would be
11 imputed as debt by rating agencies in their assessment of DP&L's
12 creditworthiness.

13 **Q. Does this conclude your rebuttal testimony?**

14 **A. Yes.**

1 **BY MR. ANDERSON:**

2 Q. Mr. Reed, have you prepared a summary of your
3 direct and of your rebuttal testimony?

4 A. Yes, I have.

5 Q. Would you please provide your summary to the
6 Commission?

7 A. Yes. Good afternoon. My direct testimony
8 presents the results of an analysis of FPL's operational
9 and financial performance from 1998 to 2007 through the
10 use of a benchmarking study and comments on how the
11 results of that benchmarking study should be
12 incorporated into this rate case. My study involved
13 measuring FPL's productive efficiency against three
14 different peer groups to evaluate its performance over
15 ten years.

16 In addition, I reviewed customer service and
17 reliability measures to ascertain whether any cost
18 improvements that may have been achieved were done at
19 the expense of service quality. I have where possible
20 measured and quantified the associated customer benefits
21 from FPL's performance.

22 My review of FPL's performance has
23 demonstrated that the company has consistently and
24 significantly outperformed similarly sized companies
25 across a broad array of financial and operational

1 metrics. For example, FPL is a top performer in
2 managing A&G expense, labor costs, and the cost of
3 adding new customers to its system. In addition, FPL's
4 generation fleet is highly efficient and produces far
5 less CO2 per megawatt hour than its peers.

6 The company has achieved these outstanding
7 results in spite of the fact that it is somewhat
8 disadvantaged by the exogenous factors that are known to
9 have an impact on a utility's costs. For example, FPL's
10 customer base consists of a high percentage of
11 residential customers with low usage, its sales volume
12 has been decreasing, and it is more transmission
13 dependent than its peers.

14 The combined situational assessment and the
15 productive efficiency metrics are shown on Exhibit
16 JJR-8, which is on the easel next to me. And as shown
17 there in the upper right-hand corner, FPL is truly a top
18 performer among the 28 utilities.

19 In terms of overall productive efficiency, FPL
20 has ranked in the top three of the 28 companies in the
21 straight electric group in every one of the past ten
22 years. It is also important to note that FPL's cost
23 trends have improved over the past ten years, even while
24 undertaking significant expenditures in support of the
25 state's emerging clean energy policy.

1 Importantly, these savings have not been
2 achieved at the expense of customer service or system
3 reliability. FPL has been a top decile performer in
4 controlling the duration of its transmission and
5 distribution system outages and has consistently
6 achieved above average performance on the frequency of
7 interruptions. Furthermore, FPL has been and remains a
8 very strong performer on customer service quality and
9 customer satisfaction measures.

10 Turning to my rebuttal testimony, which
11 responds to the testimony filed by the SFHHA and FIPUG
12 witnesses, and addresses FPL's management of its own O&M
13 expense, the basis for its requested subsequent year
14 adjustment, the appropriateness of recognizing superior
15 performance in setting the return on equity, and why
16 power purchase agreements should be considered in
17 setting the common equity ratio. On each issue I have
18 provided examples demonstrating how other regulators
19 have addressed these issues.

20 Regarding FPL's proposed request for a
21 subsequent year adjustment to reflect post-test year
22 cost changes, the Florida Commission has the statutory
23 and rule authority to approve subsequent year
24 adjustments to rates. This type of mechanism is
25 commonly used in ratemaking in other jurisdictions when

1 significant and predictable increases in costs are
2 expected after the test year on which base rates are
3 predicated. This approach appropriately balances the
4 need for administrative efficiency in the ratemaking
5 process with the requirement that a utility be afforded
6 a reasonable opportunity to earn its authorized return.

7 I was also asked to opine on the financial and
8 regulatory treatment of the imputed debt associated with
9 power purchase agreements. Imputed debt is a rating
10 agency mechanism developed to recognize the impact that
11 payments under a power purchase agreement have on a
12 company's credit rating. The appropriate vehicle for
13 recognizing these effects is to consider imputed debt
14 when setting the common equity ratio. This is the
15 approach often used by regulators in other states and is
16 what FPL has proposed in this case.

17 The Commission can be confident that FPL is
18 effectively managing its costs and maintaining its high
19 quality of service. Under Florida's and many other
20 states' regulatory frameworks, it is appropriate to
21 consider the company's efficiency and service quality in
22 setting a utility's allowed return on equity. Contrary
23 to claims that this would result in excessive rates,
24 FPL's superior performance has produced approximately
25 \$1 billion per year of savings for its customers as

1 shown on the chart to my right, while the comparison --
2 while by comparison, a 50 basis point increase in the
3 authorized return on equity would represent only about
4 60 million in additional annual revenue requirements.
5 Both of those figures are shown on the chart.

6 In situations such as these, where a utility
7 is delivering extraordinarily favorable results for its
8 customers, regulators can and should constructively
9 align and balance the interests of customers and
10 investors by recognizing this performance in the
11 ratemaking process.

12 That concludes my summary.

13 **MR. ANDERSON:** Mr. Reed is available for
14 cross-examination.

15 **CHAIRMAN CARTER:** Thank you.

16 Mr. Beck, you're recognized.

17 **MR. BECK:** No questions, Mr. Chairman.

18 Ms. Bradley, you're recognized.

19 **MS. BRADLEY:** No questions.

20 **CHAIRMAN CARTER:** Mr. Moyle, you're
21 recognized.

22 **MR. MOYLE:** Thank you, Mr. Chairman.

23 CROSS EXAMINATION

24 **BY MR. MOYLE:**

25 Q. Good evening, Mr. Reed.

1 **A.** Good evening, Mr. Moyle.

2 **Q.** I want to just follow up on a couple of points
3 that you raised in your testimony and you hit on them
4 during your summary. And the first relates to this
5 subsequent year adjustment issue.

6 **A.** Yes.

7 **Q.** And in your summary, you said that there
8 should be -- it is recognized of a post-test year
9 adjustment. You used that term in your summary,
10 correct?

11 **A.** Yes, I did.

12 **Q.** Okay. And with respect to what is in front of
13 this Commission, what would be the test year?

14 **A.** 2010.

15 **Q.** And isn't it true that in the vast majority of
16 jurisdictions in this country that revenue requirements
17 and rates are set using historical data or a portion of
18 historical data as compared to making rate decisions
19 based on projections of what may happen in the future?

20 **A.** I think in all jurisdictions, including
21 Florida, the base period, which is the first term I have
22 used, is based upon historical data. Then the question
23 becomes as you are projecting to establish rates for a
24 forward-looking period, how do you adjust the base
25 period data for the test year? The test year is the

1 period, the first full year in which the rates will be
2 in effect. In many states, for example, those rate
3 increases go into effect subject to refund while the
4 hearings are going on. So, yes, every jurisdiction uses
5 historical data. That is not in any way inconsistent
6 with also a forward-looking test year.

7 Q. Okay. And that question probably was not that
8 clear. You made the point, yes, you have to have a
9 baseline, a historical year, correct?

10 A. Correct.

11 Q. And isn't it true that the majority of the
12 states when they have a baseline, a baseline year, but
13 then with respect to setting rates, that they also do a
14 retroactive look, look at historical information as
15 compared to projected information?

16 A. I think most states look at historic
17 information, but then adjust that historic information
18 for what are called known and measurable changes. So a
19 base year adjusted for known and measurable changes or a
20 forward-looking test year, it really becomes a
21 distinction without much of a difference.

22 Q. And with respect to subsequent year
23 adjustments, aren't those typically done, for example,
24 as it relates to maybe a particular asset or a
25 particular issue as compared to, in effect, having a

1 two-year test year?

2 **A.** No. It is actually quite common to have it be
3 a fully projected cost of service for two or even three
4 years. If you look at California's current mechanism,
5 for example, they set rates in a rate case for three
6 years based upon fully projected test year revenue
7 requirements for each of the three years.

8 **MR. MOYLE:** I want to pass out a document, if
9 I could, Mr. Chair.

10 **CHAIRMAN CARTER:** Do you need a number?

11 **MR. MOYLE:** Yes, please.

12 **CHAIRMAN CARTER:** Okay. For the record,
13 Commissioners, that next number will be 537.

14 A short title, Mr. Moyle?

15 **MR. MOYLE:** Historic Test Year Versus Forecast
16 Test Year.

17 **CHAIRMAN CARTER:** Historic Test Year Versus --

18 **MR. MOYLE:** Versus Forecast Test Year.

19 (Exhibit Number 537 marked for
20 identification.)

21 **BY MR. MOYLE:**

22 **Q.** Sir, are you familiar that NARUC tracks
23 jurisdictions which use historic test years as compared
24 to forecast test years?

25 **A.** I am aware that it did do that.

1 **Q.** And the information set forth on the exhibit
2 that I have provided you, 437 (sic), based on your
3 knowledge does this look to be an accurate depiction of
4 states that use historic test years as compared to
5 forecast test years?

6 **A.** I really can't vouch for the accuracy of what
7 is here. I see that the sources are a study from 13 or
8 14 years ago by NARUC updated by apparently some
9 telephone interviews. I don't know the source of this
10 document. I really can't vouch for its authenticity.

11 **Q.** Do you know -- are you familiar with the
12 Brattle Group?

13 **A.** Yes.

14 **Q.** Who are they?

15 **A.** It's a consulting firm.

16 **Q.** And FPL used them in this case, did they not?
17 Do you know?

18 **A.** I believe they used them for a demand
19 forecasting verification.

20 **Q.** You talk a little bit about the imputed debt,
21 and you indicate that the rating agencies impute debt.
22 Isn't it true that Fitch does not impute any debt
23 related to purchase power agreements?

24 **A.** Fitch takes a qualitative approach to the
25 issue rather than a quantitative approach. They don't

1 attempt to measure the net present value and make a
2 numerical adjustment, although they do consider it in
3 credit quality issues.

4 Q. But they have not detailed in any significant
5 way how it is considered, correct?

6 A. Other than qualitatively, that is correct.

7 Q. Okay. And the same goes with Moody's, they
8 have not -- they have not quantified in any kind of
9 detail how they evaluate purchased power agreements,
10 correct?

11 A. In general, Moody's has detail that they do
12 consider it, and they have described what they consider
13 in terms of the magnitude of the nature of the fixed
14 costs, the present value of the fixed obligations, but
15 they don't have a formulaic approach to it the way
16 Standard and Poor's does.

17 Q. Right. And you would agree that consistency
18 in a regulatory environment is a positive aspect or
19 characteristic of a regulatory environment, correct?

20 A. In general. I think commissions always are
21 hoping to reconsider issues, but consistency is
22 generally a positive.

23 Q. And you are aware in the Tampa Electric
24 decision that this Commission recently issued that it
25 declined to recognize or make a requested adjustment

1 related to purchased power agreements that Tampa
2 Electric Company was seeking, correct?

3 **A.** In general terms, although this issue is very
4 fact specific by utility because the magnitude of the
5 purchased power contracts is very different by utility.

6 **Q.** I understand, but when you said in general,
7 you would agree with me, correct, with respect to the
8 decision in TECO?

9 **A.** I agree that that is what happened in the
10 Tampa case, yes.

11 **Q.** Now, I was a little unclear yesterday in
12 questioning one of FPL's witnesses about FPL's position
13 with respect to return on equity and a return on equity
14 adder. You spent a considerable amount of testimony in
15 your rebuttal talking about jurisdictions that have
16 provided additional return on equity because of good
17 management or things of that nature, correct?

18 **A.** More generally, I provide examples of where
19 other commissions have considered management performance
20 in establishing the return on equity, whether it is done
21 through an adder or, again, just qualitatively.

22 **Q.** What is your understanding as to what FPL is
23 asking with respect to qualitative performance in the
24 return on equity in this case?

25 **A.** It is not seeking a specific increase or adder

1 for management performance, but has suggested that the
2 management performance should be considered by this
3 Commission in establishing the appropriate return on
4 equity.

5 Q. And do you agree with that? Do you agree that
6 management performance should be considered in
7 establishing the return on equity?

8 A. Yes, I do. I think it is important to align
9 the interests of investors and ratepayers.

10 Q. Okay. And the testimony you have provided is
11 situations which commissions have provided additional
12 return on equity based on positive operations and
13 behavior, correct?

14 A. Yes. As I said, that is part of what I cover
15 in that part of my testimony.

16 Q. Sure. And the converse is also true, is it
17 not, that to the extent that a utility may have provided
18 poor service or acted inappropriately, that it would be
19 appropriate for an ROE reduction to be considered,
20 correct?

21 A. I think it is a symmetrical process, and I
22 think both sides of the equation can be considered.

23 Q. Okay. And I don't know, have you been here
24 for the days and days and days of our hearing?

25 A. I have listened to or been here for almost all

1 of them.

2 Q. Okay. There was a little bit of an exchange
3 previously about an aviation issue. And I don't know
4 how closely you followed the aviation issue, but you
5 would agree, would you not, that a \$16 million issue is
6 not a distraction?

7 A. I think to put it in context, I think it is
8 7 million in the first -- in the test year and then
9 9 million in the subsequent year. It is certainly not a
10 distraction, and I think it is important for the
11 Commission to look at every dollar of expense and make
12 itself comfortable that the costs are appropriate. I
13 would point out that my testimony goes to the management
14 performance of the company overall. And we are talking
15 about a \$5 billion revenue requirement of which 7
16 million in one year is 0.12 percent, one-tenth of one
17 percent. It is certainly not indicative of anything
18 with regard to the overall management performance of the
19 company.

20 Q. So, you said it is not indicative of the
21 overall performance. I guess you would disagree -- you
22 have heard the saying that sometimes if you -- you know,
23 if you look at the small things, that may indicate how
24 big things are being done?

25 A. Well, Mr. Moyle, I look at it from this

1 perspective: If I or any other witness came before this
2 Commission and said I want you to determine that the
3 company has done a fantastic job, and I am presenting to
4 you information on one-tenth of one percent of its
5 costs, and I want you to infer from that that they have
6 done a great job because they did a great job on this
7 one-tenth of one percent, I would suggest to you it
8 would be appropriate to give that testimony no weight
9 whatsoever.

10 If there is evidence as to the
11 inappropriateness of any of the 7 million, and I don't
12 think that there necessarily is, but we don't need to
13 argue that point, I think the same weight should be
14 given that 7 million if it has negative connotations as
15 if I was to put it forward for positive connotations.

16 Q. And you make that statement just based on the
17 dollar figures, is that right?

18 A. Based on the fact that you need to look at the
19 overall management performance. And we are talking
20 about a company where the base rate revenue requirement
21 is \$5 billion. And on any quantitative measure that I
22 have been able to come up, which actually looks at the
23 entirety of the costs as well as subsets of the costs,
24 the company has performed exceptionally.

25 Q. And you don't have -- I know you have a

1 business background. Are you familiar with audits
2 typically or generally?

3 **A.** Yes. In fact, we have done audits and
4 presented them to this Commission.

5 **Q.** And sometimes in an audit they do, I guess, a
6 random sampling or they pick something and go look at
7 it, isn't that right?

8 **A.** Certainly.

9 **Q.** Okay. And in this case are you aware that
10 aviation expense was not identified as a contested issue
11 by the parties initially?

12 **A.** I'm not aware of that.

13 **Q.** Okay. Are you aware that Commissioner Skop
14 kind of looked into that issue and asked a whole lot of
15 questions about the aviation costs?

16 **A.** I am.

17 **Q.** Would you agree that looking into that aspect
18 is roughly analogous to sort of a random audit?

19 **A.** Not at all. An audit needs to look at a
20 representative cross-section of the accounting
21 information and the cost information to determine
22 whether, in fact, costs are appropriate. I don't think
23 anybody would purport that the aviation logs that have
24 been looked at here are in any way meant to even be a
25 representative sample of the overall \$5 billion of

1 expense of this company.

2 Q. You would agree with the proposition that
3 leadership -- that the leadership should lead by
4 example, correct?

5 A. Yes, I do.

6 Q. Okay. And I don't know if you have
7 familiarity with the mechanisms and the ways in which
8 allocation of costs for airline use, corporate air line
9 use are supposed to be allocated with respect to FPL?

10 A. No.

11 Q. Do you have a general understanding about how
12 aircraft use is supposed to be allocated between
13 regulated entities and nonregulated affiliates or parent
14 companies?

15 A. I have heard the testimony on that issue at
16 this hearing, that is the limit of my understanding.

17 Q. Okay. And to the extent that there are clear
18 guidelines about how you account for costs and the
19 evidence indicated that the top management of the
20 company did not follow the proper guidelines or the
21 proper procedures for allocating those costs between the
22 regulated entity and the nonregulated entity, you would
23 agree that that would be a factor that could be
24 considered by this Commission in determining the
25 attitude of the company?

1 **MR. ANDERSON:** FPL would object because
2 counsel's question is obviously argumentative, but it
3 assumes facts that are not in evidence. There has been
4 absolutely no showing of anything like a violation of
5 practice or procedure, and I would object to the
6 characterization of that question. We suggest a
7 different question be asked.

8 **CHAIRMAN CARTER:** To the objection, Mr. Moyle.

9 **MR. BECK:** I would respectfully disagree with
10 my colleague. The document came into evidence yesterday
11 that was the results of the audit that Commissioner Skop
12 had asked for. It showed disallowances, partial
13 disallowances for flight costs that had been
14 inappropriately booked to the regulated utility and
15 adjustments were made to back those costs out. And I
16 think that is in the record, it is evidence, and it is a
17 fair question. With respect to the attitude portion, he
18 uses a quote about the general attitude of management in
19 his testimony, so I think it's a fair question.

20 **CHAIRMAN CARTER:** Mr. Teitzman.

21 **MR. TEITZMAN:** If I could have just one
22 second.

23 **CHAIRMAN CARTER:** Yes, sir.

24 **MR. TEITZMAN:** Mr. Chairman, I would recommend
25 letting Mr. Moyle continue that line of questioning.

1 **CHAIRMAN CARTER:** Okay. Mr. Moyle, tread
2 lightly.

3 **BY MR. MOYLE:**

4 **Q.** Sir, Page 7.

5 **A.** Of my direct?

6 **Q.** I'm sorry, of your rebuttal.

7 **A.** My rebuttal.

8 **Q.** Line 6. Here you are quoting a decision of
9 the Rhode Island Public Utilities Commission, and I
10 believe you are talking about ROE, and you state, "In
11 establishing a reasonable return from within a range,
12 the Commission has in the past given consideration to
13 the service record of the company and the general
14 attitude of management in meeting its public service
15 obligations." I take it from that that you would agree
16 that consideration of the general attitude of management
17 is an appropriate thing that can be considered by this
18 Commission, correct?

19 **A.** I can. All I would ask is that the Commission
20 take under advisement and recognition of all of the
21 evidence on all \$5 billion of the costs.

22 **Q.** Yes, sir. And I think we all have every
23 confidence that that will be done. Were you here
24 yesterday when there was testimony about FPL's
25 activities related to the service hearings and

1 activities where they met with customers and did
2 follow-up activity to make sure that customers who had
3 positive things to say about the company showed up at
4 the service hearings?

5 **A.** I was here and heard that evidence.

6 **Q.** It's getting late. I have some other areas
7 that we might be able to discuss, but I think we will
8 have to save that to another day. Thank you for your
9 time and attention.

10 **A.** My pleasure.

11 **CHAIRMAN CARTER:** Thank you, Mr. Moyle.

12 Mr. Wright.

13 **MR. WRIGHT:** Thank you, Mr. Chairman.

14 CROSS EXAMINATION

15 **BY MR. WRIGHT:**

16 **Q.** Good afternoon, Mr. Reed.

17 **A.** Good afternoon, sir.

18 **Q.** My name is Schef Wright. I represent the
19 Florida Retail Federation in this proceeding, and like
20 my colleague, Mr. Moyle, I have some brief
21 cross-examination for you.

22 With regard to your direct testimony, you talk
23 about -- at various points about customer benefits, and
24 then at Page 37 you talk about FPL's strong customer
25 service record, and that is at the very bottom of Page

1 37 of your direct testimony. I just have a few
2 questions for you along that line. Are you an FPL
3 customer, perhaps of FPL New England?

4 A. I am an FPL customer here in Florida.

5 Q. Do you live here?

6 A. I have a home here, too.

7 Q. Okay. Good for you.

8 Did you interview any other FPL customers in
9 connection with your conclusion that FPL has a strong
10 customer service record?

11 A. No, I did not interview customers.

12 Q. Did you conduct an independent assessment of
13 FPL's customer service?

14 A. No, I would say not an independent assessment.
15 I conducted a review of the available statistics with
16 regard to the customer service function, which are
17 compiled in my exhibits.

18 Q. I'm sure you are familiar with J.D. Power and
19 Associates and their rankings of customer satisfaction?

20 A. Very, very familiar with that.

21 Q. Okay. Will you agree -- and I can show you
22 the exhibit, it's already in evidence, will you agree
23 that Florida Power and Light is ranked below average for
24 the South Florida segment in the most recent J.D. Power
25 electric utility residential customer satisfaction

1 study?

2 **A.** I will accept that, but it was very, very
3 slightly below average for this region, above average
4 for the nation, and I would be glad to talk to you at
5 length about that study if you would like. It is a
6 study that I helped to create. I was the CEO of
7 Navigant, and Navigant created that study with J.D.
8 Power. My staff created it. It is what we largely
9 refer to as a popularity contest, but we can go into it
10 as much length as you would like to.

11 **Q.** That was really about all I wanted to touch on
12 with respect to that. With respect to your rebuttal
13 testimony, you talk in several places about the public
14 utility commissions recognizing management performance
15 in setting an appropriate ROE, and then you also go on
16 to cite one of the landmark cases in utility regulation,
17 Bluefield Waterworks. Are you trying to suggest that
18 the Florida Public Service Commission should give FPL a
19 higher rate of return on equity because of its
20 efficiency or its superior performance?

21 **A.** Certainly it has the ability to do that and it
22 has done exactly that in other cases before it. That
23 action is also consistent with what many other
24 commissions do when they consider management
25 performance. I'm not making a specific recommendation

1 here in terms of an adder, nor is the company seeking an
2 adder to the return on equity, but I do think it is fair
3 to consider management performance and especially when
4 it is as superior as what FPL has posted consistently.
5 I think it should be taken into consideration.

6 **Q.** I want to talk to you briefly about Bluefield.
7 Will you agree that the relevant principle of Bluefield
8 relative to the concept of efficient management is that
9 the rate of return must be set to provide the company
10 with the opportunity to provide its service, to fulfill
11 its public duties, to maintain its credit, and to earn a
12 reasonable return assuming that the utility has
13 efficient and economical management?

14 **A.** Yes. I think that sounds familiar within the
15 context of the Bluefield decision.

16 **Q.** Can you point me to anyplace in the Bluefield
17 decision where it says that a regulatory body should
18 reward efficient management different than what I just
19 talked to you about?

20 **A.** Obviously, I didn't quote Bluefield for that
21 purpose. My testimony points specifically to a number
22 of states, including Florida, where that has occurred,
23 and where the commissions have very explicitly adopted
24 adjustments to return on equity for management
25 performance. I think it is consistent with Bluefield.

1 I don't think it is mandated by Bluefield.

2 Q. Do you agree with the following statement: A
3 utility is under an obligation to serve its customers
4 and to do so at the lowest possible cost?

5 A. No, I don't agree that lowest possible cost is
6 the appropriate standard.

7 Q. Would it surprise you that I just quoted from
8 Mr. Davis' rebuttal testimony in this case?

9 A. No. Again, I'm not sure that he was
10 testifying on that issue. But if the standard is lowest
11 possible cost, you can obviously sacrifice reliability,
12 you could sacrifice service quality, customer
13 satisfaction by reducing cost. So I don't think lowest
14 possible cost is the appropriate standard.

15 Q. Modifying the statement slightly, would you
16 agree that it is the utility's duty to provide safe,
17 adequate, reliable service to its customers at the
18 lowest possible cost?

19 A. No. Once again, I think reasonable cost is
20 the standard that most commissions and most courts have
21 adopted. That is the one I would endorse. Lowest
22 possible carries with it a lot of baggage that I think
23 actually works to the customers' detriment.

24 Q. Would you agree that it is the utility's duty
25 in fulfilling its public service responsibilities to be

1 as efficient as possible?

2 **A.** Yes. I think it is certainly the objective of
3 every utility that I have worked with to be as efficient
4 as possible. I think that is discharging their duty to
5 their customers.

6 **Q.** I'm sure you are very familiar with the
7 concept of regulatory lag?

8 **A.** I am.

9 **Q.** And regulatory lag refers to the time period
10 between rate cases, and if a utility saves money during
11 that time, it makes more net income; and if it is not
12 successful at controlling costs during that time, then
13 it make less net operating income. Is that about right?

14 **A.** Not really. Regulatory lag is much broader
15 than that. It incorporates the time period between the
16 incurrence of cost and the recovery of a cost, as well
17 as the space between utility -- between utility rate
18 cases or the time frame between utility rate cases.

19 **Q.** Wouldn't you agree that to the extent the
20 utility saves money by reducing costs between rate
21 cases, its net operating income will be higher, other
22 things equal?

23 **A.** All other things being equal, meaning as
24 established in the underlying original rate case, yes,
25 if it reduces cost it will increase operating income.

1 That's a pretty unusual circumstance, obviously.

2 Q. By that you mean the other things equal
3 assumption?

4 A. Yes. You never have all other things being
5 equal to what is in the actual rate case.

6 Q. Right. In your analyses of FPL's performance,
7 to what extent, if at all, did you consider violations
8 of Nuclear Regulatory Commission rules?

9 A. We considered all of the metrics that we had
10 with regard to nuclear cost, reliability, safety, and
11 operating performance in terms of capacity factor.
12 There is no quantitative metric with regard to, as you
13 described it, violations of NRC rules that we
14 considered. But to the extent there are violations of
15 NRC rules, you would expect that to show up in the
16 factors that we did quantify.

17 MR. WRIGHT: I am going to ask my law partner,
18 Mr. LaVia, to please pass out an exhibit, Mr. Chairman.

19 CHAIRMAN CARTER: Do you need a number?

20 MR. WRIGHT: I do, please.

21 CHAIRMAN CARTER: It would be 538.

22 MR. WRIGHT: 538.

23 CHAIRMAN CARTER: A short title?

24 MR. WRIGHT: Miami Herald Article, re:
25 2-26-2008 Blackout.

1 (Exhibit Number 538 marked for
2 identification.)

3 **CHAIRMAN CARTER:** You may proceed.

4 **MR. WRIGHT:** Thank you, Mr. Chairman.

5 **BY MR. WRIGHT:**

6 **Q.** Are you familiar with the event that is
7 discussed in this article as an outage resulting from a
8 transmission glitch in February of 2008?

9 **A.** I am familiar in general terms with the
10 incident.

11 **Q.** Were you in Florida when that occurred and
12 were you impacted by it?

13 **A.** No, I was not in Florida at the time.

14 **Q.** To what extent, if at all, does your
15 evaluation of FPL's customer service take account of
16 this?

17 **A.** It is captured -- hang on just a second. This
18 occurred on February 26th, 2008. My data as presented
19 in the testimony ended in 2007, so this is just beyond
20 the interval that we examined, the ten-year interval
21 that we examined.

22 **Q.** I will submit to you that it is already in
23 evidence that FPL's projected fuel costs for 2009 as of
24 the fall of 2008 were approximately \$7 billion, and that
25 their currently projected fuel costs for 2010 are

1 approximately \$3.8 billion. I don't know to what extent
2 you track those things in your work, but does that sound
3 familiar to you?

4 **A.** I was aware there was a substantial projected
5 reduction in fuel cost. I can't vouch for the
6 individual numbers.

7 **Q.** Would you agree that that is largely due to
8 declines in the price of natural gas?

9 **A.** As I recall, it is due to many things.
10 Declines in the price of all fossil fuels, as well as
11 decline in load, as well as the substitution of more
12 efficient forms of fossil generation. So I think it is
13 many factors that contributed to it.

14 **MR. WRIGHT:** I need a minute to refer to an
15 exhibit that is already --

16 **CHAIRMAN CARTER:** Take a moment.

17 **MR. WRIGHT:** Thank you.

18 **CHAIRMAN CARTER:** Commissioner Skop, you're
19 recognized.

20 **COMMISSIONER SKOP:** Thank you, Mr. Chair. I
21 just want to ask a brief intervening question. I guess
22 I heard the witness just state that he looked at a
23 ten-year interval which did not include 2008, is that
24 correct?

25 **THE WITNESS:** That's correct in terms of what

1 is presented in the testimony. I actually have looked
2 at 2008 to see if it would have changed any of my
3 conclusions, but the testimony only presents the ten
4 years ending 2007.

5 **COMMISSIONER SKOP:** Okay. Why would you not
6 have considered the historical test year which would
7 have, I believe, been 2008?

8 **THE WITNESS:** The data were not all available
9 at the time the testimony was submitted, especially the
10 operational data were not available as of that date. As
11 I said, I have gone back and looked at all of the '08
12 statistics and at least for internal purposes continued
13 the benchmarking. I can tell you that in 2007, FPL was
14 the number one performer of the 28 straight electric
15 utilities. In prior years it had been number two or
16 number three. In 2008 it was number two out of 28, so
17 it has continued to be in the top three positions, but
18 in 2008 it did achieve a number two ranking.

19 **COMMISSIONER SKOP:** So if you took the most
20 recent year, which is 2008, that you say that you did
21 also benchmark on, and dropped the oldest year, how
22 would that might have changed the results, if any?

23 **THE WITNESS:** Not at all. The conclusion
24 would be even more compelling that it has continued to
25 achieve a ranking of either first, second, or third in

1 every year that we have examined, and that is consistent
2 in 2008.

3 **COMMISSIONER SKOP:** Thank you.

4 **CHAIRMAN CARTER:** Mr. Wright.

5 **MR. WRIGHT:** Thank you, Mr. Chairman.

6 **BY MR. WRIGHT:**

7 **Q.** Mr. Reed, in your response to my previous
8 question you talked briefly about declining load. The
9 only information I have handy is FPL's Ten-Year Site
10 Plan, which shows total sales to customers projected for
11 2009 at 101,078 gigawatt hours, and for 2010, 101,029
12 gigawatt hours. Do you have any particular information
13 about what you referred to as declining load?

14 **A.** No. Again, just what has been submitted in
15 the evidence in this case.

16 **Q.** Do you believe that regulatory lag offers the
17 utility an appropriate incentive to be efficient and
18 save costs between rate cases?

19 **A.** No, not necessarily. Regulatory lag, you
20 know, as I said covers many sins. It covers many
21 changes of events, both in terms of the addition of new
22 rate base, additional costs, changes in load, changes in
23 load profile. In my view, the most appropriate vehicle
24 for both reviewing and measuring corporate efficiency or
25 utility efficiency is by the kind of analysis, the

1 benchmarking analysis I have performed. I don't think
2 you can count on that sort of interstitial or
3 intertemporal period between rate cases as necessarily
4 being representative of an incentive to achieve
5 efficiency or indicating whether the company has or
6 hasn't achieved sufficient efficiency.

7 **Q.** Would you agree that FPL has been, generally
8 speaking, highly profitable for the 25 years between
9 fully litigated rate cases?

10 **A.** I would say it has been a strong financial
11 performer. Again, it has managed its costs well, it has
12 managed its capital expenditures well, and it has had a
13 supportive regulatory environment. I think all of those
14 things have contributed to being -- it has been a
15 financially strong utility, which is a good thing.

16 **MR. WRIGHT:** Thank you. That's all I have.

17 **CHAIRMAN CARTER:** Thank you, Mr. Wright.

18 Mr. Wiseman.

19 **MR. WISEMAN:** No questions, Your Honor.

20 **CHAIRMAN CARTER:** Staff.

21 **MS. BROWN:** Commissioner, we just have one
22 exhibit to enter into the record. The parties have
23 agreed to it. It is FPL's Response to Staff's Ninth Set
24 of Interrogatories Number 130, and it is found on Page
25 5, Item 7 of staff's comprehensive exhibit list.

1 **CHAIRMAN CARTER:** Now, that is in lieu of any
2 cross-examination?

3 **MS. BROWN:** Yes.

4 **CHAIRMAN CARTER:** Okay. When we finish and go
5 to exhibits we will deal with that.

6 **MS. BROWN:** All right. That's fine.

7 **CHAIRMAN CARTER:** Okay.

8 Commissioner Skop.

9 **COMMISSIONER SKOP:** Thank you, Mr. Chair.
10 Just one quick follow-up question, Mr. Reed. I guess
11 your rebuttal testimony discusses how overall management
12 excellence should be, I guess, rewarded for lack of a
13 better term. Does your analysis take into account in
14 any way existing mechanisms that this Commission already
15 uses to address operational excellence?

16 **THE WITNESS:** I am certainly very familiar
17 with the regulatory framework, the ratemaking framework
18 within Florida. I'm not aware of any way in which
19 operational excellence finds its way into the ratemaking
20 process other than through consideration of this type of
21 analysis in a rate case.

22 **COMMISSIONER SKOP:** Are you familiar with our
23 fuel docket, annual fuel docket?

24 **THE WITNESS:** Yes, I am.

25 **COMMISSIONER SKOP:** Okay. Are you familiar

1 with in the context of that docket that there is GPIF,
2 or generating performance incentive factor that rewards
3 operational excellence for meeting certain generational
4 criteria?

5 **THE WITNESS:** Yes, I am aware that there is
6 that mechanism within the fuel docket.

7 **COMMISSIONER SKOP:** Okay. So that would be
8 one mechanism of rewarding a company for having its
9 generating units operate at high performance levels, is
10 that correct?

11 **THE WITNESS:** I think in terms of high
12 availability and low forced outage rate, I think that is
13 correct.

14 **COMMISSIONER SKOP:** Okay. But if the primary
15 function of the utility is to generate electricity,
16 certainly that is one of the big parts absent
17 transmission and distribution of actual delivery, but
18 generation is a big part of what a typical electric
19 utility company does, is that correct?

20 **THE WITNESS:** It is. Of course, it is not the
21 part -- at least the fuel component that we have talked
22 about in the fuel case is not the component that we are
23 here today to talk about in base rates, which is why my
24 mechanism really focused on base rates.

25 **COMMISSIONER SKOP:** Okay. Are you also

1 familiar with other revenue sharing mechanisms and
2 various clauses that the Commission uses?

3 **THE WITNESS:** I am familiar with revenue
4 sharing in terms of the most recent rate case
5 settlements, if that is what you are speaking of.

6 **COMMISSIONER SKOP:** Okay. I guess how would
7 you distinguish -- again, certainly FPL is a large
8 electric utility, and they do have certain functional
9 areas. Again, you have the generating group and
10 distribution, transmission, customer service, and I know
11 that your -- the context of your rebuttal was to look at
12 overall performance. How would you, you know,
13 characterize an overall rating, if you will? Do you
14 have you to look at the individual aspects of each of
15 those functional areas, or could you provide some sort
16 of, I guess, guidance on how you would arrive at what
17 you concluded in your testimony?

18 **THE WITNESS:** Yes. And if I could, I would
19 refer you to Exhibit JJR-6 in my direct. Beginning at
20 Page 15 of 47 in those workpapers, you can actually look
21 at these charts and see the performance by functional
22 area of the company, production, both fossil and
23 nuclear. And within the O&M and A&G categories you can
24 look at, for example, customer collection, accounting,
25 and sales expense, you can look at labor, you can look

1 at A&G, you can look at the transmission function and
2 you can look at the distribution function.

3 What is so striking to me is that the company
4 really -- while it was not necessarily the top performer
5 in every category, it is consistently a top performer in
6 all of these categories, meaning one of the top three or
7 four. So it achieves its number one overall ranking in
8 the data that we have not by being first in every
9 category, but by being a top performer in every
10 category. And, again, that is even with the challenge
11 that it has of serving a very residential intensive
12 service territory, of relatively small customers,
13 virtually no heavy industrial load, and being a very
14 transmission dependent company.

15 We set these charts out individually so that
16 you could, in fact, look by function and see if there
17 was, you know, for example, a strong performance in one
18 area and a weak performance in the other area. There
19 really is no area in which there is a weak performance.

20 **COMMISSIONER SKOP:** Okay. And just one final
21 question. On the exhibit entitled JJR-13, which is the
22 large graph to your left, I guess you are comparing the
23 savings that FPL has incurred on nonfuel O&M expenses in
24 relation to benchmarking against other companies in
25 similarly situated groups.

1 Do those savings -- I'm trying to figure out
2 how to say this in a concise manner. You are showing a
3 correlation between, I think, over a billion dollars in
4 savings in O&M costs versus the impact of, you know,
5 giving them 50 additional basis points in ROE kind of as
6 an ROE adder or moving them up into the upper range.
7 With respect to the savings that have been incurred,
8 aren't those, you know, as a result of proposals that
9 the company has brought forth to this Commission that
10 the Commission has approved with sound regulatory policy
11 that has enabled those savings to be achieved?

12 **THE WITNESS:** Certainly it has been supported
13 by a favorable regulatory environment, but I would say
14 that there are lots of companies in the group,
15 especially of 28 utilities, that are in favorable
16 regulatory environments. And as you will recall, one of
17 the groups that we have measured the performance against
18 is the regional group, which is all Florida. So,
19 certainly all of those companies have also benefited
20 from the strong regulatory environment, the favorable
21 regulatory environment historically here in Florida.

22 Again, just to make sure we are talking about
23 the same thing in terms of the measured savings there.
24 What is shown on the chart is how much higher FPL's
25 nonfuel O&M costs would have been if it had been an

1 average performer, meaning performing at the mean of
2 each of those other study groups, the 28 straight
3 electricians, the large utilities, and the regional
4 utilities. So the billion to 1.5 billion represents the
5 savings each year relative to where it had been if it
6 had been an average performer.

7 Certainly, with regard to the Florida
8 utilities, that is actually the biggest differential,
9 that is the 1.5 billion. And the other Florida
10 utilities have also, you know, been operating here under
11 a relatively constructive and favorable regulatory
12 environment. So I think whether you look at the Florida
13 group, the large group, or the straight electric group,
14 it is a very consistent message, very, very, substantial
15 savings versus what they would have achieved if they
16 were performing at the mean level.

17 **COMMISSIONER SKOP:** I guess just one
18 follow-up, you know, in terms of, you know, doing the
19 job and delivering electricity to its customers in the
20 most cost-effective manner as possible. Wouldn't you
21 expect some of these savings to occur by virtue of
22 prudently running or managing your company as would
23 happen in the normal course of business, and why would
24 there be an additional need to further incentivize as an
25 adder over and above what has been previously testified

1 to the appropriate ROE range?

2 **THE WITNESS:** I have two comments on that.
3 The first is that I view prudence as being independent
4 of management performance. I mean, typically a
5 regulatory commission will only allow the recovery of
6 prudently incurred costs. So if the costs aren't
7 prudently incurred, they get disallowed, period. What
8 we are talking about here is allowing costs that are
9 prudently occurred and then recognizing management
10 performance and return on equity.

11 So, let's accept that what we see in the costs
12 here of all of these utilities are prudently incurred or
13 they would have been written off, they would have been
14 disallowed in the ratemaking process. Then, how do we
15 recognize performance above and beyond the mean, not
16 just slightly, but actually far above and beyond the
17 mean. And in that regard, my answer is to why you
18 should recognize that for a regulated utility is because
19 we are largely with regulation trying to replicate the
20 result that would have occurred in a competitive
21 environment. We are acting as a surrogate or a
22 substitute for competition and for a competitive
23 marketplace. I can assure you in a competitive
24 marketplace management excellence counts. Management
25 excellence absolutely determines whether you are able to

1 achieve an above average return.

2 Having at least some measure of that, not the
3 full capture of the billion dollars of savings, but at
4 least some recognition of that in return on equity I
5 think does what this Commission should do, which is to
6 align the interests of ratepayers and investors. Both
7 benefit. Certainly, ratepayers right now benefit
8 dramatically, the billion dollars from FPL's excellent
9 performance. Having some small share of that, in this
10 case potentially 60 million out of the billion, accrue
11 to management, accrue to I should say the investors, I
12 think is consistent with aligning the interests of
13 customers and investors.

14 **COMMISSIONER SKOP:** Okay. Just one final
15 question. In light of rewarding management performance,
16 aren't the individual managers, as well as the executive
17 managers, properly rewarded with their total
18 compensation package that the cost of which FPL has
19 sought to recover in its base rates?

20 **THE WITNESS:** Yes. And I want to be clear, we
21 are not talking about rewarding management here; we are
22 talking about providing, if anything, recognition of
23 performance in establishing the return on equity that
24 goes to investors, that goes specifically to equity
25 investors. We are not talking about paying bigger

1 bonuses to management. We are not talking about having
2 higher compensation levels. It is all about
3 demonstrating to the investor that the investor will
4 also see some benefit from a truly exceptional
5 performance by the management team.

6 **COMMISSIONER SKOP:** Thank you.

7 **CHAIRMAN CARTER:** Thank you, Commissioner.

8 Commissioners, anything further from the
9 bench?

10 Redirect.

11 REDIRECT EXAMINATION

12 **BY MR. ANDERSON:**

13 **Q.** A couple of quick questions. One of them is
14 staff offered into evidence Interrogatory 130, which you
15 responded to, is that right?

16 **A.** Yes.

17 **Q.** And that interrogatory asked if you performed
18 an analysis that demonstrates a cause and effect
19 relationship between a higher authorized ROE and higher
20 productive efficiency ranking, is that right?

21 **A.** Yes.

22 **Q.** Your response to the question, which staff
23 just put in the record or will offer, was Mr. Reed has
24 not performed an analysis, is that right?

25 **A.** That is correct.

1 **Q.** Why is that?

2 **A.** The question asked about a cause and effect
3 relationship between a higher ROE and productive
4 efficiency, and I certainly don't think that higher ROEs
5 create higher productive efficiency, so we didn't try to
6 capture that. There is actually no causal link between
7 those two.

8 I suppose if the question was meant to be the
9 other way around, is there a causal link between higher
10 productive efficiency and higher authorized returns, I
11 would say that at best that is a very, very loose
12 relationship because so many other factors come into the
13 equation. The degree of leverage the company has, the
14 regulatory environment in which the company operates,
15 the mix of generation that the company has, for example,
16 how much of it is nuclear. Those kinds of things really
17 overwhelm the effect of management performance
18 frequently when you try and examine differences in
19 allowed returns on equity. But I answered the question
20 the way it was posed, which is is there any cause and
21 effect relationship between higher ROEs and productive
22 efficiency. And I think the answer to that is clearly
23 that there is not.

24 **Q.** I think it was Mr. Moyle asked you some
25 questions concerning TECO and the adjustments to equity

1 and purchased power agreements, do you recall that?

2 **A.** I do.

3 **Q.** Okay. Specifically, I think in the TECO case,
4 and I have the decision pages here if you need to refer
5 to them, I think what the Commission did is they
6 rejected a pro forma adjustment to equity requested by
7 TECO, is that right?

8 **A.** That is my recollection, yes.

9 **Q.** Okay. Can you tell us, if you know, how FPL's
10 request is different from TECO and why it is reasonable?

11 **A.** FPL is not requesting that the Commission add,
12 basically add on something to its equity ratio or its
13 return on equity to allow for the imputation of debt
14 costs associated with PPAs. All it is saying is you
15 should understand when you examine the actual equity
16 ratio of the company that the effects of PPAs are
17 reflected in how the company establishes its actual
18 equity ratio. It is not seeking something above and
19 beyond the actual level. So it is different from Tampa.
20 It is different, in fact, from Progress in how it is
21 handling this issue. It is simply saying we are seeking
22 recovery of the actual equity ratio which has been
23 influenced by that factor or should be considered in
24 light of that factor.

25 **MR. ANDERSON:** We have no further questions

1 for the witness. Thank you.

2 **CHAIRMAN CARTER:** Commissioner Skop.

3 **COMMISSIONER SKOP:** Thank you, Mr. Chair. I
4 missed one, and I will give Mr. Anderson the ability to
5 redirect if necessary.

6 Mr. Reed, on the exhibit that you asked me to
7 refer to in your direct testimony, JJR-7.

8 **THE WITNESS:** Yes.

9 **COMMISSIONER SKOP:** Okay. Which I believe
10 shows some benchmarking by functional area, is that
11 correct?

12 **THE WITNESS:** Actually, it is Exhibit JJR-6.
13 I hope I didn't misspeak. It is 6, beginning on page --
14 I think it is 17. Give me just a moment. Beginning on
15 Page 15 of 47 is where the productive efficiency by
16 function is measured.

17 **COMMISSIONER SKOP:** Okay. I guess if I could
18 just turn your attention to JJR-7, it would probably be
19 quicker this way.

20 **THE WITNESS:** Okay.

21 **COMMISSIONER SKOP:** I guess that was a
22 productive efficiency and situational assessment for the
23 year 2007 for FPL alone?

24 **THE WITNESS:** Yes, showing its position --
25 ranked position relative to the different peer groups.

1 **COMMISSIONER SKOP:** Okay. For the bottom
2 table, which is FPL 2007 productive efficiency, do you
3 see the row entitled Labor Efficiency?

4 **THE WITNESS:** I do.

5 **COMMISSIONER SKOP:** Okay. And do you see rank
6 and large utility group of three of seven?

7 **THE WITNESS:** I do.

8 **COMMISSIONER SKOP:** Okay. Can you briefly
9 explain what labor efficiency is a measure of in
10 relation to that large utility peer group?

11 **THE WITNESS:** The measure is the same across
12 all of the peer groups, and it is actually explained --
13 the definition of that term is on Exhibit JJR-6, Page 3
14 of 47. And it is a measure -- it is a combination of
15 two different labor efficiency measures. One is
16 employees per 1,000 customers. And, obviously, the
17 fewer employees you have per 1,000 customers, the more
18 efficient you are. And the second is salaries, wages,
19 pensions, and benefits per employee. And that is,
20 again, the more efficient is the lower total
21 compensation per employee. So it is a combination of
22 those two measures.

23 **COMMISSIONER SKOP:** Okay. So, in relation to
24 the rank in the large utility group being three out of
25 seven, could that be some indication to the extent that

1 either, one, they are not as lean as they might
2 otherwise be, or, two, that their salaries, wages,
3 pensions, and benefits per employees were higher than
4 necessary?

5 **THE WITNESS:** Three means they are above
6 average, of course. One would be the top. Three is
7 slightly above average out of the group of seven.

8 **COMMISSIONER SKOP:** Okay.

9 **THE WITNESS:** When you take that in the
10 combination of the regional market, which is the Florida
11 utilities, they achieve the top score out of the four
12 utilities, investor-owned utilities in the state. And
13 they are right on the verge of the top quartile in the
14 straight electric group. So I think taking all three
15 measures together indicates that they are doing a very
16 good job in that category.

17 **COMMISSIONER SKOP:** Okay. And just one
18 question with respect to the regional group, and I don't
19 want to rehash your direct testimony. I thought I heard
20 previously that regional was in the southeastern states.
21 Am I misunderstanding that? Is it strictly limited to
22 Florida utilities?

23 **THE WITNESS:** It is all four are in Florida.

24 **COMMISSIONER SKOP:** All right. Thank you.

25 **CHAIRMAN CARTER:** Thank you, Commissioner.

1 Commissioners, anything further?

2 Exhibits. Let's go to Page 27.

3 Mr. Anderson.

4 **MR. ANDERSON:** Thank you, Chairman Carter.

5 FPL offers Exhibits 168 to 179 into evidence.

6 **CHAIRMAN CARTER:** Are there any objections?

7 Without objection, show it done.

8 (Exhibit Numbers 168 through 179 admitted into
9 the record.)

10 **CHAIRMAN CARTER:** Hang on one second,

11 Mr. Anderson, before you go to the next.

12 Commissioners, let's go to Page 43.

13 Mr. Anderson, you're recognized.

14 **MR. ANDERSON:** FPL offers Exhibit 381 into
15 evidence.

16 **CHAIRMAN CARTER:** Are there any objections?

17 Without objection, show it done.

18 (Exhibit Number 381 admitted into the record.)

19 **CHAIRMAN CARTER:** Let's go to the back pages.

20 Mr. Moyle, Exhibit 537.

21 **MR. MOYLE:** I move it into the record, please.

22 **CHAIRMAN CARTER:** Are there any objections?

23 **MR. ANDERSON:** No.

24 **CHAIRMAN CARTER:** Without objection, show it
25 done.

1 (Exhibit Number 537 admitted into evidence.)

2 **CHAIRMAN CARTER:** Mr. Wright.

3 **MR. WRIGHT:** I move 538, Mr. Chairman.

4 **CHAIRMAN CARTER:** Are there any objections?

5 **MR. ANDERSON:** No.

6 **CHAIRMAN CARTER:** Without objection, show it
7 done.

8 (Exhibit Number 538 admitted into evidence.)

9 **CHAIRMAN CARTER:** Staff and parties, is there
10 anything further for this witness?

11 **MS. BROWN:** Yes, Commissioner.

12 **CHAIRMAN CARTER:** There you go. I knew that.

13 **MS. BROWN:** Page 5. Staff would move FPL's
14 Response to Staff's Ninth Set of Interrogatories Number
15 130. It has been stipulated. It is Item 7 of the
16 comprehensive exhibit list.

17 **CHAIRMAN CARTER:** Are there any objections?

18 **MR. ANDERSON:** None.

19 **CHAIRMAN CARTER:** Without objection, show it
20 done.

21 (Exhibit admitted into the record.)

22 **CHAIRMAN CARTER:** Anything further, Ms. Brown?

23 **MS. BROWN:** No, sir.

24 **CHAIRMAN CARTER:** Okay. Anything further for
25 this from any of the parties or staff?

1 Thank you, sir, you may be excused.

2 **THE WITNESS:** Thank you.

3 **CHAIRMAN CARTER:** Call your next witness.

4 **MR. BUTLER:** We call our next and final
5 witness, Mr. Deason, testifying on rebuttal.

6 **CHAIRMAN CARTER:** Okay. And I know he has
7 already been sworn. I saw him this morning when I swore
8 in the witnesses as a group. I see you got the blue
9 shirt and the yellow tie memo.

10 **THE WITNESS:** I hope I am in uniform,
11 Mr. Chairman.

12 **CHAIRMAN CARTER:** Yes, you are.

13 **MR. MOYLE:** Mr. Chairman, before Mr. Deason
14 takes the stand --

15 **CHAIRMAN CARTER:** Okay. Mr. Moyle, you're
16 recognized.

17 **MR. MOYLE:** I have consulted with the
18 intervenors and would like to make a joint motion on
19 behalf of the Retail Federation, the Attorney General's
20 Office, and the South Florida Hospital Association
21 that -- and with all due respect to Mr. Deason, you
22 know, largely everything that he testifies about has
23 already been testified about by other witnesses. And a
24 review of the issues listed by witnesses will reflect
25 that there has been numerous, numerous witnesses that

1 talk about every issue that Mr. Deason is talking about.

2 In no case is there only one witness who has
3 talked about issues Mr. Deason has talked about. It is
4 either two or three other witnesses have already talked
5 about the issues. And in his summary, he talks about
6 the subsequent year adjustment. We have heard about
7 that. The appropriate regulatory treatment for
8 theoretical depreciation reserve surplus, we had the
9 witness on the stand for hours today talking about that.
10 Equity ratio, you have had financial witnesses talking
11 about that. GBRA, we have had tons of witnesses talking
12 about that. And incentive compensation, Ms. Slattery
13 spent about -- you know, many hours talking about that,
14 and FPL has removed some of that.

15 So, you know, again, with all due respect, I
16 think this is repetitive, redundant, and ought to not
17 move forward. There is a rule of civil procedure that
18 permits parties or the court to move to strike redundant
19 material, so we would make that motion. And I don't
20 know if any of my colleagues have anything to add, but I
21 was, for the purposes saving time, trying to make it on
22 behalf of everyone. I haven't talked to Mr. McGlothlin,
23 but --

24 **CHAIRMAN CARTER:** Mr. McGlothlin.

25 **MR. MCGLOTHLIN:** It is not my motion.

1 **CHAIRMAN CARTER:** Okay. And you have talked
2 to the other intervenors, right, Mr. Moyle?

3 **MR. MOYLE:** Yes.

4 **CHAIRMAN CARTER:** Okay.

5 Mr. Butler, to the motion.

6 **MR. BUTLER:** Thank you, Mr. Chairman. First
7 of all, I think it is phenomenally late to be made at
8 this point in the proceeding. You know, Mr. Deason's
9 testimony was filed on August 6th. We had our
10 prehearing conference eons ago. There is a provision in
11 the order establishing procedure to make motions to
12 strike, you know, before the prehearing conference. You
13 know, nothing has been brought up until this point, so I
14 think it is very inappropriate to be raising it at this
15 time.

16 Mr. Deason's testimony touches on topics that
17 other witnesses certainly have also testified to, but it
18 does so both different substance and from a different
19 perspective, that of somebody who has had a great deal
20 of experience and expertise with the specifics of this
21 Commission's regulation of these subjects, so I don't
22 think that it is cumulative to other testimony. I
23 certainly think that all parties have had an adequate
24 opportunity to prepare for and respond to it, and do not
25 think that the motion is either timely or substantively

1 warranted.

2 Having said that, I was prepared to and do
3 continue to intend to withdraw specifically the section
4 of Mr. Deason's testimony that relates to the subject of
5 incentive compensation, you know, that being the subject
6 of FPL's adjustment that it agreed to make with respect
7 to executive incentive compensation. It doesn't seem
8 that that portion of his testimony needs to be included
9 in the record or otherwise the subject of the
10 proceeding. And that appears specifically on Page 29,
11 Line 10, through Page 31, Line 3 of his rebuttal
12 testimony.

13 **CHAIRMAN CARTER:** Okay.

14 Mr. Teitzman.

15 **MR. TEITZMAN:** Mr. Chairman, in the order
16 establishing procedure, Section 60, it specifically
17 states that motions to strike any portion of the
18 prefiled testimony and related portions of exhibits of
19 any witness shall be made in writing no later than the
20 prehearing conference. Motions to strike any portion of
21 prefiled testimony and related portions of exhibits at
22 hearing shall be considered untimely absent good cause
23 shown. I don't believe Mr. Moyle has made any argument
24 regarding cause or good cause.

25 I would also note that as far as what the APA

1 states regarding repetitious evidence, it says it has to
2 be unduly repetitious. And I don't believe that they
3 have made the case for unduly either.

4 **CHAIRMAN CARTER:** Okay. Overruled.

5 **MS. BRADLEY:** Mr. Chairman.

6 **CHAIRMAN CARTER:** Ms. Bradley.

7 **MS. BRADLEY:** Just for the record, we were
8 asked this afternoon to try to come up with anything we
9 could do to shorten these proceedings because people
10 were ready to be through with it. And I know you said
11 you will give it whatever time is necessary, but in
12 response to that request we started looking at it. And
13 since this was a witness that other people, multiple
14 other people have testified to the same thing, we
15 thought it would be cumulative and redundant and that
16 was the purpose behind this motion. As Mr. Moyle has
17 repeatedly said, it is no offense to Mr. Deason or
18 anything concerning him, but an effort to shorten the
19 proceedings. I think it was at this point that Progress
20 withdrew their last witness for this very reason.

21 And as to the timeliness, well, that order
22 also talks about no late-filed exhibits and all exhibits
23 have to be identified by the pretrial, and that has been
24 repeatedly broken. So it is -- you know, it seems like
25 we are upholding some of the parts of the order, but not

1 others, so -- but I will abide by your ruling.

2 **CHAIRMAN CARTER:** Okay. My ruling stands, but
3 maybe this will be a short cross-examination. You know,
4 maybe it can be a real short examination since you guys
5 don't see a whole lot of information other than
6 redundancy. Let's see where we go with this.

7 My motion -- my ruling stands.

8 Mr. Butler, you may proceed.

9 **MR. BUTLER:** Thank you, Mr. Chairman.

10 TERRY DEASON

11 was called as a witness on behalf of Florida Power and
12 Light Company, and having been duly sworn, testified as
13 follows:

14 DIRECT EXAMINATION

15 **BY MR. BUTLER:**

16 **Q.** Would you please state your name and business
17 address for the record, Mr. Deason?

18 **A.** Yes. My name is Terry Deason. My business
19 address is 301 South Bronough Street, Suite 200,
20 Tallahassee, Florida.

21 **Q.** By whom are you employed and in what capacity?

22 **A.** I am employed by the firm Radey, Thomas, Yon
23 and Clark as a consultant specializing in utility
24 matters.

25 **Q.** Thank you. Have you prepared and caused to be

1 filed in this proceeding 33 pages of rebuttal testimony?

2 **A.** Yes, I have.

3 **Q.** Do you have any changes or corrections to make
4 to it?

5 **A.** I have no corrections to the testimony.

6 **Q.** If I asked you the same questions that appear
7 in that testimony today, would your answers be the same?

8 **A.** Yes, they would.

9 **MR. BUTLER:** Mr. Chairman, I would ask that
10 Mr. Deason's prefiled rebuttal testimony be inserted
11 into the record as though read.

12 **CHAIRMAN CARTER:** Mr. Butler, before I do
13 that, the information on incentive compensation, did you
14 want to withdraw that?

15 **MR. BUTLER:** I'm sorry. Yes, I mentioned it,
16 but I should have said formally at this point, yes.

17 **CHAIRMAN CARTER:** Okay.

18 **MR. BUTLER:** We would be inserting into the
19 record Mr. Deason's prefiled rebuttal testimony, except
20 for the portions from Page 29, Line 10, through Page 31,
21 Line 3, which is the portion that relates to incentive
22 compensation.

23 **CHAIRMAN CARTER:** Okay.

24 **THE WITNESS:** And, Mr. Butler, in relation to
25 that, on Page 3, Line 1, the term incentive compensation

1 should be deleted there, as well.

2 **MR. BUTLER:** Good catch. Thank you.

3 **CHAIRMAN CARTER:** Okay. Let's do that. With
4 the revision as presented, the prefiled testimony of the
5 witness will be inserted into the record as though read.

6 **MR. BUTLER:** Thank you, Mr. Chairman.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **REBUTTAL TESTIMONY OF TERRY DEASON**

4 **DOCKET NO. 080677-EI**

5 **AUGUST 6, 2009**

6
7 **Q. Please state your name and business address.**

8 A. My name is Terry Deason. My business address is 301 S. Bronough Street, Suite
9 200, Tallahassee, Florida 32301.

10 **Q. By whom are you employed and in what capacity?**

11 A. I am employed by the law firm Radey Thomas Yon and Clark as a Special
12 Consultant specializing in the fields of energy, telecommunications, water and
13 wastewater, and public utilities generally.

14 **Q. Please describe your educational background and professional experience.**

15 A. I have over thirty-two years of experience in the field of public utility regulation
16 spanning a wide range of responsibilities and roles. I served a total of seven years
17 as a consumer advocate in the Florida Office of Public Counsel on two separate
18 occasions. In that role, I testified as an expert witness in numerous rate
19 proceedings before the Florida Public Service Commission. My tenure of service
20 at the Florida Office of Public Counsel was interrupted by six years as Chief
21 Advisor to Florida Public Service Commissioner Gerald L. Gunter. I left the
22 Florida Office of Public Counsel as its Chief Regulatory Analyst when I was first
23 appointed to the Florida Public Service Commission in 1991. I served as

1 Commissioner on the Florida Public Service Commission for sixteen years,
2 serving as its chairman on two separate occasions. Since retiring from the Florida
3 Public Service Commission at the end of 2006, I have been providing consulting
4 services and expert testimony on behalf of various clients, including public
5 service commission advocacy staff and regulated utility companies, before
6 commissions in Arkansas, Montana, New York and North Dakota. My testimony
7 has addressed various regulatory policy matters, including: regulated income tax
8 policy; storm cost recovery procedures; austerity adjustments and prudence
9 determinations for proposed new generating plants and associated transmission
10 facilities. I have also testified before various legislative committees on regulatory
11 policy matters. I hold a Bachelor of Science Degree in Accounting, summa cum
12 laude, and a Master of Accounting, both from Florida State University.

13 **Q. Are you sponsoring an exhibit?**

14 A. Yes. I am sponsoring the following rebuttal exhibit:

15 ▪ TD-1, Biographical Information for Terry Deason

16 **Q. What is the purpose of your rebuttal testimony?**

17 A. The purpose of my rebuttal testimony is to offer my opinion and recommendation
18 as to certain assertions made by Office of Public Counsel witnesses Brown, Pous
19 and Woolridge, Florida Industrial Power Users Group witness Pollock and South
20 Florida Hospital and Healthcare Association witnesses Baudino and Kollen. My
21 rebuttal testimony addresses the appropriate regulatory treatment of a theoretical
22 depreciation reserve surplus, the critical role of subsequent year rate adjustments,
23 the proper equity ratio for Florida Power & Light (FPL or the Company), the

1 Generation Base Rate Adjustment (GBRA), incentive compensation and the
2 benefits of a regulatory approach which recognizes and rewards superior
3 performance.

4

5

THEORETICAL RESERVE SURPLUS

6

7 **Q. What is a theoretical reserve surplus?**

8 A. As the name implies, it represents the difference between the amount of
9 accumulated depreciation that theoretically should exist, based upon current
10 estimates of asset lives and salvage values, and the amount of accumulated
11 depreciation that has actually been booked. When the theoretical amount is less
12 than the booked amount, there is a theoretical surplus. When the opposite is true,
13 there is a theoretical deficit.

14 **Q. Why is the amount of the reserve surplus or deficit referred to as theoretical?**

15 A. It is theoretical because it is not based upon actual booked amounts of
16 accumulated depreciation and the corresponding actual depreciation rates that
17 have been ordered by the Commission. It is an estimate, based upon what is
18 believed to be the current parameters of asset lives and salvage values, compared
19 to actual booked amounts.

20 **Q. Is it uncommon for there to be theoretical reserve surpluses or deficits?**

21 A. No, reserve surpluses or deficits are routine and to be expected.

1 **Q. Why are they not uncommon?**

2 A. Estimating asset lives and salvage values is not an exact science. The
3 assumptions and forecasts used to establish these parameters change with the
4 passage of time and are impacted by factors beyond the control of utility
5 management and utility regulators. This is why the Commission requires periodic
6 depreciation studies for electric utilities to be filed every four years.

7 **Q. What are some of the factors which can impact depreciation parameters?**

8 A. There are many such factors. They include "wear and tear," obsolescence,
9 environmental impacts, governmental requirements, changes in technology and
10 economic changes. All of these factors can have significant impacts on the need
11 for early retirements of some assets and the potential for extensions of the useful
12 lives of other assets.

13 **Q. What does a theoretical reserve surplus represent in a regulatory sense?**

14 A. It is best to answer this question by clarifying what a theoretical reserve surplus
15 does not represent. It does not represent a "pool of cash" sitting in an account
16 which can be tapped to fund refunds or to fund the provision of utility service
17 below the cost to provide that service on a going forward basis. Neither does a
18 theoretical reserve surplus represent over-billings to customers for past service.

19 **Q. Witness Pous states that a utility has an incentive to favor higher
20 depreciation expense and higher depreciation reserves. Do you agree?**

21 A. No, I do not agree. A utility's incentive is to deploy capital when needed, to earn
22 a fair return on that capital and to recoup that capital in the form of ratable
23 depreciation allowances. Because the source of profit for a regulated utility is an

1 authorized rate of return on shareholder supplied capital in rate base (invested
2 capital), it would be counter to its own interest to prematurely erode its earnings
3 base by excessive depreciation rates. Only if a utility were earning a non-
4 compensatory return would there be an incentive to prematurely recover capital
5 from one investment and redeploy it where a compensatory return could be
6 earned. I do not believe that witness Pous is suggesting that FPL's past earned
7 return or its requested authorized return is non-compensatory.

8 **Q. What method does the Commission employ to set depreciation rates?**

9 A. The Commission has generally relied on the remaining life approach.

10 **Q. What is the remaining life approach?**

11 A. As the name implies, it is an approach that uses the remaining life of an asset over
12 which to depreciate the remaining (undepreciated) cost of an asset, net of any
13 salvage.

14 **Q. Why does the Commission rely on the remaining life approach?**

15 A. It is a generally accepted method and has the advantage of being self correcting.
16 By this I mean that the method acknowledges that there can be either theoretical
17 reserve surpluses or deficits and that these can be corrected over the remaining
18 lives of the assets in question. By this method, there are not large single-year
19 swings in depreciation expense. This is also consistent with the Commission's
20 policy to require comprehensive depreciation studies every four years.

21 **Q. Are there other principles by which the Commission has historically set**
22 **depreciation rates?**

1 A. Yes, there are three broad principles that the Commission has relied upon when
2 setting depreciation rates. The Commission has historically used these principles
3 to reach reasonable results. First, the Commission has used the principle of
4 matching costs and benefits. This principle is consistent with the purpose of
5 depreciation, to recognize the utilization of an asset (cost) ratably with the service
6 it provides over its useful life (benefit). Adherence to the remaining life method
7 is consistent with this principle.

8
9 Second, the Commission has historically made decisions to protect customers for
10 the long term. This is particularly true in the case of theoretical reserve deficits,
11 where the Commission has attempted to eliminate them in recognition of the fact
12 that theoretical reserve deficits can have long term cost impacts by increasing rate
13 base.

14
15 Third, the Commission has maintained a separation between the setting of
16 depreciation rates and their immediate impacts on rates. Stated differently, the
17 Commission has not allowed impacts on rates to be the primary driver in setting
18 depreciation rates. Rather, depreciation rates have been set based upon
19 depreciation studies and objective estimates of lives and salvage values, not as
20 part of a base rate proceeding. This has the advantage of promoting greater
21 objectivity in setting depreciation rates.

22 **Q. Is it inappropriate to set depreciation rates concurrently with the setting of**
23 **base rates in a rate proceeding?**

1 A. It is not inappropriate to do so. The establishment of depreciation rates and their
2 impact on base rates can be reflected simultaneously. However, the temptation to
3 have depreciation rates set according to their impacts on base rates, and not the
4 consistent application of generally accepted depreciation practices, should be
5 avoided.

6 **Q. What is being recommended by witnesses Kollen, Pollock and Pous in this**
7 **proceeding?**

8 A. These witnesses take slightly different approaches, but all three recommend a
9 rapid flow through of the theoretical reserve surplus in order to achieve a large
10 short term but unsustainable reduction in FPL's revenue requirements.

11 **Q. Do you agree with their recommendations?**

12 A. I do not. Their recommendations violate the three principles I earlier identified.
13 Their recommendations constitute a significant deviation from the generally
14 accepted and long established use of the remaining life method to set depreciation
15 rates. Their recommendations also have the effect of rapidly flowing through
16 theoretical benefits to the long term detriment of the general body of ratepayers.
17 Their recommendations also appear to be driven by the temptation to have
18 depreciation policy driven by immediate base rate impacts, which is
19 fundamentally the wrong approach.

20 **Q. Why do their recommendations appear to be driven by immediate base rate**
21 **impacts?**

22 A. Their recommendations to rapidly flow back the difference between the
23 theoretical reserve and the booked reserve is conveniently aided by two facts.

1 The theoretical reserve is currently in a surplus position, and FPL is seeking a
2 base rate increase. If either of these two factual situations were changed, I am not
3 sure we would see the same recommendations from these witnesses, i.e., to
4 eliminate the deficit over a short period of time by significantly raising
5 depreciation expense, with a commensurate increase in base rates.

6 **Q. Why do you believe the recommendations would differ?**

7 A. If the theoretical reserve were in a deficit position, their recommendations to set
8 aside the self-correcting function of the remaining life method would have the
9 effect of increasing base rates above what they otherwise would be. If FPL were
10 not in a base rate proceeding, their recommendations would result in a rapid
11 amortization of the theoretical reserve with no beneficial impact on base rates. If
12 FPL were to file for a base rate increase after the rapid amortization of the
13 theoretical reserve surplus were completed, there would be no surplus available
14 for recognition at that time. I do not believe that the intervenors would find either
15 of these scenarios acceptable. The impacts of these scenarios illustrate the better
16 policy of setting depreciation rates on the consistent application of a generally
17 acceptable methodology (remaining life in this case) and avoiding setting
18 depreciation rates on their immediate and potentially volatile impacts on base
19 rates.

20 **Q. Witness Pous asserts that the Commission has a long and identifiable policy**
21 **of correcting material reserve imbalances by amortizing the reserve**
22 **differences over periods much shorter than the remaining life of the**
23 **investment. Do you agree?**

1 A. I agree that the Commission on occasion has amortized theoretical reserve
2 deficiencies. However, I disagree with the characterization that this is a long and
3 identifiable policy which should dictate how FPL's theoretical reserve surplus
4 should be treated in the present case.

5 **Q. Does witness Pous cite Florida cases to support his assertions?**

6 A. Yes, he cites three specific cases, one involving a telephone company, one
7 involving a gas utility and one involving FPL. However, a closer reading of these
8 cases and the facts surrounding the decisions do not support witness Pous' claim
9 of an identifiable policy which should control in the present case. I note that all
10 of these cases involved the consideration of theoretical reserve deficits outside the
11 scope of a base rate proceeding, thus with no corresponding increase in customer
12 rates to accommodate the rapid elimination of the deficit. These are significantly
13 different factual situations from the present case.

14

15 The General Telephone Company case (Docket No. 840048-TL) took place
16 during the 1984-85 time period. At that time, the Commission had just
17 transitioned away from the whole life to the remaining life depreciation
18 methodology. There was a controversy over whether the Federal
19 Communications Commission could or would preempt Florida in the setting of
20 intrastate depreciation rates. In addition, the Commission was concerned about
21 substantial developments in the areas of technology and competition that had the
22 potential to result in significant amounts of stranded investment. Within this
23 context, the Commission decided to amortize a theoretical reserve deficit of \$32

1 million over five years. I believe the Commission's decision was influenced by
2 two considerations. First, given all of the uncertainty at the time, it was
3 inconclusive that the self-correcting function of the remaining life approach
4 would be sufficient to correct the theoretical reserve deficit. Second, consistent
5 with a principle I earlier identified, the Commission took steps to mitigate the
6 long term rate base impacts of a reserve deficit, outside of a rate proceeding and,
7 therefore, without increasing customer rates to reflect these changes.

8
9 The City Gas Company case (Docket No. 890203-GU) took place in 1989.
10 Again, this case involved a theoretical reserve deficit outside of a rate proceeding.
11 The Commission decided to retain the benefit of an already existing annual
12 expense of \$48,000 to be applied to the theoretical reserve deficit. By taking this
13 action, the Commission observed that it would "correct that overstatement of rate
14 base in seven years, rather than the 19 years remaining under the present
15 amortization pattern." Again, the motivation was to more quickly eliminate the
16 rate base impacts of a reserve deficit, outside of a base rate proceeding and, again,
17 without a corresponding increase in base rates.

18
19 The cited electric case (Docket No. 970410-EI) involved FPL in a relatively
20 unique factual situation in 1997. The Commission had two years earlier approved
21 a plan, outside of a base rate proceeding, to eliminate perceived deficits in nuclear
22 production accounts. The subject of the 1997 case was whether the existing plan
23 should continue, but in a modified manner. The backdrop at that time involved

1 two major considerations. First, there was much debate in Florida, and actual
2 movement in other jurisdictions, to transform the electric industry to a
3 competitive market. With this trend, there was a justified concern that significant
4 amounts of investment would become stranded. Second, FPL was experiencing
5 strong growth in customers and sales (materially different from the current
6 situation). This enabled the Commission to direct revenues received above
7 certain thresholds to be applied toward eliminating the potential stranded
8 investment. The Commission was fully cognizant of the material impacts
9 stranded investment was having in other jurisdictions and saw an opportunity to
10 address this looming problem, outside of a base rate proceeding. The
11 Commission approved the plan and issued it as proposed agency action (PAA).
12 Within the PAA order, language was added essentially stating that the terms of
13 the plan could be altered or terminated in the event the retail electric market in
14 Florida was deregulated. The Commission's decision to approve the plan had the
15 effect of reducing FPL's rate base in the long term, the benefits of which are
16 reflected in the current case.

17
18 Obviously, the unique factual situation I just described distinguishes this case
19 from the present case. This 1997 case does not support the action recommended
20 by witness Pous to flow through a theoretical reserve surplus. In the present case,
21 there is the opportunity for the self-correcting function of the remaining life
22 method to address the theoretical reserve surplus, particularly given the large
23 amounts of investment that I understand the Company is making over the next

1 few years. In the 1997 case, the Commission had a sense of urgency that moves
2 toward retail electric competition would preclude the opportunity to allow the
3 self-correcting function of the remaining life approach to address stranded
4 investment.

5 **Q. What is your recommendation in this case?**

6 A. I recommend the consistent application of the remaining life approach.

7 **Q. If the Commission were to follow your recommendation, would the benefits
8 of the theoretical reserve surplus be lost?**

9 A. No, not at all. Consistent application of the remaining life approach recognizes an
10 immediate and significant reduction of rate base and an immediate and significant
11 reduction in annual depreciation expense. This reduces customer rates, both now
12 and in the long term. Therefore, the beneficial effects are recognized without the
13 significant rate fluctuations inherent in the intervenors' approach.

14

15 **SUBSEQUENT YEAR ADJUSTMENT**

16

17 **Q. Witnesses Kollen and Pollock recommend that the Commission reject the
18 requested subsequent year adjustment. Do you agree?**

19 A. No. I do not agree for a number of policy and factual reasons.

20 **Q. Why do you disagree as a matter of policy?**

21 A. The Commission has statutory and rule authority to consider subsequent year
22 adjustments and to set rates accordingly. A company seeking a subsequent year
23 increase, or an affected party seeking a subsequent year decrease, must show with

1 reasonable certainty that there will be future changes sufficient to justify the
2 subsequent year rate change. As such, the use of subsequent year adjustments is a
3 valuable and useful regulatory tool that is necessary for the Commission to meet
4 its statutory obligations to all parties. To reject out-of-hand the use of a
5 subsequent year adjustment, as witnesses Kollen and Pollock suggest, would
6 eliminate this tool and be inconsistent with established regulatory policy in
7 Florida.

8 **Q. Why is the use of a subsequent year adjustment a valuable regulatory tool?**

9 A. The use of a subsequent year adjustment can minimize or eliminate regulatory lag
10 for a longer period of time, without the need for back-to-back rate cases.

11 **Q. What is regulatory lag?**

12 A. Regulatory lag is the period of time from when a change in rates (up or down) is
13 needed and when the rate change can be legally implemented. It can have a
14 significant impact on a utility's ability to earn its authorized return when capital
15 expenditures and inflation are high. Regulatory lag is inherent in the regulatory
16 process, and ways to minimize its impacts should be part of good regulatory
17 policy. Subsequent year adjustments are an accepted and recognized method of
18 addressing forecasted financial and operating conditions that affect a utility's
19 opportunity to earn the approved rate of return.

20 **Q. Has the Commission previously used subsequent year adjustments to set
21 rates?**

22 A. Yes, the Commission has done so and the use of subsequent year adjustments has
23 become standard practice in Florida.

1 **Q. Has the use of subsequent year adjustments been a recent development in**
2 **Florida?**

3 A. No, subsequent year adjustments have been used as far back as 1984. In a case
4 involving FPL (Docket No. 830465-EI, Order No. 13537), the Commission not
5 only determined that it had the legal authority to consider a subsequent year
6 adjustment, the Commission determined that a 1985 "subsequent year" was
7 appropriate to use to set rates.

8
9 This determination was appealed to the Florida Supreme Court in *Floridians*
10 *United for Safe Energy, Inc. v. Public Service Commission*, 475 So.2d 241 (Fla.
11 1985). In its decision approving the use of the subsequent year, the Court
12 explained:

13 At the heart of this dispute is the authority of the PSC to combat
14 "regulatory lag" by granting prospective rate increases which
15 enable the utilities to earn a fair and reasonable return on their
16 investments. We long ago recognized that rates are fixed for the
17 future and that it is appropriate for PSC to recognize factors which
18 affect future rates and to grant prospective rate increases based on
19 these factors.

20 **Q. Should the Commission simply reject the subsequent year adjustment being**
21 **requested by FPL in this proceeding?**

22 A. No. The Commission must give the proposed subsequent year adjustment due
23 consideration as a matter of precedent and policy and not reject it out-of-hand.

1 The Commission has an obligation to scrutinize the subsequent year request and
2 approve a subsequent year rate change, if it is justified based on the information
3 provided by the Company.

4 **Q. In response to a previous question, you responded that there are also factual**
5 **reasons for why you disagree with the recommendation to reject the use of a**
6 **subsequent year adjustment. What are your factual reasons?**

7 A. In his testimony, witness Pollock makes a number of factual assertions, interposed
8 with some policy implications. I disagree with these assertions and discuss their
9 policy implications.

10 **Q. Would you please elaborate?**

11 A. Yes, I will. On page 33 of his testimony, witness Pollock states, "Rates should
12 not be set on speculation about the future." First, it is a given that rates are set
13 prospectively and to best establish future rates you must consider future costs and
14 future revenues. If by use of the term "speculation" witness Pollock is stating that
15 rates should not be set on unsubstantiated and unscrutinized future data, I agree.
16 However, FPL is not proposing such in its subsequent year adjustment. FPL is
17 fully aware that its data must be substantiated and will be thoroughly scrutinized.
18 To that end, FPL has filed a complete set of Minimum Filing Requirements and
19 supporting testimony consistent with Commission requirements. Only if the
20 merits of the filing are considered by the Commission, can a proper assessment of
21 the proposed subsequent year adjustment be done. Witness Pollock's
22 recommendation is to simply reject the analysis of the case FPL has filed. This is
23 not an appropriate regulatory response.

1 On page 32, witness Pollock states that FPL is really asking the Commission to
2 guarantee that it will achieve the authorized return and that such a guarantee is
3 contrary to accepted regulatory practice. I agree that regulatory policy does not
4 include a “guarantee” of a specific authorized return, but it does include a
5 reasonable opportunity to earn the authorized return. I strongly disagree that
6 FPL’s requested subsequent year adjustment constitutes a guarantee. FPL is
7 merely asking the Commission to review its operations and costs in the
8 subsequent year and to set rates appropriately. FPL must then manage its
9 business with the rates granted and hopefully earn a reasonable return. This is
10 certainly not a guarantee.

11
12 On page 34, witness Pollock asserts that the rates from the subsequent year
13 adjustment “may be in effect for a long time and ratepayers may be paying more
14 than necessary.” Even in the unlikely event that rates were to be set too high, I
15 disagree with witness Pollock’s assertion that rates could be too high and that the
16 rates would continue for a long time. This assertion totally ignores the
17 Commission’s comprehensive earnings surveillance program and its historical
18 propensity and alacrity to initiate rate decreases when earnings are excessive.
19 What is missing from witness Pollock’s statement is an understanding that the
20 purpose of the subsequent year adjustment is to have fair rates that are in
21 existence for a long time. If that is the result, regulation will have done its job. A
22 necessary and valuable tool to do its job should not be discarded as witness
23 Pollock suggests.

1 On page 38, witness Pollock states that Florida utilities may file for a limited
2 proceeding. I agree that this is available to Florida utilities and that limited
3 proceedings can serve a useful purpose in Florida's regulatory scheme. However,
4 I disagree with the assertion that a limited proceeding is a satisfactory substitute
5 for a comprehensive review of operations and earnings contemplated within the
6 subsequent year adjustment. It is ironic that a limited proceeding, which has been
7 so vehemently criticized by a number of intervenors historically for its lack of
8 comprehensiveness and earnings review, is now being suggested to be a
9 satisfactory substitute for a comprehensive subsequent year adjustment.

10
11 And lastly, on pages 33 and 39, witness Pollock asserts that the use of cost
12 recovery clauses substantially limits the need for the subsequent year adjustment.
13 This assertion is incorrect. The existence or nonexistence of a cost recovery
14 clause is not relevant to the need for a subsequent year adjustment to set base
15 rates. Recovery clauses are designed to permit recovery, where justified, of
16 specific costs which are not considered in base rates and not part of a base rate
17 proceeding. Witness Pollock incorrectly asserts that the recovery of a non-base
18 rate cost in a non-base rate proceeding is grounds for ignoring an otherwise
19 legitimate base rate cost in a legitimate base rate proceeding. This assertion is
20 mixing apples and oranges.

EQUITY RATIO

1

2

3 **Q. In a regulatory context, what is meant by the term equity ratio?**

4 A. Equity ratio is the ratio of equity capital to all investor supplied capital (which
5 includes equity capital, preferred stock and debt). The equity ratio can be stated
6 on an "actual" basis, which does not reflect the very real considerations of off-
7 balance sheet obligations, or on an "adjusted" basis, which does reflect the off-
8 balance sheet obligations.

9 **Q. How is the equity ratio used in the rate making context?**

10 A. The equity ratio is part of a regulated utility's capital structure and is assigned a
11 cost factor commensurate with the cost to obtain and compensate equity investors
12 for the use of their capital. When combined with all other sources of capital in the
13 capital structure and their respective cost rates, an overall weighted cost of capital
14 is derived. It is this overall weighted cost of capital which is multiplied by a
15 company's rate base to yield its required net operating income.

16 **Q. Is it the "actual" equity ratio or the "adjusted" equity ratio that is used in the
17 capital structure to determine the overall weighted cost of capital?**

18 A. Normally it is the actual equity ratio as reported on the utility's books. Of course,
19 the Commission has the ability to adjust the actual equity ratio, up or down, for
20 ratemaking purposes and to make reconciling adjustments to remove non-rate
21 base components such that rate base and the capital structure can be equalized.

22 **Q. What then is the relevance of an equity ratio that is adjusted for off-balance
23 sheet obligations?**

1 A. As I indicated earlier, off-balance sheet obligations are very real and should be
2 considered as the debt equivalents they are. The adjusted equity ratio reflects
3 these debt equivalents and can be used to compare equivalent equity ratios across
4 companies with varying levels of off-balance sheet obligations. Thus, an adjusted
5 equity ratio can be used to judge the relative reasonableness of a company's
6 actual equity ratio.

7 **Q. Should an adjusted or hypothetical equity ratio be used in a regulated
8 utility's capital structure to determine its overall weighted cost of capital?**

9 A. As a general rule, an adjusted or hypothetical equity ratio should not be used in
10 the capital structure. Absent a showing of imprudence regarding its actual equity
11 ratio, the actual equity ratio should be used to determine the overall weighted cost
12 of capital. In fact, the Commission has stated a preference for using the actual
13 capital structure and equity ratio and has recognized the need for a regulated
14 utility to manage its capital ratios. In Docket No. 71342-EU, the Commission
15 confirmed the use of Gulf Power's actual capital structure and actual equity ratio
16 and stated:

17 Nevertheless, capital structures basically fall within the
18 prerogatives of management because of the impact that capital
19 ratios exert on the ability of a utility to maintain its credit and
20 attract capital. Management lives from day-to-day with the
21 intricate and complex problems of corporate finance, and has the
22 responsibility of seeing that the utility has the financial ability to
23 meet its service obligations. The invasion of this field of

1 management is justified only when the public interest requires the
2 exercise of extreme measures for its protection (sic) and benefit.

3 **Q. What equity ratios do witnesses Baudino, Pollock and Woolridge**
4 **recommend?**

5 A. The specific equity ratios vary by witness, but they all recommend that FPL's
6 actual equity ratio be adjusted downward, in some cases quite significantly.

7 **Q. What impacts do their recommendations have?**

8 A. As they describe in their respective testimonies, the impact is to reduce FPL's
9 revenue requirement, all other things being equal. Witness Pollock quantifies the
10 impact of his recommended equity ratio to be about \$192.9 million. This is an
11 extremely large adjustment for just one component of the capital structure.

12 **Q. In your previous answer, you used the phrase "all other things being equal."**
13 **Do you think it is realistic to hold all other things equal when making such**
14 **large adjustments to FPL's actual equity ratio?**

15 A. No, I do not. When making such large adjustments to something so integral to the
16 ratemaking process, it would be unreasonable to expect all other things to remain
17 equal.

18 **Q. What would change if the Commission were to adopt such large adjustments**
19 **to FPL's actual equity ratio?**

20 A. To adequately answer this question, it is necessary to review the history of FPL's
21 actual equity ratio and the Commission's decisions affecting it.

1 In Docket No. 990067-EI the Commission set an upward limit on FPL's adjusted
2 equity ratio of 55.83%. The Commission acknowledged the very real debt
3 equivalent of the off-balance sheet obligations by stating the upward limit in
4 terms of an adjusted equity ratio. The Commission also acknowledged that the
5 off-balance sheet obligations could change over time and that the equity ratio
6 limit stated in terms of an adjusted equity ratio was more dynamic and
7 meaningful. It also gave FPL better guidance from its regulators in managing its
8 actual equity ratio. The resulting actual equity ratio from this upward limit was
9 then used to monitor FPL's earnings. The Commission subsequently reaffirmed
10 its use in FPL's 2002 Stipulation and Settlement, Docket No. 001148-EI and its
11 2005 Stipulation and Settlement, Docket No. 050045-EI.

12
13 By these actions, the regulatory process in Florida, which includes FPL, the
14 Commission and all of the signatories to the Stipulation and Settlements, sent a
15 strong and clear message to the investment community that FPL's financial
16 integrity would be maintained by the use of a strong, but reasonable, equity ratio.
17 These actions also sent a strong and clear message to FPL's customers that FPL
18 would remain a financially strong utility with the capability to meet its obligation
19 to provide safe and reliable service, even in the face of uncertain challenges that it
20 may face.

21
22 A significant departure from this long standing policy on equity ratio, as
23 recommended by witnesses Baudino, Pollock and Woolridge, would send a

1 negative message to the investment community with potential negative
2 consequences for customers. Instead of being a win-win situation, it could
3 quickly become a lose-lose situation.

4 **Q. What challenges did FPL and its ratepayers face during the intervening**
5 **years since the Commission adopted the use of FPL's adjusted equity ratio?**

6 A. The challenges have been many and in some cases quite extreme. These
7 challenges have been identified and discussed in greater detail by other witnesses.
8 However, I will list some of the substantial challenges: an increase in the number
9 and severity of hurricanes impacting FPL's service territory; an increase in the
10 level and volatility of fuel prices; the need to provide increased reliability through
11 additional base load generation while maintaining FPL's significant progress in
12 limiting CO₂ emissions; and the most severe economic downturn since the great
13 depression. Throughout these challenging times, FPL maintained access to
14 capital on reasonable terms enabling FPL to deploy capital to meet the needs of its
15 customers and provide savings through increased efficiencies. All of this was
16 done while FPL's base rates remained unchanged.

17 **Q. Can the successes of meeting these challenges be solely attributable to FPL's**
18 **equity ratio?**

19 A. Of course not. However, I am convinced that the Commission's guidance on the
20 appropriate equity ratio and FPL's management of its equity ratio consistent with
21 that guidance was and continues to be a significant and integral component of the
22 successes that were and continue to be achieved.

1 **Q. You referred to FPL's consistent management of its equity ratio. Why is this**
2 **significant?**

3 A. It is significant for a number of reasons. First, it signifies the importance FPL
4 places on regulatory compliance. Second, it shows that FPL is committed to and
5 understands the importance of maintaining its financial integrity for its own
6 benefit as well as its customers. FPL could have taken steps to temporarily
7 enhance its earnings by allowing its equity ratio to decline between rate reviews.
8 However, FPL chose not to sacrifice its long term financial integrity for
9 temporary earnings enhancements. In essence, FPL's actions clearly denote the
10 importance of maintaining financial integrity through a strong but reasonable
11 equity ratio.

12 **Q. Now that FPL has found it necessary to seek a base rate increase, can**
13 **customers afford to continue FPL's equity ratio?**

14 A. Now is the time that customers can least afford a reduction in the equity ratio as
15 suggested by witnesses Baudino, Pollock and Woolridge. As I indicated earlier,
16 such significant declines in the equity ratio will have adverse consequences for
17 customers which could be long term in nature. I believe that any temporary
18 benefits in lower rates will be short lived by comparison.

19 **Q. The intervenor witnesses state that the equity component of the capital**
20 **structure is the highest cost component. Is this correct?**

21 A. It is true that equity has a higher cost than debt. However, the assertion that the
22 equity component should be minimized to lower the overall cost is misplaced.
23 Significant reductions in the equity ratio will increase FPL's financial risk and its

1 cost of capital, both debt and equity. This could have the unintended consequence
2 of raising FPL's overall weighted cost of capital, not lowering it.

3
4 The goal of a proper equity ratio and capital structure is to minimize the overall
5 weighted cost of capital and maintain consistent access to capital on reasonable
6 terms, even in the face of severe capital needs such as storm restorations. By this
7 standard, FPL's equity ratio and capital structure have performed well and met the
8 goal.

9 **Q. Witness Pollock recommends that FPL's equity ratio be reduced to an**
10 **average of A-rated electric utilities. Witness Baudino recommends that**
11 **FPL's equity ratio be adjusted downward to the low end of a range suggested**
12 **by a Standard & Poor's ratio analysis matrix. Are these approaches**
13 **appropriate?**

14 A. No, they are not. The goal should not be to set the standard at an average or at the
15 low end of a range to achieve average or low end results. The goal should be to
16 set it at a level that helps a utility achieve superior results at average rates. This
17 has been the result of the Commission's current equity ratio standard for FPL.

18 **Q. How then should the Commission approach the setting of FPL's equity ratio?**

19 A. The Commission should determine whether its current policy of setting FPL's
20 equity ratio should be changed. In taking this initial step I would urge extreme
21 caution. The Commission should avoid the temptation to unnecessarily change a
22 proven and consistent approach for the allure of temporary and perhaps illusory
23 base rate impacts. To put it in the vernacular, "If it ain't broke, don't fix it."

1 Extreme caution is warranted for two reasons. First, the Commission's policy for
2 setting FPL's equity ratio is long standing and has been clearly communicated to
3 all affected parties, including the intervenors, the company's customers and its
4 stockholders. Changing such an entrenched regulatory policy upon which affected
5 persons have grown to rely causes uncertainty and all of the negative
6 consequences accompanying uncertainty. Second, the existing policy has yielded
7 significant positive benefits for both investors and customers. It should not be
8 discarded in a cavalier manner.

9
10 FPL's equity ratio should be evaluated on FPL specific risk factors, including
11 FPL specific off-balance sheet obligations. This risk evaluation should be done to
12 yield an equity ratio that truly minimizes FPL's overall rate of return and not just
13 the weighting of the equity component. To reduce the equity ratio and have the
14 cost of debt and equity increase is not necessarily a good result. And lastly, I
15 would urge the Commission to not simply rely on utility averages or low-end
16 ranges as witnesses Baudino and Pollock suggest.

17
18 **GENERATION BASE RATE ADJUSTMENT (GBRA)**

19
20 **Q. What is GBRA?**

21 **A.** GBRA is a regulatory tool developed in conjunction with the 2005 Stipulation and
22 Settlement. It provides a reasonable means, within established parameters, to

1 facilitate cost recovery of prudent and cost efficient generating assets outside the
2 scope of a base rate proceeding.

3 **Q. What are those parameters?**

4 A. The parameters to which I refer can also be thought of as safeguards. The
5 safeguards within GBRA include:

- 6 • GBRA's applicability is limited to power plants approved pursuant to the
7 Florida Power Plant Siting Act (PPSA).
- 8 • Rate adjustments pursuant to GBRA cannot become effective until after
9 the commercial in-service date of any applicable power plant.
- 10 • The amount of the GBRA must be confirmed by the Commission using
11 the Capacity Clause projection filing process.
- 12 • Any capital costs below projections must be flowed back via a true-up to
13 the Capacity Clause.

14 **Q. Why is it a significant safeguard that GBRA projects must be approved**
15 **pursuant to the PPSA?**

16 A. It is significant because of the rigorous process and the high standards that must
17 be met under the PPSA, which include determinations that the power plant is
18 needed and that it is the most cost effective alternative. I have personally
19 participated in twenty-five "Need Determinations" in Florida under the PPSA and
20 know this to be the case.

21 **Q. Witness Kollen criticizes the GBRA as being "without the normal regulatory**
22 **scrutiny and resulting cost-control discipline." Do you agree?**

1 A. I do not. As I just stated, any project eligible for GBRA must have been
2 determined, by this Commission, to be needed and to be the most cost effective
3 alternative. In addition, there are provisions within GBRA that limit costs above
4 those approved pursuant to the PPSA. GBRA does not limit regulatory scrutiny.
5 GBRA is a tool to facilitate cost recovery outside of a base rate proceeding which
6 includes necessary regulatory scrutiny.

7 **Q. Why is it important that this regulatory tool be available to the Commission?**

8 A. There are at least five significant policy reasons. First, generating plants are large
9 investments which can have an immediate and material impact on a utility's rate
10 base once the plant reaches commercial operation. In regulatory jargon, they are
11 "lumpy" investments, meaning they do not occur every year but have significant
12 impact when they do occur. GBRA can provide fair, efficient and timely cost
13 recovery without the potential of a base rate proceeding (that is not otherwise
14 needed) every time a new power plant reaches commercial operation.

15
16 Second, GBRA places initial cost recovery of a new generating unit on a more
17 consistent basis as that afforded purchased power agreements. Thus, GBRA can
18 act as a means to "level the playing field" when considering which different types
19 of capacity additions to pursue.

20
21 Third, GBRA allows the planning, construction and operation of a new generating
22 unit, and the reliability benefits and fuel savings it brings, to be done without
23 having to coordinate it with the planning, filing and litigation of a base rate

1 proceeding. Management should be free to optimize the deployment of new
2 generating units to maximize customer benefits. GBRA provides a means to
3 provide reasonable cost recovery so that this can be facilitated.

4
5 Fourth, GBRA provides a more efficient and consistent method to match the
6 benefits and the costs of new generating capacity. This is particularly true for the
7 potentially large savings from reduced fuel costs that will be immediately
8 reflected in the fuel adjustment clause.

9
10 Fifth, GBRA facilitates the sending of timely and accurate price signals to
11 customers. New generation, even though efficient with significant fuel savings, is
12 capital intensive with upward pressure on rates. The impact of new generation
13 needs to be communicated to customers through correct and timely price signals.
14 This enables customers to make better decisions about cost effective conservation
15 and demand side management programs and alternatives.

16 **Q. Witness Brown states that the GBRA would transfer risks from FPL to its**
17 **ratepayers. Do you agree with this characterization?**

18 A. No, I do not. The real issue is not one of risk transfer. A regulated utility, by law
19 and policy, has the obligation to serve and to deploy capital as needed.
20 Ratepayers have an obligation to pay for the cost of the services they consume,
21 including the cost of new power plants. Thus the real issue is how regulation can
22 best facilitate each party to meet its respective obligations. The GBRA does this.
23 If one were to inappropriately put the issue in terms of risk, I believe GBRA

1 minimizes risk for both parties. Without GBRA, the only reasonable means to
2 accomplish timely and accurate cost recovery is through the filing of numerous
3 base rate proceedings. In my judgment, this could place ratepayers at greater risk.

4 **Q. How could this place ratepayers at greater risk?**

5 A. With GBRA, there is the distinct likelihood that rate increases that otherwise
6 could be justified would be deferred or foregone. Without GBRA, they are more
7 likely to be filed along with their associated rate case expense. In addition,
8 ratepayers would lose the cost protections in GBRA which limit costs to those
9 approved in a PPSA proceeding.

10

11

INCENTIVE COMPENSATION

12

13 **Q. Witness Brown recommends disallowances of 50% of FPL's incentive**
14 **compensation costs because they benefit shareholders. Do you agree?**

15 A. I do not agree. Compensation to employees is a necessary cost of providing safe,
16 efficient and reliable service to customers. As such, 100% of reasonable
17 compensation costs should be included for ratemaking purposes. The fact that a
18 portion of the compensation is based upon attaining performance criteria is not
19 relevant.

20 **Q. Is this true even if some of the performance criteria are tied to metrics which**
21 **may increase shareholder value?**

22 A. Yes, the regulatory principle is the same. Reasonable and necessary
23 compensation costs should be included in rates. What is missing from Ms.

1 Brown's argument is recognition of the fundamental regulatory principle that
2 shareholder interests and customer interests should be aligned. Incentive
3 compensation does this. Ms. Brown attempts to pit shareholders' interest and
4 customers' interests against each other, which is inappropriate and
5 counterproductive.

6 **Q. How is Ms. Brown's recommendation inappropriate?**

7 A. The recovery of any reasonable and necessary cost benefits both shareholders and
8 customers. Shareholders are reasonably compensated and customers get an
9 essential service at a reasonable cost. The fact that the level of the compensation
10 is based upon earnings criteria does not violate this relationship. In fact, it
11 enhances the relationship because it can have the long term benefit of reducing
12 costs.

13 **Q. How is Ms. Brown's recommendation counterproductive?**

14 A. Incentive compensation is a generally accepted and proven means of increasing
15 employee productivity and retaining the most qualified and goals-oriented
16 employees. This provides significant benefits to customers. Not recognizing
17 50% of the incentive compensation would be a strong and clear message to utility
18 management that these benefits are not valued and that incentive compensation
19 plans should be discontinued.

20 **Q. If incentive compensation plans were discontinued would utility customers'
21 rates be lower?**

22 A. No, they would not be. Employees would still need to be compensated at a
23 reasonable level, through a higher level of fixed compensation. In fact,

1 discontinuing incentive compensation plans could have the unintended result of
2 increasing rates because of lost productivity, lost efficiencies and higher
3 employee turnover.

4
5 **SUPERIOR PERFORMANCE**

6
7 **Q. Has the Commission ever used its discretion to reward a utility for superior**
8 **performance?**

9 A. Yes, the Commission has done so in the past. However, the Commission has set a
10 relatively high bar before doing so.

11 **Q. Witness Baudino recommends that no consideration be given to FPL's**
12 **superior performance in setting its allowed return on equity. Do you agree?**

13 A. No, I do not agree. Using the possibility of a reward is a useful regulatory tool
14 that can be used to obtain significant benefits for customers. Even though Florida
15 has set a high standard, the fact that Florida has a policy of rewarding superior
16 performance has resulted in benefits to Florida customers. The use of such a
17 valuable regulatory tool should not be dismissed as witness Baudino suggests.

18 **Q. Why does witness Baudino recommend against consideration of a reward for**
19 **superior performance?**

20 A. Witness Baudino provides several reasons in his testimony. I disagree with all of
21 them.

1 First, witness Baudino states that ratepayers should expect exemplary
2 management. Given that FPL's management has performed in an exemplary
3 manner over a sustained period of time, I can understand that this can be
4 perceived as normal and could become an expectation. However, sustained past
5 performance should not be taken as an expectation. I do agree that ratepayers
6 have a reasonable expectation of competent management and a level of
7 satisfactory service. The real issue is whether the correct use of an accepted
8 regulatory tool can result in performance significantly above competent and
9 satisfactory.

10
11 Witness Baudino also states that a reward would over-compensate investors. I do
12 not believe this has been the case in Florida. Florida sets the allowed return on
13 equity within a range. Any return within the allowed range is deemed reasonable.
14 Therefore, any return within the range that recognizes superior performance
15 would not over compensate investors.

16
17 Witness Baudino asserts that a reward would result in excessive rates to
18 ratepayers. This is where I have the most disagreement with witness Baudino's
19 reasoning. A properly structured reward for truly superior performance would not
20 result in excessive rates. To the contrary, such a reward would result in rates
21 lower than they otherwise would be. What is lost in witness Baudino's assertion
22 is that a properly structured reward can have a multiplier effect.

1 **Q. What do you mean by the term multiplier effect?**

2 A. I use this term to describe the potentially large benefits that can inure to customers
3 in the form of better service and improved efficiencies from a relatively small
4 investment in a properly structured reward. In essence, the value of the benefits
5 becomes a multiple of the investment. Witness Reed's testimony addresses the
6 specifics of the benefits to which I generally refer.

7 **Q. Does this conclude your testimony?**

8 A. Yes, it does.

1 **BY MR. BUTLER:**

2 Q. And, Mr. Deason, did you also prepare an
3 exhibit to your testimony?

4 A. Yes, I did.

5 Q. And do you have any changes or corrections to
6 make to it?

7 A. No, I do not.

8 **MR. BUTLER:** Mr. Chairman, I would note that
9 is Exhibit TD-1, and it has been pre-identified or
10 premarked for identification as 382.

11 **CHAIRMAN CARTER:** That is on Page 43,
12 Commissioners, on Page 43.

13 You made proceed, Mr. Butler.

14 **MR. BUTLER:** Thank you.

15 **BY MR. BUTLER:**

16 Q. Please summarize your rebuttal testimony,
17 Mr. Deason.

18 **CHAIRMAN CARTER:** Mr. Deason, are you familiar
19 with our light system here?

20 **THE WITNESS:** Yes, Mr. Chairman.

21 **CHAIRMAN CARTER:** It's really high-tech.
22 You may proceed.

23 **THE WITNESS:** Thank you, sir.

24 The purpose of my rebuttal testimony is to
25 offer my recommendations in response to certain

1 assertions and positions taken by intervenor witnesses.
2 My rebuttal testimony addresses the appropriate
3 regulatory treatment of a theoretical depreciation
4 reserve surplus, the critical role of subsequent year
5 adjustments, the proper equity ratio for FPL, the
6 generation base rate adjustment, or GBRA, and the
7 benefits of a regulatory approach which recognizes and
8 rewards superior performance. I will briefly summarize
9 my testimony on each of these beginning with the
10 theoretical depreciation reserve surplus.

11 The Commission uses the remaining life
12 approach to set depreciation rates. This approach is
13 broadly accepted because it establishes stable rates
14 that are self-correcting. FPL has used the remaining
15 life approach in this case, but the intervenor witnesses
16 recommend setting it aside and aggressively amortizing
17 the theoretical reserve surplus. This is fundamentally
18 the wrong approach and will be harmful to customers.

19 My rebuttal testimony identifies the
20 principles that the Commission has consistently followed
21 in setting depreciation rates and shows that the
22 intervenor recommendations are inconsistent with these
23 principles. The intervenor recommendations are focused
24 on immediate impacts, which are unsustainable and
25 counterproductive to protecting customers' best

1 interests. The best approach is to consistently follow
2 the remaining life approach, which has already provided
3 significant benefits to customers and will continue to
4 do so on a consistent and sustainable basis.

5 A subsequent year adjustment is a valuable
6 regulatory tool that is consistent with the Commission's
7 regulatory policies. It has its foundation in both
8 statute and rule, and has been identified as a means to
9 address regulatory lag by the Florida Supreme Court.

10 My rebuttal testimony addresses a number of
11 assertions made by FIPUG Witness Pollock regarding the
12 subsequent year adjustment. I show that his assertions
13 are either incorrect or have inappropriate regulatory
14 implications.

15 The generating base rate adjustment, or GBRA,
16 is also a beneficial regulatory tool needed to
17 facilitate cost recovery of prudent and cost efficient
18 generating assets outside of a base rate proceeding. I
19 identify and explain the consumer safeguards that are
20 contained in the GBRA, and continue by explaining the
21 significant policy reasons which call for the continued
22 use of the GBRA mechanism in this proceeding.

23 I also address the Commission's longstanding
24 and successful regulatory approach to setting FPL's
25 equity ratio, and how the Commission has appropriately

1 considered the debt equivalency of off-balance sheet
2 obligations associated with purchased power. The
3 resulting equity ratio has benefited customers by
4 allowing FPL to weather financial, as well as real
5 storms along with other challenges. The Commission
6 should not discard its proven approach for the allure of
7 temporary base rate impacts.

8 Finally, my rebuttal testimony addresses the
9 need to recognize superior performance. Good regulatory
10 policy should have a mechanism for recognizing superior
11 performance for a regulated company. Such an approach
12 would result in better service at lower rates in the
13 long-term.

14 That concludes my summary.

15 **MR. BUTLER:** I tender the witness for
16 cross-examination.

17 **CHAIRMAN CARTER:** Thank you.

18 Mr. McGlothlin.

19 **MR. MOYLE:** Mr. Chairman, could we just have
20 two minutes real quick?

21 **CHAIRMAN CARTER:** Sure. Let's do this,
22 Commissioners, let's give the parties -- how about we
23 come back at a quarter of.

24 Mr. Moyle, will that give you appropriate
25 time?

1 **MR. MOYLE:** I don't need much.

2 **CHAIRMAN CARTER:** A quarter of. We are on
3 recess.

4 (Off the record.)

5 **CHAIRMAN CARTER:** We are back on the record.
6 Mr. Moyle, you're recognized.

7 **MR. MOYLE:** First of all, I wanted to thank
8 you for a brief accommodation for us to have a
9 conversation amongst our colleagues. I think
10 Mr. McGlothlin is up, but I think Mr. Wiseman, while he
11 has enjoyed his time in Tallahassee, is desirous of
12 getting back to Washington tonight, so I think if he
13 could go first, Mr. McGlothlin.

14 **MR. MCGLOTHLIN:** I had indicated to Mr.
15 Wiseman earlier that I would defer to him so he could
16 possibly make his travel arrangements.

17 **CHAIRMAN CARTER:** Okay. Mr. Wiseman, you're
18 recognized.

19 **MR. WISEMAN:** Thank you very much. Thank you,
20 Mr. McGlothlin. And let me say as much as I enjoy it
21 here in Florida, honoring the rule that was established
22 earlier that you must obey your wife's instructions, I
23 need to get out of here. Thank you.

24 CROSS EXAMINATION

25 **BY MR. WISEMAN:**

1 Q. Good evening, Mr. Deason.

2 A. Good evening.

3 Q. Congratulations on finally getting up here.

4 A. It has been a long time coming, Mr. Wiseman.

5 Q. It really has. Well, I am going to try to
6 make this quick, and I will tell you in advance, I am
7 just going to go over some things we discussed with in
8 your deposition, if that helps.

9 Could we start at Page 6 of your testimony,
10 specifically Lines 1 to 2. Do you have that?

11 A. Yes, I do.

12 Q. Okay. Now, there you state that there are
13 three broad principles that the Commission has relied
14 upon in setting depreciation rates, do you see that?

15 A. Yes, I do.

16 Q. And the first principle that you refer to is
17 down on Lines 3 and 4. It is the principle of matching
18 costs and benefits, is that correct?

19 A. Yes.

20 Q. All right. Now, I want to talk about that
21 principle a little bit. You are familiar with the term
22 intergenerational inequity, correct?

23 A. Yes, I am familiar with the term.

24 Q. And would you agree that the term
25 intergenerational inequity applies where there is a

1 disconnect between the time that benefits are provided
2 and the utility's recovery of the costs associated with
3 providing those benefits?

4 **A.** Yes. I believe that is the definition I gave
5 during my deposition. It may not be the best artfully
6 worded definition, but I think it is accurate enough for
7 our discussion.

8 **Q.** Great. I thought it was accurate and
9 articulately stated by you.

10 **A.** Thank you, sir.

11 **Q.** Would you agree that an intergenerational
12 inequity could occur where ratepayers pay through rates
13 for a facility that does not provide them any benefits,
14 but that facility provides benefits to a subsequent set
15 of ratepayers?

16 **A.** Let me see if I understand your question.
17 There is the facility that is providing -- that is not
18 providing benefits currently, but will be providing
19 benefits in the future, and as to whether that creates a
20 generational inequity?

21 **Q.** If the current ratepayers pay for the cost of
22 that facility, that is correct.

23 **A.** Based upon that limited information, I cannot
24 conclude that there would be a generational inequity.
25 Under that limited scenario that you just provided, it

1 would be difficult for a regulated utility to be able to
2 add new efficient generation to its rate base and to be
3 able to recover part of the construction work in
4 progress associated with that, which is Commission
5 policy when it can be shown that it is in the
6 financial -- it's needed from a financial integrity
7 standpoint. See, there are other matters beyond just
8 intergenerational inequity which guide good regulatory
9 policy.

10 Q. Well, let's try it this way. Let me give
11 you -- I actually didn't refer to a generation facility
12 in my question, but let's try something more specific.
13 Would you agree that if the remaining life of a facility
14 were set for depreciation purposes at less than the
15 facility's actual remaining life, that that could lead
16 to an intergenerational inequity?

17 A. First of all, I am going to make some further
18 assumptions so that I can answer your question. If you
19 are stating that the regulatory body set a depreciation
20 rate consciously, that they set that rate on a remaining
21 life less than what they knew was the best information
22 available to them at the time, well, then I think that
23 would be -- that would result in an intergenerational
24 inequity.

25 On the other hand, if the Commission uses the

1 best information available to it at the time to set that
2 parameter and sets depreciation rates accordingly, and
3 then subsequent to that for some reason that is beyond
4 the control of regulation or beyond the control of
5 management, that life is somehow changed, I would not
6 say that that is an intergenerational inequity.

7 Q. Fair enough, but I want to make clear that my
8 question was based upon the first scenario that you
9 referred to where the depreciation rate was set based
10 upon the best information available at the time which
11 assumed that there would be a longer remaining life.
12 So, I believe your answer in the context of that
13 scenario was, yes, there would be an intergenerational
14 inequity, correct?

15 A. If their depreciation rate is deliberately set
16 based upon an inappropriate life, well, then, yes, I
17 think that there would be -- the result would be an
18 intergenerational inequity.

19 Q. Right. And the intergenerational inequity
20 would occur because current ratepayers would -- or an
21 earlier set of ratepayers, let's say, would be
22 subsidizing the costs of a subsequent set of ratepayers,
23 right?

24 A. Yes, because you set rates on a prospective
25 basis, that sets the cost of the service that customers

1 are consuming. If you intentionally set that cost or
2 set that rate to recover a cost above that level, well,
3 then, yes, I would agree.

4 Q. All right. Now, I believe you told me during
5 the deposition that you agreed that when a utility
6 commission is setting rates among the other policies
7 that it should take into account is the policy
8 concerning intergenerational inequity, correct?

9 A. I think intergenerational inequity is a
10 consideration which should be made by a regulatory body.
11 There are other considerations as well that need to be
12 considered in establishing good regulatory policy. But,
13 yes, it is one.

14 Q. All right. Now, can you refer to Page 5 of
15 your testimony, please, specifically Lines 14 through
16 19.

17 A. Yes.

18 Q. Now, there you are referring to the remaining
19 life approach to depreciation, correct?

20 A. Yes, I am.

21 Q. And you state that one advantage of the
22 remaining life approach is that there are not large
23 single year swings in depreciation expense, correct?

24 A. That is correct.

25 Q. Now, would you agree that it is important to

1 prevent swings in rates, significant swings in rates
2 from one year to the next?

3 **A.** Given Florida's approach to setting
4 depreciation rates, I agree with that. Florida has a
5 process wherein depreciation studies are required to be
6 filed and reviewed by the Commission every four years.
7 So following that procedure, one would not expect there
8 would be large swings in depreciation rates from one
9 year to the next.

10 **Q.** Well, my question was not necessarily related
11 specifically to PSC regulation. I was asking you a
12 question of general ratemaking -- a general ratemaking
13 policy is that utility commissions try to prevent rate
14 shock, right?

15 **A.** I think it is -- no, not necessarily. I think
16 rate shock, like intergenerational inequity, is a
17 consideration, but I'm not so sure it is the primary
18 consideration. The primary consideration is to set
19 rates on a going-forward basis to recover costs, to give
20 a utility a reasonable opportunity to earn a return, and
21 so that is the primary consideration. One would hope
22 that that process of setting rates can be done in a way
23 that you do not have large rate increases in any one
24 year, but sometimes that is an impossibility.

25 **Q.** But you would agree that if there is going to

1 be rate shock, that is at least a consideration that the
2 Commission should take in account -- into account in
3 determining what the appropriate rate level is, is that
4 fair?

5 A. Only if there is a means wherein the
6 going-forward costs that are anticipated to be in effect
7 when the rates are in effect. Should that consideration
8 ever be made, the first priority is to make sure that
9 the cost of service is being recovered in rates.

10 Q. All right. Could you turn to Page 27 of your
11 testimony, please?

12 A. Yes.

13 Q. Do you have that? Then take a look at Lines 7
14 through 10. First of all, you are talking about the
15 GBRA in that testimony, right?

16 A. Yes, I am.

17 Q. And then at 7 to 10 you are discussing a
18 number of policy reasons that you say are significant
19 policy reasons why this is an important regulatory tool
20 for the Commission, right?

21 A. Yes, that is correct.

22 Q. And the first one that you refer to there,
23 starting on Line 8, is that generating plants are large
24 investments which can have an immediate and material
25 impact on a utility's rate base. Do you see that?

1 **A.** Yes, I do.

2 **Q.** All right. Now, would you agree that if the
3 capital costs associated with an asset were about
4 \$800 million or more, that you would consider that level
5 of investment at a magnitude that would have an
6 immediate material impact on rate base?

7 **A.** Yes, I would.

8 **Q.** Okay. So would you agree, then, that an
9 impact of approximately \$800 million is of a sufficient
10 magnitude that the Commission should take that value
11 into account in setting rates?

12 **A.** Well, first of all, let me say -- answer your
13 question by saying yes, but there is a responsibility
14 for customers -- first of all, for a utility to be able
15 to go and obtain capital deployment and put in
16 facilities to serve customers. And then there is a
17 responsibility for customers to pay for those facilities
18 in their rates. So, it doesn't have to reach a
19 threshold of 800 million to trigger that requirement.
20 In fact, any dollar so expended there is a
21 responsibility, if it is properly incurred, for those
22 costs to be recovered on a prospective basis through
23 rates.

24 **Q.** All right. Now, could you turn to Page 13 of
25 your testimony, please? Specifically, if you could take

1 a look at Lines 11 through 13.

2 A. I'm sorry, Page 13?

3 Q. Page 13, Lines 11 through 13.

4 A. Yes.

5 Q. Okay. Now, you are discussing the concept of
6 regulatory lag there, right?

7 A. Yes.

8 Q. And I believe you say that regulatory lag is a
9 period when a change in rates up or down is needed, is
10 that correct?

11 A. Well, it is the time period from when there is
12 a need to change rates and the time that elapses before
13 that change can be implemented.

14 Q. So would you agree that regulatory lag
15 concerns a period when a utility is underrecovering its
16 costs or it could involve a period where a utility is
17 overrecovering its costs, right?

18 A. Yes, it could include either situation.

19 Q. Okay. And you would agree that good
20 regulation should attempt to eliminate regulatory lag,
21 right?

22 A. Yes, I agree.

23 Q. Okay. Now, can you turn to Page 12 of your
24 testimony. At Lines 17 to 19, that is where you discuss
25 your disagreement with Witnesses Kollen and Pollock

1 concerning the subsequent year adjustment, right?

2 **A.** Yes.

3 **Q.** Okay. Now, am I correct that you haven't
4 reviewed the information and data that FPL submitted in
5 support of its request for a subsequent year adjustment
6 in this particular case, is that true?

7 **A.** I have reviewed it in the sense of being a
8 consultant in this case. I have not reviewed it in the
9 sense of whether I am recommending a specific rate
10 request that it is appropriate. I have not reviewed it
11 to that level of detail.

12 Within my review I am consistent that the --
13 that the amount of information, the type of information
14 that has been filed in this case has been consistent
15 with the type of information that has been filed in
16 previous cases wherein the Commission has deemed that
17 information sufficient upon which to consider granting a
18 subsequent year adjustment. So, I want to make that
19 distinction. But, no, it is not the purpose of my
20 testimony to vouch for or somehow indicate that it is my
21 opinion that the amount of the requested increase in the
22 subsequent year adjustment is the correct amount.

23 **Q.** All right. And then if we could move to one
24 last area, Page 19 of your testimony. At Lines 1 to 2,
25 you refer -- you refer there to off-balance sheet

1 obligations. Do you see that?

2 **A.** Yes, I do.

3 **Q.** And those off-balance sheet obligations are
4 FPL's power purchase agreements, right?

5 **A.** Yes.

6 **Q.** Okay. And you haven't conducted a
7 contract-by-contract review of FPL's power purchase
8 agreements to determine whether the capacity payments in
9 those agreements are above or below market, isn't that
10 right?

11 **A.** That is correct, and I don't think it is
12 necessary to make a determination such as that to make a
13 determination of the credit quality impacts of a high
14 level of purchased power agreements.

15 **MR. WISEMAN:** Thank you very much, Mr. Deason.
16 And thank you, Mr. McGlothlin, for allowing me to
17 precede you.

18 **CHAIRMAN CARTER:** Thank you, Mr. Wiseman.
19 Have a safe trip.

20 Mr. McGlothlin.

21 CROSS EXAMINATION

22 **BY MR. MCGLOTHLIN:**

23 **Q.** Good evening, Mr. Deason.

24 **A.** Good evening.

25 **Q.** There is some advantage to being the last

1 witness, because like the other lawyers, I have been
2 trying to cull questions, and eliminate questions, and
3 some questions that seemed very important earlier in the
4 process don't seem quite as important now. So I am
5 going to attempt to be brief, but I do have a few things
6 to ask you.

7 To begin with, please turn to Page 3 of your
8 testimony.

9 A. Yes.

10 Q. The first two questions that appear under the
11 topic of theoretical reserve surplus are: What is a
12 theoretical reserve surplus; and why is the amount of
13 the reserve surplus deficit referred to as theoretical.
14 Do you see those questions and answers?

15 A. Yes, I do.

16 Q. You are familiar with the Commission's rules
17 governing depreciation practices of the regulated
18 electrics, are you not?

19 A. I am generally familiar with them.

20 Q. I am going to ask Mr. Poucher to distribute a
21 handout that consists of the depreciation rules.

22 **CHAIRMAN CARTER:** You don't need a number,
23 then, do you?

24 **MR. McGLOTHLIN:** No.

25 **CHAIRMAN CARTER:** Okay. That's fine.

1 **BY MR. McGLOTHLIN:**

2 Q. Do you have that, Mr. Deason?

3 A. Yes, I do.

4 Q. Please turn to Rule 25-6.0436, depreciation,
5 the definition section.

6 A. Yes.

7 Q. And would you agree with me that under Sub (h)
8 and Sub (i) the rules define terms reserve deficiency
9 and reserve surplus?

10 A. Yes, I see that.

11 Q. And would you agree with me that the
12 definitions in the Commission rules do not incorporate
13 the word theoretical when referring to the reserve
14 deficiency or reserve surplus?

15 A. I agree that the term theoretical does not
16 appear where the term reserve deficiency and the term
17 reserve surplus, where those terms are defined.

18 Q. Now, at Page 4, Line 13, if you will turn to
19 that. The question posed to you is what does the
20 theoretical reserve surplus represent in a regulatory
21 sense? And in your answer you say it is best to answer
22 this question by clarifying what a theoretical reserve
23 surplus does not represent. And you proceed to identify
24 two things that the reserve surplus does not constitute
25 or incorporate, do you not?

1 **A.** That is correct.

2 **Q.** But in your answer you don't say what it does
3 represent, do you, in terms of the affirmative
4 expression or identification of the reserve surplus?

5 **A.** No, I do not include that.

6 **Q.** Now, let's look at the same rule and read what
7 the Commission's definition indicates the reserve
8 surplus represents in a regulatory sense. Would you
9 read Subsection (i), the definition of reserve surplus?

10 **MR. BUTLER:** I'm sorry. I'm going to object.
11 Madam Chairman, the rule has, as Subsection (k) a
12 discussion of theoretical reserve. And to the extent
13 that Mr. McGlothlin is wanting to refer to the rule's
14 conversation on the subject of theoretical reserve, it
15 seems like he ought to refer to the right subsection.

16 **COMMISSIONER EDGAR:** Mr. McGlothlin.

17 **MR. MCGLOTHLIN:** My question relates to the
18 discussion in the witness' testimony where he was asked
19 the questions that are specific to reserve surplus. And
20 I am pointing to the rule that defines surplus and
21 distinguish his discussion versus what the Commission
22 has promulgated by rule.

23 **COMMISSIONER EDGAR:** I'll ask the witness to
24 try to respond.

25 **THE WITNESS:** Okay. Can you repeat your

1 question?

2 **MR. McGLOTHLIN:** Yes.

3 **BY MR. McGLOTHLIN:**

4 **Q.** Would you read the definition of reserve
5 surplus under Sub (i)?

6 **A.** Reserve surplus in excess in the reserve of a
7 category as evidenced by a comparison of that reserve
8 indicated as necessary under current projections of life
9 and salvage with that reserve historically accrued. The
10 latter figure may be available from the utility's
11 records or may require retrospective calculation.

12 **Q.** At Page 3, Line 21, you say that reserve
13 surpluses or deficits are routine and to be expected.
14 You would agree, would you not, that the objective of
15 depreciation practice is to have no difference between
16 the theoretical reserve and book reserve?

17 **A.** That would be an ideal situation. It rarely
18 occurs. But, yes, if when an asset is closed to
19 plant-in-service and we could determine its useful life
20 with 100 percent certainty, well, then, that would be
21 the result. But obviously we know that that is a
22 difficult proposition and rarely does it occur in
23 reality.

24 **Q.** Would you expect that a reserve surplus in the
25 amount ranging from \$1.25 billion to \$2.7 billion would

1 be routine and to be expected?

2 **A.** Yes.

3 **Q.** Would you agree that the purpose of the
4 periodic review of depreciation studies and the setting
5 of depreciation rates is to have a series of midcourse
6 corrections that would either eliminate or, at least,
7 reduce the difference between the book reserve and the
8 theoretical reserve?

9 **A.** Well, I need to clarify. It is not the
10 purpose of the periodic depreciation reviews to correct
11 a reserve one way or the other. The purpose of the
12 review is to determine on a going-forward basis what the
13 depreciation rate should be, with the purpose, primary
14 purpose in mind being that the cost, the remaining
15 undepreciated cost of the asset is to be recovered over
16 its then estimated remaining life.

17 By that exercise, it has the effect,
18 particularly in the remaining life approach of
19 eliminating any surpluses or deficits. But it is a
20 mechanism of the process of setting the rates on a
21 going-forward basis. The goal being that at the time
22 that that asset -- its useful life is expired, that its
23 net plant value has been 100 percent depreciated.

24 **Q.** You refer in your testimony to the remaining
25 life methodology as self-correcting, do you not?

1 **A.** Yes, I do.

2 **Q.** Your recommendation and the recommendation of
3 others who have appeared for the company is that the
4 existing reserve surplus be addressed via application of
5 the remaining life methodology, is that right?

6 **A.** Yes.

7 **Q.** Would you agree that where circumstances have
8 warranted in the past, the Commission has used
9 approaches other than remaining life to address the
10 status of the reserve of a particular utility?

11 **A.** I would agree that it has happened under
12 unique factual situations, and it has primarily been in
13 the case of deficits where the Commission has looked at
14 those deficits, made a determination as to how they
15 originated, what was the cause, and whether those
16 deficits needed to be corrected outside of the confines
17 of a base rate proceeding and within the earnings of the
18 company at the given time with the idea that that would
19 protect customers by eliminating the deficit, reducing
20 rate base on a going-forward basis without any increase
21 in rates.

22 **Q.** You were a Commissioner when the Commission
23 approved the settlement agreement that concluded the
24 2002 rate case, were you not?

25 **A.** Yes.

1 **MR. McGLOTHLIN:** I am going to ask Mr. Poucher
2 to distribute a document now.

3 **CHAIRMAN CARTER:** Just for cross-examination,
4 Mr. McGlothlin?

5 **MR. McGLOTHLIN:** I couldn't hear you, sir.

6 **CHAIRMAN CARTER:** The document that
7 Mr. Poucher is distributing, it's just for
8 cross-examination purposes.

9 **MR. McGLOTHLIN:** We will need -- yes, for
10 cross-examination. We will need an exhibit number for
11 this one.

12 **CHAIRMAN CARTER:** Okay. If you need a number,
13 that number will be 539. Commissioners, for the record,
14 539. A short title?

15 **MR. McGLOTHLIN:** Transcript, Special Agenda
16 Conference.

17 (Exhibit Number 539 marked for
18 identification.)

19 **CHAIRMAN CARTER:** You may proceed, Mr.
20 McGlothlin.

21 **BY MR. McGLOTHLIN:**

22 **Q.** Mr. Deason, we provided you what has been
23 marked as 539, the transcript of the special agenda in
24 Docket Number 001148. Do you have that available to
25 you?

1 **A.** Yes, I have that.

2 **Q.** Now, you will recall that at the time the
3 Commission took up its consideration of the proposed
4 settlement agreement, or what was at that point a
5 proposed settlement agreement, the parties presented the
6 settlement agreement at a meeting with the
7 Commissioners, and this a transcript of that meeting.
8 Do you recognize it as such?

9 **A.** Yes, I do.

10 **Q.** And among other things, the parties presented
11 as part of that package the provision of a settlement
12 agreement relating to the ability of Florida Power and
13 Light Company to credit depreciation expense by
14 \$125 million per year during the four years of the
15 agreement. Do you recall that?

16 **A.** Yes.

17 **Q.** Please turn to Page 30 of the document.

18 **A.** Yes.

19 **Q.** And you will see at the top of the page the
20 transcript of one of the questions that you posed.
21 Would you read that first paragraph?

22 **A.** Okay. The other question I have, I guess this
23 is probably more appropriately addressed to the company,
24 and it has to do with the ability of the company to --
25 to book credit amounts to the depreciation expense up to

1 \$125 million per year. And we got -- just got
2 clarification as to how that would work during the --
3 during the duration of this agreement.

4 Q. Now --

5 A. I guess when you read a transcript you see
6 that you don't speak as well as you would like to write
7 something. But I read it word for word, Mr. McGlothlin.

8 Q. Yes, sir. And I'm not going to spend the
9 Commissioner's time going through all of this word for
10 word. I have tried to select those parts of the
11 exchange that fairly depict the conversation you had
12 with the parties, including FPL, in the course of your
13 inquiry. And so please turn to Page 31. First of
14 all --

15 A. Well, if you are leaving Page 30, I would like
16 to point something out, please, Mr. McGlothlin.

17 Q. Uh-huh.

18 A. If you will see the third paragraph there, I
19 was actually posing a question to the company expressing
20 some concern with this provision that was within the
21 settlement agreement. And I am indicating there that I
22 was looking for some assurance from the company that
23 this provision, the provision being the \$125 million per
24 year depreciation credit, that it would not be utilized
25 unnecessary. And I was looking for a commitment from

1 the company, looking for some assurances.
2 Unfortunately, I did not get that assurance. But this
3 indicates that I did have a problem with this concept of
4 booking the negative depreciation. And so I'm sure we
5 are going to review other aspects of this transcript,
6 but I did want to point out that the overall context of
7 this particular section of the transcript in my exchange
8 with Mr. Evanson, I believe at the time, and my concerns
9 about this provision.

10 Q. Yes, sir. And as I say, we are going to
11 introduce the entire document, and you are certainly
12 free to point to anything that you think is necessary to
13 fairly represent what you were thinking and asking at
14 the time. But in an effort to do that in something of a
15 short form or manner, you will see that Mr. Evanson, who
16 was then president of FPL, was he not, answered your
17 question. And at Page 31, would you read the first full
18 paragraph beginning with number two?

19 A. Now, this is Mr. Evanson speaking, but you
20 want me to read it?

21 Q. Yes.

22 A. Okay. Number two, on the depreciation side, I
23 think it is likely that we would avail ourselves of that
24 provision probably to the fullest extent probably in
25 every year. And I say that for not -- not primarily

1 because of the earnings impact, but also because when we
2 actually compare ourselves, our depreciation rates to
3 all of our various peers in the industry, it is very
4 clear that our rates are far higher than most. In fact,
5 they may be the highest in the industry in terms of the
6 depreciation rate that we are taking.

7 Q. And Mr. Evanson elaborates on that on that
8 page. And I will just observe that your transcript
9 reads at least as well as his does in terms of how
10 articulate the two of you were. And having said that, I
11 refuse to read my own transcript in the future.

12 And if you will turn to Page 32.

13 A. 32?

14 Q. Page 32, the paragraph beginning -- Mr.
15 Evanson is speaking, and he says, so, frankly. Would
16 you pick up with that?

17 A. So, frankly, we think it is appropriate to
18 look at that depreciation in that -- in that this
19 reduction is probably bringing depreciation to an
20 appropriate level. And since we will not be having, I
21 believe, not having a full review of depreciation by the
22 staff during that period, we think the review probably
23 would have shown that we were overdepreciating.

24 Q. And continue on the next paragraph, please?

25 A. And the next paragraph?

1 **Q.** Yes.

2 **A.** So it serves a few purposes, but I think it
3 certainly would serve the purpose of bringing our
4 depreciation more in line. And I think after we have
5 taken that, to the extent that we take the full
6 125 million, we actually will be in line with peer
7 groups.

8 **Q.** Now, Mr. Deason, please turn to Page 33.

9 **A.** Before we do that, let me expand a little bit
10 upon that in the discussion that I was having with
11 Mr. Evanson and his discussion and little bit of the
12 historical perspective that we were dealing with, or
13 maybe some of the history that preceded this exchange.

14 In the 1990s, the Commission was approached by
15 FPL with a concern of some of the items on its balance
16 sheet concerning regulatory assets, some concerns that
17 they were in a position of perhaps having to prepare for
18 competition, perhaps looking at the possibility of
19 having to divest generation units, the possibility of
20 stranded investments as a result. And, in fact, this
21 similar situation was actually happening in other
22 jurisdictions.

23 They came with that concern to the Commission.
24 They came with a plan to address that within the current
25 earnings of the company to try to remove those

1 regulatory assets which were a burden for customers, and
2 to try to get their depreciation accounts and the
3 depreciation methodologies more in line with a
4 competitive company in the event that they were
5 deregulated, and to perhaps relieve customers of the
6 burden of potential stranded investments that customers
7 in other jurisdictions were facing.

8 So, the Commission took that action for the
9 right reasons. And at that time, that was a deviation
10 from pure remaining life depreciation. That was a
11 situation where I think that it was an extraordinary
12 circumstance in which the Commission saw the merits of
13 the proposal and how it actually would benefit
14 customers. So there was a deviation from that.

15 Now, I think there was some discussion earlier
16 today with Mr. Davis. I think he verified that, I think
17 history of the record verifies it, that Florida did not
18 deregulate its generation. FPL and the other
19 investor-owned utilities in this state were not subject
20 to competition. So I think the Commission at that time
21 took the right measures for the right reasons, but as it
22 turned out it was not a necessary function. So I think
23 what Mr. -- I'm not speaking for him, but reading what
24 is in this transcript and recalling by my own memory of
25 the exchange with Mr. Evanson, he was saying we saw a

1 problem in the '90s, we have corrected it, the problem
2 didn't materialize and as a result we are
3 overdepreciated now. I think that is the overall
4 context.

5 Q. I think that sets the stage. Now, if you will
6 turn to Page 33, and at the bottom of that page, you
7 begin a comment at Line 23. Would you read that and the
8 remainder of the paragraph on the following page?

9 A. Well, I am glad we are having this discussion,
10 because it is clarifying to me the purpose of this
11 latitude which is given to the company that is really
12 not a cushion to be able to absorb earnings or
13 unforeseen circumstances. This is really an effort to
14 get depreciation, at least in the view of the company,
15 to a level to where it needs to be. That is what I
16 understand the explanation. Am I oversimplifying it,
17 Mr. Evanson?

18 Q. And after his answer, you comment again.
19 Mr. Deason, would you read beginning at Line 11?

20 A. Yes. I guess what I'm -- I'm hopeful that we
21 can avoid, and it gives me some comfort in your
22 representation that this is really an effort to get
23 depreciation reserves, not the rates, the rates stay the
24 same, get the depreciation reserves in the long-term
25 where they -- they need to be.

1 If you will let me expand upon that.

2 **Q.** If you will read the rest of that comment
3 first, then you can expand.

4 **A.** Okay. Very well. You want me to read the
5 next paragraph?

6 **Q.** To where it ends on Page 35, and I promise you
7 we are almost through.

8 **A.** Okay. We know that if -- if we
9 underdepreciate or overdepreciate, there has to be
10 corrective measures taken after the next study. And my
11 effort -- I mean, my concern is try -- I want the
12 depreciation reserves to be as accurate as possible. I
13 want to hopefully avoid through erratic changes in
14 depreciation rates. And I know that this agreement
15 keeps rates frozen, depreciation rates frozen during the
16 entire period. I would hope that after the conclusion
17 of this settlement, if it is approved, that we would not
18 find ourselves in a situation where depreciation
19 reserves are way out of balance from where they should
20 be -- theoretically should be. And you have given me
21 the indication that you think this is a step in the
22 right direction to get those -- actually to get those as
23 a positive thing to get the reserves where they should
24 be.

25 **Q.** Now, did you want to elaborate?

1 **A.** Yes, I do want to elaborate. First of all, I
2 want to make a general comment, but before I do that, I
3 want to emphasize some of the language that I used in
4 this. And I am emphasizing that when I'm -- I'm
5 speaking about depreciation reserves, I am talking about
6 the reserves and not the rates themselves. We were not
7 in a rate proceeding, and I was speaking in terms in the
8 long-term. And I also indicated that -- I had language
9 in here where I wanted to avoid erratic changes in
10 depreciation rates.

11 And, Commissioners, what I want to point out
12 to you at this point is what the intervenors are
13 proposing that you approve will generate erratic changes
14 in depreciation rates. They want you to approve the
15 amortization of 125 -- I'm sorry, \$1.25 billion to be
16 amortized over four years. And I think Mr. Davis
17 previously testified today that what that means is that
18 you are going to have a period of time where you are
19 actually going to have negative depreciation in that
20 amount, you are going to be adding plant to rate base,
21 and then after that four-year period you are going to be
22 faced -- I think his calculations, depending exactly of
23 what he included or excluded was anywhere from 400
24 million up to -- I heard a figure of \$478 million.
25 Those are his numbers, not mine, that is what I heard.

1 But what I'm saying is that there is going to
2 be a very substantial change, both in the rates
3 customers pay, which we were not changing in this
4 proceeding or this transcript that is being -- being
5 read. You are going to have a large change in rates to
6 customers and you are going to have a large swing in the
7 depreciation rates themselves. So I want to distinguish
8 what was going on in this proceeding from that.

9 Another thing I want to emphasize, and it was
10 the reason that I was having this discussion with
11 Mr. Evanson, and why I gave the historical perspective
12 of what happened in the '90s to bring us to this point.
13 The Commission for the right reasons at that time
14 deviated from remaining life depreciation. We felt that
15 the remaining life approach was not going to be
16 sufficient to address the concerns of stranded
17 investment. We were wrong. But I think we were
18 cautious; we did the right thing. We deviated from
19 that. We deviated from remaining life depreciation here
20 as well to get things back to where they should be.

21 Now, that we have -- we went down that road
22 concerned about depreciation and stranded investment,
23 took action to address it, took action to reverse it, we
24 are back now to a situation where we do not have to
25 deviate from remaining life depreciation. And if we do

1 deviate from remaining life depreciation, we are going
2 have the very thing that I cautioned against, and that
3 is erratic changes in depreciation rates, and not only
4 depreciation rates, but rates to customers, as well.

5 Q. Now, that was a long answer. Let me make a
6 couple of points through questions to you. You have
7 indicated two occasions in which the Commission saw
8 circumstances that warranted an approach other than
9 remaining life, correct? One is with the request of FPL
10 to get its costs down to be competitive?

11 A. Yes, that is one situation, correct.

12 Q. And in this situation when the settlement
13 package in 2002 was presented to you, you saw in the
14 provision allowing FPL to credit depreciation expense by
15 \$125 million per year for four years an approach other
16 than remaining life to address what the company called
17 overdepreciation, correct?

18 A. That is correct.

19 Q. And is it fair to say --

20 A. Overdepreciation was a result of the actions
21 the Commission took in the 1990s wherein we --

22 Q. Excuse me. I think you have said that twice
23 now. I would like to pose my questions to you after
24 giving you considerable latitude.

25 Can we -- is it safe to assume that when FPL

1 says we are overdepreciated, that meant they had a
2 reserve surplus?

3 **A.** Yes. I think that those terms in this context
4 would be synonymous, but the surplus originated from a
5 deviation from remaining life, as opposed to the surplus
6 that exists now, which is within the confines of the
7 normal deviation of depreciation with the remaining life
8 approach.

9 **Q.** Now, you said in your answer that you are
10 concerned about the possibility of erratic changes in
11 depreciation rates. Isn't it true -- let me back up.
12 You have identified two situations in which the
13 Commission departed from the remaining life methodology
14 to address circumstances that in its view warranted the
15 departure. So, would you agree that this Commission has
16 the same ability to assess the circumstances in this
17 case and determine whether in its judgment a departure
18 from remaining life is warranted by the circumstances?

19 **A.** The Commission always has that latitude and
20 discretion. But to say that this stands for the
21 proposition that they should do that in this case is
22 absolutely not the case, Mr. McGlothlin. It is not the
23 case at all.

24 What we have here is a situation where this
25 overdepreciation, as Mr. Evanson described it, resulted

1 from a deviation from remaining life. Then we deviated
2 from remaining life to correct it. The concern was that
3 remaining life would not enable -- and remember my
4 number one goal of depreciation, Mr. McGlothlin, the
5 number one goal is to be able to set rates such that
6 when we reach end of life of an asset it is 100 percent
7 depreciated.

8 When we were concerned about stranded
9 investment, we could not depend on remaining life to
10 achieve that goal, so we had to deviate from it. What
11 we have in this case currently before the Commissioners
12 is you have a case where you can remain -- you can rely
13 upon the remaining life approach. And at the end of the
14 useful life of the assets in question, they will be 100
15 percent depreciated. So, to say that this stands for
16 the proposition that this Commission should take the
17 specific action to deviate from remaining life, no, I
18 disagree with that.

19 **Q.** When you say this, are you talking about --

20 **CHAIRMAN CARTER:** Excuse me, Mr. McGlothlin,
21 would you yield for a moment, please, sir?

22 **MR. MCGLOTHLIN:** Yes, sir.

23 **CHAIRMAN CARTER:** Thank you.

24 Commissioner Skop.

25 **COMMISSIONER SKOP:** Thank you, Mr. Chair.

1 Just so I'm following along, Mr. Deason, in
2 relation to the comments that stem from the proposal
3 that was brought forth by the company to allow it to be
4 more competitive in anticipation of deregulation in this
5 state that never happened, I think that, subject to
6 check, there was a departure made, but that departure
7 clearly inured to the benefit of the company. In a
8 similar situation that we are faced with today, where
9 there may be a theoretical surplus, and you want to have
10 some sort of matching principle, and in the case where a
11 rate case would function as true-up regulatory accounts,
12 why would it not be appropriate to do the exact same
13 opposite to something that would near term benefit the
14 customers, perhaps address some intergenerational
15 inequity arguments, but fully recognizing that you can
16 pay me now or pay me later or refund me now and pay me
17 later. There is ultimately going to be a true-up. You
18 know, it is just a timing issue and a cash flow issue.
19 But explain to me how I am inaccurate in that
20 assessment.

21 **THE WITNESS:** Commissioner, that was a lot of
22 information thrown at me at one time. I want to be
23 responsive. I do not accept the premise of your
24 question that what was done in the 1990s was beneficial
25 to the company. It was beneficial in the sense that it

1 was making efforts to prepare them for -- to perhaps
2 face competition and deregulation. But, remember, we
3 were -- when we were doing -- taking those measures, we
4 were reducing the company's rate base. Now, that was
5 fine when they were facing the prospects of
6 deregulation, but generally a company does not want to
7 have its rate base reduced unless that reduction is
8 accompanied by an increase in its revenues through
9 higher depreciation rates.

10 Remember, what was done in the 1990s is we
11 took this action within the existing rates of the
12 company. And some of the actions that were taken were
13 based upon a sharing of revenues above certain levels.
14 So, to say it was done for the benefit of the company, I
15 think that it was their initiative and they saw that
16 there was a reason for it, but it was not done for the
17 benefit of the company to the exclusion of customers.
18 Customers benefited as well by a reduction in the rate
19 base as a result of those actions.

20 **COMMISSIONER SKOP:** Okay. And just as a
21 follow-up, and I will yield back to Mr. McGlothlin. In
22 the 2002 settlement agreement, again, I believe it is
23 125 million per year, subject to check, and totaling, I
24 guess subject to check, or we can either use the 2005
25 settlement agreement, whichever. But assuming that

1 there was a depreciation adjustment of \$125 million per
2 year over a four-year period, I think subject to check
3 that would be, you know, \$625 million or whatever the
4 math works out to be.

5 I guess currently the intervenors have alleged
6 that the surplus is approximately 1.2 -- actually the
7 company has alleged, I think, it may be 1.2 billion and
8 the intervenors are saying it is much higher. But in
9 relation to either the 2002 or the 2005 settlement, what
10 percentage has the rate base itself grown since that
11 time?

12 Again, in 2002 or 2005, again, there was
13 \$625 million all in somewhere around there. Now, OPC
14 and the other intervenors are alleging that, you know,
15 perhaps 1.2 million should be recaptured over four
16 years. So that would be effectively a doubling of
17 depreciation surplus during that time. But how big has
18 the rate base grown since that, since the addition of
19 new generating plants and all of that. Do you have a
20 perspective on that?

21 **THE WITNESS:** Commissioner, I cannot answer
22 your question specifically as to the dollar increase in
23 rate base that took place during that time. I would
24 suspect that FPL, being in a growing territory and being
25 a company which does not hesitate in obtaining and

1 deploying capital to meet its customers' needs and to do
2 that cost efficiently, I would anticipate that there had
3 been a great deal of investment in terms of plant that
4 was added during that time, but I cannot quantify that.

5 **COMMISSIONER SKOP:** Okay. And you mentioned
6 that from a company's perspective that they don't want
7 to see their rate base decline. They want their rate
8 base to grow, is that correct?

9 **THE WITNESS:** I think as a general
10 proposition, a company wants to see their rate base
11 grow. That means they are serving a growing territory.
12 That is generally a healthy thing. That is one of the
13 things that enabled Florida and particularly this
14 company to keep rates low or even have rate reductions
15 was healthy cost-effective growth. It is a good thing,
16 but just -- but neither does a company want assets to
17 remain on their books and in their rate base if the
18 assets are not going to be recovered over the useful
19 life. A company wants that balance. It wants to deploy
20 the capital, earn a return on it, and depreciate it over
21 its useful life, thereby providing a cash flow to the
22 company to go out and reinvest in new assets.

23 **COMMISSIONER SKOP:** Okay. Just three quick
24 follow-up questions, and I will yield back. The larger
25 the rate base, the more a company would earn generally

1 speaking, is that correct?

2 **THE WITNESS:** I think generally -- yes, all
3 other things being equal that would be correct.

4 **COMMISSIONER SKOP:** Okay. And I guess as I
5 listen to the rest of the question, I guess the central
6 principle I'm trying to understand is often from a
7 company's perspective. The Commission hears arguments
8 related to asymmetric risk and why that is not
9 appropriate, and why, you know, we should adopt their
10 position on certain instances.

11 In this situation, I have seen it done one
12 way. I have seen it done in settlements. And now in,
13 you know, what are arguably, you know, bleak economic
14 conditions where ratepayers are, you know, struggling to
15 make their bills and rates may go up somewhat offset by
16 fuel savings and what have you. It is my understanding
17 in the rate case, not only are they asking to not do any
18 depreciation adjustments, they are seeking to increase
19 depreciation rates also. So I guess I'm trying to
20 struggle to understand why if there is a theoretical
21 surplus something cannot be done, although there is a
22 trade-off in doing anything, because you are going to
23 have to, you know, add additions to the rate base later.
24 But in the near term, why would it not be appropriate on
25 the flip side of this argument to benefit consumers in

1 the near term by reducing their rates by crediting or
2 doing similar credits that were done in the settlement?

3 **THE WITNESS:** First of all, let me be clear
4 that customers do benefit by the surplus. The rate base
5 is lowered by that amount and so customers have received
6 that benefit in the past. They will continue to receive
7 that benefit. I think your question goes to the fact as
8 to whether there should be a reversal of the
9 depreciation to reduce near term revenue requirements
10 and whether that is symmetrical.

11 Commissioner, that is certainly within your
12 discretion to do, and I know you have had concerns about
13 GAAP. You have had a discussion with Mr. Davis about
14 that, and I think he has described it is his position
15 that even with his general concerns about GAAP, that it
16 is probably within your discretion to do that.

17 I don't -- I don't deny that that is within
18 your discretion, as well. The question is should you do
19 it. And I still think that even in these bleak economic
20 times that it is not the correct approach to deviate
21 from remaining life. For the very reasons Mr. Davis
22 identified, you are going to be looking at a very
23 substantial rate increase four years from now.

24 It is true that customers are suffering. I
25 did not personally go to the customer hearings, but

1 believe me in a former life I attended many. And
2 customers find it difficult -- some customers find it
3 difficult to pay their bills even in robust economic
4 times. And there are some customers through no fault of
5 their own who are having difficulties, and I do not want
6 to sound callous. And there are certain measures
7 available to address those concerns of the customers.

8 In fact, this company participates in some of
9 those measures by some of its contributions and some of
10 its budget billing plans and things of that nature. But
11 the truth of the matter is that for a regulated
12 utility -- when times are robust, this company was not
13 earning excessive amounts. In fact, this company was
14 reducing its rates because it had healthy growth in the
15 number of customers.

16 Now, that's a deviation from the normal
17 competitive model where companies during robust economic
18 times doing extremely well. That is not the case for a
19 regulated utility. They still earn within the confines
20 set by this Commission. And intervenors and consumer
21 advocates did -- and neither would I expect them to,
22 during those robust economic times did not come to the
23 Commission and say we are in a very good economic time
24 here, and if it is ever a time that our customers can
25 afford a rate increase, it is now. They didn't do that.

1 I wouldn't expect them to do that. They are advocates
2 for their positions and they do an extremely good job
3 for that. But what I am saying is the dynamic of the
4 regulatory scheme in Florida, and generally in the
5 nation, is that a company, regardless -- a regulated
6 utility regardless of the general economic conditions,
7 its earnings are regulated. They are not allowed to
8 earn outside of that range when times are good; neither
9 should they be allowed or required to earn below that
10 when times are bad.

11 Now, Commissioner Skop, I know your proposal
12 is to not have this company earn lower than its return,
13 but what is being proposed is a procedure that is not in
14 the customers' long-term best interest, the general body
15 of customers. Sure, it is in the customers' best
16 interest who are going to be on this system the next
17 four years, but what about the four years after that and
18 the four years after that? Those customers are going be
19 paying higher rates because of the action that is going
20 to take place, possibly take place if you take the
21 intervenors' recommendations to provide some relief for
22 customers during this four-year period of time.

23 Commissioners, that is a judgment you have to
24 make. It is not an easy one, and I think I probably
25 could speak as well as anybody in this room the

1 difficulties of the decisions that you all have to make,
2 and you have to weigh that. I am just saying you need
3 to weigh that in terms of the longer term picture, as
4 well. And what is being proposed, \$1.25 billion to be
5 amortized over four years is a large number, and the
6 impact as a result will be tremendous benefits for four
7 years, but tremendous increases four years later.

8 **COMMISSIONER SKOP:** Mr. Deason, two follow-up
9 questions. Again, I don't have the numbers before me,
10 and it is hard to quantify what the respective rate
11 bases were in 2002 and 2005 respectively. We do know
12 what the depreciation amount that was agreed to, the
13 settlement agreements there. And we know what the
14 intervenors are asking for now. But on a percentage
15 basis, noting the growth in rate base, would it be
16 theoretically possible that it would be the same
17 percentage of rate base over the two instances?

18 **THE WITNESS:** Commissioner, I'm having
19 difficulty understanding your question. You do have a
20 tendency to ask difficult questions, and I mean that as
21 a compliment, Commissioner.

22 **COMMISSIONER SKOP:** No, I need to be more
23 concise. Let me try and be more concise.

24 Say for the hypothetical example rate base was
25 \$5 billion.

1 **THE WITNESS:** Okay. A 5 billion rate base at
2 what time?

3 **COMMISSIONER SKOP:** Let's say 2005. Again,
4 those numbers are not accurate. I'm just trying to make
5 a hypothetical example.

6 **THE WITNESS:** Okay.

7 **COMMISSIONER SKOP:** Okay. So five billion --
8 actually, let's make it even simple. Let's make it
9 simple math so I can do it in my head. Let's say rate
10 base was \$500?

11 **THE WITNESS:** Okay.

12 **COMMISSIONER SKOP:** And let's say the
13 depreciation that they were going to credit in that case
14 was \$5.

15 **THE WITNESS:** Okay.

16 **COMMISSIONER SKOP:** Now, let's jump forward to
17 current period, whereas the rate base may have grown to
18 \$1,000, and the depreciation reserve amount would now be
19 \$10, because, again, it is roughly 1.25 is twice
20 625 million.

21 On a percentage-wise basis, if rate base has
22 grown and the depreciation that they are looking to
23 recapture over four years has doubled, on a percentage
24 basis in those two situations it might be the same, is
25 that correct?

1 **THE WITNESS:** That possibly could be, but I
2 think you need to look at it in terms of the incremental
3 effect. And we know that if you adopt the intervenors'
4 position, that rate base, after the amortization period
5 the rate base is going to be \$1.25 billion more than it
6 otherwise would be. And at the end of that four-year
7 period you are going to have the higher rate base, you
8 are going to have to then start depreciating that higher
9 rate base, which means there is going to be an erratic
10 increase in depreciation rates at that time.

11 And then the credit itself goes away, which
12 had been keeping rates low. So it is like a triple
13 whammy on customers at the end of that four-year period.
14 So on an incremental -- I mean, you are going to have
15 growth. We are hopeful there is going to be growth, but
16 within that growth you are still going to have these
17 impacts.

18 Now, if the company grows enough and the
19 billing determinants are higher, perhaps that will
20 mitigate to some extent the impact on specific
21 customers' rates. But 1.25 billion in four years, I
22 don't think it is reasonable to expect that customer
23 growth is going to mitigate -- maybe some, but certainly
24 not all of that.

25 **COMMISSIONER SKOP:** Okay. Just, again, one

1 follow-up question to that. You served on the
2 Commission for 16 years, is that correct?

3 **THE WITNESS:** Yes.

4 **COMMISSIONER SKOP:** And you have an accounting
5 background, is that correct?

6 **THE WITNESS:** Yes.

7 **COMMISSIONER SKOP:** Okay. In both the 2002
8 and 2005 settlements respectively, by virtue of the
9 adoption of those settlements by the Commission, didn't
10 you effectively do the same thing that the intervenors
11 are asking for now?

12 **THE WITNESS:** We effectively did it for
13 different reasons, okay? But, yes, I am not trying to
14 dodge that vote. I can tell you this, and if you have
15 not had a settlement presented to you before, I'm sure
16 that you will at some point, what you find is that it is
17 an up or down vote, take all or take none. I can
18 honestly tell you sitting here today that in my mind I
19 did not vote for that 125 million credit. I voted for
20 an overall package, that that just happened to be
21 something that -- to get the overall benefits is
22 something I had to swallow.

23 **COMMISSIONER SKOP:** But as detailed in the
24 transcript that Mr. McGlothlin reviewed with you,
25 certainly, you exchange in some specific discussion or

1 expressed discussion on that very point, and you seemed
2 to have some comfort that you were doing the right thing
3 in the context of the settlement.

4 **THE WITNESS:** Yes, and for reasons that we
5 deviated from remaining life, we needed to take action
6 to correct our earlier mistake, which we did for the
7 right reasons, but it turned out to be unnecessary. So
8 we took that action. The numbers work out very close.
9 The additional depreciation and amortizations that the
10 Commission authorized during the 1990s roughly equated
11 to one billion dollars. The 1.25 -- I mean, the
12 125 million over two four-year periods equals one
13 billion dollars. So in rough terms we took actions to
14 correct when we deviated from remaining life. It is not
15 necessary to deviate from remaining life now, even
16 though it is within your discretion to do so.

17 **COMMISSIONER SKOP:** And just as you struggled
18 with during your long tenure on the Commission, I am
19 looking at ways and discretion as I listen to the
20 testimony to, you know, ensure fair, just, and
21 reasonable rates, to allow the utility to recover
22 reasonable incurred costs and prudently incurred costs,
23 and to keep them financially healthy. But I am also
24 looking at ways where opportunity exists.

25 And this is why my questioning is very

1 specific. I'm trying to vet a very contentious issue.
2 I am looking to leverage every possible opportunity
3 where I have discretion to exercise that discretion to
4 keep rates low.

5 So, again, it is a tough decision, but, again,
6 I'm trying to vet this very thoroughly. And I don't
7 mean to take the Commission's time, but it is a very
8 critical important issue with a rate case that has a
9 substantial dollar amount in play.

10 **THE WITNESS:** And, Commissioner, you need to
11 weigh that. And I guess if there is one message I would
12 leave with you is that I would hope you would weigh that
13 both in terms of immediate benefits and long-term
14 impacts.

15 **CHAIRMAN CARTER:** Thank you, Commissioner.

16 Anything further at this time from the bench?

17 Mr. McGlothlin, you may proceed.

18 **BY MR. McGLOTHLIN:**

19 Q. Mr. Deason, there were two responses, one to
20 Mr. Wiseman and one to me that I want to follow up on in
21 terms of your most recent answers to Commissioners. At
22 one point you said, and I'm paraphrasing, but I think I
23 have this right, that the paramount objective is to
24 ensure that 100 percent of the utility's investment is
25 collected by the end of the service life. Did I hear

1 that correctly?

2 **A.** Yes, that the asset that is deployed by the
3 end of its service life that that asset is 100 percent
4 depreciated. That is the goal of depreciation, yes.

5 **Q.** And I also heard you say in response to a
6 question from Mr. Wiseman that you disagree with the
7 proposition that if an earlier generation of customers
8 are on line when a reserve surplus is created you don't
9 regard that as an example of intergenerational inequity.
10 Did I hear that correctly?

11 **A.** It depends on how that surplus was generated.
12 If the Commission made a conscious decision that it was
13 going to intentionally either overdepreciate or
14 underdepreciate, well, then, yes, it could be an
15 intergenerational inequity. But when the Commission
16 gets the very best information it has, the very best
17 parameters in terms of lives and salvage values, and
18 makes a determination of what the depreciation rate
19 should be, and those rates are then incorporated into
20 the utility's rates such that customers support that
21 depreciation expense through rates, that does not in and
22 of itself create an intergenerational inequity.

23 What is happening then is the Commission is
24 setting -- the Commission is setting the cost of
25 providing service to those customers, and that is what

1 rates are based upon. And so the deal is struck. The
2 customers subscribe to the service based upon those
3 rates, based upon those parameters, and they pay for
4 that.

5 The customers are not overcharged or
6 undercharged when that happens. The existence of a
7 theoretical depreciation surplus or reserve does not in
8 and of itself mean that customers have been overcharged
9 or undercharged.

10 **MR. McGLOTHLIN:** I want Mr. Poucher to hand
11 out another document.

12 **CHAIRMAN CARTER:** Okay. Do you need a number?

13 **MR. McGLOTHLIN:** No, sir.

14 **CHAIRMAN CARTER:** Okay. Mr. Poucher, you may
15 proceed.

16 (Pause.)

17 **CHAIRMAN CARTER:** Do we have enough copies? I
18 don't think that Ms. Bradley and Mr. Moyle and Mr.
19 Wright got a copy.

20 Ms. Bradley, you can have mine.

21 **MS. BRADLEY:** That's okay. I think you need
22 it more.

23 **CHAIRMAN CARTER:** Mr. McGlothlin.

24 **BY MR. McGLOTHLIN:**

25 **Q.** Mr. Deason, you have been provided a copy of

1 Order Number 980027 in Docket 970410. Do you have that
2 before you now?

3 A. Yes, I do.

4 Q. And do you see your name is on the panel of
5 Commissioners that voted to make this decision?

6 A. Yes.

7 Q. And do you recall the docket as the
8 Commission's consideration of a proposal to extend
9 certain provisions for Florida Power and Light Company
10 in terms of increasing the collection of nuclear
11 dismantlement expense?

12 A. Yes. I see proposal to extend plan for
13 recording of certain expenses for years 1998 and 1999
14 for Florida Power and Light Company.

15 Q. Yes. And do you recall that in this case FPL
16 presented the testimony of Mr. Gower, whom those of us
17 who have been at this for awhile will remember as a
18 frequent witness for the company?

19 A. Yes, that is correct.

20 Q. Please turn to Page 6 of the order.

21 A. Yes.

22 Q. And at this point the order is reciting the
23 presentation of Witness Gower. Would you read the first
24 portion of the last -- or the next to the last paragraph
25 on that page?

1 **A.** Is this the paragraph that begins Witness
2 Gower further testified?

3 **Q.** No. Because of reserve deficiencies, below
4 that.

5 **A.** The paragraph that begins because the reserve
6 deficiencies?

7 **Q.** Yes.

8 **A.** Okay. Do you want me to read that entire
9 paragraph?

10 **Q.** Yes, please.

11 **A.** Because the reserve deficiencies represent
12 costs that should have been recovered in prior years,
13 intergenerational equity suggests that these
14 deficiencies be recovered quickly so that future
15 ratepayers are not burdened with an unfair share. The
16 primary purpose of the proposed plan is to correct past
17 deficiencies. This correction is not an acceleration of
18 expenses appropriately attributable to future periods,
19 but, in fact, is remedial, because it addresses expenses
20 appropriately attributable to prior years; and,
21 therefore, corrects intergenerational inequities. The
22 intergenerational inequity has already occurred, and if
23 not corrected by the proposed plan will only be
24 exacerbated.

25 **Q.** Now, if you will turn to Page 11.

1 **A.** If we are going to leave this page, there are
2 a few things I need to point out, Mr. McGlothlin.

3 **Q.** Well, let's do this. I would like to pose my
4 questions and then after --

5 **A.** Mr. McGlothlin, my memory is not that good,
6 and while I've got something on my mind, I believe that
7 while we're on a page of an order you ought to at least
8 allow me the latitude to answer what you just had me
9 read.

10 **Q.** Well, we're in the middle of a question,
11 that's the problem, Mr. Deason, and I would like to pose
12 my question and have you answer that first and then, as
13 the Commission has frequently allowed you, you will have
14 a chance to explain.

15 **A.** As long as Mr. Chairman allows me sufficient
16 time to go back and review this order sufficiently, I'll
17 make the case clear to the Commission.

18 **CHAIRMAN CARTER:** You can answer the question,
19 and then if you feel like you need to explain it later,
20 you can do that.

21 Mr. McGlothlin.

22 **BY MR. McGLOTHLIN:**

23 **Q.** At Page 11 you will see that after reciting
24 the presentation and submissions by the company, the
25 Commission in this order characterized the issue before

1 it. Do you see the paragraph that begins this issue is
2 one of timing. Would you read the first sentence of
3 that paragraph?

4 A. The first sentence?

5 Q. Yes.

6 A. This issue is one of timing, whether reserve
7 deficiencies associated with nuclear decommissioning and
8 fossil dismantlement should be recovered over the
9 remaining life of the respective units, as is currently
10 being done, or whether these deficiencies should be
11 written off over a shorter period of time.

12 Q. And the final portion of this is on Page 14.
13 The paragraph beginning with the remaining threshold.
14 Would you read that paragraph -- that short paragraph?

15 MR. BUTLER: Excuse me, Mr. Chairman, but I
16 would suggest something. I don't want to interfere with
17 Mr. McGlothlin's approach to cross-examination, but we
18 would certainly stipulate, if it were even needed, to
19 his ability to quote any portion of these orders that he
20 wishes in briefing. And so to the extent it is a matter
21 of getting paragraphs into the record, we certainly
22 would stipulate anything that would help move it along.

23 CHAIRMAN CARTER: Let's do this. Staff, I
24 need you to take a minute and get with the parties and
25 the lawyers, because I thought I was clear earlier, but

1 I guess I'm not.

2 **MR. McGLOTHLIN:** If it would help matters,
3 this is the last portion of the quotation that is --

4 **CHAIRMAN CARTER:** That's okay. That's all
5 right. We're going to need to -- let's do this. I'm
6 going to give staff a break to talk with you guys and
7 kind of remind you about what we discussed this morning.
8 I don't want to be redundant or repetitive. And let's
9 take -- Commissioners, we will take five, and we will
10 come back at five after.

11 (Off the record.)

12 **CHAIRMAN CARTER:** We are back on the record.
13 When we left, Mr. McGlothlin, you were on
14 cross-examination. You're recognized, sir.

15 **MR. McGLOTHLIN:** Thank you. And I am about to
16 reach an end point with respect to my reference to this
17 order, and I will try to conclude this exchange as
18 expeditiously as I can. But in order to tie what was
19 pending at the time of the break with my last question,
20 I would like to do this.

21 **BY MR. McGLOTHLIN:**

22 Q. Mr. Deason, earlier I referred you to Page
23 6 of this order, and to the language that said
24 intergenerational equity suggests that these
25 deficiencies be recovered quickly so that future

1 ratepayers are not burdened with an unfair share. Do
2 you remember that question and answer?

3 A. Yes.

4 Q. And my last reference is on Page 14, which
5 contains the articulation of the Commission's decision,
6 and I will take a turn at reading. At Page 14, the
7 last -- next to the last paragraph, the order says the
8 remaining threshold is whether the record demonstrates
9 that correcting a reserve deficiency over a shorter
10 period of time is more reasonable or fair than
11 correcting the reserve deficiency over the remaining
12 life. The record evidence demonstrates that the tenet
13 of intergenerational equity dictates that in this docket
14 correcting reserve deficiencies over a shorter period of
15 time is more reasonable or fair than correcting the
16 reserve deficiency over the remaining life. Did I read
17 that correctly, sir?

18 A. Yes, you did.

19 Q. And, again, you were on the panel that adopted
20 this order, were you not?

21 A. Yes, I was.

22 Q. That concludes my questioning on that subject.
23 And I believe you said you wanted to explain your
24 answer.

25 A. Yes. I want to just make sure that the

1 Commission understands the factual situation of what was
2 happening at this time with this order, and I will be
3 brief.

4 First of all, it is clear that we are talking
5 about deficiencies and not surpluses. Also, if you will
6 refer to Page 6, the first full paragraph there, I think
7 you get a flavor of the degree to which this was an
8 extreme circumstance. There are examples of plants that
9 were 50 percent of their estimated useful lives that
10 only had 12 percent depreciation reserve. There was an
11 example of plants that originated 20 years prior to
12 1987, but for whatever reason the Commission did not
13 even initiate fossil dismantlement until 1987. So these
14 were examples far beyond the norm that we were faced
15 with at that time.

16 Also, I would just like to point out that
17 there are numerous references in this order talking
18 about the benefits of the action in terms of reducing
19 investor capital, lowering costs in the long run and
20 allowing rates to remain low. What the intervenors are
21 proposing that the Commission do in the present case is
22 just the opposite. It would require there to be more
23 investor capital obtained. There would be higher costs
24 in the long run and the rates would not remain low.
25 They would actually substantially increase.

1 And, Commissioners, here again, I'm trying to
2 be succinct, but I want to point out something to you
3 that I think is going to be very critical to your
4 deliberation on this. If you have a chance to review
5 this order in more detail, you will see that this
6 Commission had the benefit of numerous experts on the
7 subject. There was Mr. DeWard, who was testifying on
8 behalf of Ameristeel, but he is the same Mr. DeWard who
9 has provided testimony on behalf of the Office of Public
10 Counsel in numerous proceedings in the past.

11 Because this was a deficiency, he was actually
12 recommending the exact same methodology, that it should
13 be amortized over the remaining life. The same
14 methodology that the Public -- I mean, that FPL is
15 recommending to be done for the surplus.

16 Mr. Cicchetti also testifying on behalf of
17 consumers, not for Public Counsel, but it is the same
18 Mr. Cicchetti that has testified in the past for Public
19 Counsel. He was recommending that it should be
20 amortized over the remaining life. The reason I point
21 this out to you is that depending upon whether it is
22 going to be a reserve or deficit you are going to see
23 the various arguments come out as to which direction
24 this is going in. And if you adopt the intervenors'
25 position in this case, I am concerned you are setting a

1 very bad precedent that when we have a situation that
2 comes up again with deficiencies like was the subject of
3 this order, if you have a policy in the confines of a
4 rate proceeding to rapidly amortize a deficiency, you
5 are looking at increasing rates to customers
6 immediately.

7 So just be advised that when you are looking
8 at the direction of things, you are going to hear
9 arguments from different sides depending upon who is
10 going to be impacted the most the soonest, so just be
11 prepared for that. That concludes my answer.

12 **CHAIRMAN CARTER:** Mr. McGlothlin.

13 **MR. MCGLOTHLIN:** Let me consult my notes. I
14 think I'm close.

15 **CHAIRMAN CARTER:** Take a moment.

16 **MR. MCGLOTHLIN:** That's all I have.

17 **CHAIRMAN CARTER:** Thank you, Mr. McGlothlin.

18 Ms. Bradley, you're recognized.

19 **MS. BRADLEY:** I just have some real quick
20 ones.

21 CROSS EXAMINATION

22 **BY MS. BRADLEY:**

23 **Q.** Mr. Deason, did I understand them to say that
24 you are billing at an hourly rate for the time you are
25 spending on this case?

1 **A.** The firm for which I am -- at which I am
2 employed is billing my time on an hourly basis, yes.

3 **Q.** Okay. And do you know what that hourly rate
4 is?

5 **A.** It is a composite rate depending upon the
6 function that I am fulfilling at the time. If it is
7 general consulting, there is a rate, and then for
8 testifying there is another rate.

9 **Q.** And what is the difference in those two rates?

10 **A.** The testifying rate is higher, and I think it
11 should be.

12 **Q.** Let me rephrase that. What is the testifying
13 rate?

14 **A.** The testifying rate is \$400 an hour.

15 **Q.** And what is the consulting rate?

16 **A.** \$295 an hour.

17 **Q.** Okay. Now, is there any maximum number of
18 hours that you can bill?

19 **A.** If there -- I have not been advised that we
20 have reached the maximum number. I don't know if there
21 is a maximum number. Ms. Clark actually takes care of
22 the business end of those matters more than I do. I
23 just don't know the answer to that question.

24 **Q.** I noticed you sitting out and it looked like
25 listening to a lot of the testimony. Have you been here

1 the whole time?

2 **A.** I have been here the majority of the time,
3 yes.

4 **Q.** Now, I am assuming the hourly rate that you
5 were talking about and the time you spent testifying and
6 consulting has been billed to the case?

7 **A.** I hope so.

8 **Q.** To your knowledge, has it been?

9 **A.** To my knowledge, it has through the month of
10 September.

11 **Q.** Okay. What I am wondering, though, is the
12 time you spent watching the case, has that been billed
13 to the case?

14 **A.** Yes, it has. But what you characterize as
15 watching, I consider working. My consulting duties
16 would be -- I did not sit out here for the pleasure of
17 it. It has been reminiscent of my days sitting through
18 these proceedings, but I do have a role in this case
19 other than providing testimony, and it is one of general
20 consulting. So the time that I have spent at the
21 hearing has been in assistance to this case.

22 When we leave the hearing, we have further
23 meetings, and these are matters in which it is important
24 that there be participation, and I hope that my
25 participation has been beneficial to the effort.

1 **Q.** Let me ask you this, then, are you a
2 registered lobbyist for the IOUs, including Florida
3 Power and Light?

4 **A.** I believe that I gave a presentation to a
5 Senate committee on the basics of ratemaking. I am not
6 sure. I may have registered in an abundance of caution
7 to go over and make that presentation. I believe that
8 maybe I am, but that has been pretty much -- making
9 presentations in front of committees has been the extent
10 of my participation in that particular endeavor.

11 **Q.** Let me ask you this, then. Is it fair to
12 assume that at some point in the future the information
13 that you gleaned watching these proceedings will be used
14 in your lobbying capacity?

15 **A.** I certainly hope not. The level of detail
16 that goes on in this hearing, I think, is far more than
17 what a typical committee at the Legislature is
18 interested in terms of policy. But I do think that the
19 experience of understanding the current issues from a
20 broad perspective, that may be beneficial if I ever get
21 an opportunity again to make a presentation in front of
22 one of the committees. But the efforts that I am
23 engaged in at this point is strictly not -- is in no way
24 lobbying. It is regulatory.

25 **Q.** Well, let me ask you this. At this time have

1 any of the companies approached you about going over and
2 representing them before the Legislature?

3 **MR. BUTLER:** I am going to object to this line
4 of questioning. I've let it go on a while, but it just
5 really seems entirely irrelevant to Mr. Deason's
6 rebuttal testimony.

7 **CHAIRMAN CARTER:** Tread lightly.

8 **MS. BRADLEY:** Thank you.

9 **THE WITNESS:** Should I answer the question?

10 **CHAIRMAN CARTER:** Yes, sir.

11 **THE WITNESS:** No, I have not been approached
12 about doing any presentations at the Legislature.

13 **BY MS. BRADLEY:**

14 **Q.** Have any of the companies, though, asked you
15 to represent them in the upcoming session?

16 **A.** No.

17 **CHAIRMAN CARTER:** They probably heard his
18 presentation. Sorry, that was uncalled for.

19 **THE WITNESS:** Well, Mr. Chairman, when you are
20 given the subject to explain regulation, it is hard to
21 make it interesting.

22 **CHAIRMAN CARTER:** Sorry, Ms. Bradley.

23 **MS. BRADLEY:** That's all right. On that note,
24 I think I'm finished.

25 **CHAIRMAN CARTER:** Mr. Moyle, you're

1 recognized.

2 **MR. MOYLE:** Thank you, Mr. Chairman.

3 CROSS EXAMINATION

4 **BY MR. MOYLE:**

5 **Q.** Good evening, Mr. Deason.

6 **A.** Good evening, Mr. Moyle.

7 **Q.** I want to follow up on some conversations you
8 had with Commissioner Skop and Mr. McGlothlin on behalf
9 of Public Counsel, and focus a little bit on this issue
10 of depreciation. You served -- you served as a
11 Commissioner for 16 years, correct?

12 **A.** Yes.

13 **Q.** And you would agree that this Commission, it
14 has to -- it has to make a judgment about the way in
15 which it wishes to view depreciation and handle the
16 surplus depreciation, correct?

17 **A.** Sure, the Commission has to exercise that
18 discretion.

19 **Q.** And you would not -- I mean, you would agree
20 that there is evidence in the record that gives them the
21 ability to make a decision either in the way that you
22 are suggesting it be decided or in the way that the
23 intervenors are suggesting it be decided, correct?

24 **A.** I just want to suggest to Ms. Bradley the fact
25 that I have been in this hearing makes me able to answer

1 this question. So see the benefit of me being here in
2 this hearing?

3 Yes, I think there is -- there is a full and
4 complete record in front of this Commission.

5 Q. All right. And the effect of adopting the
6 position of the intervenors would be that the consumers,
7 the customers, people I represent, business interests,
8 the residents, FPL serves over half the population give
9 or take, correct?

10 A. I think that is a fair approximation.

11 Q. That they would -- they would receive or they
12 would not pay as much in rates if the intervenors'
13 position was adopted as compared to the position
14 espoused by you and Florida Power and Light over the
15 next four years, correct?

16 A. That is a fact, yes.

17 Q. And in terms of order of magnitude, do you
18 have any idea what that -- what that cumulative order of
19 magnitude is over four years that they would not have to
20 pay?

21 A. Well, I think generally depreciation is an
22 extremely large part of this case. In fact, it may be
23 up to somewhere in the neighborhood of \$500 million, but
24 that includes all the depreciation issues, including
25 surpluses, capital recovery schedules, and the issues

1 about what is the appropriate lives and salvage values
2 of the various accounts. So depreciation as a whole is
3 an extremely large issue, yes.

4 Q. And if we were to isolate this issue related
5 to how the surplus should be treated, do you know what
6 that number might be over a cumulative basis?

7 A. Well, I know that it was Mr. Davis' testimony
8 that this proceeding, the request in this case is
9 \$300 million, give or take a little bit, because of the
10 actions that the Commission had taken in prior years
11 concerning the \$125 million per year, which accumulates
12 to about a billion dollars. So, I guess in rough terms
13 a billion dollars of depreciation reserve has an impact
14 of about \$300 million in this case.

15 Q. Is that an annual revenue requirement?

16 A. That is my understanding, yes.

17 Q. So 300 million times four over the four-year
18 period in question, we are talking about 1.2 billion,
19 correct?

20 A. In extremely rough numbers, I think that is
21 probably an order of magnitude. But, here again, I
22 cannot testify to those numbers. I am just reciting to
23 you numbers that Mr. Davis calculated and he presented
24 to this Commission earlier today.

25 Q. And I understand. I am not looking to hold

1 you to exacting precision. I am just trying to
2 establish an order of magnitude.

3 Now, you were shown copies of orders, and I
4 know you sat on this Commission for a long time and took
5 a lot of, you know, a lot of votes. You would agree
6 that the order that Mr. McGlothlin spent time showing
7 you and walking you through, I don't know if you still
8 have a copy, but it was Order 980027 in the case
9 970410-EI, that at the end of the day the Commission in
10 which you were a member voted to go with a depreciation
11 that was a shorter period of time as compared to a
12 longer period of time, correct?

13 **MR. BUTLER:** I am going to object to the form
14 of the question. I think it is incorrectly referring to
15 a decision on depreciation, whereas I think this had to
16 do with decommissioning expenses.

17 **CHAIRMAN CARTER:** Just rephrase, Mr. Moyle.

18 **MR. MOYLE:** Okay.

19 **BY MR. MOYLE:**

20 **Q.** The order that Mr. McGlothlin shared with you

21 --

22 **A.** Yes.

23 **Q.** -- in the paragraph that he read, that
24 indicated that with respect to the amount of time over
25 which action was going to be taken, it was going to be

1 over a shorter period of type as compared to a longer
2 period of time, correct?

3 **A.** Yes. That was the nature of the question, and
4 that is one of the issues that this order addresses.

5 **Q.** And that was done in part to address
6 intergenerational inequities, correct?

7 **A.** Yes, intergenerational inequities which was
8 caused by the extreme circumstances which were
9 delineated in the order.

10 **Q.** Okay. And you used that form -- that term
11 extreme circumstances. There were a couple of other
12 situations that I think you talked about, one being the
13 prospect of deregulation and merchant plants that
14 prompted this Commission or the Commission to deviate
15 from the average life approach, correct?

16 **A.** To deviate from the remaining life approach.

17 **Q.** I'm sorry, the remaining life approach.

18 **A.** Yes.

19 **Q.** And were those extreme circumstances?

20 **A.** Yes, I believe they were. The Commission took
21 action based upon those circumstances, and I believe the
22 Commission would not have taken those actions unless it
23 deemed that the circumstances justified the action
24 taken.

25 **Q.** And the other one that you spent some time

1 talking about was a settlement agreement that was
2 reached, and Mr. McGlothlin spent some time walking
3 through that, and at the end of the day that was a
4 matter in which the depreciation was taken over a
5 shorter period of time, correct?

6 **A.** Well, that was actually a depreciation credit
7 that was part of a settlement, the \$125 million per year
8 that we have been talking about.

9 **Q.** All right. Did that settlement situation
10 present extreme circumstances in your judgment?

11 **A.** Yes. It was to correct the extreme
12 circumstances that took place before where, according
13 Mr. Evanson's words, the company found itself in an
14 overdepreciated position.

15 **Q.** Okay. In your testimony on Page 22 at Line
16 12, I don't know if you need to refer to it, but you, I
17 think, acknowledge that we are in the most severe
18 economic downturn since the Great Depression, correct?

19 **A.** No, I don't remember me saying that. So maybe
20 you do need to refer me to that. I'm not saying I
21 didn't, I just don't recall, Mr. Moyle.

22 **Q.** Well, take a look, then, on Page 22.

23 **A.** Okay.

24 **Q.** Line 12.

25 **A.** Yes. It's right there. You are correct, yes.

1 **Q.** So, you would agree that, to use your words,
2 we are in the most severe economic downturn since the
3 Great Depression, correct?

4 **A.** Well, we are coming out of that, and this
5 was -- this reference was made to the -- in terms of an
6 appropriate equity ratio, how the equity ratio and the
7 means by which the Commission had set that over the last
8 ten years has provided the financial wherewithal for the
9 company to address a number of challenges. And one of
10 those was the economic downturn, which we hope we are
11 seeing the end of, but that equity ratio existed during
12 that time, and I think it was beneficial to the company.

13 **Q.** I understand, and whether you are talking
14 about equity ratio or some other issue, I guess the
15 point I wanted to focus on is that, you know, your
16 testimony is that this is the most severe economic
17 downturn since the Great Depression. While you said you
18 hope we are coming out it, you are also aware that the
19 unemployment rate in the state is over 11 percent as we
20 sit here today, correct?

21 **A.** I am aware that it is over 10. It may be 11.
22 I've just heard statistics that has put it at 10 or
23 higher.

24 **Q.** Okay. And you have been here through a lot of
25 testimony. You are also aware that the amount of

1 disposable household income has declined during this
2 economic time period, correct?

3 A. I believe I have heard testimony to that
4 effect.

5 Q. Okay. And wouldn't you have a concern --
6 well, let me put it this way: Don't you think the
7 citizens of Florida, and the businesses of Florida, and
8 the consumers of Florida would have a concern if this
9 Commission -- and you talked about precedent, and you
10 told this Commission they would be setting a bad
11 precedent if they adopted the position of the
12 intervenors.

13 But if you look at the precedent where with
14 the prospect, no concrete evidence, no bill had passed,
15 but just the mere prospect of merchant plants coming
16 into the state, the Commission determined that was an
17 extreme circumstance that warranted action with respect
18 to not depreciating something over the average life.
19 That a settlement agreement likewise represented an
20 extreme circumstance, that the most severe economic time
21 since the Great Depression would, likewise, represent an
22 extreme circumstance in which this Commission would be
23 free to exercise its discretion and make a judgment in a
24 way that saves ratepayers \$1.2 billion over four years.
25 Would you agree with that?

1 **A.** I agree the Commission has that discretion,
2 but the actions that the Commission has taken before
3 should not be used as a precedent to reach that
4 conclusion. The reason that the Commission took the
5 actions it did to deviate from the remaining life was a
6 concern that the remaining life was not going to be
7 adequate to address the circumstances. That situation
8 does not exist here in this present case. The remaining
9 life approach is consistent with policy, and it is
10 adequate to set rates which will achieve the goal of
11 providing recovery of the assets over their useful life.

12 Mr. Moyle, you referred me, and,
13 Mr. McGlothlin -- you referred to orders that
14 Mr. McGlothlin referred to me, as well. So I think it
15 is incumbent upon me to let you know that there is an
16 order that is the most relevant to this issue than any
17 of the orders that have been referred to me before now
18 which addresses specifically the question of a reserve
19 surplus. And it was presented to the Commission in
20 terms of a storm cost-recovery surcharge where the
21 proposal was made to utilize that depreciation --
22 theoretical depreciation surplus to use it to,
23 basically, pay for or to use it in terms of a -- as a
24 credit to obviate the need to increase rates to -- or to
25 obviate the need for a storm cost-recovery surcharge.

1 That is the most relevant order. In all the
2 ones that I have reviewed, that is the most relevant
3 one. And the Commission's decision was not to take that
4 action for various reasons which are in that order, and
5 it is Order Number PSC-05-0937-FOF-EI.

6 **Q.** That is what I get for pausing in between my
7 questions. Your Counsel I know will have a chance to
8 point that out in terms of relevancy. I mean, really,
9 all the Commission orders speak for themselves, do they
10 not?

11 **A.** Yes, they do.

12 **Q.** Okay. And lawyers can argue about which one
13 is more relevant, which facts are more pertinent, and,
14 you know, we can debate whether the prospect of merchant
15 plants is more of an extreme circumstance than the dire
16 economic situation confronting Floridians. But at the
17 end of the day, it's this Commission's judgment that is
18 going to make the difference, is it not?

19 **A.** At the end of the day the people with the
20 votes, that's what matters.

21 **Q.** Yes. And wouldn't you also agree that it
22 wouldn't be the right message to send to the Floridians,
23 the consumers in this state if this Commission were to
24 adopt a prospect or a proposal that you touch on in your
25 testimony, and Mr. Reed spent some time talking about,

1 which is to provide a return on equity adder. You were
2 here when Mr. Reed indicated that that adder would
3 benefit investors, not necessarily the management of
4 FPL, were you not?

5 **A.** Yes, I heard that testimony.

6 **Q.** Okay. Did you disagree with that?

7 **A.** No, I do not disagree with his
8 characterization.

9 **Q.** Okay. What I heard him say is he said this
10 ROE adder benefits, you know, equity investors which
11 are, you know, some individuals, but a lot of pension
12 funds, insurance companies, big institutions that invest
13 in FPL stock, correct?

14 **A.** Well, whomever the stockholders are, if there
15 were some benefit that inured to stockholders generally,
16 well, then, it would include all classes of
17 stockholders, yes.

18 **Q.** Do you have any information about who the
19 stockholders of FPL are in terms of individuals as
20 compared to pension funds, or hedge funds, or any large
21 entities like that?

22 **A.** I do not know that breakdown. But let me be
23 clear, I don't think it is the position of FPL that
24 there be a specific ROE adder. I know that my testimony
25 addresses the concept of a regulatory mechanism for the

1 Commission to consider that evidence, and that it should
2 just not -- it should not be dismissed out of hand, that
3 it should be part of the regulatory process.

4 Q. So, given the economic circumstances, and the
5 dire economy and to use your words the worst economy
6 since the Great Depression, would you suggest that maybe
7 now is not the time for the Commission to adopt any kind
8 of an ROE adder that would benefit equity investors on
9 Wall Street to the detriment of consumers in the state
10 of Florida?

11 A. I don't address that in my testimony. It
12 certainly is a consideration of the Commission, but
13 there is a requirement that the cost of service be
14 included in rates and that would include a fair ROE.
15 And I believe that Mr. Reed indicated that the purpose
16 of regulation is to act as a surrogate for competition.
17 That in the competitive field that companies which
18 provide superior service at a reduced cost, that there
19 are economic benefits of that often expressed in terms
20 of a higher ROE. But it is up to the Commission to
21 consider that and to weigh all of the evidence and
22 determine if that is appropriate or not.

23 Q. Well, when you say you didn't address it in
24 your testimony, you do address the ROE adder, do you
25 not?

1 **A.** I talk about that -- I do not use the term ROE
2 adder. I do say that it is part of a good regulatory
3 structure to consider the performance of a company, and
4 if there is superior performance it should be
5 considered. I also allude to the fact that the
6 Commission has had a policy of looking at customer -- I
7 mean, at companies whose performance was not as good as
8 it should have been and that there was regulatory action
9 in that direction, as well. And I also indicated that
10 if there is to be recognition that usually Florida has
11 set it at a high threshold. It is not something that is
12 done on a whim.

13 **Q.** Wouldn't the argument in your judgment be
14 better for an ROE rider if the benefit went to the
15 people responsible for the management of the company as
16 compared to equity investors?

17 **A.** No, I think it should go to the individuals
18 that are taking the risk in the company who are
19 responsible for making sure that the management performs
20 correctly, and that is the stockholders.

21 **Q.** You have been here through a lot of this
22 testimony. You are aware that -- were you here when Mr.
23 Woolridge testified, the Penn State economist?

24 **A.** I may have been here for part of that.

25 **Q.** Okay. You know that he has recommended a

1 return on equity of 9.5 percent, correct?

2 A. I would accept that as his recommendation. I
3 cannot sitting here say with certainty that is his
4 recommendation. But if you represent that is the
5 recommendation, fine.

6 Q. And there has also been a document that has
7 been -- that we spent a lot of time on that shows an
8 average return on equity of 10.5 percent for decisions
9 rendered in 2009. Are you familiar with that document?

10 A. I am familiar with that, and I am familiar
11 with the testimony that described that there were a lot
12 of considerations beyond just looking at averages that,
13 here again, the Commission should consider and
14 particularly the risk profile of FPL.

15 Q. And each point, each 100 basis points or one
16 percentage point of return on equity is translated into
17 approximately \$130 million in rates, correct?

18 A. Revenue requirements, yes.

19 Q. I'm sorry, revenue requirements.

20 A. Yes.

21 Q. So that if the Commission said, you know what,
22 we are going to go with a 9.5 as compared to a 12.5,
23 that would save ratepayers close to \$400 million,
24 correct?

25 MR. BUTLER: I'm going to object to this. I

1 believe it is outside the scope of Mr. Deason's rebuttal
2 testimony. If Mr. Moyle can point to --

3 **CHAIRMAN CARTER:** He's basically asking his
4 opinion.

5 **MR. MOYLE:** Sorry?

6 **CHAIRMAN CARTER:** I will allow. You may
7 proceed.

8 **THE WITNESS:** Yes. If you took the
9 \$130 million per basis points, and whatever the basis
10 point differential is, you can make that calculation and
11 the math is what the math is. I would just say that
12 that would be a short-term benefit.

13 To the extent that if the 9.5 percent, and I'm
14 not rebutting Dr. Woolridge, but I'm saying if the
15 9.5 percent is actually lower than the true cost of
16 equity to the company, that there may be short-term
17 benefits, but there would be long-term harm to the
18 customers because there would be financial implications
19 of setting rates lower than the cost of equity capital.

20 **Q.** And you reference some of that in your
21 rebuttal testimony, but we don't want to get into the
22 analysis of the cost of debt and the relative cost of
23 debt as compared to the additional equity or the
24 additional revenue requirements that the ratepayers
25 would have to pay, do we?

1 **A.** I hope we don't have to discuss that.

2 **Q.** Okay. You are not offering detailed testimony
3 on that, are you?

4 **A.** No. I am offering testimony in terms of an
5 appropriate equity ratio within the capital structure,
6 but I don't address specific cost of debt other than to
7 say that a healthy equity ratio is an indication of
8 financial strength, and then that has benefits in terms
9 of a company being able to go to capital markets and
10 acquire capital on favorable terms.

11 **Q.** And to the extent, sir, that this Commission
12 was inclined to take action that recognized the very
13 difficult economic circumstances facing Floridians, and
14 consumers, and Florida businesses now, and they had
15 areas of discretion in which to make judgments that
16 would benefit consumers, you would agree that the return
17 on equity is an area that provides a considerable amount
18 of discretion, given the 9.5 range, which you've
19 accepted, to the 12.5 range, which FPL is seeking,
20 correct?

21 **A.** The Commission has an abundance of evidence on
22 that subject matter with a wide range, I would agree.

23 **Q.** And you would agree it is a discretionary call
24 own their part as to where to come down on that point,
25 correct?

1 **A.** It is discretionary, but the Commission has an
2 obligation, which I'm sure they take seriously, to make
3 an informed objective decision as to what the true cost
4 of equity is, and that it should not be artificially
5 deflated because we are in hard economic times, only to
6 the extent if hard economic times somehow effect capital
7 markets, so that is the cost of equity.

8 **Q.** The recommended capital structure, and I don't
9 want to spend a lot of time on this, but do you know
10 what the capital structure that FPL is seeking this
11 Commission to approve is?

12 **A.** I know what the equity ratio is, which I
13 testify about specifically.

14 **Q.** Yes, I'm sorry. What is the equity ratio?

15 **A.** It is 55 point -- I want to say 83 percent,
16 but if you will hold on for just a moment I will get
17 that number.

18 **Q.** I think Page 21, Line 2.

19 **A.** Thank you, Mr. Moyle. Yes, I was correct,
20 55.83 percent. That was the -- let me clarify that.
21 That was the limit that the Commission determined was
22 appropriate for FPL back in a docket in 1999, and it is
23 my understanding that, and my review indicates that FPL
24 has adhered closely to an equity ratio with close to
25 that cap. So, I am not testifying that their specific

1 equity ratio in this rate proceeding is 55.83, but my
2 understanding is it is close.

3 **MR. BUTLER:** Okay. And, Mr. Chairman,
4 Exhibit 462 is already in the record. If I could just
5 approach briefly.

6 **CHAIRMAN CARTER:** I knew it would come before
7 the end of the day that we would have to go back to 462.
8 And believe it or not, in the either case it was 264 on
9 Page 3.

10 Mr. Moyle.

11 **MR. MOYLE:** Thank you, Mr. Chairman.

12 **BY MR. MOYLE:**

13 **Q.** This document has an average ROE of
14 10.51 percent, that's the one I asked you about earlier,
15 but it also has a column for the common equity that has
16 been authorized by commissions throughout the country in
17 2009, correct?

18 **A.** Yes, I see the column.

19 **Q.** Okay. And we haven't done an average of it,
20 but if we did, wouldn't you think that number would be a
21 lot closer to, you know, in the upper 40s as compared to
22 a 55 percent number, given the fact that no number is
23 higher than the number we reference, 55.83?

24 **A.** I mean, the average would be whatever the
25 average is. I would just caution against setting policy

1 based upon averages. I think there needs to be an
2 assessment of the company's operations and its risk
3 profile. And the results speak well for FPL in that its
4 overall rate of return is quite low when you consider
5 the cost of debt and equity ratio that goes into that
6 calculation. But in terms of an average, whatever the
7 calculation is it is.

8 Q. And I'm not going to ask you to do it. It is
9 late in the day. But you would agree, would you not,
10 that if this Commission awarded a common equity rate,
11 equity at 55.83, that given the information found on
12 Exhibit 462 that it would allow the highest percentage
13 of common equity of any commission in the country in the
14 year 2009, correct?

15 A. I agree that 55.83 appears to be at the high
16 end or may be the highest number that I see in that
17 column.

18 Q. Thank you. And with respect to some
19 suggestions that others are making about ways in which
20 consumers might pay less --

21 A. Mr. Moyle, there is -- Duke Energy of Ohio has
22 58.28. But, anyway, it is what it is. I didn't mean to
23 interrupt. Unless I am reading the wrong column,
24 Mr. Moyle.

25 Q. Yes. I think you might be, Mr. Deason,

1 because I thought I had looked at it. You are reading
2 the column that says common equity percent total cap?

3 A. Yes. And if you will see for Ohio, Duke
4 Energy Ohio, Incorporated, there is a number there
5 represented.

6 Q. Doesn't it say 51.59?

7 A. Mine says 58.28.

8 Q. And I think our point of confusion is you are
9 looking at a set of documents that are for the increase
10 requested. Do you see that at the top?

11 A. Oh, okay. I see that.

12 Q. And I am looking at the increase authorized.
13 Do you see that?

14 A. Okay. You are correct. Then that number is
15 51.59.

16 Q. Okay.

17 A. So I was looking at the wrong column, I
18 apologize.

19 Q. No worse. Just a couple more points. Again,
20 Mr. Pollock is a FIPUG witness, correct?

21 A. Yes.

22 Q. And he is making a recommendation with respect
23 to the equity that would save consumers approximately
24 \$200 million, correct?

25 A. Yes. I believe it is slightly less than

1 200 million, as I recall, but it is like 192 million or
2 so.

3 Q. Yes, sir. And while we spent a lot of time
4 about -- you know, talking about other topics, really
5 things like equity ratio, ROE, and depreciation, those
6 matters constitute the lion's share of the ask by
7 Florida Power and Light, do they not?

8 A. Depreciation, ROE, equity ratio, I think those
9 are all significant issues in terms of policy and
10 revenue requirements, I would agree. But let me
11 clarify. In answer to your question about the
12 quantification of Mr. Pollock's adjustment and about it
13 reducing revenue requirements, I think that is the
14 calculation, but one needs to consider that in terms of
15 its impacts in the longer term, and as to whether a
16 lower equity ratio would actually result in lower rates
17 in the long-term. And that is, here again, a judgment
18 decision the Commission will have to make.

19 Q. Right. And we have spent time about that. I
20 mean, you understand that the consumers are unified in
21 their view that they would rather have more money in
22 their pocket now as compared to later, correct?

23 A. I have heard you say that many times,
24 Mr. Moyle.

25 Q. Okay. And with respect to Mr. Pollock's

1 recommendation with respect to the capital structure,
2 you don't question Mr. Pollock's bona fides in terms of
3 his expertise, do you?

4 A. I have a great deal of respect for
5 Mr. Pollock. I hope he can say the same for me.

6 Q. He is probably right. And I think that the
7 Commission has evidence and can make a judgment. They
8 have discretion as to where to set the capital structure
9 based on the evidence in the record, correct?

10 A. Absolutely, yes.

11 Q. Okay. One final line, I do believe. Let me
12 just check my notes, but you also comment on the GBRA,
13 the generation base rate adjustment?

14 A. Yes.

15 Q. And you have a lot of experience, you have
16 been on the Commission 16 years. How many rate cases
17 did you sit through in the 16 years?

18 A. Mr. Moyle, I really don't know. I'm sure it
19 was probably more than I realize, especially when you
20 consider the number of water and wastewater cases.

21 Q. Okay. I should have refined it to talk about
22 electric cases.

23 A. Oh, electric rate cases over that 16 years,
24 you know, a number somewhere maybe -- at least ten I
25 would say, maybe as a good walking around number to use.

1 Q. You would agree that the rate case is an
2 opportunity for a whole variety of issues to be
3 considered. It has been referred to as the ultimate
4 regulatory true-up, is that appropriate?

5 A. Mr. Moyle, I have heard that, and I have heard
6 Commissioner Skop ask that question, and I tend to
7 disagree that a rate proceeding is a true-up. And maybe
8 I am reading more into the term true-up than is there.
9 When I hear the word true-up, I usually associate that
10 term with what is normally done in the fuel adjustment
11 proceedings where there is an estimate of costs, there
12 are rates set, revenues are collected, and those
13 revenues are compared to actual costs, and then at some
14 point there is a true-up.

15 That is not the process for a base rate
16 proceeding. The purpose of a base rate proceeding is to
17 ascertain costs on a going-forward level, and to set
18 rates to hopefully cover those costs and give the
19 utility an opportunity to earn a fair rate of return.
20 And there is no true-up in the sense that if the company
21 underearns that there is somehow that is made up, or if
22 they overearn that there is an automatic refund. It
23 takes another action by the Commission to change that
24 level of rates.

25 So, with that understanding -- now, I do agree

1 with Commissioner Skop and what I have understood his
2 questions that, sure, a base rate proceeding is a good
3 opportunity to look at a company's cost structure and to
4 make decisions as to what going-forward costs are. And
5 if certain adjustments need to be made to a company's
6 costs, if there were some imprudent actions, some
7 adjustments that need to be made, certainly that is the
8 time to kind of come to a decision as to how to best
9 address those. So if that is the purpose of the
10 true-up, well, then I agree with it in those terms.

11 Q. And I understand the distinction I think you
12 are making, but in broad general terms the rate case
13 presents an opportunity for the Commission to consider a
14 wide variety of issues, correct?

15 A. Yes.

16 Q. And from a regulatory standpoint and a
17 regulator, that is a good opportunity, a good thing to
18 do, is it not, when you are in the business of
19 regulating entities like Florida Power and Light?

20 A. Once again, the purpose of rate setting is to
21 set rates on a going-forward basis. A rate case is a
22 means to accomplish that, but the Commission has other
23 means, as well. I mean, the Commission has had a
24 history of settlements. I think those have worked well.
25 So there are -- you know, there are means. But sure,

1 you know, in the classic sense or the normal sense a
2 rate proceeding is the time to take a look at all of
3 those costs, all of the operations of the company, and
4 make a decision on a going-forward basis. And your
5 hope, your hope is that you set those rates at a level
6 such that those rates are going to be in effect for a
7 long period of time.

8 My concern with the intervenors'
9 recommendation on the depreciation surplus is that we
10 know with certainty if we adopt that recommendation that
11 we are going to be back in here in four years with
12 another rate case. And that's fine. If that it's what
13 we need to do, that's it, but that is going to
14 definitely be the result.

15 Q. You were here when Mr. Barrett used that term
16 certainty that if a subsequent test year wasn't provided
17 that they would be back in for a rate case, and he
18 corrected himself, and said, no, we would have to
19 evaluate it. The same holds true with respect to the
20 depreciation issue, does it not, sir?

21 A. Well, I probably should correct myself, yes.
22 I mean -- but you are talking about a revenue
23 requirement deficiency depending on the calculation of
24 anywhere from 400 million to 478 million. Most likely
25 there would be a rate proceeding, so I stand corrected.

1 I can't say that with certainty.

2 Q. Okay. And, again, I was asking these
3 questions just in some broad context on the GBRA,
4 because, you know, the GBRA acts as a one-way street,
5 does it not, that the only issue in play is the cost of
6 the plant that is going in at that particular point in
7 time?

8 A. Yes, the cost of the plant that has gone
9 through a Power Plant Siting Act process.

10 Q. And in a rate case you have what I will call a
11 two-way street where you have somebody like Office of
12 Public Counsel coming in and saying rates should be
13 reduced by over a hundred million and the company is
14 coming in and making an ask for 1.5 billion. It
15 presents an opportunity for a broader airing of issues,
16 correct?

17 A. That's true. But in terms of the GBRA, you
18 need to realize that the GBRA does not affect that
19 relationship whatsoever. The GBRA just recognizes a
20 cost, the cost of which has already gone through a need
21 determination process, and to set rates to recover the
22 investment in that plant on a going-forward basis, and
23 it does not have the effect of causing overearnings or
24 causing underearnings.

25 Q. You would agree that one of the reasons that

1 FPL is suggesting a GBRA be adopted is because it would
2 make it less likely that a rate case happen, correct?

3 A. I think that is a benefit of GBRA, yes.

4 MR. MOYLE: All right. Mr. Chairman, thank
5 you. That's all I have.

6 CHAIRMAN CARTER: Thank you, Mr. Moyle.

7 Mr. Wright, you're recognized.

8 MR. WRIGHT: Thank you, Mr. Chairman.

9 CROSS EXAMINATION

10 BY MR. WRIGHT:

11 Q. Good evening, Mr. Deason.

12 A. Hello, Mr. Wright.

13 Q. We meet in a different circumstance than ever
14 we have before. It is nice to see you.

15 A. Thank you.

16 Q. I don't have very much cross-examination for
17 you. Just a couple -- follow on a couple of things that
18 you discussed with other of my colleagues on the
19 consumer side of things.

20 In response to a question from Mr. Moyle just
21 now, you said you set the rates and you hope they will
22 be in effect for a long period of time. Do you remember
23 saying that?

24 A. Yes.

25 Q. Would you agree that you also hope that the

1 utility during that long period of time would be able to
2 provide safe, adequate, reliable service, cover its
3 costs, and be able to attract capital during that
4 period?

5 **A.** Yes.

6 **Q.** Mr. Moyle asked you if you accepted, or if you
7 understand that it is the customer parties' unified
8 position that they would prefer to have more money in
9 their pockets now. My notes indicate that your response
10 to that was I have heard you say that many times, Mr.
11 Moyle. Do you remember that exchange?

12 **A.** Yes.

13 **Q.** I have a simple question for you. Do you
14 acknowledge that this is the customer parties' position?

15 **A.** Yes, I acknowledge that is the position.

16 **Q.** We are not asking for free electricity, are
17 we?

18 **A.** No, I think you -- I think you -- I think all
19 of the intervenors are sophisticated enough to know that
20 the cost of providing service has to be recovered. And
21 I understand that in your positions you are making
22 recommendations or asserting positions which have the
23 effect of delaying costs.

24 **Q.** In terms of the outcome of this case, we are
25 really talking about the difference in total all-in

1 rates of something in the range of 85 to \$90 a megawatt
2 hour on our side versus 95 or \$100 a megawatt hour on
3 FPL's side. Isn't that about right?

4 **A.** I can't verify that calculation one way or the
5 other.

6 **Q.** Okay. In some discussion that you had with
7 Mr. McGlothlin regarding the 001148 docket, I believe
8 that you touched on the fact that FPL reduced its rates
9 as part of that settlement. I just want to ask you a
10 couple of real quick questions about that.

11 **A.** I'm sorry, which settlement was that?

12 **Q.** It was the one for which Mr. McGlothlin has
13 proffered the transcript.

14 **MR. BUTLER:** I think you are referring to the
15 2002 settlement, is that right, Schef?

16 **MR. WRIGHT:** I believe so. Sorry.

17 **THE WITNESS:** Okay. I think there was a rate
18 decrease within the 2002 settlement.

19 **BY MR. WRIGHT:**

20 **Q.** In fact, I think there was a rate decrease
21 both in the '99 settlement and the 2002 settlement,
22 correct?

23 **A.** Yes. But there was -- they are starting to
24 run together, but there was a 2005 settlement, as well,
25 and I think that was basically a rate -- more of a rate

1 stabilization docket as opposed to a rate decrease. Is
2 that correct?

3 Q. That is consistent with my understanding,
4 Mr. Deason. My recollection is that there was a
5 \$350 million base rate reduction in the settlement of
6 this docket, the 001148 docket, and there was another
7 \$250 million reduction in the 2002 case, and then a
8 freeze in 2005.

9 A. Well, I'm sure --

10 MR. BUTLER: I'm sorry, Mr. Moyle. You said
11 this docket --

12 CHAIRMAN CARTER: Mr. Wright.

13 MR. BUTLER: I'm sorry, Mr. Wright. You
14 referred to the 001148. I believe that is the 2002
15 settlement docket.

16 MR. WRIGHT: Mr. Butler is right, and I
17 appreciate the correction.

18 BY MR. WRIGHT:

19 Q. The point is the same. The point I am going
20 to is the same. I believe there was a \$250 million rate
21 reduction coming out of the 2002 settlement, correct?

22 A. Yes.

23 Q. Okay. If FPL had not reduced its rates
24 through that settlement, wouldn't you agree that it
25 would have been likely that FPL would have otherwise

1 overearned?

2 **A.** One would assume that everything else being
3 equal and that that stipulation was the result of all of
4 the parties' positions, that no one would have --
5 everyone negotiated a fair resolution, and that if you
6 were to take one aspect of that out of that resolution
7 that it could have a material impact on earnings one way
8 or the other. Now, whether it would cause overearnings
9 or not, I'm not -- I can't really say.

10 **Q.** Well, I bet you would agree that FPL did not
11 underearn during the period 2002 to 2005, wouldn't you?

12 **A.** I think that is correct, because I think there
13 was some revenue sharing in that, and I think that
14 customers shared in those revenues, so that would make
15 me think that the company's earnings based upon that
16 revenue stream were certainly -- certainly the company
17 did not underearn.

18 **Q.** Thank you. In response to -- or in the course
19 of some discussion with Mr. McGlothlin, I believe you
20 made a statement to the following effect that the number
21 one goal of depreciation is to set rates so that at the
22 end of an asset's life the asset is fully depreciated.
23 Is that a fair characterization of your prior testimony?

24 **A.** Yes, I think that's fair.

25 **Q.** Thank you. Will you agree that depreciating a

1 reserve surplus over a period shorter than the remaining
2 life of an asset is not the same as depreciating the
3 whole asset value over the amortization period?

4 A. Well, actually in the context of a remaining
5 life depreciation -- can you be more clear in your
6 question?

7 Q. Well, an asset has a value.

8 A. Yes.

9 Q. And it has a remaining life?

10 A. Yes.

11 Q. If there is a surplus, then in the context of
12 our conversation on this issue, we are talking about
13 only amortizing the surplus over a shorter period than
14 the remaining life, is that what you understand we are
15 talking about?

16 A. Yes, not the full value. Yes, I would agree
17 with that.

18 Q. So would you also agree that amortizing the
19 surplus over a shorter period is not inherently
20 inconsistent with your number one goal of having the
21 final depreciation come out at about the time the asset
22 actually uses up its useful life?

23 A. If you recognize there is going to be
24 extremely -- I say extremely -- there is going to be
25 higher depreciation rates and expenses after that

1 amortization is complete. So, while I have confidence
2 in the regulatory process and in this Commission to make
3 sure that rates ultimately are set to where rates,
4 depreciation rates cover the investment in the assets,
5 any time you start adding -- basically adding to rate
6 base or adding to investment by reverse depreciation, it
7 certainly -- it certainly increases more risk associated
8 with the ultimate outcome. It also creates more risk in
9 terms of cash flows, which I think other witnesses have
10 alluded to, as well.

11 Q. But the answer to my specific question is that
12 it is not inconsistent with having depreciation come out
13 at the end, isn't that correct?

14 A. With the understanding that rates would have
15 to be higher in the latter years of an asset, that is
16 true. And you also have the risk in the latter years of
17 an asset as to whether that asset may be prematurely --
18 not prematurely, but retire for valid reasons, and then
19 you have the prospects of capital recovery schedules.
20 So there are tools to address it, and hopefully it will
21 come about that the asset's value is recovered, but it
22 makes it a little more difficult to get there.

23 Q. Would it be reasonable to assert that a number
24 two goal of depreciation would be for the depreciation
25 booked and recovered from customers in each year

1 throughout an asset's life should track closely to the
2 actual depreciation of the asset throughout its life?

3 **A.** Yes, that would be a goal, as well.

4 **Q.** Finally, I think you discussed, and Mr. Davis
5 also discussed that -- I think it may be over the period
6 2000 through 2009, or 1999, maybe it was -- somewhere
7 there is an eight-year period over which FPL amortized
8 prior depreciation surpluses at the rate of \$125 million
9 a year, leading to a total amortization over the period
10 of a billion dollars, correct?

11 **A.** Correct.

12 **Q.** And even after that amortization, as we sit
13 here in 2009 looking ahead to 2010, the company by its
14 own depreciation study still shows a depreciation
15 surplus of roughly \$1-1/4 billion, correct?

16 **A.** That is correct, and you need to put that in
17 perspective. The company's overall reserve ratio with
18 the surplus is slightly over 40 percent. And if you
19 were to instantaneously remove that surplus, then the
20 overall reserve is slightly under 40 percent. So while
21 \$1.25 billion is a huge number, you need to look at it
22 in the context of the company's overall depreciation
23 reserve position.

24 **MR. WRIGHT:** Thank you. And thank you, Mr.
25 Chairman. Mr. Deason, that's all I have.

1 **CHAIRMAN CARTER:** Thank you.

2 Staff.

3 **MS. BENNETT:** No questions.

4 **CHAIRMAN CARTER:** Commissioner Skop, you're
5 recognized.

6 **COMMISSIONER SKOP:** Thank you, Mr. Chair, and
7 given the late hour and the need to finish, I am going
8 to try to make this very quick.

9 Hello, again, Mr. Deason.

10 **THE WITNESS:** Hello, Commissioner.

11 **COMMISSIONER SKOP:** I just want to briefly --
12 again, it is kind of like a dead horse, but I want to
13 touch upon depreciation just with four more questions.

14 With respect to the subject of depreciation,
15 if a depreciation study resulted in a depreciation
16 deficit, then certainly FPL would seek to true-up the
17 depreciation reserve account by recovering the
18 depreciation deficit amount from FPL ratepayers,
19 correct?

20 **THE WITNESS:** Yes, and they would do that over
21 the remaining life of the asset.

22 **COMMISSIONER SKOP:** Okay. So in a sense would
23 that not function as a true-up to the depreciation
24 reserve amount in the context of a rate case?

25 **THE WITNESS:** Yes, there is a true -- when I

1 describe remaining life as a self-correcting mechanism,
2 that is what I allude to. To the extent that there is
3 any theoretical reserve imbalance, the remaining life
4 approach by its very nature and structure, that is the
5 calculation, that it basically trues up those imbalances
6 over the remaining life.

7 **COMMISSIONER SKOP:** Okay. So conversely if a
8 depreciation study resulted in a theoretical
9 depreciation surplus, then why would FPL not seek to
10 true-up the depreciation reserve imbalance by crediting
11 the depreciation reserve, thereby reducing the near term
12 rates of FPL customers as suggested by the intervenors?

13 **THE WITNESS:** Four years is too rapid of an
14 amortization when the remaining life approach is
15 adequate to address the nature and the magnitude of the
16 imbalance. And the method, the remaining life method,
17 would provide benefits to customers over that entire
18 remaining life by reduced rate base and reduced
19 depreciation expense on a going-forward basis, just not
20 the magnitude that you would see if you did it over four
21 years.

22 **COMMISSIONER SKOP:** You would agree, would you
23 not, that no harm would result from using the useful
24 life and the retirement dates utilized by the intervenor
25 witnesses to the -- in their depreciation studies to the

1 extent that any differences in projected versus actual
2 values would be picked up as a true-up within the next
3 depreciation study?

4 **THE WITNESS:** Commissioner, I cannot agree to
5 that. I think it is extremely important to set
6 depreciation rates on a going-forward basis based upon
7 the very best information that you have, that
8 information concerning the parameters of remaining
9 lives, the various asset classes, and the salvage
10 values.

11 Now, I have not made a judgment. It may be
12 that that intervenors' recommendations are best in that
13 regard. That was not the scope of my review. It may be
14 the company's position is best or maybe it is somewhere
15 in between, but just to adopt the intervenors' positions
16 with the comfort that at some point it is going to be
17 trued up, I would strongly recommend against doing that.

18 **COMMISSIONER SKOP:** But depreciation studies
19 are a snapshot in time, and they are conducted, I guess,
20 typically every four years or every so often, correct?

21 **THE WITNESS:** Yes.

22 **COMMISSIONER SKOP:** So if you get it wrong the
23 first time, then certainly you are going to take action,
24 as the companies have in the past, to correct any
25 imbalance, whether it be a deficit or a surplus, is that

1 correct?

2 **THE WITNESS:** Yes. The remaining life
3 approach would correct that on a going-forward basis.
4 But let me reiterate, there is still an obligation to
5 set those rates based upon the best estimates of lives
6 and salvages that you have at the time that you set
7 those rates.

8 **COMMISSIONER SKOP:** Okay. Is it your
9 testimony that it is okay to record a credit to
10 depreciation expense within the context of a settlement
11 agreement, but it is not appropriate to do the same to
12 lower consumer rates in times of economic hardship
13 within the context of deciding a rate case?

14 **THE WITNESS:** Commissioner, you have the
15 discretion to do that. It is my position that if the
16 nature of the imbalance, in this case the surplus, and
17 the magnitude of that surplus is such that it can be
18 adequately addressed over the remaining life, that is
19 the preferred alternative.

20 **COMMISSIONER SKOP:** Okay. Would your answers
21 to any of my prior questions change if the Commission
22 departed from the remaining useful life approach, but
23 adopted either a smaller number than the \$1.2 billion
24 advocated by the intervenors or a longer amortization
25 period?

1 **THE WITNESS:** Commissioner, I thought you
2 might ask me this question, and I have thought about it.
3 I am glad to know that I am in tune enough to maybe
4 anticipate that. Obviously, if I believe the best
5 approach is the remaining life, which in this instance
6 is 22 years, I would be more comforted by an
7 amortization period longer than four, even if it is
8 somewhere between 4 and 22. That just makes sense. But
9 I would still use caution.

10 Commissioner, I would -- if you are looking
11 for some middle ground, I would suggest that you look at
12 the capital recovery schedules and to see if that might
13 be an accommodation to provide some immediate relief to
14 customers without violating -- I say violate, without
15 departing from the remaining life approach. That is a
16 possibility.

17 **COMMISSIONER SKOP:** Okay. And just one final
18 question, Mr. Chair.

19 On Page 27 of your rebuttal testimony, Lines
20 16 through 19.

21 **THE WITNESS:** I'm sorry, what page number?

22 **COMMISSIONER SKOP:** Page 27 of your rebuttal
23 testimony, Lines 16 through 19.

24 **THE WITNESS:** Yes.

25 **COMMISSIONER SKOP:** Okay. In that passage you

1 discuss a second reason why GBRA is appropriate to the
2 extent that it, quote, levels the playing field. Can
3 you briefly elaborate on that, because I have never
4 really considered it in that context?

5 **THE WITNESS:** Yes, Commissioner. As you
6 understand, the concept of GBRA is to allow for
7 cost-recovery of generating units that have gone through
8 the need process. We know that a utility has the
9 obligation to put in generation or else acquire
10 generation to meet the load. If a company is not going
11 to self-build, their other alternative is to engage in
12 purchasing power.

13 Now, under the current regulatory scheme,
14 purchased power does not have to wait for a base rate
15 proceeding. Purchased power, if the Commission reviews
16 the contract and determines that it is prudent, it gets
17 recovered through a recovery clause mechanism. So, what
18 I'm saying is that GBRA allows cost-recovery to be more
19 consistent with the approach that is afforded purchase
20 power agreements.

21 **COMMISSIONER SKOP:** Okay. And just to that
22 point in terms of long-term purchased power agreements,
23 which as you have correctly stated the Commission
24 approves, with respect to base load generation that goes
25 through either a need determination process, you know,

1 how for smaller projects could that not be reasonably
2 accomplished through a limited proceeding? I know that
3 the third point you made is the whole necessity of a
4 full-blown rate case. But in your 16 years of
5 experience on the Commission, have there been limited
6 proceedings to address instances which are very
7 analogous to GBRA type treatment of adding an additional
8 generating unit?

9 **THE WITNESS:** Commissioner, one does not come
10 to mind. Certainly that doesn't mean that it did not
11 take place. I know that Mr. Pollock in his testimony
12 suggested that a limited proceeding is an avenue
13 available to the Commission and could provide for
14 cost-recovery outside the scope of a full proceeding
15 without having to implement GBRA. I just know from
16 experience that limited proceedings are difficult in and
17 of their own. Usually when a limited proceeding is
18 initiated, there are interested parties who feel like
19 that perhaps that there are issues which need to be
20 incorporated within that limited proceeding. And then
21 at some point perhaps the efficiencies of the limited
22 proceeding go away and you basically find yourself
23 effectively in something that resembles a full-blown
24 rate case.

25 **COMMISSIONER SKOP:** And, finally, it is your

1 testimony, though, that GBRA is the appropriate
2 mechanism for the Commission to adopt on a forward-going
3 basis to address the addition of base load generating
4 units to the extent that there is a prerequisite need
5 determination followed by a review of costs that would
6 be recovered, is that correct?

7 **THE WITNESS:** Yes, that is correct.

8 **COMMISSIONER SKOP:** Thank you.

9 **CHAIRMAN CARTER:** Thank you, Commissioner.

10 Commissioner Edgar, you are recognized.

11 **COMMISSIONER EDGAR:** Briefly, I would just say
12 that Mr. Deason has almost made the subject of
13 depreciation less dull.

14 **THE WITNESS:** Thank you, Commissioner. That's
15 a tall task.

16 **CHAIRMAN CARTER:** You did say almost, right?

17 **COMMISSIONER EDGAR:** Yes.

18 **CHAIRMAN CARTER:** Okay, good.

19 **THE WITNESS:** And I take that as an extreme
20 compliment, even the almost.

21 **CHAIRMAN CARTER:** Okay. Redirect. Oh, excuse
22 me, anything further from the bench?

23 Redirect.

24 **MR. BUTLER:** Extremely briefly.

25 REDIRECT EXAMINATION

1 **BY MR. BUTLER:**

2 Q. Mr. Deason, the use of a depreciation expense
3 credit such as we have been talking about here, does
4 that have the effect of taking assets from the status of
5 being paid to unpaid?

6 **MR. McGLOTHLIN:** Could I hear the question
7 again?

8 **MR. BUTLER:** I'm sorry?

9 **CHAIRMAN CARTER:** Could you restate the
10 question.

11 **BY MR. BUTLER:**

12 Q. The use of depreciation credits, such as we
13 have been discussing here, does that have the effect of
14 taking assets from the status of being paid to the
15 status of being unpaid?

16 **MR. McGLOTHLIN:** I object to the leading
17 nature of the question. He is putting words in the
18 witness' mouth.

19 **CHAIRMAN CARTER:** Okay. Rephrase.

20 **BY MR. BUTLER:**

21 Q. Would you comment, Mr. Deason, on what effect
22 the use of accelerated amortization through depreciation
23 credits would have on the paid status of assets?

24 A. Well, it has the effect of taking assets which
25 have already been depreciated and putting them back on

1 the books as if they were not depreciation. In effect,
2 you are adding investment to rate base with no increase
3 in generating capacity, or no increase in transmission,
4 or no enhancements of infrastructure. You are basically
5 just adding rate base, adding investment which has a
6 revenue requirement with no concomitant increase in
7 benefits to customers in terms of infrastructure
8 investment.

9 **MR. BUTLER:** Thank you. That's all the
10 redirect that I have.

11 **CHAIRMAN CARTER:** Okay. Exhibits. We're on
12 page -- Commissioner, we will go to Page 43.

13 Mr. Butler.

14 **MR. BUTLER:** I would move the admission of
15 Exhibit 382.

16 **CHAIRMAN CARTER:** Are there any objections?
17 Without objection, show it done.

18 (Exhibit Number 382 admitted into the record.)

19 **CHAIRMAN CARTER:** Now, let's go to the back
20 pages, Commissioners.

21 Mr. McGlothlin, 539.

22 **MR. MCGLOTHLIN:** I move 539.

23 **CHAIRMAN CARTER:** Try Ms. Bradley's
24 microphone.

25 **MR. MCGLOTHLIN:** I move 539.

1 **CHAIRMAN CARTER:** Are there any objections?
2 Without objection, show it done.

3 (Exhibit Number 539 admitted into the record.)

4 **CHAIRMAN CARTER:** Staff, you're recognized.

5 **MS. BENNETT:** I don't have any questions or
6 exhibits for Mr. Deason. I have some housecleaning
7 matters after --

8 **CHAIRMAN CARTER:** Okay. Before we get into
9 the housecleaning matters -- actually, I guess we should
10 say housekeeping matters -- do any of the parties or
11 staff have anything further for the witness?

12 Ms. Bradley.

13 **MS. BRADLEY:** Not for this witness.

14 **CHAIRMAN CARTER:** For the housekeeping
15 matters?

16 **MS. BRADLEY:** Yes, sir.

17 **CHAIRMAN CARTER:** Okay.

18 **MS. BRADLEY:** Well, I just need to ask you to
19 take judicial notice of something, because I'm not sure
20 I did previously.

21 **CHAIRMAN CARTER:** Okay. We'll do that.

22 Mr. Deason, have a great one.

23 **THE WITNESS:** Thank you, Mr. Chairman. It has
24 been a pleasure.

25 **CHAIRMAN CARTER:** Staff, I will come back to

1 you in a minute. Let me go to Ms. Bradley.

2 Ms. Bradley, you're recognized.

3 **MS. BRADLEY:** I know we did in Progress, and I
4 cannot remember whether we did here, so to be sure that
5 I got it covered, can I ask that you take judicial
6 notice of the fact that the Governor, Cabinet, and all
7 PSC Commissioners make less than 165,000.

8 **CHAIRMAN CARTER:** Show it done.

9 **MS. BRADLEY:** Thank you.

10 **CHAIRMAN CARTER:** Anything further from the
11 parties before I go to staff?

12 Okay. Staff, you're recognized.

13 **MS. BENNETT:** Staff has a few more exhibits
14 that it would like to be entered into the record, and
15 the parties have graciously agreed to allow that. So if
16 I might, on our comprehensive exhibit list on Page 4,
17 Item 4, we would like entered into the record.

18 **CHAIRMAN CARTER:** Are there any objections?
19 Without objection, show it done.

20 (Staff's Comprehensive Exhibit List, Page 4,
21 Item 4, Interrogatory Number 46 admitted into evidence.)

22 **MS. BENNETT:** I'm sorry, I should have said
23 Interrogatory Number 46.

24 **CHAIRMAN CARTER:** Number 46. It's late.

25 **MS. BENNETT:** Yes. On Page 10 of the

1 comprehensive exhibit list, Item 42, Interrogatory
2 Responses 4, 25 without attachments, 29, 37, and 69.

3 **CHAIRMAN CARTER:** Are there any objections?
4 Without objection, show it done.

5 (Staff's Comprehensive Exhibit List, Page 10,
6 Item 42, Interrogatory Responses 4, 25 without
7 attachments, 29, 37, and 69 admitted into the record.)

8 **MS. BENNETT:** On Page 14 of the comprehensive
9 exhibit list, Item 63, Document Numbers 10 through 13,
10 16, 18, 21, and 22.

11 **CHAIRMAN CARTER:** Are there any objections?
12 Without objection, show it done.

13 (Staff's Comprehensive Exhibit List, Page 14,
14 Item 63, Document Number 10 through 13, 16, 18, 21, and
15 22 admitted into the record.)

16 **MS. BENNETT:** On Page 14, Item 66, Document
17 Number 39.

18 **CHAIRMAN CARTER:** Are there any objections?
19 Without objection, show it done.

20 (Staff's Comprehensive Exhibit List, Page 14,
21 Item 66, Document Number 39 admitted into the record.)

22 **MS. BENNETT:** I am going to have Mr. Prestwood
23 now hand two exhibits out that we would like marked for
24 the record and then entered in.

25 **CHAIRMAN CARTER:** Okay. Let's take them one

1 at a time, okay?

2 **MS. BENNETT:** All righty.

3 **CHAIRMAN CARTER:** 540. Okay.

4 **MS. BENNETT:** 540, which is the compact disk,
5 the CD.

6 **CHAIRMAN CARTER:** Okay. 540 is the compact
7 disk.

8 **MS. BENNETT:** It's FPL's Response to OPC's
9 Second POD, Number 4.

10 **CHAIRMAN CARTER:** Hang on a second.

11 **MS. BENNETT:** Was that too long a title?

12 **CHAIRMAN CARTER:** No, no. We will just go
13 with it at this point in time.

14 **MR. WRIGHT:** Mr. Chairman.

15 **CHAIRMAN CARTER:** Mr. Wright.

16 **MR. WRIGHT:** Could I just ask very briefly
17 what the subject matter content of that exhibit is?

18 **CHAIRMAN CARTER:** Ms. Bennett.

19 **MS. BENNETT:** Certainly. It's the workpapers
20 on depreciation and dismantlement backing up
21 Mr. Clark's --

22 **MR. WRIGHT:** That's all I needed. Thank you
23 very much, Mr. Chairman.

24 **CHAIRMAN CARTER:** Okay. Are there any
25 objections on Exhibit 540, which is the one with the CD?

1 Without objection, show it done.

2 (Exhibit Number 540 marked for identification
3 and admitted into the record.)

4 **CHAIRMAN CARTER:** 541.

5 **MS. BENNETT:** FPL's Response to OPC's Number
6 69 Interrogatory.

7 **CHAIRMAN CARTER:** Okay. Let's see here. This
8 is -- are there any objections? Hang on a second.
9 Let's make sure everyone gets a copy first.

10 **MS. BENNETT:** They had copies earlier, unless
11 they want another one.

12 **CHAIRMAN CARTER:** Do you guys want some more
13 paper? Okay. Are there any objections? Without
14 objection, show it done.

15 (Exhibit Number 541 marked for identification
16 and admitted into the record.)

17 **MS. BENNETT:** The next three documents are
18 Staff's Composite Exhibit 35, 36, and 37.

19 **CHAIRMAN CARTER:** Now, that should be listed
20 on the comprehensive exhibit list, shouldn't it?

21 **MS. BENNETT:** This is a little different.
22 Thirty-seven did not come in, 36 is revised, and 35 that
23 is being handed out is a checklist. It is not the
24 actual what is in your document, but it is an
25 item-by-item checklist. There will be some blanks, and

1 then are some that have the witnesses' names that they
2 came in through. And in an overabundance of caution, I
3 want to make sure that all of staff's documents that
4 were introduced by those witnesses get moved into the
5 record.

6 **CHAIRMAN CARTER:** Okay. Let's make sure
7 everyone has it first. Did you provide them to the
8 parties in advance?

9 **MS. BENNETT:** Yes, I did.

10 **CHAIRMAN CARTER:** Okay. Let's deal with the
11 fat one first.

12 **MS. BENNETT:** That one would be Composite
13 Exhibit List 35 Checklist.

14 **CHAIRMAN CARTER:** Okay. Now, we don't need a
15 number for this, do we, or do we?

16 **MS. BENNETT:** Yes. This one does need a
17 number.

18 **CHAIRMAN CARTER:** Okay. So this will be 542.
19 542 will be Staff's Composite Exhibit Number 35
20 Checklist.

21 **MS. BENNETT:** And the first thing I would like
22 to do is to move that into the record.

23 **CHAIRMAN CARTER:** Okay. Give me one second
24 here. Let me write this down. Are there any objections
25 from the parties?

1 **MR. WRIGHT:** No objection, Mr. Chairman. If I
2 may just inquire. Do I understand correctly that the
3 items next to which a witness' name is listed are coming
4 in and those which are blank are not?

5 **CHAIRMAN CARTER:** That is my understanding.
6 Is that right, Ms. Bennett?

7 **MS. BENNETT:** That's my -- and that was going
8 to be my next request was that those items that have
9 witnesses names beside them be moved into the record.

10 **MR. McGLOTHLIN:** No objection. I just want to
11 make sure. Thank you.

12 **CHAIRMAN CARTER:** Mr. Wright.

13 **MR. MOYLE:** I just want to make sure I know
14 what is happening. It is late.

15 **CHAIRMAN CARTER:** Mr. Moyle.

16 **MR. MOYLE:** And, you know, this is like a list
17 of all of these documents, and we have spent a lot of
18 time with individual documents going in. By virtue of
19 the fact that we are putting this list in, does this
20 mean that everything on the list is coming in, as well?

21 **MS. BENNETT:** No. No. Absolutely not.
22 Anything that is a blank, I'm not asking that that be
23 moved in.

24 **MR. MOYLE:** So anything with somebody's next
25 to it, shouldn't that already be in the record?

1 **MS. BENNETT:** What happened early in the
2 proceeding was that we marked them, but we did not move
3 them in, and I'm not sure at which point we started
4 moving them in. So I just want to make sure --

5 **CHAIRMAN CARTER:** We said that at the
6 beginning, Mr. Moyle. It seemed like forever ago, but
7 we said that at the very beginning that we would do
8 this, because there were some issues that the
9 intervenors wanted to see. And during the intervening
10 time, no pun intended, staff presented that to you. So
11 that is the nature of this, okay?

12 **MS. BENNETT:** So only for those --

13 **MR. MOYLE:** Thanks. It just reminded me of
14 the saying there is no such thing as a good surprise.
15 But I think -- I think we will be okay.

16 **CHAIRMAN CARTER:** That is the reason why we
17 didn't do it before, Mr. Moyle.

18 **MR. MOYLE:** Okay. Thank you.

19 **CHAIRMAN CARTER:** Okay. Are there any
20 objections? Okay. Without objection, show it done.
21 That's the fat one, 542.

22 (Exhibit Number 542 marked for identification
23 and admitted into the record.)

24 **CHAIRMAN CARTER:** Now the yellow one.

25 **MS. BENNETT:** The yellow one is Staff's

1 Composite -- Confidential Composite Exhibit 36, Revised.

2 **CHAIRMAN CARTER:** Do we need a number?

3 **MS. BENNETT:** No, it is 36.

4 **CHAIRMAN CARTER:** That's 36.

5 You didn't get it, Mr. --

6 **MR. WRIGHT:** It seems not, Mr. Chairman. I
7 have 35 and 37.

8 **CHAIRMAN CARTER:** Okay. Staff.

9 Here, take mine. Please.

10 **MS. BENNETT:** This is the red folder. This is
11 the yellow sheet of red folders.

12 **MR. MCGLOTHLIN:** I don't think I got it.

13 **CHAIRMAN CARTER:** The yellow sheet for the red
14 folders, just in case.

15 **MS. BENNETT:** I may have confused people. I
16 gave it as a white sheet the first time around.

17 **CHAIRMAN CARTER:** Well, just hang on a second.
18 Let's make sure everybody has a copy.

19 **MR. BUTLER:** We don't know that we do. Would
20 it be possible to get one? That would be good.

21 **CHAIRMAN CARTER:** Okay. Does everyone have a
22 copy of the yellow sheet? Bread crumbs to find our way
23 home. This is Composite Exhibit Number 36, the yellow
24 sheet for the red folders. Any questions? Any
25 concerns? Are there any objections? Okay. Without

1 objection, show it done.

2 (Staff Confidential Composite List 36, Yellow
3 Sheet, marked for identification and admitted into the
4 record.)

5 **MS. BENNETT:** And that is we are moving the
6 list and the exhibits into the record at this time. And
7 then the next item is Composite Exhibit List 37.

8 **CHAIRMAN CARTER:** This the plain white --
9 plain white -- well, it's not really white. It's kind
10 of --

11 **MS. BENNETT:** Kind of speckly.

12 **CHAIRMAN CARTER:** Kind of a not great quality
13 copy, but it will do for 9:00 o'clock or whatever
14 time -- 9:30.

15 Staff, you're recognized.

16 **MS. BENNETT:** And we would move Composite
17 Exhibit List, the list itself, 37, into the record, and
18 only Items 10 through 47, 63 through 98, 105 through
19 121, and 126 through 133 into the record at this time.

20 **CHAIRMAN CARTER:** Are there any questions?
21 Mr. Wright.

22 **MR. WRIGHT:** I'm just trying to keep up.

23 **CHAIRMAN CARTER:** Okay.

24 **MR. WRIGHT:** It was 10 through 47?

25 **CHAIRMAN CARTER:** It should be marked on

1 there. Do you have --

2 **MR. WRIGHT:** Unfortunately, my marking on
3 whatever it is, the third --

4 **CHAIRMAN CARTER:** If there is a line through
5 it, that means --

6 **MR. WRIGHT:** Mine goes down to 52, hence my
7 confusion, Mr. Chairman.

8 **CHAIRMAN CARTER:** Okay. I would gladly give
9 you mine.

10 Let's just take a moment. Staff, make sure
11 everyone has a copy. We don't want to come this far and
12 at the end, you know, make a mistake.

13 Okay, Mr. Wright?

14 **MR. WRIGHT:** I'm fine, Mr. Chairman, but the
15 problem I'm having is, in part, that the line on mine
16 goes all the way down to 52, which makes it appear that
17 48 through 52 are coming in, but I think Ms. Bennett
18 said only through 47.

19 **CHAIRMAN CARTER:** Hang on a second.

20 Ms. Bennett, you've got to explain the legend
21 here.

22 **MS. BENNETT:** I picked up the wrong number.
23 It is actually -- Mr. Wright is correct. It is
24 10 through 52, not 10 through 47.

25 **CHAIRMAN CARTER:** Ten through --

1 MS. BENNETT: 52.

2 CHAIRMAN CARTER: Ten trough 52.

3 MS. BENNETT: Correct.

4 MR. WRIGHT: And then what, 63 through 98?

5 MS. BENNETT: 63 through 98.

6 MR. WRIGHT: Thank you.

7 CHAIRMAN CARTER: Okay. And then 126.

8 MS. BENNETT: 105 through 121.

9 CHAIRMAN CARTER: 105 through 121?

10 MS. BENNETT: Correct.

11 CHAIRMAN CARTER: Okay. Mr. Wright.

12 MR. WRIGHT: I'm good, Mr. Chairman. Thank
13 you.

14 CHAIRMAN CARTER: Okay. Staff.

15 MS. BENNETT: And 126 through 133.

16 CHAIRMAN CARTER: 126 through 133.

17 MS. BENNETT: Correct.

18 CHAIRMAN CARTER: Any questions? Any
19 concerns? Are there any objections?

20 MR. WRIGHT: No objection. Do I understand
21 this is 544 now, or is this 30?

22 CHAIRMAN CARTER: Do we need a number?

23 MR. WRIGHT: This is 37.

24 MS. BENNETT: This is 37.

25 MR. WRIGHT: It is 37. Thank you.

1 **CHAIRMAN CARTER:** Without objection, show it
2 done.

3 (Composite Exhibit List 37, Items 10 through
4 47, 63 through 98, 105 through 121, and 126 through 133
5 marked for identification and admitted into the record.)

6 **MS. BENNETT:** I have no more exhibits. I took
7 the -- I cross-examined Mr. Meischeid earlier, and Susan
8 Clark told me on the way out that the errata sheet that
9 Mr. Meischeid said he had, he does not have. He didn't
10 have any corrections. So he wanted to make sure that
11 was clear.

12 **CHAIRMAN CARTER:** Mr. Butler.

13 **MR. BUTLER:** That is accurate. Apparently
14 there was an erroneous reference to their being an
15 errata sheet as part of the introduction of the witness,
16 and he did not have errata to his testimony.

17 **CHAIRMAN CARTER:** Okay. It is what it is.

18 Okay. Staff, before I ask you for scheduling
19 information, are there any other final comments before
20 we get to that level?

21 **MS. BENNETT:** None from staff.

22 **CHAIRMAN CARTER:** Commissioners, I'm going to
23 go to the parties first and then I will come back to the
24 bench.

25 From any of the intervenors or the company,

1 any matters before we go to staff to ask for a schedule
2 to go forward from here?

3 Mr. McGlothlin, you're recognized.

4 **MR. McGLOTHLIN:** I would like to thank staff
5 for these additional steps that make it possible for the
6 parties to see these documents in sufficient time to
7 react and deal with it. I know there was probably more
8 work involved, but I think it is worth the effort. It's
9 certainly appreciated.

10 **CHAIRMAN CARTER:** Thank you.

11 Mr. Moyle.

12 **MR. MOYLE:** Ditto.

13 **MR. WRIGHT:** Mr. Chairman, I, too, would like
14 to --

15 **CHAIRMAN CARTER:** Mr. Wright.

16 **MR. WRIGHT:** -- thank you, all the
17 Commissioners, the staff, FPL, and all the parties.

18 **CHAIRMAN CARTER:** Thank you.

19 Commissioners, before we go back to staff --
20 Commissioner Skop.

21 **COMMISSIONER SKOP:** Thank you, Mr. Chair. I
22 just wanted to follow up with a few brief comments. I
23 guess first to the parties. It has been a lengthy, but
24 fully vetted and litigated rate case, and somewhat
25 contentious at times, but I believe that it is the role

1 of the Commission to ask tough questions to ensure that
2 all amounts that FPL seeks to recover from its
3 ratepayers are necessary, reasonable, and prudently
4 incurred costs.

5 Just to FPL, I hope that you have made great
6 progress overnight in addressing the concerns expressed
7 by Ms. Naegel and the other residents of Mirror Lake
8 Neighborhood and Plantation. And I hope the next time
9 we have to repeat a rate case that maybe they will show
10 up at the service hearings with more positive comments.

11 And, finally, to Commissioner Klement, if you
12 are listening out there, you certainly have a lot of
13 reading to do over the weekend, but we look forward to
14 you joining us on the Commission next Tuesday.

15 **CHAIRMAN CARTER:** Thank you, Commissioner
16 Skop.

17 Commissioners, anything further before I go to
18 staff for --

19 **COMMISSIONER ARGENZIANO:** Safe trip home,
20 everybody.

21 **CHAIRMAN CARTER:** Okay. Great job. Great
22 lawyering, by the way.

23 **COMMISSIONER EDGAR:** Mr. Chairman, thank you
24 to you for running a good hearing.

25 **CHAIRMAN CARTER:** Thank you. Thank you. I

1 only had to medicate myself once today.

2 Commissioner Skop.

3 **COMMISSIONER SKOP:** Thank you, Mr. Chair. And
4 one other comment in passing. I think that my often
5 statement of just a few more questions is about as
6 accurate as Mr. Wright's.

7 **CHAIRMAN CARTER:** Yes. We noticed that a long
8 time ago.

9 **COMMISSIONER SKOP:** Although, I've heard -- I
10 think I have heard his quite often more than mine. But,
11 anyway, again, it's been a very lengthy, but I think
12 constructive process, and I will sign off by saying, go
13 Gators.

14 **CHAIRMAN CARTER:** Thank you. Thank you.
15 Staff, the schedule.

16 **MS. BENNETT:** The current schedule for this
17 proceeding is that the transcripts will be filed on
18 October 26th. Staff's recommendation is due
19 December 9th for a December 21 Commission decision on
20 revenue requirements and rate design. The staff
21 recommendation is due January 4th for a January 11th,
22 2010 Commission decision on rates, and staff recommends
23 that the parties include in their briefs what the
24 effective date of the new rates should be.

25 **CHAIRMAN CARTER:** Thank you. Let me ask the

1 parties, did you all get that, or do we need --

2 **MS. BRADLEY:** I somehow missed --

3 **CHAIRMAN CARTER:** Okay. All right.

4 Ms. Bennett.

5 **MS. BRADLEY:** -- the party part.

6 **CHAIRMAN CARTER:** Yes, the party part. It's a
7 different kind of party.

8 Okay. Let's take it one step at a time,
9 Ms. Bennett. I know you are ready to go.

10 **MS. BENNETT:** I guess I forgot brief dates.

11 **CHAIRMAN CARTER:** You know, my granddad -- my
12 granddad used to have a mule when I was growing up, and
13 on the way to the field, she -- I know you all get tired
14 of my stories, but on the way to the field she would
15 just take her time. And, I mean, you would work all day
16 long, and then at the end of the day on the way home,
17 she would just break out into a trot. So, I'm not
18 calling you a mule, Ms. Bennett, but --

19 **MS. BENNETT:** I was going to say --

20 **CHAIRMAN CARTER:** -- but you did break out
21 into a trot. So let's break it down.

22 **MS. BENNETT:** Yeehaw.

23 **CHAIRMAN CARTER:** Pretend like we are starting
24 all over.

25 **MS. BENNETT:** Okay.

1 **COMMISSIONER ARGENZIANO:** You are digging
2 yourself deeper.

3 **CHAIRMAN CARTER:** I'm sorry. I'm not
4 responsible.

5 **MS. BENNETT:** I just want to know what the
6 mule's name was.

7 **CHAIRMAN CARTER:** Pet.

8 **MS. BENNETT:** Okay. The transcripts will be
9 filed on October 26th. Briefs are due November the 9th
10 staff's recommendation is due December 9th.
11 December 21st is the Commission decision on revenue
12 requirements and rate design, and January 4th is staff's
13 recommendation for a January 11th rates decision. And
14 staff recommends that the parties include in their
15 briefs what the effective date of the new rates should
16 be.

17 **CHAIRMAN CARTER:** Are there any questions from
18 the parties? Okay. Everybody is clear?

19 **MR. BUTLER:** Clear.

20 **CHAIRMAN CARTER:** Okay. You guys go and have
21 a great dinner.

22 Commissioners, thank you for the marathon.

23 We are adjourned.

24 **MR. BUTLER:** Thank you.

25 Hearing concluded at 9:45 p.m.)

1 STATE OF FLORIDA)

2 : CERTIFICATE OF REPORTER


3 COUNTY OF LEON)

4
5 I, JANE FAUROT, RPR, Chief, Hearing Reporter
6 Services Section, FPSC Division of Commission Clerk, do
7 hereby certify that the foregoing proceeding was heard
8 at the time and place herein stated.

9 IT IS FURTHER CERTIFIED that I
10 stenographically reported the said proceedings; that the
11 same has been transcribed under my direct supervision;
12 and that this transcript constitutes a true
13 transcription of my notes of said proceedings.

14 I FURTHER CERTIFY that I am not a relative,
15 employee, attorney or counsel of any of the parties, nor
16 am I a relative or employee of any of the parties'
17 attorney or counsel connected with the action, nor am I
18 financially interested in the action.

19 DATED THIS 28TH DAY OF OCTOBER, 2009.

20
21
22
23
24
25


JANE FAUROT, RPR
Official FPSC Hearings Reporter
FPSC Division of Commission Clerk
(850) 413-6732