


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

DOCKET NO. 090505-EI

REVIEW OF REPLACEMENT FUEL COSTS
ASSOCIATED WITH THE FEBRUARY 26,
2008, OUTAGE ON FLORIDA POWER &
LIGHT'S ELECTRICAL SYSTEM.



VOLUME 1

Pages 1 through 203

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

COMMISSIONERS

PARTICIPATING: COMMISSIONER LISA POLAK EDGAR
COMMISSIONER NATHAN A. SKOP
COMMISSIONER DAVID E. KLEMENT
COMMISSIONER BEN A. "STEVE" STEVENS III

DATE: Wednesday, March 17, 2010

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR, CRR
JANE FAUROT, RPR
Official FPSC Reporter
850-413-6734/850-413-6732

DOCUMENT NUMBER: 090505-EI-02223

MAR 29 2010

FPSC-COMMISSION CLERK

1 APPEARANCES:

2 JOHN T. BUTLER, ESQUIRE, R. WADE LITCHFIELD,
3 ESQUIRE, and MITCHELL S. ROSS, ESQUIRE, Florida Power &
4 Light Company, 700 Universe Boulevard, Juno Beach,
5 Florida 33408-0420, appearing on behalf of Florida Power
6 & Light Company.

7 VICKI GORDON KAUFMAN, ESQUIRE, Keefe Law Firm,
8 118 North Gadsden Street, Tallahassee, Florida 32301,
9 appearing on behalf of the Florida Industrial Power
10 Users Group.

11 CECILIA BRADLEY, ESQUIRE, Office of Attorney
12 General, The Capitol - PL01, Tallahassee, Florida
13 32399-1050, appearing on behalf of the Citizens of the
14 State of Florida.

15 CHARLES J. BECK, ESQUIRE, JOSEPH A.
16 MCGLOTHLIN, ESQUIRE, and J. R. KELLY, ESQUIRE, Office of
17 Public Counsel, c/o The Florida Legislature, 111 West
18 Madison Street, Room 812, Tallahassee, Florida
19 32399-1400, appearing on behalf of the Citizens of the
20 State of Florida.

21 LISA BENNETT, ESQUIRE, and KEINO YOUNG,
22 ESQUIRE, Florida Public Service Commission, 2540 Shumard
23 Oak Boulevard, Tallahassee, Florida 32399-0850,
24 appearing on behalf of the Florida Public Service
25 Commission Staff.

1 APPEARANCES CONTINUED:

2 MARY ANNE HELTON, DEPUTY GENERAL COUNSEL, FPSC
3 General Counsel's Office, 2540 Shumard Oak Boulevard,
4 Tallahassee, Florida 32399-0850, appearing as advisor to
5 the Commission.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I N D E X

1		
2	OPENING STATEMENTS:	PAGE NO.
3	MR. BUTLER	12
	MR. BECK	19
4	MS. BRADLEY	26
	MS. KAUFMAN	29
5		
6	WITNESSES	
7	NAME:	PAGE NO.
8	JOHN STALL	
9	Direct Examination by Mr. Ross	36
	Prefiled Direct Testimony Inserted	38
10	Errata to Prefiled Direct Testimony Inserted	47
	Cross Examination by Mr. Beck	52
11	Cross Examination by Ms. Bradley	81
	Cross Examination by Ms. Kaufman	82
12	Cross Examination by Mr. Young	85
	Redirect Examination by Mr. Ross	105
13		
	GERARD J. YUPP	
14	Direct Examination by Mr. Butler	110
15	Prefiled Direct Testimony Inserted	113
	Cross Examination by Mr. Beck	121
16	Cross Examination by Ms. Bradley	127
	Cross Examination by Ms. Kaufman	140
17	Cross Examination by Mr. Young	145
	Redirect Examination by Mr. Butler	167
18		
	WILLIAM E. AVERA	
19	Direct Examination by Mr. Butler	172
20	Prefiled Direct Testimony Inserted	174
	Cross Examination by Mr. McGlothlin	188
21		
22		
23	CERTIFICATE OF REPORTER (Boles)	202
24	CERTIFICATE OF REPORTER (Faurot)	203
25		

EXHIBITS

	NUMBER:		ID.	ADMTD.
1				
2				
3	1	Comprehensive Exhibit List	32	32
4	2	GJY-1	112	171
5	3	GJY-2	112	171
6	4	GJY-3	112	171
7	5	GJY-4	112	171
8	6	GJY-5	112	171
9	7	GJY-6	112	171
10	8	GJY-7	112	171
11	9	GJY-8	112	171
12	10	GJY-9	112	171
13	26	Staff Exhibit 26	32	32
14	27	Staff Exhibit 27	32	32
15	28	Staff Exhibit 28	32	32
16	29	Staff Exhibit 29	32	32
17	30	Staff Exhibit 30	32	32
18	31	Staff Exhibit 31	32	32
19	32	Staff Exhibit 32	32	32
20	33	Staff Exhibit 33	32	32
21	34	Second Deposition of J.A. Stall	33	33
22	35	Deposition of Dr. Dismukes	34	34

23

24

25

P R O C E E D I N G S

1
2 **COMMISSIONER SKOP:** Good morning. I'd like to
3 call this hearing to order. If staff could please read
4 the notice.

5 **MS. BENNETT:** Pursuant to notice duly given,
6 this day and date was set for the hearing in Docket
7 Number 090505, review of replacement fuel costs
8 associated with the February 26th, 2008, outage on FPL's
9 electric system.

10 **COMMISSIONER SKOP:** Thank you. If we could
11 now take appearances.

12 **MR. BUTLER:** Thank you, Mr. Chairman. John
13 Butler appearing on behalf of Florida Power & Light
14 Company. Also making an appearance for Mitchell Ross
15 and Wade Litchfield.

16 **COMMISSIONER SKOP:** Good morning.

17 **MR. BUTLER:** Good morning.

18 **MR. BECK:** Good morning, Commissioner. I'd
19 like to make an appearance for myself, Charlie Beck, as
20 well as J. R. Kelly and Joe McGlothlin, Office of the
21 Public Counsel, appearing on behalf of the citizens of
22 Florida.

23 **COMMISSIONER SKOP:** Good morning.

24 **MS. KAUFMAN:** Good morning, Commissioners.
25 Vicki Gordon Kaufman. I'm with the law firm of Keefe,

1 Anchors, Gordon & Moyle, and I'm appearing on behalf of
2 the Florida Industrial Power Users Group.

3 **COMMISSIONER SKOP:** Good morning. And is the
4 Attorney General's Office making an appearance?

5 **COMMISSIONER STEVENS:** I think she's walking
6 in the door.

7 **COMMISSIONER SKOP:** I believe, I believe she's
8 coming in.

9 Well, we'll move on to staff and come back to
10 the AG.

11 **MS. BENNETT:** On behalf of staff, Lisa Bennett
12 and Keino Young.

13 **COMMISSIONER SKOP:** All right.

14 **MS. HELTON:** Mary Anne Helton, advisor to the
15 Commission.

16 **COMMISSIONER SKOP:** And Ms. Bradley.

17 **MS. BRADLEY:** Cecilia Bradley, Office of the
18 Attorney General, on behalf of the citizens of Florida.

19 **COMMISSIONER SKOP:** Good morning. At this
20 point, staff, are there any preliminary matters that we
21 need to address?

22 **MS. BENNETT:** Yes, we have a few. First I
23 want to note that OPC has filed a request for official
24 recognition of two orders from two other state
25 commissions, Louisiana and Texas. Now would be the

1 appropriate time for the presiding officer to rule on
2 that.

3 **COMMISSIONER SKOP:** Staff recommendation,
4 Ms. Helton?

5 **MS. HELTON:** They seem to me to be appropriate
6 matters for which the Commission can take official
7 recognition, and I don't know of any objections by any
8 of the parties.

9 **COMMISSIONER SKOP:** Any objections by the
10 parties?

11 **MR. BUTLER:** No, FPL does not object.

12 **COMMISSIONER SKOP:** Hearing no objections,
13 we'll take official recognition of the two orders from
14 Louisiana and Texas respectively.

15 Any other preliminary matters, staff?

16 **MS. BENNETT:** Yes. There are no objections to
17 the Comprehensive Exhibit List and there are no
18 objections to the admission of staff's Exhibits 26
19 through 33. We will also have two additional exhibits
20 to be entered into the record when it's -- after opening
21 statements. We'll deal with that when the record is
22 opened.

23 **COMMISSIONER SKOP:** Very well.

24 **MS. BENNETT:** And additionally, Commissioner
25 Skop, the, at the Prehearing Conference, the parties

1 asked that each side be permitted a total of 30 minutes
2 for opening statements and witness summaries with the
3 time divided as each deemed, as each side deemed
4 appropriate. This morning they gave us a time schedule
5 allocating their 30 minutes per side, and I believe that
6 Mike Staden has it and I think you each have a copy of
7 that time on your dais.

8 **COMMISSIONER SKOP:** All right. And if the
9 parties are prepared to address the allocation of time
10 and how they're intending to use it, this would probably
11 be the appropriate time.

12 **MR. BUTLER:** Thank you, Mr. Chairman. For
13 FPL, and I apologize, I'm looking at my BlackBerry
14 because I'm looking at the email I sent to the parties
15 last night and this is the form I have it in, we are
16 proposing ten minutes for opening statements. And then
17 Mr. Stall's summaries being eight minutes total, four
18 minutes for direct, four minutes for rebuttal; Mr.
19 Yupp's summaries, three minutes total, two minutes for
20 direct and one minute for rebuttal; Mr. Avera's
21 summaries, six minutes total, three minutes for direct
22 and three minutes for rebuttal; and Mr. Keith's
23 summaries, one minute for direct and two minutes for
24 rebuttal, a total of three minutes. And by my math,
25 that adds up to 30 minutes total.

1 **COMMISSIONER SKOP:** Very well. Thank you.

2 Mr. Beck.

3 **MR. BECK:** Yes, Commissioner. We've asked to
4 reserve ten minutes for an opening statement by the
5 Office of Public Counsel, five minutes each for opening
6 statements by the Attorney General and FIPUG, and then
7 ten minutes for a witness summary by Dr. Dismukes.

8 **COMMISSIONER SKOP:** Okay. Very well. Thank
9 you.

10 Staff, any additional preliminary matters?

11 **MS. BENNETT:** As I understand, Mr. Staden will
12 be able to help us keep track of the time with the red,
13 yellow and green lights.

14 **COMMISSIONER SKOP:** Okay. And as the counsel
15 appearing before us are all seasoned veterans, so you
16 know how this works. You've got the lights, and when
17 the green light goes on, it's your turn to speak. When
18 it turns yellow, you have 30 seconds left. And when the
19 light turns red, you need to conclude and the microphone
20 will be, I guess, turned off, but we're pretty liberal
21 about that.

22 Commissioners, any additional comments before
23 we get started with opening statements? Okay. Plan for
24 the day -- we had a long day at work yesterday. We need
25 to take a break per the request of one Commissioner at

1 approximately 10:00 a.m. for about 15 minutes. And it's
2 my intent, if the Commission desires, to break for lunch
3 probably from 12:00 to 1:00, 1:30ish depending on the
4 will of my colleagues. As far as the hearing goes,
5 hopefully we'll conclude within a day, probably go 'til
6 5:00. But, again, that will be at the discretion of the
7 Commission, having a long day yesterday. But with that,
8 any other matters that we need to address before we --

9 **MS. BENNETT:** No, Commissioner. There's no
10 other matters.

11 **COMMISSIONER SKOP:** Okay. No outstanding
12 motions or petitions?

13 **MS. BENNETT:** We have one confidentiality
14 request. We believe the document has been returned, so
15 there won't be any other outstanding motions.

16 **COMMISSIONER SKOP:** Okay. Very well. And I
17 believe, Ms. Bradley, do you want to reiterate your
18 standing objections?

19 **MS. BRADLEY:** Yes. I just want to make sure
20 it's on the record that we have objections to late-filed
21 exhibits unless there's an opportunity to cross and
22 present testimony. And also we objected to the friendly
23 cross reference in the original order.

24 **COMMISSIONER SKOP:** Okay. And, Ms. Helton, if
25 you could please speak to that and advise the

1 Commission.

2 **MS. HELTON:** Yes, Mr. Chairman. Staff
3 believes that the friendly cross language in the
4 Prehearing Order is appropriate, and I believe that it's
5 appropriate for the presiding officer to address any
6 objections there may be to friendly cross at the
7 appropriate time in the proceeding.

8 **COMMISSIONER SKOP:** Okay. Very well. And as
9 far as the late-filed exhibits?

10 **MS. HELTON:** I'm sorry, Mr. Chairman. I'm
11 still kind of struggling from last night. The
12 late-filed exhibits, I think that if there are any,
13 those should be addressed at the appropriate time as
14 well when they are raised.

15 **COMMISSIONER SKOP:** Very well. With respect
16 to late-filed exhibits, again, I recognize the objection
17 of the Attorney General's Office, but we're going to
18 deal with those on a case-by-case basis by ruling of the
19 presiding officer. And if there is an objection to be
20 raised, it will be a contemporaneous objection.

21 Okay. And with that, we'll proceed to opening
22 statements. And, Mr. Butler, you're recognized.

23 **MR. BUTLER:** Thank you, Commissioner Skop.
24 Good morning, Commissioners. As you are aware, the
25 Prehearing Officer in the 2009 fuel adjustment docket

1 spun off the following issue to be addressed in this
2 docket. With respect to the February 26th, 2008,
3 outages should FPL or its customers be responsible for
4 replacement power costs associated with the outages?
5 FPL agreed with the parties to this docket that it would
6 bear the cost of replacement power attributable to the
7 February 26th, 2008, outage, what FPL refers to as the
8 Flagami transmission event.

9 The Commission approved that settlement at its
10 January 26th Agenda Conference, so only two issues
11 remain for resolution in this docket. One, how should
12 the replacement power costs attributable to the Flagami
13 transmission event be measured and what is the amount of
14 those costs? And, two, what is the appropriate method
15 to credit customers for the replacement power cost
16 determined pursuant to Issue 1?

17 FPL's evidence will show that the proper
18 amount of replacement power cost to credit customers is
19 \$2,204,035. FPL's replacement power cost calculation is
20 the fairest to all involved. It will ensure that
21 customers are promptly credited for replacement power
22 costs attributable to the Flagami transmission event,
23 and it will avoid the disincentives to utility
24 investment in energy efficient and environmentally
25 beneficial generation alternatives that would result

1 from adopting the Intervenor's position.

2 This proceeding involves a fact pattern that
3 appears to be unique among replacement power cost
4 determinations before this Commission. Typically
5 replacement power costs are incurred because an
6 equipment or operational issue at a power plant has
7 caused an outage at that plant. The replacement power
8 cost determination is based on an evaluation of the
9 utility's performance in operating and maintaining that
10 plant. If the utility's operation or maintenance was
11 not prudent, then it must refund to customers the
12 additional fuel and purchased power costs, excuse me, it
13 incurred because that plant was out of service. The
14 focus is always on the utility's actions at the
15 particular plant in question and on the additional costs
16 associated with the plant being out of service.

17 Here, however, the evidence will show that
18 FPL's Turkey Point Nuclear Units 3 and 4 were operated
19 prudently and properly. They came offline automatically
20 as the result of an undervoltage condition caused by the
21 Flagami transmission event. This was exactly what the
22 nuclear units were designed to do and it's what the
23 Nuclear Regulatory Commission required them to do.

24 FPL returned the units to service as quickly
25 and safely as possible. There is no evidence, excuse

1 me, that FPL was imprudent either in taking the units
2 offline in response to the undervoltage condition or in
3 bringing them back online thereafter. The nuclear units
4 performed properly and as expected in response to an
5 external event.

6 So how should the Commission measure
7 replacement power costs when a prudently operated power
8 plant with very low fuel cost such as a nuclear unit
9 comes offline due to an external event? FPL's testimony
10 shows that it would be unfair and would discourage
11 investment in such technologies if the Commission were
12 to base replacement power costs on a plant's very low
13 fuel cost. Doing so would penalize the utility more
14 heavily because the plant which came offline happened to
15 have low fuel costs than would be the case if the same
16 external event had caused a plant with higher fuel costs
17 to come offline instead.

18 This sort of regulation by lottery should be
19 avoided because it penalizes utilities for the very
20 thing that should be encouraged, which is investing in
21 generation that holds down the fuel costs which
22 customers must pay.

23 FPL's proposal avoids this problem by basing
24 the replacement power cost calculation on system average
25 costs rather than the avoided fuel cost of the specific

1 plant that is out of service. This way if an external
2 event forces a plant offline, the replacement power cost
3 calculation will be the same regardless of what
4 particular plant happened to be affected. Under FPL's
5 approach, exposure to replacement power costs is
6 independent of whether the affected plant's fuel costs
7 are high or low, so there is no disincentive for
8 investing in cost-saving efficient generation.

9 I'd emphasize again this is specifically what
10 we're proposing for this circumstance where you have an
11 external event that causes plants to come out of service
12 not related to anything that is imprudent about the
13 operation of the plants themselves.

14 You'll hear from Public Counsel and others
15 throw around the term "windfall" in describing FPL's
16 replacement power cost calculation. Let me assure you
17 that the term doesn't fit. FPL has not recovered a
18 penny more than its actual fuel costs incurred for the
19 Flagami transmission event, and now FPL has agreed to
20 give customers back more than \$2 million of those fuel
21 costs. Being out of pocket for more than \$2 million in
22 actual incurred fuel costs is certainly no windfall to
23 FPL or its shareholders. Excuse me.

24 What Public Counsel and the other Intervenors
25 ignore on the other hand are the enormous benefits that

1 FPL's customers have received from the operation of
2 Turkey Point Units 3 and 4, both over time and
3 specifically in 2008 when the Flagami transmission event
4 occurred.

5 FPL's testimony will show that Turkey Point
6 Units 3 and 4 have saved FPL's customers about
7 \$7.7 billion in fuel costs since 1990, and those units
8 have actually been in service for approximately twice
9 that long. Focusing specifically on 2008, FPL's
10 testimony will show that Turkey Point Units 3 and 4 had
11 a combined capacity factor of 93.41 in that year, which
12 is almost 3.5 percentage points above the 2008 nuclear
13 industry average.

14 This superior performance translates into
15 about \$25 million in 2008 fuel savings for FPL customers
16 compared to industry average performance, in spite of
17 the outages that were initiated by the Flagami
18 transmission event. Simply put, FPL has proposed a
19 reasonable, fair approach to calculating replacement
20 power costs for the Flagami transmission event, one that
21 will appropriately compensate customers for the
22 consequences of that event, while not discouraging
23 continued investment in environmentally friendly
24 generation technologies that have low fuel costs. The
25 enormous fuel cost savings that FPL's nuclear units

1 bring to its customers cannot be ignored in achieving a
2 balanced position or a balanced solution. FPL's
3 approach strikes a fair balance, while the Intervenor's
4 opportunistic approach does not even strive for balance.
5 The Commission should adopt FPL's balanced approach
6 because it is in the longterm best interest of FPL's
7 customers and the environmental goals of the State of
8 Florida.

9 Before I conclude, let me turn briefly to
10 Issue 2: How, how FPL should refund the credit that the
11 Commission determines appropriate. FPL believes that
12 the most straightforward approach is to flow the credit
13 through the regular fuel adjustment true-up mechanism
14 where it will serve to reduce customers' bills
15 throughout 2011. If the Commission decides instead to
16 use a one-time refund, then the refund should be applied
17 to electric consumption that is billed in the month the
18 refund takes place. The Commission approved this
19 approach for FPL's last two refunds, and it is the
20 fastest and best way to return the refund to customers.
21 Thank you for the opportunity to address you this
22 morning.

23 **COMMISSIONER SKOP:** Thank you, Mr. Butler.

24 We'll proceed now with opening statement from
25 Public Counsel. Mr. Beck.

1 **MR. BECK:** Thank you, Commissioners, and good
2 morning. The issue before you today is whether Florida
3 Power & Light or its customers will pay for the
4 additional replacement fuel and power costs associated
5 with an outage that occurred on February 26th, 2008.
6 You're going to hear testimony from four different
7 Florida Power & Light witnesses, you're going to hear it
8 many times because they're both on direct and rebuttal,
9 and you'll hear testimony from our expert witness,
10 Dr. David Dismukes. Now despite the disputes that
11 you're going to hear in the testimony, there's really
12 quite a few items on which there's no agreement between
13 Florida Power & Light and our office and the other
14 Intervenors.

15 First of all, there's no dispute about the
16 cause of the outage. According to what is Exhibit 12,
17 which is an attachment to Dr. Dismukes' testimony, and
18 that's a \$25 million settlement agreement which FP&L
19 reached with the Federal Energy Regulatory Commission
20 and the North American Electric Reliability Corporation,
21 according to the facts that are set forth in that
22 exhibit, on February 26th, 2008, a Florida Power & Light
23 employee was sent to test a circuit switcher at the
24 Flagami substation, which is located in Western Miami.
25 Once there, he disabled both primary circuit protection

1 and breaker failure protection, which is considered a
2 secondary level of protection. He didn't tell the load
3 dispatcher that he had disabled the secondary level of
4 protection as well as the primary protection and the
5 load dispatcher didn't tell the system operator that any
6 of the protection had been disabled. A fault occurred
7 during the work which caused a 17- to 19-second arc, and
8 that led to a three-phase fault on the 138 kilovolt
9 system. This led to significant frequency swings which
10 tripped transmission and generation around portions of
11 the lower two-thirds of Florida, including significant
12 lengthy outages at the two Turkey Point nuclear plants.
13 Almost one million customers of Florida Power & Light
14 and other electric utilities were without service for
15 some period of time.

16 There's also no dispute about the amount of
17 time that two nuclear reactors at Turkey Point were out
18 of service. Unit Number 3 was out for approximately 158
19 hours and Unit Number 4 was out for approximately 107
20 hours. During that time, expensive replacement power
21 had to be procured either by purchasing power or by
22 running other units whose fuel costs were many, many
23 times the cost of the fuel used in nuclear generation.

24 There's also very little dispute about the
25 extra amount of fuel expense that was incurred as a

1 result of the outage. Dr. Dismukes will sponsor
2 testimony showing the net extra expense was
3 approximately \$15.9 million using the outage times and
4 data provided by Florida Power & Light. There's also an
5 estimate that was produced by Florida Power & Light in
6 response to a data request from staff. Florida Power &
7 Light ran a computer simulation which did an
8 hour-by-hour reconstruction of what actually happened
9 compared to what would have happened had there been no
10 outage. That simulation shows an extra replacement cost
11 of approximately \$14.5 million. You'll hear about that
12 during the cross-examination of Florida Power & Light's
13 Witness Yupp.

14 The primary difference between the two
15 estimates is attributable to the use of ascension power
16 levels during the restart of the two units in the
17 computer simulation, while the estimate by Dr. Dismukes
18 did not have that information available. Both estimates
19 are close, \$15.9 million versus \$14.5 million, and we
20 know the reasons for the differences between the two
21 estimates.

22 Finally, there's another item of agreement
23 between Florida Power & Light and Intervenors. Florida
24 Power & Light, to its credit, entered into an agreement
25 with Intervenors this past December to accept

1 responsibility for the replacement power costs, and the
2 Commission approved that agreement in January.

3 With agreement on so much of the case, you
4 might wonder why we're here. The reason we're here is
5 that Florida Power & Light's notion of accepting
6 responsibility for the cost of replacement power is
7 vastly different than ours. Despite the fact that we
8 know the cost of replacement power attributable to the
9 actions of Florida Power & Light's engineer, and it's in
10 the ball park of \$15 million, Florida Power & Light will
11 only accept responsibility for about \$2 million and
12 would leave customers holding the bag for about
13 \$13 million of extra cost.

14 There are two reasons for this. First,
15 Florida Power & Light doesn't want to measure the cost
16 of replacement power against the cost of running the
17 nuclear units. They want you to measure the replacement
18 power costs against average system cost, which in
19 essence means that they want you to pretend that the
20 nuclear plants didn't go down. Well, they did go down,
21 each for over 100 hours, and the proper measure of extra
22 cost should be compared to the fuel cost to run the
23 nuclear plants.

24 The second reason for the vast difference in
25 our ideas of what it means to be responsible for

1 replacement power costs is that Florida Power & Light
2 only wants to be responsible for the first eight hours
3 of the outage instead of the actual length of the
4 outage, which included an outage of 158 hours at Turkey
5 Point Unit 3 and 107 hours at Turkey Point Unit 4.

6 How does Florida Power & Light justify this?
7 For one thing, they claim it would be unfair for them to
8 be accountable for the nuclear plants going down when
9 the cause of the outage is related to transmission; that
10 holding them accountable for the actual consequences of
11 the outage caused by the actions of their engineer would
12 be a disincentive for them to invest in nuclear and
13 renewable energy sources. The standard underlying
14 utility regulation doesn't permit such a parsing and
15 dicing of the utility's responsibility. Obviously a
16 transmission event can lead to generation consequences
17 in the form of higher replacement costs. When that
18 occurs, the role of the regulator is to insulate
19 customers from bearing unreasonable costs. Having
20 accepted responsibility for the costs attributable to
21 the Flagami episode, Florida Power & Light is now trying
22 to carve out exceptions regarding their responsibility.

23 If the blackout, which was precipitated by the
24 actions of their engineer, led to two nuclear plants
25 going down and the necessity to procure expensive

1 replacement power, Florida Power & Light must accept
2 responsibility for that.

3 They also contend that if they're required to
4 be fully responsible for the replacement costs for fuel,
5 it will create a disincentive to invest in nuclear and
6 renewable energy sources. This is perhaps the most
7 dangerous of FP&L's arguments because clearly they hope
8 to avoid not only the disallowance in this case, but to
9 create a precedent that will protect it in future
10 proceedings.

11 The provision of nuclear energy and renewable
12 energy generally require high levels of capital, and the
13 lower cost of fuel helps to partially offset those
14 higher capital costs. Nothing in this case affects the
15 company's capital recovery for these investments or the
16 profit level they earn on those investments. Florida
17 Power & Light will earn the same profit on its
18 investment in nuclear power if the Commission protects
19 customers against the higher fuel costs and replacement
20 power costs incurred as a result of the outage.
21 Customers will continue to pay the company for their
22 investment in the nuclear power. Protection of
23 customers against high fuel and replacement power costs
24 incurred because of the blackout doesn't involve one
25 dollar of disallowing nuclear power costs.

1 The insulation that Florida Power & Light
2 seeks is not designed to present -- or prevent a
3 disincentive. With this argument, Florida Power & Light
4 is trying to accomplish a paradigm shift. It wants to
5 rewrite the fundamental ratemaking equation so as to
6 incorporate an exception for specific generation
7 technologies. But the Commission should see this effort
8 for what it is. It's not a perceived disincentive.
9 Instead, it's another garden variety attempt to shift
10 the risk of mismanagement, which has always been on the
11 company and which is well understood by investors, from
12 the utility to its customers, and the Commission should
13 reject this effort.

14 There's really but one question in front of
15 the Commission. We know that there are damages of
16 approximately \$15 million, higher costs that have
17 already been passed on to customers. Someone is going
18 to be responsible for that. It is either going to be
19 Florida Power & Light or it's going to be its customers.
20 We hope you'll find that Florida Power & Light is the
21 responsible party for those costs. Thank you.

22 **COMMISSIONER SKOP:** Thank you, Mr. Beck. I
23 believe it's 10:00, but I'd like to move forward with
24 getting the two opening statements from the AG and
25 FIPUG, and I think that'll put us at 10:10 and we'll

1 take a break.

2 Ms. Bradley, you're recognized for opening
3 statements.

4 **MS. BRADLEY:** Thank you. This is similar to a
5 case that we did before some of our members were,
6 Commissioners were on there, but Florida Power & Light
7 had what we referred to as the drilled hole case. A
8 person had been granted unescorted access and drilled a
9 hole that caused some problems and outages. This, like
10 that case, was a preventable event.

11 The citizens do not have control over the
12 employees and the policies. It is Florida Power & Light
13 that does. And this was clearly one of their employees
14 that caused this event. They are the ones that have
15 control over that, certainly not the citizens. So it's
16 only fair that the people responsible are the ones that
17 have to pay for this. It's not intended as a
18 disincentive but as an encouragement to be very careful
19 when we're dealing with our power, especially power that
20 affects our nuclear plants. We have citizens that are
21 concerned about nuclear. They have not accepted the
22 fact that this is the, the new future for Florida. But
23 our Legislature, our Cabinet officials are very
24 pronuclear and see this as a tremendous opportunity for
25 Florida.

1 But it's important that the citizens know that
2 this is a safe power alternative for Florida. And in
3 order that we ensure them of that, we have to strictly
4 comply with the rules and make sure that policies are
5 strictly enforced. And clearly this particular event
6 was a preventable event.

7 It was referred to as an external event, but
8 it wasn't. It was a Florida Power controlled event.
9 The federal officials have looked at it and determined
10 that they were responsible. There's no question about
11 that. And this was not a minor problem. This was a
12 catastrophic event. We had power outages in Central and
13 South Florida and suddenly cities were without power for
14 important things such as traffic lights. There were a
15 number of accidents because suddenly the power goes out,
16 the traffic lights go out and we have all these
17 problems. And because this was a preventable event, it
18 was something that could have been avoided. And because
19 Florida Power & Light was responsible, they should be
20 responsible for the, the cost of this.

21 There's been discussion and you'll hear in the
22 testimony that, well, this was not any different from
23 the regular shutdowns that they do. But it was
24 different. It's kind of like saying that if you have a
25 big event coming up and all of the sudden at the last

1 minute you have to run out and do replacement purchases,
2 you're going to pay more probably. If you plan ahead of
3 time, you have an opportunity to essentially shop around
4 and find the best price you can. But because this was a
5 sudden, unexpected event, they had to get what they
6 could at that point as far as replacement costs, and
7 that has increased the amount of money that the citizens
8 have been charged for this.

9 Again, I would emphasize the fact that this
10 was like the drilled hole case. I would ask that the
11 refunds be done on a one-time event. And unfortunately
12 with the drilled hole case we had an issue that came up
13 at the last minute about how this was to be determined,
14 and in order to get the citizens their money as quickly
15 as possible we had to reach some compromises in that.
16 But I would ask that you plan ahead of time and consider
17 the fact that this can be determined over a longer
18 period of time. We felt it was unfair at that time to
19 just look at the short period of time that they, that we
20 had to look at in determining that. And I think staff
21 had also recommended that it be determined over a longer
22 period of time so it would be fairer to the customers.
23 So we would ask that you do a one-time as quickly as
24 possible and determined according to the period of time.
25 Thank you.

1 **COMMISSIONER SKOP:** Thank you, Ms. Bradley.

2 Ms. Kaufman, you're recognized for opening
3 statements.

4 **MS. KAUFMAN:** Thank you, Commissioner. Good
5 morning again, Commissioners. As I said earlier, I'm
6 here on behalf of the Florida Industrial Power Users
7 Group. I'm not going to reiterate what Mr. Beck and
8 Ms. Bradley have already told you. FIPUG agrees with
9 and we support the position of the Public Counsel in
10 this case and the testimony and the position of their
11 witness, Dr. Dismukes.

12 From our perspective, as we looked at this
13 case from a high level, we think that the main thing to
14 keep in mind here when you decide who should bear the
15 responsibility for these costs is that the event, as FPL
16 likes to call it, that happened at Flagami would not
17 have occurred had it not been for the behavior of FPL
18 employees. That means that the nuclear units would not
19 have tripped offline on February 26th, 2008, had those
20 employees acted appropriately. As a result of this
21 behavior, the transmission fault led to the loss of 22
22 transmission lines, 4,300 megawatts of generation and
23 3,650 megawatts of customer load. You can find all that
24 information in the FERC stipulation that Florida Power &
25 Light entered into.

1 It seems to us that FPL is attempting to say
2 that what Mr. Butler called the external event was
3 something that happened that was totally beyond Florida
4 Power & Light's control and it was unrelated to Florida
5 Power & Light or its operations, but we know that that
6 is not the case. And if you look at the FERC
7 stipulation, you will see FPL paid a \$25 million fine
8 and agreed to undertake a number of reliability
9 activities. We think that that agreement is significant
10 and you should consider it when you decide how to deal
11 with the replacement fuel costs that customers are
12 facing here.

13 As I said, if the employee had, employees had
14 not made the error, we wouldn't even be here today. The
15 nuclear units would have continued to operate and they
16 would have provided low cost fuel to FPL customers. And
17 so in our view that means that FPL should be responsible
18 for reimbursing the customers for the replacement fuel
19 costs for the 158 hours that Turkey Point Unit 3 was off
20 and the 107 hours that Turkey Point Unit 4 was off. To
21 do otherwise would be, as I think others have said,
22 place responsibility on the customers, not on the
23 utility.

24 And Mr. Butler made some comments about the
25 cost savings that these units have provided to

1 customers. And I think we all know and we agree that
2 nuclear units have low fuel costs, and that's one of the
3 reasons that the utilities come to you and ask you in
4 determinations of need to approve these facilities. I
5 would also point out to you, however, that Turkey Point
6 Unit 3 and 4 have been in Florida Power & Light's rate
7 base and have been paid for by customers, as well as
8 customers have paid for a return on these plants for
9 some time, and thus customers expect to receive low fuel
10 costs from these plants and they expect to see these
11 units operating appropriately.

12 So we support Dr. Dismukes' calculation and we
13 think that you should require Florida Power & Light to
14 reimburse the ratepayers for, it's approximately \$15 to
15 \$16 million of actual replacement costs that were
16 incurred, and we also support the one-time return,
17 return of this money to the ratepayers. Thank you.

18 **COMMISSIONER SKOP:** Thank you, Ms. Kaufman.
19 At this point we'll stand in recess and we'll reconvene
20 at 10:30. Thank you.

21 (Recess taken.)

22 **COMMISSIONER SKOP:** Okay. We're going to go
23 back on the record. And where we left off, we had
24 finished with opening statements and are going to move
25 forward with exhibits.

1 Staff?

2 **MS. BENNETT:** Yes, Commissioners. The
3 Comprehensive Exhibit List all the parties have agreed
4 to, we would ask that that Comprehensive Exhibit List be
5 marked as Number 1 and moved into the record at this
6 time.

7 **COMMISSIONER SKOP:** So moved.

8 (Exhibit Number 1 marked for identification
9 and admitted into the record.)

10 **MS. BENNETT:** And then staff has Exhibits 26
11 through 33. We would ask -- and all of the parties have
12 agreed to the admission of those into the record -- we
13 would ask that these be moved into the record at this
14 time.

15 **COMMISSIONER SKOP:** Okay. Any objection from
16 the parties?

17 **MR. BUTLER:** No.

18 **COMMISSIONER SKOP:** Hearing none, so moved.

19 (Exhibit Numbers 26 through 33 marked for
20 identification and admitted into the record.)

21 **MS. BENNETT:** And next we have Staff's Exhibit
22 Number 34. It is the second deposition of Mr. Stall.
23 We would ask that that be marked as Exhibit 34. The
24 title is second deposition of J. A. Stall marked as
25 Exhibit 34 and moved into the record at this time.

1 **COMMISSIONER SKOP:** Any objections to entering
2 what has been marked as Exhibit 34 into the record?

3 **MR. BUTLER:** No objection.

4 **COMMISSIONER SKOP:** Hearing none, Exhibit 34
5 will be entered into the record.

6 (Exhibit Number 34 marked for identification
7 and admitted into the record.)

8 **COMMISSIONER SKOP:** Staff.

9 **MS. BENNETT:** And then by agreement of all the
10 parties, Florida Power and Light would like to admit the
11 deposition of Doctor Dismukes into the record. I'll let
12 Mr. Butler address that.

13 **COMMISSIONER SKOP:** Mr. Butler, you're
14 recognized.

15 **MR. BUTLER:** Thank you, Commissioner Skop.

16 Yes. FPL would move the admission of Doctor
17 Dismukes' deposition transcript into the record just
18 sort of to complete the package. We have the deposition
19 transcripts of the other witnesses who were deposed in
20 the record as exhibits and think that it would be
21 appropriate to do so likewise with respect to Doctor
22 Dismukes.

23 **COMMISSIONER SKOP:** Okay. Any objection from
24 the parties?

25 Ms. Kaufman, you're recognized.

1 **MS. KAUFMAN:** Commissioner Skop, I don't have
2 any objection. But, Mr. Butler, will you be providing
3 copies of the deposition?

4 **MR. BUTLER:** I have them here and I will hand
5 them out at this point.

6 Staff, can we have somebody hand them out,
7 please. And I'm sorry, I do not have cover pages on
8 them. It would be 35. If you would like I can bring
9 them back with cover pages later or we can just mark 35.

10 **COMMISSIONER SKOP:** Staff, what's your
11 preference?

12 **MS. BENNETT:** I think we can just write Number
13 35 on top of the deposition transcript and be fine with
14 it.

15 **COMMISSIONER SKOP:** Okay. Very well. Hearing
16 no objection, Exhibit 35 will be admitted into the
17 record.

18 **MR. BUTLER:** Thank you.

19 (Exhibit Number 35 marked for identification
20 and admitted into the record.)

21 **COMMISSIONER SKOP:** Staff, any other exhibits
22 that we need to take up at this time?

23 **MS. BENNETT:** No. All of the other exhibits
24 are listed and will be entered into the record by the
25 party as they present their testimony.

1 **COMMISSIONER SKOP:** Very well. At this point
2 I'd like to swear in the witnesses.

3 FPL, do you have all of your witnesses
4 available?

5 **MR. ROSS:** We do.

6 **COMMISSIONER SKOP:** The intervenors? Okay.
7 If the witnesses could all stand, and I'll ask you to
8 raise your right hand.

9 (Witnesses sworn collectively.)

10 **COMMISSIONER SKOP:** Thank you.

11 Staff, with respect to the order of
12 witnesses --

13 **MS. BENNETT:** We suggest that they be taken up
14 as they appear in the prehearing order, so I believe Mr.
15 Stall would be up first for FPL.

16 **COMMISSIONER SKOP:** Very well.

17 Mr. Butler, do you want to call your first
18 witness?

19 **MR. BUTLER:** Thank you, Commissioner Skop.
20 And Mr. Ross will be handling the presentation of Mr.
21 Stall.

22 **MR. ROSS:** Good morning, Mr. Chairman.

23 FPL calls Art Stall.

24 **COMMISSIONER SKOP:** Very well.

25 **MR. ROSS:** Mr. Chairman, while Mr. Stall is

1 taking the stand, we have copies of the errata sheet
2 that was filed with respect to Mr. Stall's direct
3 testimony, and I would request that those be passed out
4 for the convenience of the parties and the
5 Commissioners.

6 **COMMISSIONER SKOP:** Yes.

7 **JOHN A. STALL**

8 was called as a witness on behalf of FPL, and having
9 been duly sworn, testified as follows:

10 **DIRECT EXAMINATION**

11 **BY MR. ROSS:**

12 **Q.** Please state your name and business address.

13 **A.** My name is John A. Stall, 700 Universe
14 Boulevard, Juno Beach, Florida.

15 **Q.** And, Mr. Stall, have you prepared Direct
16 Testimony in this proceeding totaling nine pages?

17 **A.** I have.

18 **Q.** And did you file errata to your Direct
19 Testimony on March 2nd, 2010?

20 **A.** I did.

21 **Q.** Other than the changes noted in the errata
22 sheet, do you have any other changes or corrections to
23 your Direct Testimony?

24 **A.** No.

25 **Q.** If I asked you the questions contained in your

1 corrected Direct Testimony today, would your answers be
2 the same?

3 **A.** Yes.

4 **MR. ROSS:** Mr. Chairman, I would request the
5 Direct Testimony of Mr. Stall as amended by the errata
6 be entered into the record as if read.

7 **COMMISSIONER SKOP:** Let it be done that the
8 prefiled testimony of Mr. Stall will be entered into the
9 record as though read.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **TESTIMONY OF J.A. STALL**

4 **DOCKET NO. 090505-EI**

5 **January 13, 2010**

6
7 **Q. Please state your name and address.**

8 A. My name is J.A. (Art) Stall. My business address is 700 Universe
9 Boulevard, Juno Beach, Florida 33408.

10 **Q. By whom are you employed and what is your position?**

11 A. I am employed by FPL Group, Inc. as Vice President, Nuclear Transition.

12 **Q. Please describe your duties and responsibilities in that position.**

13 A. I am responsible for the overall strategic direction for all of FPL's nuclear
14 assets, consisting of four nuclear units in Florida – two at Turkey Point
15 Nuclear Plant near Florida City, Florida, (1,386 MW) and two at St. Lucie
16 Nuclear Plant, near Jensen Beach, Florida (1,677 MW). I also hold this
17 same responsibility for the other FPL Group nuclear plants – one unit at
18 Seabrook Station in Seabrook, New Hampshire (1,294 MW), one unit at
19 Duane Arnold Energy Center in Palo, Iowa (600 MW), and two units at
20 Point Beach Nuclear Plant in Two Rivers, Wisconsin (1,036 MW).

21 **Q. What is the purpose of your testimony?**

22 A. The purpose of my testimony is to present and explain how Turkey Point
23 Units 3 and 4 were prudently and properly taken off-line in response to the

1 voltage fluctuations caused by the February 26, 2008 transmission event
2 that was initiated at FPL's Flagami substation (the "Flagami Transmission
3 Event"). My testimony will also describe the equipment issues that
4 emerged during the outage that were independent of this event and
5 *delayed the restart of these units.*

6
7 **Flagami Transmission Event**

8 **Q. What caused Turkey Point Units 3 and 4 to come off-line during the**
9 **Flagami Transmission Event?**

10 A. Turkey Point Units 3 and 4 experienced automatic reactor shut downs
11 due to the external transmission disturbance causing reduced voltage in
12 the switchyard that connects the nuclear units to the FPL transmission
13 system.

14 **Q. Why was it necessary to shut down Turkey Point Unit 3 and Unit 4**
15 **due to this voltage reduction?**

16 A. The nuclear units automatically shut down to protect safety related
17 equipment. The reactor protection system operated as designed in
18 response to the reduced voltage in the switchyard. The set point
19 requirements for the 4 KV bus under-voltage relays are contained within
20 the Nuclear Regulatory Commission ("NRC") operating licenses for the
21 Turkey Point nuclear units. These requirements are very important to
22 nuclear safety. Allowing an under-voltage condition to continue would
23 result in a loss of flow from the reactor coolant pumps and an increase in

1 reactor coolant temperature. This increase in reactor coolant temperature
2 could result in damage to the nuclear fuel and to reactor coolant pump
3 motors. Thus, it is important that the reactor units be set to automatically
4 and promptly come off-line in undervoltage conditions.

5 **Q. Did the Turkey Point Units come off-line as designed and in**
6 **accordance with the NRC mandated undervoltage set points?**

7 A. Yes. The Turkey Point Units came off-line exactly as designed and in
8 accordance with the NRC mandated undervoltage set points that are
9 included in the NRC operating licenses for Turkey Point Units 3 and 4.

10 **Q. How long does it typically take to bring a nuclear unit back on line**
11 **after an unplanned undervoltage condition such as the one caused**
12 **by the Flagami Transmission Event?**

13 A. A single nuclear unit can be brought back on line in as little as 24 hours
14 after a plant shut down, and certainly the Company may set such
15 timeframe as a goal, but typically it takes approximately 48 hours to bring a
16 single unit back on line after an unexpected plant shut down. Restarting
17 two nuclear units following an unexpected shutdown of both units is
18 certainly more challenging than restarting a single unit. This unique set of
19 circumstances certainly lengthens the typical 48 hour timeframe that would
20 be required to restart a reactor following an unplanned shutdown.

21

22 In any case, a sufficient amount of time is necessary to restart equipment
23 that was shut down and to perform all tests required by the NRC

1 operating licenses before it can return to service. Additionally, it is FPL's
2 and standard nuclear industry practice to provide special training to plant
3 operators immediately prior to plant start up using a plant-specific control
4 room simulator, which adds incremental time to the plant startup sequence
5 after an unplanned reactor shutdown.

6 **Q. Can unrelated equipment issues delay restart?**

7 Yes. It is not uncommon for unrelated equipment issues to delay restart.
8 That was the case for Unit 3 following the Flagami Transmission Event:
9 Unit 3 would have been able to return to service in approximately 48 hours,
10 but for certain unrelated equipment issues that had to be addressed first.

11 **Q. Please describe the equipment issues that extended the outage for
12 Unit 3.**

13 A. The Unit 3 outage was extended to repair the Rod Position Indication
14 ("RPI") system that had previously malfunctioned in October 2007. FPL
15 had obtained permission from the NRC to defer RPI repairs until the next
16 unit shutdown in order to minimize the overall outage time for Unit 3.
17 There was also a condition at Unit 3 associated with a reactor protection
18 under-voltage time delay relay that was identified to be outside its
19 acceptance criteria for calibration. This relay was replaced in conjunction
20 with the RPI system repair and did not contribute additional time to the
21 Unit 3 outage duration.

22 **Q. Could FPL have restarted Unit 3 without repairing the affected RPI
23 system?**

1 A. No. In January 2008, at FPL's request, the NRC amended the Unit 3
2 operating license to allow FPL, as an interim measure, to continue
3 operating the plant contingent upon a commitment to repair the RPI
4 system the next time the unit shut down. This allowed FPL to avoid
5 additional outage time in 2008, but meant that when Unit 3 was shut
6 down in response to the Flagami Transmission Event, FPL was required
7 by the Unit 3 NRC operating license to implement the RPI system repair.

8 **Q. Please describe the steps FPL took to minimize the outage time**
9 **associated with repairing the RPI system.**

10 A. When a nuclear unit is shut down, FPL initiates processes to minimize the
11 time the unit is off-line without compromising safety. There are multiple
12 work crew shifts working 24 hours a day, 7 days a week to minimize the
13 time a unit is off-line. Additionally, during outages, FPL staffs a nuclear
14 Outage Command Center at the plant to provide detailed management
15 oversight of all of the work being performed on the unit. Because the RPI
16 system repair was a known required repair in the event of a unit shutdown,
17 the work orders, planning, and materials necessary to perform the work
18 were already in place. This allowed work to proceed as soon as it was safe
19 for plant staff to access the Unit 3 containment building to complete the
20 RPI system repairs.

21

22 It should be noted that the containment building is a challenging work
23 location for plant staff because of high air temperatures and the need for

1 advance planning to minimize occupational radiation dose. This makes
2 planning and execution of the work considerably more difficult and time-
3 consuming when compared with work in more accessible areas of the
4 nuclear plant or compared to work in fossil-fueled power plants that do not
5 present heat and radiation exposure considerations.

6 **Q. Would FPL ultimately have experienced the same amount of outage**
7 **time to repair the RPI system during any unexpected outage as was**
8 **incurred following the Flagami Transmission Event?**

9 A. Yes. In October 2007, Unit 3 was in power ascension at 30 percent power
10 when the initial RPI system issue was discovered. Had FPL been required
11 to shut down Unit 3 at that time to implement the RPI repair, replacement
12 power costs would have been incurred for the necessary outage time. As
13 noted, FPL had to commit to the NRC to implement the RPI system repair
14 during the next outage. The same amount of time was required to
15 implement the RPI repair following the Flagami Transmission Event.

16 **Q. What extended the outage for Unit 4?**

17 A. When Unit 4 was returning to service, the water level in one of the four
18 steam generators exceeded 75%. Plant operators initiated a manual
19 reactor shutdown as required by plant procedure. The plant was shut
20 down safely after the manual reactor shutdown.

21 **Q. What influences the water level in the steam generators?**

22 A. The main generator loading rate impacts the steam generator water level
23 and fluctuations. The loading rate is governed by a complex interaction of

1 various plant conditions. Because of this complexity, a reactor shutdown
2 because of high steam generator water level occurring during plant
3 restart is not an unusual event.

4 **Q. What was the duration of the outages for Unit 3 and Unit 4?**

5 A. The total outage duration, including the equipment issues that emerged
6 independently of the transmission incident, was approximately 158 hours
7 for Unit 3 and 107 hours for Unit 4.

8 **Q. Are these types of outage durations unusual to you based on your
9 experience in the nuclear industry?**

10 A. No. While our goal is to run the nuclear units for their entire 18-month
11 fuel cycle in order to maximize the fuel cost savings for customers, this is
12 not always possible. Indeed, nuclear industry experience is that most
13 units will have one or more unscheduled shutdowns during a fuel cycle.
14 The fact that unscheduled shutdowns occur is a function of the complex
15 technology used in nuclear generating plants and conservative operating
16 philosophies used in their operation. Unscheduled shutdowns are not
17 evidence of problems or deficiencies in the design or operation of the
18 nuclear units. Rather, those shutdowns demonstrate that safety systems
19 are working properly (in the case of automatic plant shutdowns, such as
20 triggered both Units 3 and 4 in the Flagami Transmission Event) and that
21 plant operators are trained to and exhibit the right behaviors to
22 conservatively shut a nuclear unit down (in the case of manual plant
23 shutdowns, such as described above for Unit 4).

1 **Q. Did FPL prudently respond to the automatic reactor shutdowns at**
2 **Units 3 and 4 that resulted from the Flagami Transmission Event?**

3 A. Definitely. FPL's top priority is safe operations at all of its nuclear plants.
4 The units automatically came off-line as intended and, indeed, as
5 required by the NRC operating licenses for Units 3 and 4, in response to
6 voltage fluctuations. FPL then took prudent and conservative measures
7 to investigate, inspect, and analyze system components prior to safely
8 restarting both units.

9 **Q. Did the NRC identify any issues or take any enforcement action**
10 **against FPL arising out of the Unit 3 and 4 outages arising from the**
11 **Flagami Transmission Event?**

12 A. No. The NRC had no issues with the outages or with the restart of both
13 units.

14 **Q. How did the overall generation performance of Units 3 and 4**
15 **compare to industry average for 2008?**

16 A. The generation performance of both Turkey Point Units 3 and 4, as
17 measured by the capacity factor and equivalent availability factor, were
18 both above average in 2008. The combined capacity factor for Units 3
19 and 4 in 2008 was better than the average nuclear capacity factor
20 ("NCF") for U.S. nuclear units. Specifically, the 2008 NCFs for Units 3
21 and 4 were 100.86 and 85.97, respectively. This is an average of 93.41,
22 which is substantially above the industry average NCF of 89.97.

1 The combined equivalent availability for Units 3 and 4 in 2008 also was
2 better than the 2008 average equivalent availability factor ("EAF") for U.S.
3 nuclear units. Specifically, the 2008 EAFs for Units 3 and 4 were 97.84
4 and 83.44, respectively. This is an average of 90.64, which is more than
5 a full percentage point above the industry average EAF of 89.40.

6
7 These statistics illustrate that, in spite of the unexpected outages that
8 were initiated by the Flagami Transmission Event, FPL's customers
9 received the benefit of considerably more low-cost nuclear-generated
10 energy in 2008 than they would if Units 3 and 4 had performed at
11 industry-average levels. This strong performance at Turkey Point has
12 surpassed Turkey Point NCF and EAF performance in recent years, and
13 this improvement is continuing, as evidenced by the fact that Unit 4 ran
14 for 376 days during the past operating cycle without a forced outage, and
15 the recent refueling and maintenance outage on Unit 4 was accomplished
16 within the planned budget and schedule for the work.

17 **Q. Does this conclude your testimony?**

18 **A. Yes.**

ERRATA SHEET

(X) DIRECT TESTIMONY, OR () REBUTTAL TESTIMONY (PLEASE MARK ONE WITH "X")
 WITNESS: J. A. Stall

PAGE # **LINE #** **CHANGE**

6 17-20 Add the following:

A. There were two plant shutdowns that extended the outage for Unit 4. When Unit 4 was returning to service, on February 28, 2008 there was an automatic shutdown of the turbine due to reverse power protection. The turbine was shut down safely. Operators began the startup sequence again approximately eight hours later. On February 29, 2008, the water level in one of the four steam generators exceeded 75%. Plant operators initiated a manual reactor shutdown as required by plant procedure. The plant was shut down safely after the manual reactor shutdown.

Q. What was the cause of the automatic shutdown of the turbine on February 28, 2008?

A. A relay for a protective circuit did not function properly, and a contact failed closed, which caused an automatic shutdown of the turbine.

Q. What was the cause of the relay malfunction?

A. This relay had a mechanical issue that was identified during post-failure testing by the Company's test laboratory in West Palm Beach. The malfunction was a random mechanical failure. A replacement relay was tested to ensure it did not have a similar issue and was placed in service for Unit 4, after which it worked properly. Additionally, the same relay for Unit 3 was tested and no further issues have occurred.

Q. You stated that the second shutdown was due to the water level in one of the four steam generators exceeding 75%. What influences the water level in the steam generators?

1 amount of time was required to implement the RPI repair following
2 the Flagami Transmission Event.

3 **Q. What extended the outage for Unit 4?**

4 A. There were two plant shutdowns that extended the outage for Unit
5 4. When Unit 4 was returning to service, on February 28, 2008
6 there was an automatic shutdown of the turbine due to reverse
7 power protection. The turbine was shut down safely. Operators
8 began the startup sequence again approximately eight hours later.
9 On February 29, 2008, the water level in one of the four steam
10 generators exceeded 75%. Plant operators initiated a manual
11 reactor shutdown as required by plant procedure. The plant was
12 shut down safely after the manual reactor shutdown.

13 **Q. What was the cause of the automatic shutdown of the turbine**
14 **on February 28, 2008?**

15 A. A relay for a protective circuit did not function properly, and a contact
16 failed closed, which caused an automatic shutdown of the turbine.

17 **Q. What was the cause of the relay malfunction?**

18 A. This relay had a mechanical issue that was identified during post-
19 failure testing by the Company's test laboratory in West Palm
20 Beach. The malfunction was a random mechanical failure. A
21 replacement relay was tested to ensure it did not have a similar

1 issue and was placed in service for Unit 4, after which it worked
2 properly. Additionally, the same relay for Unit 3 was tested and no
3 further issues have occurred.

4
5 **Q. You stated that the second shutdown was due to the water**
6 **level in one of the four steam generators exceeding 75%.**

7 **What influences the water level in the steam generators?**

8 A. The main generator loading rate impacts the steam generator water
9 level and fluctuations. The loading rate is governed by a complex
10 interaction of various plant conditions. Because of this complexity, a
11 reactor shutdown because of high steam generator water level
12 occurring during plant restart is not an unusual event.

13 **Q. What was the duration of the outages for Unit 3 and Unit 4?**

14 A. The total outage duration, including the equipment issues that
15 emerged independently of the transmission incident, was
16 approximately 158 hours for Unit 3 and 107 hours for Unit 4.

17 **Q. Are these types of outage durations unusual to you based on**
18 **your experience in the nuclear industry?**

19 A. No. While our goal is to run the nuclear units for their entire 18-
20 month fuel cycle in order to maximize the fuel cost savings for

1 **BY MR. ROSS:**

2 Q. Mr. Stall, have you prepared a summary of your
3 Direct Testimony?

4 A. I have.

5 Q. Would you please provide that summary to the
6 Commission.

7 A. Good morning, Commissioners.

8 My testimony explains how Turkey Point Units 3
9 and 4 were prudently and properly taken off-line in
10 response to the voltage fluctuations caused by the
11 February 26th, 2008, transmission event that was
12 initiated at FPL's Flagami Substation. I also explain
13 the equipment issues that emerged during the outage that
14 were independent of the Flagami event and delayed the
15 restart of the Turkey Point nuclear units.

16 As a result of the Flagami event, Turkey Point
17 Units 3 and 4 automatically shut down to protect
18 safety-related equipment precisely as designed and in
19 accordance with the Nuclear Regulatory Commission
20 operating licenses for Units 3 and 4. FPL then took
21 prudent and conservative measures to investigate,
22 inspect, and analyze the plant prior to safely
23 restarting both units.

24 The Nuclear Regulatory Commission had no
25 issues with the outages or the restart of either unit.

1 It usually takes approximately 48 hours to bring a
2 single nuclear unit back on-line after an unexpected
3 plant shutdown. However, it is not uncommon for
4 unrelated equipment issues to delay the restart of a
5 reactor.

6 The Unit 3 outage was extended to repair the
7 rod position indication system that had previously
8 malfunctioned in October of 2007. At FPL's request, the
9 Nuclear Regulatory Commission amended the Unit 3
10 operating license to allow FPL as an interim measure to
11 continue operating the plant contingent upon a
12 commitment to repair the RPI system the next time the
13 unit shut down. After the Flagami event, the RPI repair
14 was conducted and the unit was returned to service
15 without incident.

16 When Unit 4 was returning to service, there
17 was a turbine shutdown attributable to a relay problem,
18 and plant operators subsequently initiated a manual
19 reactor trip because of high steam generator water level
20 as required by plant procedures. A reactor shutdown in
21 these circumstances is not unusual.

22 While our goal is to run our nuclear units for
23 their entire 18-month fuel cycle in order to maximize
24 the fuel cost savings for our customers, this is not
25 always possible. Unscheduled shutdowns are not evidence

1 of problems or deficiencies in either the design or
2 operation of nuclear units. Rather, those shutdowns
3 demonstrate that safety systems are working properly and
4 that plant operators are trained to and exhibit the
5 right behaviors to conservatively operate these nuclear
6 units.

7 The generation performance of both Turkey
8 Point Units 3 and 4, as measured by the capacity factor
9 and the equivalent availability factor, were
10 significantly above industry averages in 2008 despite
11 the unexpected outages from the Flagami Transmission
12 event. These statistics illustrate that FPL's customers
13 have received the benefit of considerably more low-cost
14 nuclear generated energy in 2008 than they would have if
15 Units 3 and 4 had performed at industry averages.

16 This concludes my summary.

17 **COMMISSIONER SKOP:** Thank you.

18 **MR. ROSS:** We tender the witness for cross
19 examination.

20 **COMMISSIONER SKOP:** Mr. Beck, you're
21 recognized.

22 **MR. BECK:** Thank you, Commissioner.

23 **BY MR. BECK:**

24 **Q.** Good morning, Mr. Stall.

25 **A.** Good morning, Mr. Young (sic).

1 Q. I'm Charlie Beck.

2 A. Oh, I'm sorry.

3 Q. But, good morning. How are you this morning?

4 A. Good morning, Mr. Beck.

5 Q. Mr. Stall, I'd like to ask you to turn to Page
6 3 of your testimony at Lines 15 and 16. And I believe
7 you mentioned this in your summary, as well. You state
8 that it typically takes approximately 48 hours to bring
9 a single unit back on-line after an unexpected plant
10 shutdown. Is that correct?

11 A. That is correct.

12 Q. That time period you give there does not
13 include the ramp-up time to bring the power plant up to
14 full power, does it?

15 A. That's correct. That's typically
16 breaker-to-breaker, what we call breaker-to-breaker,
17 from the breaker opening to the breaker closing.

18 Q. And the breaker closing would be when the
19 reactor connects to the grid, as it were?

20 A. That's correct. And then we would go through
21 the power ascension process.

22 Q. And the power ascension process, does that
23 take approximately 12 to 14 hours?

24 A. That's correct.

25 Q. You've stated that that is the amount of time

1 to bring a single unit back on-line, but in this case we
2 had two of them that had to be brought back on-line. Is
3 that right?

4 **A.** That's correct.

5 **Q.** And when you have to bring two units back
6 on-line after an unexpected shutdown, that will
7 typically take three to five days, does it not?

8 **A.** That's correct. And that's highly dependent,
9 of course, upon the nature of the event that caused the
10 shutdowns as well as the maintenance that would need to
11 be performed during that period of time and the
12 surveillance testing. And, of course, with two units
13 out of service, it's highly dependent upon the resources
14 that you have because you have a fixed amount of
15 resources available, and now you have to attend to two
16 units versus just one.

17 **Q.** On Page 4 of your testimony, at the top you
18 talk about special training that is done during the
19 start up of the reactors, is that right?

20 **A.** Yes.

21 **Q.** And that training adds incremental time or
22 incremental time to a start-up after an unexpected plant
23 shutdown, does it not?

24 **A.** Not necessarily. We generally are able to
25 manage that training within the critical path of the

1 overall outages. In other words, we'll take the crew
2 that we believe will be in the control room at the time
3 of reactor start-up and manage to get them over to the
4 simulator even while these other activities are going on
5 in the plant, so that's not necessarily an additive
6 time.

7 Q. Well, let me ask you, does your testimony on
8 Page 4, Lines 4 through 5, don't you state that it adds
9 incremental time to the plant start-up consequence after
10 an unplanned reactor shutdown?

11 A. In this particular case because there were two
12 units out of service that would be true, but I thought
13 you were asking generically. Generically, it's not
14 always the case that it would add incremental time.

15 Q. So if you had a planned shutdown it typically
16 would not add incremental time, would it?

17 A. It would depend upon the nature of that
18 shutdown and the amount of work that needed to be done.
19 But there is no one-size-fits-all, if you understand
20 what I'm saying, to be able to say in all cases it would
21 add incremental time. In this case that would be true
22 because of the dual unit outage.

23 Q. You conducted what I think you have termed
24 just-in-time training, is that right, for the operators?

25 A. Correct.

1 **Q.** Would you describe that, please?

2 **A.** What just-in-time training is that, again, we
3 would look ahead on the schedule and we would anticipate
4 the period of time where we would be starting up the
5 reactor and placing it back in service. And we would
6 get the crew that would be in the control room over to
7 the simulator and we would have them do a start up on
8 the simulator just before we were to do that training.
9 That training is not required by the Nuclear Regulatory
10 Commission, and it is a best practice that we attempt to
11 do each time we have a start-up that we know about that
12 is intended or planned.

13 **Q.** So in one sense would it be fair to say that
14 that's a practice run, in essence, before the operators
15 go and do the real thing?

16 **A.** That's correct.

17 **Q.** At Page 6 of your testimony beginning at
18 Line 16, you mention that the outage for Unit 4 was
19 extended because the water level in one of the four
20 steam generators exceeded 75 percent, is that right?

21 **A.** Yes.

22 **Q.** Did Florida Power and Light conduct a root
23 cause analysis to determine what led to the steam
24 generators exceeding 75 percent water level?

25 **A.** Yes, we did.

1 **Q.** Okay. I'd like to -- I'm going to hand you an
2 excerpt from what has been admitted into evidence as
3 Exhibit 31. I think it's on the CD that the staff has
4 handed out, and the excerpt is going to start at Bates
5 stamp 410 of the exhibit.

6 **COMMISSIONER SKOP:** Mr. Beck, if you have
7 additional hard copies that might be beneficial for the
8 Commission.

9 **MR. BECK:** I didn't make many copies because
10 we were all -- the idea was to use CDs and not make
11 paper.

12 **COMMISSIONER SKOP:** Commissioners, are you
13 comfortable with that, or would you like a hard copy?

14 **COMMISSIONER STEVENS:** I'm fine.

15 **COMMISSIONER SKOP:** Commissioner Edgar.

16 **COMMISSIONER EDGAR:** We'll try it this way,
17 and if we need a hard copy, then I will be glad to ask.

18 Thank you, Mr. Beck.

19 **MR. BECK:** I have one extra here,
20 Commissioner, if you'd like that.

21 **COMMISSIONER SKOP:** Thank you.

22 **COMMISSIONER EDGAR:** I'm old fashioned, so if
23 you have an extra copy I will take it, but I don't want
24 to be the reason for the death of more trees, either.

25 **COMMISSIONER SKOP:** No, that's fine. I've got

1 one. I just thought that we were all trying to do the
2 CD thing this time.

3 **COMMISSIONER EDGAR:** Thank you.

4 **COMMISSIONER SKOP:** Thank you, Mr. Beck. You
5 may proceed.

6 **BY MR. BECK:**

7 **Q.** Mr. Stall, do you have the exhibit I just
8 handed you?

9 **A.** Yes.

10 **Q.** And, again, Commissioner, this doesn't have
11 the Bates stamps because that was on the CD, but this
12 begins with the Florida Power and Light Bates stamp of
13 10-83, does it not?

14 **A.** On the bottom of the first page? Yes, that is
15 correct.

16 **Q.** And this is an excerpt from the root cause
17 analysis behind the 75 percent water level in the steam
18 generator, is it not?

19 **A.** Yes, it is.

20 **Q.** Let me ask you to go to what on your copy has
21 10-85 on it, and that would be Bates-stamped 4-12 of the
22 staff exhibit.

23 **A.** Okay.

24 **Q.** And I'd like to ask you about the second
25 paragraph from the top where it starts, "This manual

1 reactor trip," do you see that?

2 A. I see that.

3 Q. Okay. It says this manual reactor trip
4 challenged plant systems and caused financial
5 consequences by adding an unplanned unit cycle and
6 delaying start up of both Turkey Point nuclear units by
7 approximately 30 hours. Do you see that?

8 A. I do.

9 Q. What does it mean by challenged plant systems?

10 A. Well, any time you actuate a safety system, in
11 this particular case the manual reactor trip is what we
12 are talking about, the safety systems are exercised. So
13 we would consider that a challenge to those safety
14 systems. And, of course, we know in this particular
15 case all of those safety systems functioned properly.

16 Q. Okay. And by one of the safety systems, that
17 was the plant operators manually tripping the plant off
18 when it reached 75 percent water level in the steam
19 generator, is that right?

20 A. That's correct. Our operators are trained to
21 anticipate an automatic safety system actuation, and
22 proactively initiate a manual actuation of that
23 particular safety system before the automatic system
24 would actuate. That's sort of a redundancy, if you
25 will, in the training in the backup systems.

1 **Q.** Now, in the testimony that was prefiled, which
2 you read earlier on Page 6, the question was what
3 extended the outage of Unit 4, and you referred to the
4 water level in the steam generators. Here it says it
5 delayed the start up of both Turkey Point nuclear units,
6 does it not?

7 **A.** It does.

8 **Q.** Do you agree with that?

9 **A.** No, I don't agree with that. I went back and
10 looked at the schedules for the start up of both of
11 those units, and I think that, first of all, you have to
12 understand the context of these evaluations. The
13 problem statements are framed rather broadly at the
14 initiation of one of these condition reports, which is
15 the parent document for this root cause evaluation, and
16 it would be an obvious leap to say that there was a
17 30-hour impact on the other unit. But when I went back
18 and looked at how the schedules were sequenced and how
19 resources were reallocated, I personally could not get
20 to that conclusion. So I think that that is a
21 speculative statement.

22 **Q.** Okay. On the cover page that I gave you, the
23 first page of the exhibit, Page 83, there are 16 members
24 that prepared this report, is that right?

25 **A.** Sixteen members that participated in the

1 report. Each of them has various levels of expertise.
2 There wouldn't have been necessarily 16 people sitting
3 around a table writing this report. Each person would
4 have bits and pieces of this that they would typically
5 do.

6 Q. And did you review this report when it was
7 issued?

8 A. No.

9 Q. Only as part of this case?

10 A. As part of this procedure.

11 Q. Okay. Could you turn to the page that has an
12 86 at the bottom, and that's the staff exhibit
13 Bates-stamped 413.

14 A. I'm there. Page 6, did you say?

15 Q. 86 at the bottom. It's about the fourth page
16 in.

17 A. Okay, I have it.

18 Q. And this is the executive summary of the root
19 cause analysis, is that right?

20 A. Yes.

21 Q. What does it mean by root cause?

22 A. Root cause is where after a condition report
23 is initiated for an unexpected situation in the plant we
24 put together a cross-functional team, as you indicated
25 earlier, and we look at all of the possible causes and

1 we narrow that down to what we call contributing causes
2 and what we would call the root cause of the particular
3 event, in this case that being the 75 percent level in
4 the steam generator and attendant manual reactor trip.

5 Q. And in this case you have both a root cause
6 and then several contributing causes, is that right?

7 A. That's correct.

8 Q. What was the root cause?

9 A. The root cause, as indicated in the report,
10 was insufficient guidance for the initial loading of the
11 main generator and for stabilizing power by preparing to
12 transfer to automatic feed reg valve control.

13 Q. Okay. And you are reading from the paragraph
14 that is under the heading major conclusions of the root
15 cause effort, is that right?

16 A. That is correct.

17 Q. And just before that section you read it says
18 the procedure used in this evolution -- and it refers to
19 a document, I gather, 4-GOP31, hot standby to power
20 operation. Do you see that?

21 A. Yes, 4-GOP301, I believe, is the procedure in
22 question.

23 Q. And is that a Florida Power and Light created
24 document?

25 A. That's correct.

1 **Q.** And it says that that document did not provide
2 sufficient guidance for the rate of initial loading of
3 the main generator, is that right?

4 **A.** That's correct. I think that perhaps a little
5 bit of context and explanation would be useful for some
6 in the room here. This portion of a reactor startup at
7 lower power level, when you are transitioning from what
8 we call bypass feed water control to main feed water
9 control is a very critical and important evolution
10 obviously in the plant.

11 And the manual -- the bypass feed water system
12 is not an automatic system. That is a manual system.
13 So the goal that the operators have and the way they are
14 trained is to as quickly as possible, while maintaining
15 stability, to move through that low power region and get
16 up into a .12 to .15 percent power where you can
17 effectively transition off of these by-pass manual feed
18 water valves and get into what we call automatic feed
19 water control. The plant is a lot more stable at that
20 point in time.

21 So what you are doing, in essence, it is a
22 balancing act between moving as quickly as possible
23 through this region, if you will, while maintaining the
24 stability, recognizing that the longer time that you
25 spend in this power region the more opportunity you

1 present for a transient because you are in manual
2 control and you want to get into automatic control.

3 So you are doing a balancing act, if that
4 makes sense, between moving as quickly as possible
5 versus loitering in that area. And the stability of the
6 feed water system is highly dependent on a number of
7 variables, multiple variables that can change from
8 startup to startup, and so it is very, very difficult to
9 prescriptively put into an operating procedure precisely
10 how these operators should load that generator. And so
11 the training that they have been given through the
12 years, and I think it has proven to be generally very
13 successful, is to have a good understanding of these
14 tradeoffs that you make and to give them as much
15 flexibility as possible on that loading of the
16 generator, dependent upon the plant systems.

17 So, in this particular case, this was a very
18 experienced operator who did this evolution. He had
19 done it in the past, so obviously that individual knows
20 how to do this successfully. So it is typical -- not
21 just at our plants at FPL, but across the industry -- to
22 not try to write an overly specific criteria into these
23 procedures for that particular reason.

24 Q. Let's talk a bit about what the operators did.
25 Could you turn to page what has a Bates-stamped 93 at

1 the bottom, which from the staff exhibit is Bates stamp
2 420?

3 A. I'm there.

4 Q. Okay. And toward the bottom of the page there
5 is three items listed; A, B, C. The first one is
6 prevention causal factor one. Do you see that?

7 A. Yes.

8 Q. It states there that the turbine operator and
9 the SRO, and the SRO would be the senior reactor
10 operator?

11 A. That's correct.

12 Q. They continued to increase main generator load
13 while steam generator levels not stable, is that right?

14 A. Yes.

15 Q. I take it that's something they weren't
16 supposed to do?

17 A. Well, I think putting myself in their shoes,
18 since I have been in that position in the past myself, I
19 believe at the time in the control room they felt as
20 though the steam generator levels were sufficiently
21 stable in order for them to continue to increase load.
22 It was only in hindsight after the event that you could
23 go back and look at the data and draw a conclusion that
24 perhaps we know because it resulted in a scram, or a
25 reactor trip that they could have let those levels

1 stabilize out a little bit longer.

2 But at that point in time they knowingly moved
3 forward believing that they were, in fact, stable enough
4 to continue forward. And that's based on their
5 experience. As I indicated, that operator at the
6 controls had multiple start-ups on his resume.

7 Q. Mr. Stall, you said that they felt it was
8 stable, but if you go down to number C, or the letter C,
9 it says the operator crew failed to stop, slow down when
10 unsure. Do you see that?

11 A. I see that.

12 Q. Doesn't that say the operators were unsure and
13 they just kept going anyhow?

14 A. I don't believe that the operators were
15 unsure. As I indicated, these operators have started up
16 these units in the past. They have a sense around when
17 it's stable enough or not stable enough in order to
18 continue to load the generator. These operators at
19 Turkey Point have exhibited in many occasions that they
20 do know when to stop when they are unsure. They would
21 not have knowingly proceeded in the face of an
22 instability that they didn't think was manageable to try
23 and attempt to put this unit on-line. They believed at
24 that time that they were doing the right thing.

25 Now, you know, it's pretty simple to look back

1 after the event and say, well, you know, you should have
2 recognized that these levels were perhaps oscillating a
3 little bit more than they might have under a different
4 circumstance, and maybe you were unsure and should have
5 stopped. But I don't believe that for one moment that
6 they were unsure of themselves at that moment in time
7 and proceeded. They are just not trained that way and
8 they wouldn't behave that way.

9 Q. Mr. Stall, let me ask you to go back to the
10 page that has an 86 at the bottom, which is Bates
11 stamped 413 on the staff exhibit?

12 A. I'm there.

13 Q. Okay. Now, we have already talked about the
14 root cause being insufficient guidance, is that right?

15 A. Yes.

16 Q. There is also a number of contributing causes
17 that were identified by this team, is that right?

18 A. Yes.

19 Q. One of them is the reactor control operator
20 did not attend just-in-time training, is that right?

21 A. That's correct.

22 Q. And how did that contribute to the shutdown?

23 A. Well, obviously the preferred methodology for
24 doing just-in-time training would be that you would have
25 the exact same crew in the simulator practicing this as

1 will be in the control room for the actual startup. But
2 because of the complex overtime rules by the NRC and
3 various other competing interests, that's not always
4 possible, and there is no regulatory requirement for
5 that to occur. I think the most important thing to keep
6 in mind here is that all of those individuals who
7 practiced in the simulator and who performed that
8 startup in the control room are licensed reactor
9 operators by the Nuclear Regulatory Commission, so they
10 are fully qualified independent of this just-in-time
11 training to execute a plant start-up as in this
12 particular case.

13 Q. A second contributing cause, Mr. Stall, and it
14 is the second bullet as we look down this page, was the
15 abnormally fast generating loading. Do you see that?

16 A. I do.

17 Q. What does it mean by abnormally fast?

18 A. Well, I think it means, in this particular
19 case, that the loading of the generator which is
20 influential on the steam generator level control system
21 was faster than had typically been done in the past, and
22 that that was a contributing cause to the transient that
23 resulted in the reactor trip.

24 Q. Let me ask you about the third bullet. It
25 says a weakness in the understanding of the

1 shrink-and-swell concept is a contributing cause. Do
2 you see that?

3 A. I do.

4 Q. Could you tell us what the shrink-and-swell
5 concept is?

6 A. This is a little bit complex, but let me see
7 if I can simplify this as much as possible. The steam
8 generators are nothing but large heat exchangers, and
9 they are a tube and shell designed heat exchanger. On
10 the tube side you have reactor coolant system water that
11 is at approximately 547 degrees. And on the shell side
12 is the secondary system which takes the feed water,
13 turns it to steam, and powers the turbine. And the way
14 the operators would load the generator is they control
15 the turbine load. They'll demand the valves on the
16 turbine to come open to increase load, they will close
17 the valves on the turbine to decrease load.

18 Shrink and swell refers to a physical
19 phenomenon that results from the movement of those
20 control valves as one variable. And as I indicated
21 before, there are a number of other variables that can
22 influence that, as well, but for a moment we'll focus on
23 the control of the turbine valves. As you begin to open
24 up these turbine valves, what you're doing is you're
25 drawing more steam off of the steam generator for the

1 turbine to increase the load. And as you do that you
2 are, in essence, depressurizing the steam generator,
3 which will be somewhere around 1,000 to 1,100 pounds in
4 pressure. As you depressurize that steam generator, the
5 level will swell. And if you could think about this in
6 a simplified way, if you have ever opened a bottle of
7 Coca-Cola, for example, and you pop the top off, have
8 you ever noticed that sometimes the bubbles, and it'll
9 increase in level and sometimes even overflow the
10 bottle. It's the same physical phenomena. As you open
11 up these valves, the level will increase and that will
12 be swell.

13 Now, the shrink side of that is a little bit
14 counterintuitive, as well. If an operator opens up the
15 feed water valves and admits what we would cold feed
16 water to the steam generators, then the initial response
17 of the steam generators is when that cold feed water is
18 seen in the steam generator it will increase the density
19 actually in the steam generators of that water and it
20 will cause that water to shrink. And then as that water
21 that's introduced to the steam generator picks up heat,
22 then you'll have a swell phenomenon.

23 So I think the point that is important here
24 for everybody to understand is that, once again,
25 operating in this region is not the most stable region

1 to operate in. And that's why our operators not just at
2 FPL but across the industry are trained to understand
3 the variables that influence this and to move as quickly
4 as they safely can through this region to get into
5 automatic feed water control.

6 **COMMISSIONER EDGAR:** Mr. Beck, I'm sorry, the
7 bullets that the witness is referring to that you are
8 asking about, what page are you on?

9 **MR. BECK:** The Bates stamp is 413 for the
10 staff exhibit, and there's a Florida Power and Light
11 Bates stamp of 86 at the bottom.

12 **COMMISSIONER EDGAR:** That's the one I wanted.
13 Thank you.

14 And if I may, Commissioner Skop, what time did
15 you say you were planning that we take a lunch break?

16 **COMMISSIONER SKOP:** Depending on the will of
17 the Commission, I was thinking about 12:00 o'clock.

18 **COMMISSIONER EDGAR:** Okay. Thank you. I
19 appreciate it, Mr. Beck.

20 **BY MR. BECK:**

21 **Q.** Mr. Stall, thank you for the explanation of
22 shrink and swell. Is that a phenomena that your
23 operators are trained in and are supposed to be
24 knowledgable about?

25 **A.** I think they are generally knowledgable about

1 that, but, of course, the degree of an in-depth
2 knowledge of that phenomenon, as in this case, it can
3 vary from one operator to another. But I think we come
4 back to first principles, and that is that they are
5 trained to understand the variables that can influence
6 the level in the steam generators, and to try to balance
7 that loading of the generator as quickly as possible
8 with maintaining a stability and not causing a level
9 oscillation.

10 Q. Let me ask you to turn to the page that has a
11 99 at the bottom, it's FPL 10-99. It's also 426 in the
12 staff's exhibit.

13 A. I'm there.

14 Q. In about the middle of the page there is a
15 larger paragraph. It says during the latter stages, and
16 I'd like to ask you about the sentence that is five
17 lines down where it states, "The significance of the
18 wide range level indicators is that shrink and swell
19 phenomena can be easily diagnosed by comparing the
20 narrow range level indicators to the wide range level
21 indicators."

22 Could you explain what that's referring to?

23 A. Certainly. The mechanical design of the steam
24 generators is such that you have, as I indicated
25 earlier, you have got these tubes, it's a tube and shell

1 heat exchanger. Tubes in the interior of the steam
2 generator that on the inside of those tubes is the
3 reactor coolant system water, which is the heat source
4 for the secondary water, which is the feed water.

5 Surrounding the tube bundle is what we call a
6 wrapper, and you have several sets of level taps, as we
7 would call them, that are mechanically plumbed into the
8 steam generator. One is the wide range level, which if
9 this bottle of water was the steam generator, the wide
10 range level taps would be on the outside of the steam
11 generator tap or the wrapper, and they would go from the
12 top basically to the bottom.

13 Q. Okay.

14 A. For example, the narrow range, which are
15 highly influenced by the hydrodynamics that are going on
16 in that region between the wrapper and the outer shell
17 are in the operating -- you know, much narrower in the
18 operating band. And so I think what the author of this
19 document is trying to say, and I do agree with them, is
20 that looking at the wide range level can provide useful
21 intelligence about what the trends are going to be on
22 the behavior of the narrow range level.

23 Q. Okay. The author of this document down on the
24 next paragraph also indicates that the events described
25 in the preceding paragraphs indicate a fundamental

1 knowledge gap by some operators regarding
2 shrink-and-swell phenomena. Would you agree with that?

3 **A.** I would agree with that. But, I think, again,
4 I'm going to have to come back to a broader point here
5 and that is that our training programs -- not just at
6 FPL, but in this industry -- constantly reveal gaps in
7 knowledge and training in operators. And we use what is
8 called the systematic approach to training where we
9 consciously look for opportunities to identify training
10 gaps, put them back into our continuing training
11 program, share those with the industry, and learn from
12 those.

13 I think it's important to realize that these
14 operators are really doing a herculean job out there,
15 and there are going to be particularly as we begin to
16 transition operators who are retiring out in with new
17 operators, there are going to be knowledge gaps going
18 forward that we are going to find. And, yes, some of
19 those knowledge gaps are going to manifest themselves in
20 an event like this. But I don't think that the standard
21 can be perfection, either. I think that you have to
22 step back and look at the process from a broader point
23 of view and not focus in on every knowledge gap that
24 results in some deficiency, and say that, well, you
25 know, obviously these operators weren't well trained,

1 because we have demonstrated in the past the ability to
2 start these units up, and nobody is going to be perfect.
3 These events are going to happen from time to time, and
4 I don't think we should be holding these operators to
5 standards of perfection, which is what I feel like we
6 are doing in this particular case.

7 Q. The shrink-and-swell phenomena is not a
8 phenomena that is unique to a nuclear plant, is it?

9 A. I can't say that. I don't believe that I can
10 answer that, but I would surmise that it is, in fact,
11 unique to a nuclear plant. Yes, I would think it would
12 be.

13 Q. Are there not steam generators -- isn't it
14 more connected to a steam generator rather than the
15 actual nuclear plant?

16 A. The steam generator is part of the nuclear
17 plant.

18 Q. But you have other steam generators, do you
19 not?

20 A. Not in this sort of design, no. Not at all.
21 This is a unique design applied to a pressurized water
22 reactor in the industry. So I would say that that is --
23 you know, on second thought, I would say for the record,
24 yes, this is unique to the nuclear industry. I have
25 never heard of it being a phenomenon in general

1 industry, because there is nothing similar that I'm
2 aware of of this design in general industry.

3 Q. Okay. Let's turn to the issue about the rod
4 position indicator. And you address this on Page 4 of
5 your testimony, do you not?

6 A. Give me one moment to get to that page.

7 Q. Sure.

8 A. Yes, you're correct.

9 Q. Okay. And you discovered an issue regarding
10 the rod position indication system during the October of
11 2007 startup after the planned refueling outage, is that
12 right?

13 A. That's correct.

14 Q. Would you describe what happened?

15 A. During the power ascension process, we
16 observed that that particular analog rod position
17 indicator, I believe, was reading high. Again, to
18 provide a little bit of explanation on this system,
19 there are 45 control rods associated with each Turkey
20 Point unit down there, and these control rods are
21 grouped into what we call banks. And each individual
22 control rod has its own analog position indicator, which
23 is a meter that's in the control room to show that
24 position of that rod. And the operators will be
25 generally continuously -- especially during a power

1 ascension process -- scanning these meters looking for
2 alignment among the rods in that particular bank. And
3 in this particular case, this rod position indicator
4 failed high. The rod itself was physically at the right
5 position in the reactor. The indication failed high.
6 And we have a specification in our license documents
7 that says that if there is a difference in an indication
8 of plus or minus 12 steps from the demand position, then
9 we must declare that rod inoperable. And so the
10 operator at the controls observed that.

11 We declared that particular rod inoperable and
12 we were able to continue the power ascension. Now, the
13 problem with this is that as long as there is only one
14 rod in a particular bank of control rods that is out of
15 service, we have alternate ways of determining its
16 position and we can continue to operate. But if we were
17 to have a second rod fail in that particular bank, it
18 would be an immediate shutdown requirement from the
19 Nuclear Regulatory Commission.

20 So our engineers developed a modification
21 package where we were able to alternately determine a
22 way to display the indication of that rod, what its
23 actual position was by capturing a voltage signal and
24 translating it to a recorder in the control room. And
25 we approached the NRC and indicated to them that we

1 believed that we had developed a method that would allow
2 us to safely determine the position of that rod, and we
3 asked for an amendment to our license to continue to
4 operate. And they approved that amendment, but we had
5 offered along the way, and they included it in the
6 license amendment, that at the next outage where we shut
7 the unit down that we would repair that particular rod
8 position indicator, which we would have done anyway
9 because we want these operators to have full indication
10 of all of their instruments. And that next opportunity
11 was at the February 26th outage.

12 Q. So you were required, then, to fix that at the
13 next outage, whether it was unplanned or a planned
14 outage, is that right?

15 A. That's correct.

16 Q. And because this was an unplanned outage, it
17 added incremental time to bringing the units back
18 on-line, did it not?

19 A. In this particular case it added incremental
20 time to the outage to effect that repair. But I think
21 in keeping with that vein of thought, I think it is also
22 important to realize that we would have had to repair
23 that rod position indicator at the next forced outage
24 that we would have had. Now, we had a forced outage in
25 June as it turned out to do a turbine balance shot, and

1 at that point in time we would have done that repair on
2 that particular rod in June.

3 Q. Would you have been required to have done it
4 in June? Did the plant go down enough that it was
5 required to be done?

6 A. By the legal requirements in our operating
7 license, we would not have been technically required.
8 But I can tell you, and I think our track record
9 strongly supports this, that we have a policy of
10 operating with regard to our regulator, in this case the
11 Nuclear Regulatory Commission, that we will not take
12 advantage of the letter of the law. We will meet the
13 spirit of the law. And had we come to that event in
14 June of 2008 and we still had that problem with the rod
15 position indication system, we would have shut the unit
16 down and fixed that problem. And I think that I can
17 support that with several examples of where we have shut
18 these units down before we reach a regulatory
19 requirement.

20 As a matter of fact, the June of 2008
21 shutdown, we weren't required to shut the unit down
22 either. We were running with high vibrations on the
23 turbine. We still had operating margin, but we elected
24 to shut it down before we got there. So we would never
25 have taken advantage of the regulation in the manner

1 that is suggested by that question.

2 Q. Other than the June outage, the next outage
3 for Turkey Point Unit 3 was the regularly scheduled
4 refueling outage, is that right?

5 A. That's correct.

6 Q. And had the repair been done during the
7 regularly scheduled refueling outage, it would not have
8 extended that refueling outage, would it?

9 A. No, it would not have.

10 Q. Okay. So it was the fact that this was an
11 unplanned outage that it added incremental time to this
12 outage?

13 A. In the February outage. I think the other
14 thing, too, that's important to understand is that as
15 these units operate through their operating cycle,
16 equipment problems are going to occur. And what we do
17 is we keep a list of work orders that we want to work
18 when a unit comes down because we want to -- if we have
19 the opportunity, we want to fix it to give us every
20 opportunity to operate successfully to the next
21 refueling outage.

22 So because just we did not have any other
23 forced outages other than that June of 2008 outage, we
24 can't say conclusively that would have been the case in
25 this case because we did other work orders that we would

1 have still been running with, and with problems that
2 occur during the cycle, we could have very well found
3 ourselves in another forced outage. So it would be too
4 speculative to suggest that we could have operated to
5 the next refueling cycle.

6 **MR. BECK:** Mr. Stall, thank you. That's all I
7 have.

8 **COMMISSIONER SKOP:** Thank you.

9 Ms. Bradley, you're recognized for
10 cross-examination.

11 **MS. BRADLEY:** Thank you.

12 **CROSS EXAMINATION**

13 **BY MS. BRADLEY:**

14 **Q.** Mr. Stall, you were talking with Mr. Beck at
15 Bates stamp 413 and the root cause analysis?

16 **A.** On the steam generator level trip?

17 **Q.** Yes, I believe that's correct.

18 **A.** Yes.

19 **Q.** Who prepared that document?

20 **A.** There's a list of team members on the first
21 page there. I believe that Mr. Beck referred to them.

22 **Q.** Are those employees of Florida Power and
23 Light?

24 **A.** That's correct.

25 **Q.** Do you know who assigned them to prepare this

1 report?

2 A. I don't know specifically by name, but it
3 would have been somebody in the plant management staff.

4 Q. And was that person authorized by the company
5 to make this kind of team assignment?

6 A. Yes.

7 Q. The persons that did this, were they qualified
8 to perform that type of analysis and work?

9 A. Yes.

10 MS. BRADLEY: No further questions.

11 COMMISSIONER SKOP: Thank you, Ms. Bradley.
12 Ms. Kaufman.

13 MS. KAUFMAN: Thank you.

14 CROSS EXAMINATION

15 BY MS. KAUFMAN:

16 Q. Good morning, Mr. Stall. How are you doing?

17 A. Good, thank you.

18 Q. I just want to follow up on some questions
19 Mr. Beck asked you and Ms. Bradley. Mr. Beck took you
20 through the root cause analysis that you still have in
21 front of you, and he asked you some questions about the
22 water level in Unit 4 that exceeded 75 percent. Do you
23 recall that?

24 A. That's correct.

25 Q. And he took you through some of the root

1 causes and the contributory causes to that event. Do
2 you recall that?

3 **A.** Yes.

4 **Q.** And the report that Ms. Bradley and Mr. Beck
5 asked you about identified, I think, what are called
6 some knowledge gaps and some other causes of the event.
7 Do you agree with that?

8 **A.** I do.

9 **Q.** Mr. Stall, would you also agree that
10 ratepayers don't have any ability to influence or change
11 some of these knowledge gaps or issues that FPL
12 employees may have?

13 **A.** I would agree with that.

14 **Q.** And that that sort of training and information
15 would be within the purview of FPL management practices?

16 **A.** Yes.

17 **Q.** Now, you would agree -- and I think we heard
18 this in the open statements, but you would agree,
19 wouldn't you, that the Turkey Point nuclear units came
20 off-line on February 28th, 2008, as a result of some
21 actions by FPL employees at the Flagami Substation?

22 **A.** I believe the date was February 26th.

23 **Q.** I'm sorry. You're right, February 26, 2008.

24 **A.** Correct.

25 **Q.** Okay. And you would agree that the reason the

1 units tripped were due to some actions of employees at
2 that substation?

3 **A.** Correct.

4 **Q.** Okay. And if those actions or activities had
5 not occurred at the substation as far as you know that
6 Units 3 and 4 would have continued to run, is that
7 correct?

8 **A.** On that particular day. However, you know,
9 who knows what might have happened. I mean, we can only
10 say that it certainly wouldn't have tripped from that
11 particular event.

12 **Q.** Right. You testify on Page 8 of your Direct
13 Testimony starting at Line 9 --

14 **A.** On which line, I'm sorry?

15 **Q.** The question begins at Line 9, but to
16 paraphrase, the question is did the NRC have any issues
17 arising out of the shutdown of the units, and you say
18 they did not, correct?

19 **A.** Yes. The NRC had no issues. And as a matter
20 of fact, in their inspection reports they found that the
21 units were handled and restarted successfully without
22 error, I believe, is the word they had.

23 **Q.** Does the NRC have any responsibility for
24 determining what replacement fuel costs might be for
25 Florida ratepayers?

1 **A.** No.

2 **MS. KAUFMAN:** Thank you. That's all I have.

3 **COMMISSIONER SKOP:** Thank you, Ms. Kaufman.

4 Staff.

5 **MR. YOUNG:** Thank you, sir.

6 CROSS EXAMINATION

7 **BY MR. YOUNG:**

8 **Q.** Good morning, Mr. Stall. How are you?

9 **A.** Good morning, Mr. Young.

10 **Q.** All right. You mentioned earlier that FPL
11 complies with work orders. Do you remember that
12 statement?

13 **A.** Excuse me?

14 **Q.** You mentioned that FPL complies with work
15 orders for nuclear units, and when the opportunity
16 arises, FPL tries to perform these work orders. Do you
17 remember that you stated that earlier?

18 **A.** Yes.

19 **Q.** Is this unique to nuclear units, or do you
20 also do this type of preparation for fossil fuel units?

21 **A.** I don't have direct responsibility for our
22 fossil fleet, but I'm comfortable with saying that they
23 would do everything they can to be prepared for any
24 forced outage event, as well. They run a very efficient
25 fleet.

1 Q. Okay. During cross-examination of Mr. Beck
2 you talked about the RPI system, correct?

3 A. Yes.

4 Q. All right. Why didn't FPL perform the RPI
5 system repair when they initially discovered it in
6 October of 2007?

7 A. Because we had come out of the refueling
8 outage, and as I indicated earlier, we had that one rod
9 position indication that had failed, so we were well
10 within our operating license guideline to continue to
11 operate the plant. And we were able to develop an
12 alternate methodology for determining that particular
13 rod position that was safely executed and approved by
14 the Nuclear Regulatory Commission.

15 Q. All right. And that alternative allowed you
16 to operate until the next outage, correct, or the next
17 planned outage possibly, next planned outage, correct?

18 A. Either the next forced outage or the next
19 planned outage, whichever occurred first.

20 Q. Do you recall how long it was after the
21 Flagami transmission event that FPL began working on
22 those repairs?

23 A. I would have to go back to the work order for
24 the exact time, but there would not have been the
25 ability to get into that reactor compartment immediately

1 after the shutdown to begin those repairs. I'm
2 confident from looking at the background material that
3 they got on top of that job as quickly as possible. You
4 have to realize that it's very hot in there, a difficult
5 environment. Radiation surveys have to be performed,
6 radiation work permits have to be written, so there is a
7 time delay between the moment that that reactor trip
8 breaker opens and the plant comes down and when that
9 crew is dispatched to actually go do the physical work.
10 There are a lot of administrative and safety precautions
11 that must be taken.

12 Q. So would you agree, subject to check, it was
13 approximately seven to eight hours after the Flagami
14 transmission event that FPL began work on those repairs?

15 A. I would have to look at the documents, but I
16 think that would be reasonable.

17 Q. Okay. Now, prior to or since that initial
18 discovery of the RPI system in October 2007, has FPL
19 experienced issues with the RPI system at Turkey
20 Point's -- either Turkey Points 3 or 4?

21 A. Yes. We had had some issues with the rod
22 position indication system on both Unit 3 and Unit 4
23 prior to that point in time.

24 Q. Okay. Now, you discussed the issues which
25 delayed the return of Unit 4. Do you remember that

1 discussion?

2 **A.** With regard to the steam generator level
3 transient, yes.

4 **Q.** Now, in your response to Staff's Interrogatory
5 Number 13, and that's Bates stamp Number 256, and if you
6 look on -- Commissioners, if you look on the computer
7 it's the Hearing Exhibit Number 27 on the CD, and it's
8 in the first file.

9 **A.** I'm trying to find it here. Could you direct
10 me to it one more time?

11 **Q.** It's Staff's Response to Interrogatory Number
12 13. It's Bates stamp Number 256.

13 **A.** I have it, I believe.

14 **Q.** And just to speed things up, you indicated in
15 this response that FPL commenced startup of Turkey Point
16 Unit 4 on February 28th, 2008, at 4:58 a.m., is that
17 correct?

18 **A.** Yes.

19 **Q.** Absent the issues with the delay and the
20 shutdown due to high steam generator, at what time did
21 you believe Unit 4 would have returned on-line given the
22 consideration in your response to Interrogatory Number
23 13?

24 **A.** Shortly after 0458. I think that's when we
25 had the -- let's see. I'd have to go back and look at

1 the timeline, but I see that we commenced startup at
2 Unit 4 on February 28th at 0458, and then he had the
3 high steam generator water level event on February 29th
4 at 0450. So we had a period of time there between the
5 commencement of that startup and when we had that level
6 transient.

7 Q. Okay. Now, earlier I think it was with Mr.
8 Beck or Ms. Kaufman, you talked about the RPI in terms
9 of the NRC's statement in terms of you repairing the RPI
10 system during the next planned shutdown, correct?

11 A. Yes.

12 Q. Or the next shutdown. Did FPL consider taking
13 down the plants to repair the RPI system?

14 A. Well, as I indicated in my testimony -- not
15 testimony, but deposition, excuse me, earlier, I
16 considered, in the back of my mind, looking for an
17 opportunity before the hot summer months to proactively
18 take the unit down and fix this problem. But as you and
19 I had spoken in the deposition, there is no
20 documentation to that effect.

21 **COMMISSIONER SKOP:** Mr. Young, can we take a
22 quick five-minute break here to allow the court
23 reporters to switch out. It looks like they are trying
24 to do that, so let's stand adjourned here as a stopping
25 point for five minutes.

1 **MR. YOUNG:** Yes, sir.

2 (Recess taken.)

3 **COMMISSIONER SKOP:** Okay. We're going to go
4 back on the record. And, staff, you're recognized for
5 cross-examination.

6 **MR. YOUNG:** Staff has no further questions.

7 **COMMISSIONER SKOP:** Thank you.

8 Commissioners?

9 **COMMISSIONER EDGAR:** I do.

10 **COMMISSIONER SKOP:** Commissioner Edgar.

11 **COMMISSIONER EDGAR:** Thank you.

12 Mr. Beck, this document that you were using
13 for some of your cross labeled Turkey Point Nuclear
14 Plant Steam Generator Level Manual Trip, has this -- is
15 this marked as an exhibit?

16 **MR. BECK:** No, Commissioner, because it's part
17 of the staff exhibit that's already been admitted into
18 evidence.

19 **COMMISSIONER EDGAR:** Wonderful. Thank you.

20 I have one question for the witness using,
21 referencing this document that Mr. Beck was asking you
22 about. On the page that says Page 17 of 72, and at the
23 top it is the beginning of the section on Causal Factor
24 3.

25 **THE WITNESS:** Okay. I find it.

1 **COMMISSIONER EDGAR:** Okay. Towards the bottom
2 it talks about an operator not having a peer checker as
3 is recommended in some recommendation type document.
4 I'm not sure what that is referring to, NAP 402. Could
5 you describe to me this process and requirements of a
6 peer checker, and if in your opinion where it says that
7 there was not a peer checker, what the importance of
8 that is or is not?

9 **THE WITNESS:** Okay. Peer checking is a
10 technique that has been developed in the industry. It
11 is primarily an error minimization tool, and it is not a
12 regulatory required process by the Nuclear Regulatory
13 Commission but one that we adopt in order to again
14 minimize potential for errors. And the way it is used
15 is that there are certain evolutions that are performed
16 both in the control room and out in the plant proper
17 that have the potential for a problem to result if they
18 are not performed correctly, and so we, we assign
19 individuals to perform what we would call peer checks.

20 For example, if I was going to be starting a,
21 a critical pump, I would want to obviously make sure
22 that I'm on the right pump. There's plenty -- there's
23 hundreds of pumps in the control room. Before I start
24 that pump, I want to make sure I'm on the right pump,
25 for example. So I would go to that particular switch

1 and I would say I'm preparing to start 1FWP1 Alpha, main
2 feedwater pump. And if you were the peer checker, you
3 would basically stand right next to me and say I
4 understand you are preparing to start 1FWP1 Alpha, that
5 is the correct switch, and then I would start it. And
6 we would both look at the response of the system and
7 concur that we had the expected response.

8 During this period of time again that we're
9 talking about with this startup of the unit there are a
10 lot of critical activities going on, so there is a lot
11 of peer checking activity going on as well. And I think
12 what this gets to is that in this particular case peer
13 checking was going on of something that was deemed to be
14 perhaps of higher significance than this particular item
15 that's talked about, and so it was not peer checked.

16 **COMMISSIONER EDGAR:** So in your, your opinion,
17 in your expertise and your knowledge of this document,
18 realizing as you've just said that there would have been
19 a lot going on at the same time, is the point made on
20 this page that a peer checker was not utilized at this
21 point, is that significant or not significant?

22 **THE WITNESS:** I don't, I don't believe it is
23 significant in this particular point because, again, the
24 operator at the controls was a veteran operator who had
25 conducted multiple startups successfully in the past,

1 and there were other more critical things going on at
2 that point in time that caused the unit supervisor to
3 perhaps be peer checking something else. And as we
4 talked about earlier, that operator at the controls
5 believed that he had those steam generator level
6 oscillations under, under control at that point in time.

7 **COMMISSIONER EDGAR:** All right. Thank you.

8 Thank you.

9 **THE WITNESS:** You're welcome.

10 **COMMISSIONER SKOP:** Thank you, Commissioner.

11 Commissioner Klement, I believe you had a
12 question, then Commissioner Stevens.

13 **COMMISSIONER KLEMENT:** Thank you, Mr.

14 Chairman.

15 Mr. Stall, I would like to refer to the, your
16 test, your statement on Page 4, the question on Line 22,
17 "Could FPL have restarted Unit 3 without repairing the
18 affected RPI system?" And your answer from Line 1 to 7
19 is "No." And you say that the NRC required you to do
20 the rod replacements at the next shutdown downtime. Yet
21 I think, I thought I heard you say just before, a few
22 minutes before the recess, the last recess, that you
23 were not actually required to shut it down, but in the
24 spirit of the law as well as the letter, you chose to do
25 so. Is -- am I hearing right or --

1 **THE WITNESS:** No. What I was -- let me --
2 perhaps I wasn't speaking clearly, so let me attempt to
3 elucidate that a little bit clearer for your benefit.

4 What I was indicating was that we had a legal
5 requirement in place that if the unit was to shut down
6 for any reason at all, whether it was a forced outage or
7 a planned outage, following the issuance of that license
8 amendment, that we were required by law to repair that
9 particular rod position indication.

10 And I believe the line of questioning at that
11 point in time was around had we not had the Flagami
12 transmission event, would we have had to complete that
13 repair when we had a subsequent outage in June of 2008?
14 And the point that I think was being made was that that
15 particular outage in June of 2008 was what we call a
16 Mode 2 outage, which meant that we kept the reactor
17 critical. And so by the legal definition or requirement
18 in our operating license, we would not have been
19 technically required to execute that repair. And then
20 we operated from June to the next refueling outage. And
21 if we had gotten to the refueling outage, it would have
22 happened in the normal context of business.

23 But my point that I was trying to make and
24 perhaps I wasn't very clear was that our policy is, is
25 to not -- it basically boils down to doing the right

1 thing. And in this particular case it's not to take
2 advantage of the letter of the law with regard to how we
3 run our nuclear plants. We -- and in June, for example,
4 when we shut that unit down with high vibrations on the
5 exciter bearing, we were still, had some operating
6 margin to the limit. But we, we could see that it was
7 not an optimal condition, and so we shut the plant down
8 to do that repair before it drove us off of line.

9 And so my point was, was that had we come to
10 that June situation where we were going to shut down to
11 do this turbine vibration shot and if that rod position
12 indication was still a problem because Flagami had not
13 occurred, we would have certainly shut the unit down and
14 fixed it at that time because that is the right thing to
15 do and, you know, to preserve all indications for the
16 operator. That's what our processes and our training
17 drives us to do.

18 **COMMISSIONER KLEMENT:** Thank you. When was,
19 when was the next fuel, refueling downtime scheduled?

20 **THE WITNESS:** That would have been in, I
21 believe, March of 2009.

22 **COMMISSIONER KLEMENT:** Okay. Thank you.

23 **THE WITNESS:** You're welcome.

24 **COMMISSIONER SKOP:** Commissioner Stevens.

25 **COMMISSIONER STEVENS:** Thank you, Mr. Chair.

1 Mr. Stall, how many hours were the plants
2 down, Unit 3 and Unit 4?

3 **THE WITNESS:** Unit 4, I believe, was down for
4 158 hours and Unit 3 for 107 hours, I believe.

5 **COMMISSIONER STEVENS:** I think you have it
6 backwards, but that's, that's fine, according to the --

7 **THE WITNESS:** Yes. I had it backwards.
8 Excuse me. You're correct.

9 **COMMISSIONER STEVENS:** Okay. How many hours
10 were customers without power?

11 **THE WITNESS:** I cannot say. That would not
12 have been in my scope of responsibility, Commissioner.
13 I was solely focused on, on the operating, you know, the
14 reactors. And the amount of time the customers were
15 without power was not something that I was particularly
16 focused on at that point in time.

17 **COMMISSIONER STEVENS:** Thank you.

18 **THE WITNESS:** You're welcome.

19 **COMMISSIONER SKOP:** Thank you. Any further
20 questions?

21 I have one. Good morning, Mr. Stall.

22 **THE WITNESS:** Good morning, Commissioner Skop.

23 **COMMISSIONER SKOP:** I just wanted to focus on
24 the discussion regarding the Unit 4. And on Page 412 of
25 the exhibit -- or Bates Number 412 that Mr. Beck had

1 asked you about, there was a manual reactor trip as a
2 result of the steam generator level. And as part of the
3 problem statement in the second paragraph it states,
4 "This manual reactor trip challenged plant systems and
5 caused financial consequences by adding an unplanned
6 unit cycle and delaying startup on both Turkey Point
7 nuclear units by approximately 30 hours." Can you
8 briefly explain, if that statement is accurate, why it
9 would cause a delay in the startup of both units?

10 **THE WITNESS:** Well, I think, as we, as we
11 talked about earlier, I think, first of all, these
12 problem statements are developed immediately after the
13 event and they're typically written in a very broad sort
14 of way to encompass any particular outcome that may, you
15 know, end up in the ultimate root cause of it.

16 But essentially what is going on is that again
17 you have, you have two units that are out of service
18 simultaneously and you have a fixed number of resources
19 available. And as you'll focus on one unit being what
20 we would call the lead unit and the other unit being the
21 lag unit in terms of returning of the service, in this
22 particular case Unit 4 would have been the lead unit for
23 restart because we knew we had this rod position
24 indication system repair to do on Unit 3.

25 So when we had the steam generator water level

1 transient that resulted in a manual reactor trip, then
2 we're, we're going to divert resources, we're going to
3 take a look and step back and say, okay, now which unit
4 is more, was more further along in terms of being able
5 to recover? And we'll adjust our resources for that to
6 make sure that we're getting the first unit back as
7 quickly as possible. Because it's quite possible that
8 now Unit 3 might have become the lead unit.

9 And that's why I said that I believed that
10 this problem statement when it was initially formulated
11 at the, at the beginning of when this analysis was
12 kicked off was overly broad and simplistic because it's
13 not a simple matter of saying there was a, there was a
14 delay of 30 hours on one unit and that translated to a
15 delay of 30 hours on the other unit. That's not the way
16 that we would operate our business.

17 **COMMISSIONER SKOP:** Okay. And I'm taking this
18 as 30 hours combined between, or 30-hour additional
19 delay.

20 But with respect to your testimony, am I
21 correct to understand, and this is why I'm focusing on
22 Unit 4, am I correct to understand that Unit 3 could not
23 be immediately placed back in service and that's why it
24 had to be the lag unit because of the replacement of the
25 control rod indicator?

1 **THE WITNESS:** That's correct.

2 **COMMISSIONER SKOP:** Okay. And that's pursuant
3 to a commitment that FPL made to the Nuclear Regulatory
4 Commission; is that correct?

5 **THE WITNESS:** Yes, sir.

6 **COMMISSIONER SKOP:** Okay. All right.
7 Focusing on Unit 4 on Page, Bates Number 413, one of the
8 contributing causes was obviously the abnormal fast
9 generator loading, and it indicated that the unit
10 immediately, that load was immediately increased after
11 synchronization. So would it be correct to understand
12 that the turbine generator was on the governor valve at
13 that point in time that load was being added?

14 **THE WITNESS:** Yes. The way that the generator
15 is typically, in the loading of the turbine is
16 sequenced, you're typically on what we call throttle
17 valve control until about 1,700 RPM, and then you make a
18 swap between throttle valve to governor valve control.
19 So you are correct, we would have been on governor valve
20 control.

21 **COMMISSIONER SKOP:** Okay. So as the loading
22 of the generator continued, obviously that would have,
23 the governor valve would have responded by opening, you
24 know, additional valves or the distance, additional
25 steam flow so you could meet load. And as a result of

1 the lack of coordination between the feedwater and the
2 steam generator levels, that caused the manual reactor
3 trip.

4 **THE WITNESS:** That's one of the influences on
5 it, as well as reactor coolant system temperature,
6 pressure in the secondary site of the steam generator,
7 whether or not the feedwater heaters are fully in
8 service or partially in service.

9 As I, as I mentioned earlier, and I think you
10 probably are aware from your experience as well, is that
11 there are a large number of variables that influence
12 this, and that, that is why I was trying to make the
13 point earlier that trying to be overly prescriptive in
14 an operating procedure, a one-size-fits-all approach to
15 the startups is, is not necessarily the proper way to go
16 about this.

17 It's really all about understanding the
18 tradeoffs between being in manual control for longer as
19 you move slower through that region versus moving in a
20 safe but expedited manner to get into automatic control,
21 and no two startups will be the same.

22 **COMMISSIONER SKOP:** Okay. With respect to
23 startups, how many times would you say that Unit 4 has
24 been started up since it's been placed in service just
25 generally? A hundred, hundreds?

1 **THE WITNESS:** That's as good of an estimate as
2 any. Many times.

3 **COMMISSIONER SKOP:** Okay. How many times has
4 this specific type of transient event occurred at
5 startup?

6 **THE WITNESS:** One other time at Turkey Point
7 this has occurred, and we've had a couple of events at
8 St. Lucie. But in the industry there have been
9 literally hundreds of these events. And I think to my
10 point earlier, it's a testament to the overall training
11 and skills of our operators that we've been successful
12 as many times as we have. And that's why it was
13 disturbing to me that we would now begin to, to say
14 that, well, the, you know, once in a blue moon an event
15 like this happens and therefore there's some inadequate
16 training or some culpability by our operators and
17 therefore we ought to be penalized. Because to me
18 that's, that's asking for a standard of perfection,
19 which we're never going to rise to that standard.

20 **COMMISSIONER SKOP:** Okay. And with respect to
21 your response, you indicated that there was one previous
22 instance where this specific type of transient event
23 occurred, and obviously there would have been corrective
24 action at that time put in place; is that correct?

25 **THE WITNESS:** That's correct. As you're

1 probably well aware from your experience as well, that
2 our training and our -- the whole systematic approach to
3 training that we use in the industry is an extremely
4 self-critical approach where we -- if we have an
5 equipment problem, we go after every contributing and
6 potential cause for that. We do the same on a, on a
7 human problem like we had with the steam generator level
8 control. We look for gaps in training and knowledge and
9 we feed those back into our training programs to improve
10 the performance. And I think that's one of the primary
11 reasons why the customers have benefited from these
12 plants performing significantly above industry average,
13 because of this self-critical approach that we take at
14 FPL.

15 **COMMISSIONER SKOP:** Okay. And with respect to
16 this event in question, corrective action was put in
17 place to prevent reoccurrence; is that correct?

18 **THE WITNESS:** Yes, sir.

19 **COMMISSIONER SKOP:** Okay. Now was that
20 corrective action separate and distinct from the prior
21 corrective action?

22 **THE WITNESS:** Yes, it was.

23 **COMMISSIONER SKOP:** Okay. All right. Great.
24 And just one final question: With respect to the delay
25 in restarting the unit or bringing Unit 4 back online,

1 could that have been avoidable through improved operator
2 communication?

3 **THE WITNESS:** I don't, sitting here today I
4 cannot say with certainty that it could have been
5 avoidable. It's possible that it could have been. But
6 I believe again that at that point in time, having been
7 in those operator's shoes, knowing the way that they're
8 trained and their approach to operations, that
9 individual that feedwater controls on that particular
10 day believed with all of his heart that that plant was
11 stable enough for him to increase the load on the, on
12 the generator.

13 And having been the experienced operator who
14 has done this successfully, I think that if, if that was
15 the position he took, even had he communicated with, on
16 this specific point with some of his peers, that they
17 could have very well come to the same conclusion that he
18 did, that, yes, I think that, you know, we're stable
19 enough to continue to increase power.

20 **COMMISSIONER SKOP:** Okay. Thank you.

21 **THE WITNESS:** You're welcome.

22 **COMMISSIONER SKOP:** Yes. Commissioner
23 Klement, you're recognized.

24 **COMMISSIONER KLEMENT:** One other question for
25 Mr. Stall, which is just following up on what, the one I

1 asked earlier.

2 I'm not sure what your communication process
3 is with the NRC, but just, would it have been possible
4 when, in the early hours of this when you were making
5 these decisions about the rod replacement in connection
6 with the downtime to ask, to get on the phone or some
7 other way of communicating and ask them if you could be
8 excused from this requirement and delay it until your
9 scheduled outage to avoid having to replace this, this
10 power at the higher cost and thus saving, saving the,
11 the additional cost?

12 **THE WITNESS:** No. That wouldn't have been
13 possible. And the way that the, the Nuclear Regulatory
14 Commission operates is they turn essentially a blind eye
15 to the economic impact. Their focus is solely on, on
16 safety, and we had previously made that commitment to
17 them. And we would not have been able to go back and
18 ask in this particular case to extend that. It just
19 wouldn't have been feasible.

20 **COMMISSIONER KLEMENT:** Okay. Thank you.
21 That's all.

22 **THE WITNESS:** You're welcome.

23 **COMMISSIONER SKOP:** Thank you. Any other
24 questions for Witness Stall? Hearing none, if we can
25 take up exhibits.

1 **MR. ROSS:** Mr. Chairman, I do have some brief
2 redirect.

3 **COMMISSIONER SKOP:** Excuse me. I stand
4 corrected. We will turn to FPL for redirect.

5 **MR. ROSS:** Thank you. Thank you, Mr.
6 Chairman.

7 **REDIRECT EXAMINATION**

8 **BY MR. ROSS:**

9 **Q.** Mr. Stall, you were asked a question by
10 Mr. Young about why the company didn't affect the repair
11 to the rod position indicator when it, when the problem
12 was discovered in October of 2007. Do you remember that
13 question?

14 **A.** I do.

15 **Q.** If, if FPL had decided to shut the plant down
16 and to make the repair at that time, how long would that
17 repair have taken compared with how long it took after
18 the Flagami event?

19 **A.** Well, I think that's the unfortunate part of
20 the discussion that we're having today. We know that it
21 took approximately 127 hours to execute this repair
22 during the Flagami transmission event. And by taking
23 the course of action that we did when that problem
24 revealed itself, and by that I mean going to the Nuclear
25 Regulatory Commission and proposing an alternate

1 methodology for ascertaining the position of that
2 particular rod, that gave us time to procure spare
3 parts, to plan the work order packages, to be ready to
4 go, as Mr. Young indicated, within eight hours of the
5 shutdown of that unit. So we were able to minimize the
6 amount of time and impact on the customers.

7 Had we elected to shut the unit down upon
8 receipt of that problem in October, it would have taken
9 a much longer period of time to execute that repair. We
10 would not have had the parts available, we would not
11 have had the work order package fully planned, we
12 wouldn't have had necessarily the right people who are
13 qualified in that area available, and unfortunately I
14 don't think we would be talking about this here today.

15 **Q.** You were asked a number of questions about the
16 root cause analysis on the manual reactor shutdown of
17 Unit 4 on high steam generator water level. Can you
18 describe what the purpose of root cause analysis are as
19 used by FPL and the nuclear industry?

20 **A.** A root cause analysis is, is a technique that
21 is used for a specific subset of conditions or problems
22 that occur in a plant. I think it's important to
23 realize that anything that happens at one of these
24 nuclear plants that is, quote, out of the norm, we write
25 a, what we call a condition report. We document that

1 problem, we put it into our system, and we, we treat
2 that condition report in one of several different ways.

3 On the one hand, it can be a simple what we
4 call broke fix, a piece of equipment that is not
5 consequential to safety or generation failed, simply
6 repair it, fix it, put it back in service. If it's a
7 little more significant, we can perform what is called
8 an apparent cause where we devote some resources to
9 getting to the, to the root of the problem. But the
10 magnitude of resources that would need to be devoted to
11 do a full root cause are not warranted because the
12 significance of the problem didn't rise to a high enough
13 level. The third level is what's called a root cause
14 where we invest a large number of resources, as we
15 talked about in this particular case, to get to the root
16 of the problem and its contributing causes.

17 We write on the, we write literally tens of
18 thousands of these condition reports at any particular
19 site like Turkey Point in a year. So there's a constant
20 volume going through the system, and we'll be doing on
21 average hundreds of root causes in a year. So these
22 things are not out of the ordinary. And it is not out
23 of the ordinary for something to be in a root cause,
24 particularly in a problem statement which is broad and
25 sweeping, that is not necessarily borne out later on

1 when the root cause is, is finished. And there may be
2 conclusions that are reached in a particular root cause
3 that upon reexamination some people might have a
4 different opinion about.

5 Q. You were asked some questions about the
6 generator loading rate in connection with the, the Unit
7 4 manual reactor shutdown and the speed of the loading
8 rate. Is there any risks with going too slow as opposed
9 to going too fast?

10 A. Yes. As I attempted to explain earlier, it is
11 a tradeoff between moving expeditiously through this low
12 power region to get off of what we call manual feedwater
13 control where the vulnerability to a reactor trip is
14 much higher than once you're on main feedwater control
15 with the valves controlling automatically without
16 operator action. So the operators are trained to move
17 through that low power region as quickly and safely as
18 possible while maintaining stable control to get into
19 that automatic control.

20 The slower you go, the more time you spend on
21 manual feedwater control, the higher the probability
22 that you're going to have a reactor trip because you're
23 on manual control. So it's a tradeoff. And that's why
24 I said earlier that reducing these requirements to a
25 prescriptive step in a procedure is virtually impossible

1 to do and it can have perverse consequences of causing a
2 problem. So that's why we try to give them as much
3 broad leeway in establishing that generator loading rate
4 as reasonably is possible.

5 Q. With respect to the performance of the plant
6 in response to the Flagami event and the reactor trip
7 that we were talking about as well as the RPI repairs,
8 at any time was there ever any threat to plant personnel
9 or to the health and safety of the public?

10 A. Absolutely not. Safety is, is the most
11 important thing that we deal with, the health and safety
12 of the public. And in no, no case was the health and
13 safety of the public jeopardized by this particular
14 event. And that was confirmed by the Nuclear Regulatory
15 Commission's inspection of that dual unit outage and how
16 it was conducted at Turkey Point.

17 MR. ROSS: No further questions, Mr. Chairman.

18 COMMISSIONER SKOP: Thank you. We'll take up
19 the exhibits at this point.

20 MR. ROSS: Mr. Stall is not sponsoring any
21 exhibits, Mr. Chairman.

22 COMMISSIONER SKOP: All right. Great.

23 Commissioners, it's after 12:00. I just
24 wanted to see what the will of the Commission would be
25 in terms of lunch. I was thinking, you know --

1 **COMMISSIONER STEVENS:** 1:15.

2 **COMMISSIONER SKOP:** -- 1:15, 1:30. Okay. All
3 right. Why don't we do this, why don't we reconvene at
4 1:30, and we stand adjourned for lunch.

5 (Lunch recess taken.)

6 **COMMISSIONER SKOP:** Okay. We're going to go
7 back on the record. Where we had left off is Witness
8 Stall had finished his direct testimony and will return
9 for rebuttal later in the proceeding. So, Mr. Butler,
10 if you'd call your next witness.

11 **MR. BUTLER:** Thank you, Commissioner Skop. I
12 would call Mr. Gerald (sic.) Yupp, and Mr. Yupp has been
13 previously sworn.

14 **COMMISSIONER SKOP:** Thank you.

15 **GERARD J. YUPP**

16 was called as a witness on behalf of Florida Power &
17 Light Company and, having been duly sworn, testified as
18 follows:

19 **DIRECT EXAMINATION**

20 **BY MR. BUTLER:**

21 **Q.** Would you please state your name and business
22 address for the record, Mr. Yupp?

23 **A.** Gerard J. Yupp, 700 Universe Boulevard, North
24 Palm Beach, Florida.

25 **Q.** By whom are you employed and in what capacity?

1 **A.** I'm employed by Florida Power & Light as
2 Senior Director of Wholesale Operations in the Energy
3 Marketing and Trading Division.

4 **Q.** Did you prepare and cause to be filed seven
5 pages of prefiled direct testimony in this proceeding on
6 January 13, 2010?

7 **A.** I did.

8 **Q.** Do you have any changes or corrections to make
9 to your prefiled direct testimony?

10 **A.** I do not.

11 **Q.** Okay. If I asked you -- excuse me -- asked
12 you the questions contained in your prefiled direct
13 testimony, would your answers be the same?

14 **A.** They would.

15 **MR. BUTLER:** Commissioner Skop, FPL asks that
16 the prefiled direct testimony of Gerard J. Yupp be
17 inserted into the record as though read.

18 **COMMISSIONER SKOP:** Very well. The prefiled
19 testimony of the witness will be entered into the record
20 as though read.

21 **MR. BUTLER:** Thank you.

22 **BY MR. BUTLER:**

23 **Q.** Mr. Yupp, are you also sponsoring Exhibits
24 GJY-1 through GJY-9, which are attached to your prefiled
25 testimony?

1 **A.** Yes, I am.

2 **Q.** And were those prepared by you or under your
3 direction, supervision and control?

4 **A.** Yes, they were.

5 **MR. BUTLER:** Okay. Commissioner Skop, I would
6 note that those exhibits, GJY-1 through 9, have been
7 prefiled or premarked as Exhibits 2 through 10 in the
8 Comprehensive Exhibit List.

9 **COMMISSIONER SKOP:** Thank you.

10 (Exhibits 2 through 10 marked for
11 identification.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**2 **FLORIDA POWER & LIGHT COMPANY**3 **TESTIMONY OF GERARD J. YUPP**4 **DOCKET NO. 090505-EI**5 **JANUARY 13, 2010**

6

7 **Q. Please state your name and address.**8 A. My name is Gerard J. Yupp. My business address is 700 Universe
9 Boulevard, Juno Beach, Florida, 33408.10 **Q. By whom are you employed and what is your position?**11 A. I am employed by Florida Power & Light Company (FPL) as Senior Director
12 of Wholesale Operations in the Energy Marketing and Trading Division.13 **Q. What is the purpose of your testimony?**14 A. The purpose of my testimony is to provide a detailed explanation of FPL's
15 Replacement Power Cost (RPC) calculation for the Flagami Transmission
16 Event ("the event") that occurred on February 26, 2008.17 **Q. Have you prepared or caused to be prepared under your supervision,
18 direction and control any exhibits in this proceeding?**

19 A. Yes, I am sponsoring the following exhibits included in Appendix I:

- 20 ● GJY-1 – Description of Units
-
- 21 ● GJY-2 - February 2008 Schedule A4 Heat Rate Data
-
- 22 ● GJY-3 - February 2008 Schedule A4 Fuel Cost Data
-
- 23 ● GJY-4 - February 2008 Schedule A4 Fuel Consumption Data
-
- 24 ● GJY-5 – Blended Fuel Cost Calculation

- 1 • GJY-6 – Peaking Units Production Cost Calculation
- 2 • GJY-7 – System Average Cost Adjustment Calculation
- 3 • GJY-8 – Total Fuel Cost Utilizing Adjusted System Average Cost
- 4 • GJY-9 – Purchased Power Cost

5 **Q. Please describe the components of FPL's RPC calculation.**

6 A. FPL's RPC calculation reflects (1) costs associated with replacement fuel
7 that was required to off-set the loss of generation that occurred as a result
8 of the event; and (2) costs associated with off-system power purchases that
9 FPL executed immediately following the event.

10 **Q. What is the time frame that provides the basis for FPL's calculation of**
11 **the cost of replacement fuel that was required to off-set the loss of**
12 **generation that occurred as a result of the event?**

13 A. FPL based its replacement fuel cost calculations on the 8-hour period
14 immediately following the event.

15 **Q. Why does FPL believe that the appropriate measure of replacement**
16 **fuel costs attributable to the event is captured in the 8-hour period**
17 **immediately following the event?**

18 A. The 8-hour period immediately following the event covers the entire time
19 *frame during which the event had a significant impact on FPL's ability to*
20 operate its generating system and, as a result, FPL had to run its expensive
21 peaking units in order to meet system load requirements. As discussed by
22 FPL witness Stall, FPL's Turkey Point nuclear units (Units 3 and 4)
23 remained off-line beyond that period due to startup requirements and
24 operational issues that are unique to nuclear plants. For the reasons

1 discussed by FPL witness Avera, however, it would be unfair to FPL and
2 serve as a major disincentive to the construction and operation of low fuel-
3 cost generating technologies such as nuclear, solar and wind if FPL were to
4 be penalized for replacement power costs associated uniquely with Turkey
5 Point Units 3 and 4 that are not a result of any imprudence in the operation
6 of those units. Therefore, FPL has calculated replacement fuel costs for
7 this 8-hour period, based on what its system average fuel costs would have
8 been in that period if all generating resources were available and able to
9 operate.

10 **Q. What peaking units did FPL run in response to the Flagami**
11 **Transmission Event?**

12 A. FPL ran peaking units at its Fort Lauderdale, Port Everglades and Fort
13 Myers sites. A description of these sites is shown in Exhibit GJY-1.

14 **Q. How did FPL calculate the cost of running these peaking units?**

15 A. The cost of running these peaking units was calculated utilizing data from
16 FPL's February 2008 A4 Schedule, as filed with the Commission, and
17 actual MWh production from these units during the 8-hour period
18 immediately following the event. Specifically, heat rate, fuel price and fuel
19 consumption data from Schedule A4 were utilized to develop the
20 generation cost of each site of peaking units on a dollar per MWh basis.
21 This data is shown in Exhibits GJY-2 through GJY-4. Because the Fort
22 Lauderdale/Port Everglades peaking units are capable of burning natural
23 gas or light fuel oil, FPL calculated a blended fuel price for each site based
24 on the MMBtu consumption of natural gas and light fuel oil during the

1 month. This methodology ensured that the fuel price used to determine the
2 generation cost was representative of the proportion of each fuel utilized
3 during the month at each site. This calculation is shown in Exhibit GJY-5.
4 The Fort Myers peaking units burn light fuel oil only; therefore a blended
5 price calculation was not necessary for these units. Multiplying these fuel
6 prices times the respective heat rate for each site yielded production costs
7 on a dollar per MWh basis for each site. Production costs, by site, are
8 shown in Exhibit GJY-6.

9 **Q. What was the total cost of running FPL's peaking units after the**
10 **event?**

11 A. In order to determine the total cost of running FPL's peaking units after the
12 event, FPL multiplied the MWh production from each site by the production
13 cost (\$ per MWh basis) for each site. As shown in Exhibit GJY-6, the total
14 system cost of running FPL's peaking units in response to the event was
15 \$1,992,270.

16 **Q. How did FPL use the total cost for running the peaking units to**
17 **determine replacement fuel costs?**

18 A. To calculate replacement power costs resulting from generating resources
19 being unavailable, one has to net the cost that would have been incurred if
20 those generating resources had been available against the actual cost
21 incurred. The figure of \$1,992,270 represents the total system cost
22 incurred for running the peaking units in the 8-hour period immediately
23 following the event. Had the event not occurred, FPL would have
24 generated the 11,430 MWh (Exhibit GJY-6) with other generation

1 resources. To calculate the total replacement fuel cost, the cost FPL would
2 have incurred to generate the 11,430 MWh if the event had not occurred
3 must be netted against the total cost for the peaking units.

4 **Q. What cost basis did FPL use for comparison to its peaking units to
5 determine the net replacement fuel costs?**

6 A. FPL used system average cost as a basis for comparison to the peaking
7 units to determine the net cost of replacement fuel.

8 **Q. Why did FPL use its system average cost for comparison purposes?**

9 A. Utilizing the system average cost distributes the effect of the lost generating
10 capacity across the entire fleet of generation, as opposed to basing the
11 calculation on one specific type of unit. This is consistent with the
12 testimony of FPL witness Avera that it would be unfair and create adverse
13 incentives if the net cost of replacement fuel were based exclusively on the
14 Turkey Point nuclear units.

15 **Q. Did FPL adjust the system average cost reflected in the A Schedules
16 for the purpose of the replacement fuel cost calculation?**

17 A. Yes. Because the system average cost that FPL filed in the February 2008
18 A Schedules included higher overall fuel costs due to the outages of Turkey
19 Point Nuclear Units 3 and 4, FPL adjusted its system average cost to
20 account for these outages. In other words, had the outages at Turkey Point
21 3 and 4 not occurred, FPL's system average cost would have been lower in
22 February 2008. Therefore, FPL adjusted its system average cost for
23 February 2008 to account for these outages.

24 **Q. How did FPL make this adjustment to the system average cost for**

1 **February 2008?**

2 A. FPL adjusted its system average cost for February 2008 to account for the
3 lost MWh production from Turkey Point Units 3 and 4. Turkey Point Units 3
4 and 4 would have generated approximately 118,783 MWh from 13:10 on
5 February 26, 2008 through the end of the month (82 hours and 50
6 minutes). Other units on FPL's system were required to replace this
7 generation. FPL calculated a replacement generation cost on a dollar per
8 MWh basis utilizing the actual mixture of natural gas, light fuel oil and heavy
9 fuel oil from the February 2008 Schedule A3 (Exhibits GJY-7). This
10 generation cost was then multiplied times the 118,783 MWh to yield the fuel
11 costs that FPL incurred in absence of the nuclear units. This figure was
12 netted against the cost of fuel for the same MWh production for Turkey
13 Point Units 3 and 4. The difference was subtracted from FPL's total fuel
14 expenditures on Schedule A3 and that figure was divided by the total MWh
15 of generation for the month on Schedule A3. This process resulted in an
16 adjusted system average cost of \$51.32/MWh, or \$1.30/MWh less than the
17 original Schedule A3 value. The calculation formulas are shown on Exhibit
18 GJY-7 under the sections entitled "Cost Impact Calculation" and "Adjusted
19 System Average Cost".

20 **Q. What was the cost of generating the 11,430 MWh with the adjusted**
21 **system average cost?**

22 A. As shown on Exhibit GJY-8 under "Total Fuel Cost Utilizing Adjusted
23 System Average Cost", the total system cost was \$586,588.

24 **Q. What is the replacement fuel cost that FPL incurred to run its peaking**

1 units?

2 A. Netting the \$586,588 against the \$1,992,270 (cost of running peaking units)
3 yields a total system replacement fuel cost value of \$1,405,682.

4 **Q. Please provide the details of the costs associated with off-system
5 power purchases that FPL secured as a result of the event.**

6 A. Immediately following the event, FPL began to purchase off-system power
7 to help off-set the generation that was lost as a result of the event. FPL
8 purchased a total of 5,214 MWh from six different entities throughout the
9 afternoon/evening of February 26, 2008. FPL incurred total purchased
10 power costs of \$885,935 (\$169.91/MWh), including a capacity payment to
11 one entity. If the event had not occurred, FPL would have produced the
12 5,214 MWh with its own generation. Multiplying the adjusted system
13 average cost by the 5,214 MWh yields a total cost to produce the power of
14 approximately \$267,582. Therefore, the net cost differential of the
15 purchases that FPL made in response to the event was \$885,935 minus
16 \$267,582, or \$618,353. The details of the purchased power cost
17 calculations are shown in Exhibit GJY-9.

18 **Q. What is the total RPC that FPL calculated?**

19 A. The total system RPC is \$2,024,035. This total includes \$1,405,682 of
20 replacement fuel costs and \$618,353 of purchased power costs.

21 **Q. Does this conclude your testimony?**

22 A. Yes.

1 **BY MR. BUTLER:**

2 Q. And with that, Mr. Yupp, would you please
3 summarize your direct testimony?

4 A. Good afternoon, Commissioners. My direct
5 testimony in this docket provides FPL's calculation of
6 replacement power costs for the Flagami transmission
7 event that occurred on February 26th, 2008. The direct
8 testimonies of FPL Witnesses Stall and Avera provide the
9 support and rationale for the methodology that FPL has
10 used for that calculation.

11 The replacement power cost calculation
12 reflects costs associated with replacement fuel and
13 purchased power that was required to offset the loss of
14 generation after the Flagami event.

15 The calculation was, was completed basically
16 in the following manner. First, we totaled the fuel
17 cost for all the megawatt hours of additional generation
18 that was brought online in the first eight hours
19 immediately following the transmission event, and we
20 coupled that with the payments for the purchased power
21 that we purchased during that same time period
22 immediately following the event.

23 From that we subtracted the value of the same
24 number of megawatt hours at FPL's system average cost
25 for the month of February. The calculation resulted in

1 a replacement power cost total of just slightly over
2 \$2 million, \$2,024,035. And that concludes my summary.

3 **MR. BUTLER:** Thank you, Mr. Yupp. I tender
4 the witness for cross-examination.

5 **COMMISSIONER SKOP:** Very well. Thank you.
6 Mr. Beck, you're recognized on behalf of
7 Public Counsel for cross-examination.

8 **MR. BECK:** Thank you, Commissioner.

9 **CROSS EXAMINATION**

10 **BY MR. BECK:**

11 **Q.** Good afternoon, Mr. Yupp.

12 **A.** Good afternoon, Mr. Beck.

13 **Q.** Mr. Yupp, could you turn please to your
14 Exhibit GJY-7?

15 **A.** Okay. I'm there.

16 **Q.** What I want to do is just review the various
17 prices for fuel that were taking place in the
18 February/March time frame.

19 **A.** Okay.

20 **Q.** The chart at the top says "Original A3 Data."
21 Do you see that?

22 **A.** Yes.

23 **Q.** And that's the source of the numbers that are
24 here?

25 **A.** Correct.

1 **Q.** And just could you briefly describe what, what
2 the A3 is?

3 **A.** Yes. The A3 is basically an aggregate format,
4 all of the fuel that we used to produce our own
5 generation, in this case for the month of February. And
6 on the A3 there's several pieces of data, but most
7 importantly total fuel cost by fuel type during the
8 month as well as the megawatt hours produced with each
9 fuel type for the month. There's a percent mix of fuel
10 used, there's heat rate data, a lot of different data,
11 but most importantly the total fuel cost for the month.

12 **Q.** And for nuclear during that time frame, you
13 have \$4.44 per megawatt hour; is that right?

14 **A.** That's correct. And that would be a
15 combination of not only the Turkey Point units, but also
16 the St. Lucie units.

17 **Q.** And another way to express that is about .444
18 cents per kilowatt hours.

19 **A.** That is correct.

20 **Q.** Is that the same thing? And compared to that,
21 natural gas was running about .76, or 7.6 cents per
22 kilowatt hour; is that right?

23 **A.** Yes. That is correct.

24 **Q.** Okay. And so when the nuclear plants went
25 down at Turkey Point 3 and 4, customers lost the benefit

1 of that lower fuel price for nuclear; is that right?

2 A. That is correct.

3 Q. And it had to be replaced with something else.

4 A. Correct.

5 Q. And what you have listed in this chart here
6 are the various prices for, for other fuels that existed
7 at that time; is that right?

8 A. That is correct.

9 Q. And when the nuclear plants went down, you not
10 only had to run some of your own higher cost units, but
11 you also purchased power, did you not, in the open
12 market?

13 A. We did.

14 Q. And is that shown on GJY-9?

15 A. Yes. The purchased power that we procured
16 during the initial eight hours immediately following the
17 event is shown on Exhibit GJY-9.

18 Q. And the prices that you paid ranged from about
19 12.5 cents per kilowatt hour up to 29.8 cents per
20 kilowatt hour; is that right?

21 A. That is correct.

22 Q. Mr. Yupp, do you have your response to the
23 staff's Interrogatory Number 42?

24 A. I do not have a copy of it in front of me.

25 Q. Then I will hand it to you. And,

1 Commissioners, this is in staff exhibit Bate stamp 318.

2 Staff asked you to provide a production
3 costing simulation comparing FPL's system assuming no
4 unit outages with various scenarios, did they not?

5 A. They did.

6 Q. And your response is contained in the response
7 to Interrogatory 42; is that right?

8 A. That is correct.

9 Q. And of the four -- they listed four different
10 scenarios; is that right?

11 A. That is correct.

12 Q. The one that simulates what actually occurred
13 is the Scenario D, is it not?

14 A. Yes. 40 -- 42D covers the entire duration of
15 the outages that we spoke of previously today.

16 Q. Okay. And that's the full 158 hours for
17 Turkey Point Unit 3 being down and the full 107 hours
18 that Turkey Point Unit 4 was down; is that right?

19 A. That is correct.

20 Q. Could you briefly describe what it is to
21 perform, or what it is when you perform a production
22 costing simulation?

23 A. Yes. We used a program named GenTrader to run
24 our production cost simulation for these scenarios that
25 were laid out in this interrogatory.

1 Very simply put, it is a system dispatch
2 model. So it optimizes FPL's system based on input data
3 including generation parameter data, load forecast data,
4 fuel forecast data, and purchased power transactions,
5 sales transactions. Whatever, whatever data we have
6 surrounding our system goes into the model. It runs an
7 optimized system dispatch and determines a production
8 cost to meet that system dispatch. And it can be run
9 over, from one-hour time frame to -- we run it for
10 multiple years at a time. In this case we ran it from
11 February 26th through March 4th, which covered the
12 entire duration of the outage, and we ran it with these
13 four different scenarios.

14 So very quickly what we ran was a base case,
15 optimized case, dispatching the system as if nothing had
16 occurred at the Flagami substation. And then on top of
17 that we began to layer the different scenarios that
18 staff requested in this interrogatory. 42A was to run a
19 case of if Turkey Point 3 was off for 48 hours and
20 Turkey Point 4 was off for 48 hours. So we did that.
21 We determined a production cost for that case,
22 subtracted the production cost from that case from the
23 base case, and that determines basically the replacement
24 fuel costs attributable to that specific scenario.

25 And, likewise, we went on and did three

1 additional scenarios ranging from 107 hours out of
2 Turkey 4 to 158 on Turkey Point Unit 3, and then finally
3 158 on Turkey 3 and 107 on Turkey 4 as the final case
4 that we were looking at.

5 Q. And on page -- or the attachment to your
6 response to interrogatory, let's see, assumptions you
7 used; is that correct? The second page?

8 A. Yes.

9 Q. And you used the actual load that existed at
10 that time, the actual unit initial conditions and the
11 actual fuel prices that existed; is that right?

12 A. That is correct. We tried to replicate
13 everything we could from an actual perspective that was
14 occurring on that day.

15 Q. Okay. Now one difference between this and the
16 other models is that you used the ascension power which
17 occurred or a simulation of that, did you not?

18 A. Correct. We did with one caveat. We, if
19 the -- in any case where we were asked to evaluate a
20 scenario in which one or the other or both Turkey Point
21 3 and 4 were off for a total of 48 hours, we did not use
22 ascension power. We used -- to use a term that
23 Mr. Stall used, we used breaker to breaker as 48 hours.

24 For any case in which we were asked to look at
25 158 hours for Unit 3 or 107 hours for Unit 4, we did

1 include the ascension power that occurred in reality as
2 those units ramp back up within that case.

3 Q. Okay. And your scenario for 42D, which has
4 the full outages of Unit 3 and 4, calculates the
5 replacement power costs at \$14.557 million; is that
6 right?

7 A. That is correct.

8 MR. BECK: Thank you, Mr. Yupp. That's all I
9 have.

10 COMMISSIONER SKOP: Thank you, Mr. Beck.

11 Ms. Bradley, the Attorney General is
12 recognized for cross-examination.

13 MS. BRADLEY: Thank you.

14 **CROSS EXAMINATION**

15 **BY MS. BRADLEY:**

16 Q. Now Turkey Point 3 was out for 158 hours;
17 correct?

18 A. The total duration was 158 hours until it was
19 back to 100 percent power. So the breaker closed to put
20 the unit online prior to 158, but for, for purposes of
21 getting to 100 percent power, yes, 158 hours.

22 Q. Now the reason it took longer was because
23 y'all had to repair the rod; is that correct?

24 A. That is my understanding. Mr. Stall is the
25 witness that is the expert in that area of the

1 testimony, but that is my understanding from reading
2 testimony and listening to testimony given today.

3 Q. Is it also your understanding that but for the
4 outage that tripped the shutdown, that you all would
5 have waited until a later date to replace the rod?

6 MR. BUTLER: I'm going to object to these
7 questions. They're more appropriate for Mr. Stall. In
8 fact, he covered those very questions earlier in his
9 testimony today.

10 COMMISSIONER SKOP: Ms. Helton, to the
11 objection.

12 MS. BRADLEY: Can I speak to the objection?

13 COMMISSIONER SKOP: Ms. Bradley.

14 MS. BRADLEY: Thank you. He's got a lot of
15 calculations and he's making different calculations
16 apparently based upon the testimony of Mr. Stall, so I'm
17 just asking about his understanding.

18 MS. HELTON: Maybe Ms. Bradley could point me
19 to in the testimony of this witness where she's looking
20 and that might help me.

21 MS. BRADLEY: I'm looking at the same
22 interrogatory answer, Number 42, where he has different
23 calculations.

24 MS. HELTON: You're one ahead of me. I don't
25 have that. Just a second.

1 **MS. BRADLEY:** I'm sorry.

2 **MR. BUTLER:** Commissioner Skop, I would
3 observe in that regard if she's asking about what
4 appears on, excuse me, the answers to the interrogatory,
5 the cases that are appearing on the interrogatory were
6 defined for us by staff. And certainly Mr. Yupp
7 addressed them, but he was not involved in proposing
8 what those cases would be that would be addressed.

9 **COMMISSIONER SKOP:** Thank you. Ms. Bradley,
10 as a point of clarification, are you looking at the
11 calculations on Bate stamp 319 of Interrogatory Number
12 42?

13 **MS. BRADLEY:** I apologize. I don't have a
14 Bate stamp on this copy. I took it off of the computer.
15 But it's Interrogatory Number 42, staff's first set of
16 interrogatories. I think it was the thing that Mr. Beck
17 was asking him about a few minutes ago.

18 **COMMISSIONER SKOP:** Thank you. Ms. Helton, if
19 you could confer with staff to the objection.

20 **MS. HELTON:** Can I get Ms. Bradley to repeat
21 her question one more time, please?

22 **COMMISSIONER SKOP:** Ms. Bradley.

23 **MS. BRADLEY:** I will try.

24 **BY MS. BRADLEY:**

25 **Q.** I was asking him if it was his understanding

1 that the reason that, that there was a difference in
2 this, at least I think this is my question, was due to
3 the fact that they had to repair the rods?

4 **A.** I'm not sure if I follow a difference, and
5 what specifically are you referring to?

6 **Q.** Is it your understanding that it took 158
7 hours to get the Turkey Point Unit 3 up or 100 percent,
8 I believe as you put it, was because they had to repair
9 a rod?

10 **COMMISSIONER SKOP:** Ms. Bradley, I think that
11 what I was asking was for you to restate your question
12 not to the witness but to Ms. Helton so we can rule on
13 the objection. Sorry.

14 **MS. HELTON:** Well, it sounds like, if I'm
15 understanding the discourse that has happened here, that
16 the reason why this witness has answered this discovery
17 propounded to him was because it was laid out by staff
18 in this way. So I'm not sure that he made the
19 connection between the reason why the different sets of
20 hours were laid out. So it seems to me then that it
21 would be outside the scope of his cross-examination or
22 his direct testimony.

23 **COMMISSIONER SKOP:** So staff's recommendation
24 is to sustain the objection; is that correct?

25 **MS. HELTON:** Yes.

1 **COMMISSIONER SKOP:** Okay. Ms. Bradley, before
2 I rule.

3 **MS. BRADLEY:** I'd like to make a proffer then
4 because I think I have the right to ask him about
5 discovery that he did and presented to staff regardless
6 of who did that.

7 **COMMISSIONER SKOP:** Let me, let me, let me
8 sustain the objection and I'll allow you to make the
9 proffer.

10 **MS. BRADLEY:** Thank you.

11 **BY MS. BRADLEY:**

12 **Q.** Sir, is it your understanding that the reason
13 it took 158 hours to get Turkey Point 3 up to full power
14 was because they had to do a repair of a rod?

15 **MR. BUTLER:** Same objection.

16 **COMMISSIONER SKOP:** Ms. Helton.

17 **MS. HELTON:** She's proffering the witness to
18 answer the question. So I think to lay out the record
19 for her to preserve this issue for appeal, then the
20 witness would need to answer the question.

21 **COMMISSIONER SKOP:** Yeah.

22 **THE WITNESS:** Okay. It is my understanding
23 that a --

24 **MR. BUTLER:** I'm sorry. Mr., Mr. Yupp, no,
25 don't answer it. I am confused. I thought --

1 **MS. BRADLEY:** Objection.

2 **MR. BUTLER:** -- there was an objection that
3 was sustained to the question. And what Ms. Bradley is
4 doing is proffering that question into the record so
5 that it would be preserved for appeal as opposed to
6 being a live question to the witness.

7 **COMMISSIONER SKOP:** That was my understanding
8 also. Ms. Bradley, I always --

9 **MS. BRADLEY:** I was doing a proffer to have
10 him answer so it's preserved for the record.

11 **COMMISSIONER SKOP:** The proffer would be
12 stated for the record. I don't believe the witness
13 would respond.

14 Ms. Helton, am I correct?

15 **MS. HELTON:** I think, Mr. Chairman, when we
16 have looked at this question in the past, there's
17 several ways to, for the proffering party to preserve
18 the record. I believe that one of the ways and an
19 appropriate way is for Ms. Bradley to ask the question
20 and for the witness to answer the question. And it
21 would be part of the record only for purposes of appeal
22 if she were to decide to go forward with an issue with
23 respect to that line of questioning, but it's not a part
24 of the record for the purposes of you making your
25 decision.

1 **COMMISSIONER SKOP:** Okay. Very well. The
2 objection, previous objection was sustained.

3 Ms. Bradley, I'll allow you to make the proffer. I'll
4 allow the witness to answer the question on the advice
5 of advisory legal staff, and you may proceed.

6 **MS. BRADLEY:** I think he already has answered
7 that, and I don't know whether they're going to object
8 to the rest of my questions, but I'll proceed as though
9 we're back on the record.

10 **COMMISSIONER SKOP:** Okay. Very well.

11 **BY MS. BRADLEY:**

12 **Q.** Is it also your understanding that but for
13 this outage that caused the nuclear plant to trip, that
14 they would have replaced the rod or repaired the rod at
15 their next scheduled shutdown?

16 **MR. BUTLER:** I'm going to object again to this
17 as being outside the scope of Mr. Yupp's, excuse me,
18 direct testimony.

19 **COMMISSIONER SKOP:** Ms. Bradley to the
20 objection.

21 **MS. BRADLEY:** I think it goes back. These
22 were interrogatories and part of the record, something
23 he prepared and responded to.

24 **COMMISSIONER SKOP:** Mr. Butler, with respect
25 to Mr. Stall coming back for rebuttal testimony, does he

1 address the, this specific issue such that Ms. Bradley
2 will have the opportunity to ask these questions on
3 rebuttal?

4 **MR. BUTLER:** It was in his direct and he did
5 address it, but we don't have an objection to his, you
6 know, clarifying that testimony in his rebuttal.

7 **COMMISSIONER SKOP:** Okay. Very well.
8 Ms. Bradley, does that make your comfortable asking
9 Mr. Stall on his rebuttal testimony to address the
10 question subject to objection?

11 **MS. BRADLEY:** I'll be happy to save it for
12 then. But I guess I misunderstood. I thought he said
13 direct.

14 **MR. BUTLER:** If I -- he did address it in his
15 direct. What I said is we would not object to having
16 you ask your questions at the time that he appears for
17 his rebuttal testimony.

18 **COMMISSIONER SKOP:** Are you comfortable with
19 that? I think what they're, what they're -- if I
20 understand FPL correctly, is that the opportunity to ask
21 the questions would have been on the direct examination
22 of Witness Stall. However, Witness Yupp is indicating
23 that he's not the appropriate witness to answer the
24 questions, and I think what FPL has just advised is that
25 when Witness Stall comes back for rebuttal testimony,

1 he'll be able to clarify and provide answers to the
2 questions you have regarding the, the replacement of the
3 control rod indicator.

4 **MS. BRADLEY:** Well, let me ask one clarifying
5 question for him. Maybe I misunderstood.

6 **BY MS. BRADLEY:**

7 **Q.** But did you or Mr. Stall prepare the answer to
8 staff's Interrogatory Number 42, those calculations?

9 **A.** I prepared the answer to this interrogatory.
10 However, this interrogatory had already laid out the
11 scenarios, so I, I did -- the only thing I did in this
12 was take the scenarios that staff had requested in terms
13 of outage duration, whether it be 48 hours, 158 or 107,
14 depending on the unit and depending on the scenario, I
15 took those and ran the calculations. So there was no
16 need for me to have any understanding of why Turkey
17 Point 4 was off for 107 hours, why Turkey Point 3 was
18 off for 158 hours. I was only answering the question
19 that staff had laid out the scenario already directly
20 for me.

21 **Q.** And you didn't have any information as to the
22 difference in the calculations or what they were based
23 upon?

24 **A.** The calculations are based upon running a
25 production cost model with four different scenarios that

1 have varying levels of outage duration. That is the
2 only information I needed to run the calculation
3 because, as I stated previously, in our production cost
4 model and as what is laid out in the answer here we took
5 actual unit conditions prior to the outage, actual load
6 forecast for the time period, actual fuel prices for the
7 time period, actual net interchange for the time period,
8 we plugged that into the model. We ran a base case,
9 which was an optimized case giving us production costs
10 as if nothing had occurred on the system, and then we
11 slowly, one by one, case A through D, we set an outage
12 duration as requested by staff for each Turkey Point 3
13 and Turkey Point 4. That gave us another production
14 cost answer. Taking the difference between that in each
15 case and the base case yielded the replacement fuel cost
16 result.

17 So, again, any detailed information as to what
18 work was done or everything that encompassed the amount
19 of time that each unit was off is not necessary to
20 answer this question.

21 Q. So even though -- so you essentially just did
22 the number crunching and Mr. Stall would be the one that
23 could answer questions about the exhibit you prepared as
24 far as background information?

25 MR. BUTLER: I object to that

1 characterization. I object to that characterization
2 strenuously. The interrogatory, you know, prescribed
3 certain scenarios to which Mr. Yupp responded by doing
4 calculations per those scenarios, and it's a gross
5 distortion to be characterizing that somehow Mr. Yupp
6 didn't do his job because he didn't go behind the
7 scenarios that were prescribed to him.

8 **COMMISSIONER SKOP:** Ms. Bradley, could you
9 either respond or reframe the question in a --

10 **MS. BRADLEY:** I'm just trying to find out if
11 he can answer questions about this exhibit and the
12 differences in the numbers. And if that's Mr. Stall,
13 then --

14 **COMMISSIONER SKOP:** Okay. I believe -- okay.
15 Mr. Yupp, if you're able to answer that question or,
16 Ms. Bradley, if you can reframe your question, and we'll
17 see if we still have the same objection and then I'll
18 rule.

19 **BY MS. BRADLEY:**

20 **Q.** Is it your testimony that you just crunched
21 the numbers that somebody gave you and that Mr. Stall
22 would be the person to ask about the difference in the
23 numbers and what affected that?

24 **A.** No. I can tell you why the numbers are
25 different in each scenario. Mr. Stall would have

1 really -- it has nothing to do with this interrogatory.
2 This was an interrogatory that asked us to calculate
3 replacement costs based on a production cost model given
4 different scenarios of outage length.

5 So I can tell you why the numbers are
6 different between case 42D and case 42A. I can easily
7 explain to you why that final dollar figure is
8 different, so I am the appropriate witness for that.

9 As far as why Turkey Point 3 was off for a
10 total of 158 hours before it reached full power, that is
11 a nuclear plant question that is, should be answered by
12 Mr. Stall, and I believe he did in his original direct
13 testimony.

14 Q. Well, let me try a couple of more questions,
15 and if you can't answer them and want to defer to
16 Mr. Stall, then I'll let you do so. But --

17 **COMMISSIONER SKOP:** Ms. Bradley, may I stop
18 you for one moment just to clarify something so I think
19 that we're all on the same page?

20 Mr. Yupp, is it correct to understand that
21 basically you performed your financial analysis on the
22 replacement power costs solely based on inputs and
23 relying on those inputs provided by others in terms of
24 the scenarios?

25 **THE WITNESS:** Yes. That is correct.

1 **COMMISSIONER SKOP:** Okay. Thank you.

2 Ms. Bradley, you may continue.

3 **BY MS. BRADLEY:**

4 **Q.** What is the significance of the 48 hours?
5 What does that signify?

6 **A.** Again, staff, staff asked us to do this
7 scenario. So as to the significance of the 48 hours in
8 this particular interrogatory, I think that is probably
9 better addressed by staff. But I can surmise that the
10 48-hour question was asked to us because of testimony
11 that Mr. Stall gave that that is a typical time frame
12 that a nuclear unit can be brought back after it has
13 been shut down. And so I'm assuming that what
14 Commission staff wanted to see in that case was what
15 would the replacement power costs have been had each
16 unit returned in that 48-hour period, which is a typical
17 time frame to return a unit?

18 **Q.** And the 158 hours was the time actually that
19 it took you to get it back up?

20 **A.** I believe, as Mr. Stall testified to, that 158
21 hours for Unit 3 was the total duration of the time from
22 trip, from the time that the unit tripped 'til the time
23 that it reached 100 percent power. Yes, that is
24 correct.

25 **Q.** And for Turkey Point 4 it's 107 hours?

1 **A.** That is my understanding. Yes.

2 **Q.** And do you have any understanding of why it
3 took 158 hours for Turkey Point 3 versus 107 at Turkey
4 Point 4, or is that a question for Mr. Stall?

5 **A.** That is a question for Mr. Stall.

6 **MS. BRADLEY:** Okay. I guess I will reserve
7 those questions for Mr. Stall on rebuttal.

8 **COMMISSIONER SKOP:** Very well. Thank you,
9 Ms. Bradley.

10 Ms. Kaufman, you're recognized for
11 cross-examination.

12 **MS. KAUFMAN:** Thank you, Commissioner.

13 **CROSS EXAMINATION**

14 **BY MS. KAUFMAN:**

15 **Q.** Mr. Yupp, if you'd turn to Page 3 of your
16 direct testimony.

17 **A.** Yes.

18 **Q.** And I want to ask you about your statement
19 that starts on Line 1, it goes Lines 1 through 3.

20 **A.** Okay.

21 **Q.** You say that, in those lines, it would be
22 unfair to FPL and serve as a major disincentive to
23 construction and operation of low fuel-cost generating
24 technologies, and I'll just paraphrase the rest, if the
25 Commission were to accept the position of Intervenors.

1 Is that your testimony?

2 **A.** That is my testimony referencing the testimony
3 of Witness Avera. I, that is included in my testimony
4 to set the backdrop for why the calculations were
5 performed as they were for this direct testimony. As I
6 stated in my summary, Witness Stall and Witness Avera
7 provide in their testimony the rationale and the support
8 for the approach that FPL has taken in this. I
9 referenced Witness Avera on this line just to set the
10 backdrop for why my calculations were done as they were
11 done.

12 **Q.** So is it correct then that this isn't your
13 opinion, but you're simply relying on a statement that
14 Mr. Avera makes in his testimony?

15 **A.** I am referencing -- yes. I am referencing the
16 statements that he makes in his testimony to make it
17 clear why our calculations were done in the manner that
18 they were done. And, yes, he, he is the witness for FPL
19 that is sponsoring that support.

20 **Q.** Do you have any information to suggest that
21 FPL will operate its nuclear plants in a different
22 manner if the Commission does not accept your
23 calculations?

24 **A.** No. I have no knowledge that FPL would
25 operate any differently. No.

1 **Q.** And so your comments about this disincentive
2 are, are simply based on what Mr. Avera has said.

3 **A.** Yes. I am referencing Mr. Avera.

4 **Q.** Sorry. I keep mispronouncing his name.

5 I think you've testified that you were the
6 witness in charge of doing the calculations to figure
7 out what the appropriate replacement fuel cost would be;
8 correct?

9 **A.** That is correct.

10 **Q.** And you presented those in your testimony
11 obviously; correct?

12 **A.** Yes, I did.

13 **Q.** Did you conduct any, other than the response
14 to Interrogatory Number 42 we've already discussed, did
15 you conduct any other calculations based on any other
16 methodologies for determining replacement power costs?

17 **A.** Yes. I have done numerous calculations,
18 mostly in response to interrogatories. If I can recall
19 off the top of my head, not only 42B, which was the
20 production cost model interrogatory, but we were also
21 asked to do two additional interrogatories with four
22 cases apiece identical to 42B, one being the methodology
23 that was used in the drilled hole case. And I believe
24 the other one was not designated how we should exactly
25 do it, so we did it twice using nuclear avoided cost and

1 using system average cost, again for these identical
2 four scenarios that were laid out in Interrogatory 42B.

3 So all told, probably I've done upwards near
4 18 to 20 different calculations based on questions from
5 staff, mostly in determining what the replacement fuel
6 costs would be.

7 Q. Prior to filing your testimony and sponsoring
8 the calculation that you suggest to the Commission, did
9 you do any other calculations or utilize any other
10 different methodologies to take a look at what
11 replacement fuel costs should be?

12 A. Yes. Very early, or I should say in the fall,
13 subject to check, of 2008, I responded to an
14 interrogatory on this same question as to the impact of
15 the Flagami transmission event and replacement fuel
16 costs. Given that was the initial stages of, of, I
17 guess I'll call it, this whole proceeding to a certain
18 extent, our initial calculation through my conversations
19 with counsel were that we developed a, basically a
20 48-hour case pretty much along the lines of what Witness
21 Stall, Mr. Stall has testified to that it's pretty
22 typical that after a unit comes off the line, that it
23 could be returned to service within 48 hours.

24 And so our initial take on this in responding
25 to that interrogatory was to run a case of 48 hours for

1 each unit based on nuclear avoided cost. And that is
2 the answer that we submitted in response to
3 Interrogatory 70, I believe, subject to check, in the 08
4 docket.

5 Q. So just so I'm clear, I think you'd agree that
6 this issue was spun out from the ongoing fuel case;
7 correct?

8 A. That is my understanding. Correct.

9 Q. And in that case you provided some information
10 and calculations in which you used a 48-hour time period
11 and you used only the nuclear replacement cost; correct?

12 A. That is correct.

13 Q. And I guess -- would I be correct that that
14 correlates to Scenario 42A on Interrogatory Number 42?

15 A. Yes, it does, except with one just minor
16 difference. 42A was run with a production cost model.
17 One could say that that gets a little bit more exact as
18 it's an actual model that's dispatching the system
19 economically around the different parameters it has.

20 But, yes, you are correct, that would be an
21 identical case to the case that we supplied or the
22 answer that we supplied in Interrogatory 70. However,
23 Interrogatory 70 was done as a manual calculation.

24 Q. Thank you for that explanation. And in
25 Interrogatory 70 that you provided in the fuel

1 adjustment case, you didn't use system average costs
2 there, you used only the nuclear power replacement
3 costs; correct?

4 **A.** That is correct.

5 **Q.** And the other difference I guess is that in
6 that case you used only 48 hours for the time period of
7 the outage rather than using, for example, the 158;
8 correct?

9 **A.** That is correct.

10 **MS. KAUFMAN:** Okay. Thank you, Mr. Yupp.
11 Appreciate it.

12 **COMMISSIONER SKOP:** Thank you, Ms. Kaufman.
13 Staff.

14 **MR. YOUNG:** Thank you, sir.

15 **CROSS EXAMINATION**

16 **BY MR. YOUNG:**

17 **Q.** Mr. Yupp, I have a series of questions to ask
18 you and we're going to take it one at a time because I
19 just want to, I have to fill my mind in terms of certain
20 fill in the gaps.

21 The issue in this case revolves around how
22 much FPL should refund for the Flagami transmission
23 event that occurred on February 26th, 2008; correct?

24 **A.** That is correct.

25 **Q.** But for February 26th, 2008, the Flagami

1 transmission event, Turkey Point would not have shut
2 down for 158 hours beginning on, beginning that day;
3 correct?

4 **MR. BUTLER:** I'm going to object to the
5 question similarly to, with my objection to
6 Ms. Bradley's questions. Mr. Yupp has made it pretty
7 clear that he's given the inputs as to the time periods
8 involved, not really the expert on the details of the
9 nuclear unit outages.

10 **COMMISSIONER SKOP:** Mr. Young, to the
11 objection.

12 **MR. YOUNG:** I can rephrase it.

13 **COMMISSIONER SKOP:** All right.

14 **BY MR. YOUNG:**

15 **Q.** Mr. Yupp, when you were preparing your
16 testimony, did you speak to anybody as relating to the,
17 what your directions were?

18 **A.** When I prepared my testimony, yes, I did. I
19 was advised by legal counsel on the approach that FPL
20 was going to take in this case, given the circumstances
21 or the unique circumstances surrounding the event. So,
22 yes, I did talk to counsel about FPL's approach, and
23 then subsequent to that developed a methodology that
24 would support that approach.

25 **Q.** Okay. I can move on.

1 FPL's position in this docket is that the
2 Commission should require -- FPL's position in this
3 docket is that the Commission should require FPL to
4 refund the customers for eight hours for the Flagami
5 event; correct?

6 A. That is correct.

7 Q. And FPL wants the Commission to calculate that
8 cost using the, using what we call the system average
9 approach; correct?

10 A. That is correct.

11 Q. And using that system average approach, for
12 eight hours FPL calculates that it owes customers
13 \$2.6 million in refunds; correct?

14 A. That is correct.

15 Q. But --

16 A. I'm sorry. I want to make sure I heard you
17 right. \$2 million you said.

18 Q. 2.6. Is it 2 million or 2.6?

19 A. It's 2.024 million.

20 Q. 2.024 million.

21 A. Yes.

22 Q. Okay. But the actual total, but the total
23 actual cost for FPL for replacement power for the full
24 time for the Turkey Point Units 3 and 4 were, were
25 outwards of 15.9 million; correct?

1 **A.** No. I would say not correct. And I
2 understand that that is, that is Witness, Dr. Dismukes'
3 calculation. If I were going to give you an answer of
4 what the --

5 **Q.** I'm sorry. 14.5.

6 **A.** 14 -- yes. As described in Interrogatory 42D,
7 that would be my answer.

8 **Q.** All right. And OPC's, OPC's position and the
9 Intervenor's position is that FPL should be responsible
10 for the entire time each plant was out, and that's 158
11 hours for Turkey Point Unit 3 and 107 hours for Turkey
12 Point Unit 4; correct?

13 **A.** That is my understanding of their testimony.
14 Yes.

15 **Q.** And OPC's position is that the incremental
16 cost for replacement should be used; correct?

17 **A.** I'm sorry. The incremental cost for
18 replacement?

19 **Q.** The cost of replacing the nuclear power plants
20 versus, instead of the system average.

21 **A.** I'll answer it this way. My understanding is
22 that OPC's argument is that as opposed to system average
23 costs being used against an incremental cost, the, they
24 propose to use a nuclear avoided cost against a system
25 incremental cost.

1 Q. And that cost is 15.9 million; correct?

2 A. That is correct.

3 Q. So it appears that both OPC and FPL's
4 position, FPL agree or are very close to agreeing
5 mathematically that the cost of replacement due to the
6 Flagami transmission event was in between 14.5 to
7 15.9 million; correct?

8 A. Yes. I, I -- with one clarification. And,
9 again, I think we talked about this, the major
10 difference being the -- while computing a manual
11 calculation, what gets left out is the ascension power
12 that occurred for that 12- to 14-hour period until the
13 units achieved 100 percent power. And in this case it's
14 a significant amount of energy, I think totaling,
15 subject to check, about 11,600 megawatt hours between
16 both units from the time that they closed the breaker
17 until the time they reached full power. And so that is
18 why you see -- I know we're describing it as a small
19 difference between 14.5 and 15.9, but, but it is a
20 significant difference.

21 Q. Okay. Now let's walk through in terms of
22 OPC's position as it relates to avoided, avoided,
23 avoided cost based on Turkey Point's 3 and 4 and the
24 system cost that FPL, FPL is advancing.

25 Now would you agree that generation costs on a

1 megawatt-hour basis for Turkey Point Units 3 and 4 for
2 the months of, for the month of February was
3 approximately \$4.44 per megawatt hour?

4 **A.** I would agree that's a good approximation.
5 Yes.

6 **Q.** And you would, and you would agree that FPL's
7 adjusted system average cost for, per megawatt hour is
8 52 -- 51.3 -- \$51.32 per megawatt hour.

9 **A.** Correct. Or the adjusted system average costs
10 that I calculated, yes, 51.32 per megawatt hour.

11 **Q.** And if you can turn to your Exhibit Number 7,
12 GJY-7.

13 **A.** Okay. I'm there.

14 **Q.** Would you agree that you have calculated the
15 replacement generation costs based on FPL's annual
16 natural, based on FPL's natural gas and all generation,
17 all generation?

18 **A.** Yes, I have. In adjusting the system average
19 cost to reflect the time that Turkey Point Units 3 and 4
20 were off at the end of February, which is not, well,
21 which is included in the original A3 data, I felt it was
22 appropriate to go back and recalculate a system average
23 cost that would reflect both units being on in the
24 month. And in order to do that, I did use a blended
25 cost of really the exact proportions of gas, oil and

1 light oil that we used during the month, which I would
2 consider to be basically FPL's marginal cost. So
3 outside of coal, outside of nuclear, generally gas, oil
4 and light oil to a much lesser extent are on the margin
5 for FPL.

6 Q. So the thought is that when Turkey Point,
7 Turkey Point Units 3 and 4 were offline, they were
8 replaced by natural gas, oil and light oil generation,
9 generators; correct?

10 A. That is correct.

11 Q. All right. Therefore the power production
12 that cost \$77.55 per megawatt hour, per megawatt hour is
13 replacing the power production costs of \$4.44; correct?

14 A. That is correct.

15 Q. But in this case FPL is proposing that the
16 Commission assume that the \$77.55 per megawatt hour is
17 replacing a power production cost of 51, \$51.32 per
18 megawatt hour; correct?

19 A. That is correct.

20 Q. Okay. Has the Commission ever required a
21 refund using a system average cost approach that FPL is
22 proposing?

23 A. I, I am not aware of any time that the
24 Commission has used that to order a refund. No.

25 Q. But the Commission has required a refund using

1 the incremental cost approach proposed by OPC, correct,
2 the avoided cost approach?

3 **A.** Yes. I am aware of, of one in particular,
4 which was, I think we referred to it earlier as the
5 drilled hole case in the Turkey Point outage, extension
6 of its outage.

7 **Q.** And since you mentioned drilled hole, let me,
8 let me ask you a question on the drilled hole case. Now
9 in the drilled hole case -- and do you have a copy of
10 the drilled hole case?

11 **A.** Of the order or --

12 **Q.** Of the order. Do you have an order -- a copy
13 of the order in the drilled hole case?

14 **A.** I do not have it in front of me.

15 **MR. YOUNG:** May we approach, sir?

16 **COMMISSIONER SKOP:** You may.

17 Mr. Young, you're recognized.

18 **MR. YOUNG:** Thank you, sir.

19 **BY MR. YOUNG:**

20 **Q.** Mr. Yupp, before we get to that drilled hole
21 case, let me ask you a question. Based on our line of
22 questioning just now, the Commission has not required a
23 system average approach to FPL's proposed, what FPL
24 proposed; correct? It can be quick because you just
25 stated that.

1 **A.** That they have not in the past?

2 **Q.** Yes.

3 **A.** Yes. Not that I am aware of. No.

4 **Q.** But the Commission required to refund on the
5 system incremental cost approach; correct?

6 **A.** In the drilled hole case, yes.

7 **Q.** Okay. Now so the Commission's decision in
8 this docket is how much of the \$14.5 to \$15.9 million
9 should FPL be responsible for paying and how much should
10 the ratepayers be responsible for paying; correct?

11 **A.** Yes. Well, I believe that the Commission's
12 decision in this case of how much should FPL credit back
13 to customers from the \$2 million that it has filed in
14 its direct case, I'm assuming all the way up to the 15.9
15 that OPC has filed in this case.

16 **Q.** And so my, so am I correct to understand that
17 FPL's argument is really a policy argument; right?

18 **MR. BUTLER:** I'm going to object to this line
19 of questions as being appropriate to Dr. Avera. As
20 Mr. Yupp made pretty clear early on, you know, he took
21 the policy decisions, the implications of it from
22 Dr. Avera and then did the calculation. It seems like
23 this is straying pretty far from the calculations that
24 Mr. Yupp prepared.

25 **COMMISSIONER SKOP:** Mr. Young to the

1 objection, specifically to Page 3 of the direct
2 testimony, Lines 1 through 6, where the witness refers
3 to FPL Witness Avera.

4 **MR. YOUNG:** Mr. Chairman, it's my
5 understanding that he, he is proposing that FPL -- he
6 is, he is aiding FPL's case that we should use a system
7 approach, a system average approach. It's my
8 understanding that the Commission has never done that.
9 And since he's proposing those, that we use a system
10 average approach instead of an avoided cost or an
11 incremental cost approach, he, he is qualified to answer
12 the question because it relates to his testimony.

13 Now if he, if FPL is arguing that he is not
14 the witness to, to make any statements as it relates to
15 which approach, then to me it seems like FPL's argument
16 is flawed. Then why are they sponsoring Mr. Yupp as it
17 relates, as it relates to arguing for a system average
18 approach?

19 **MR. BUTLER:** FPL is sponsoring the testimony
20 of Mr. Yupp to perform the calculation. Dr. Avera
21 didn't perform the calculation; Mr. Yupp did. His role
22 is to sponsor the calculation. It's a reasonably
23 complicated technical calculation which he prepared, and
24 he's certainly prepared to address and support how he
25 did the calculation. But the policy questions being

1 asked really would be much more productively directed to
2 Dr. Avera.

3 **MR. YOUNG:** But, Mr. Chairman, if I -- and I
4 hate to belabor this point.

5 **COMMISSIONER SKOP:** Mr. --

6 **MR. YOUNG:** On Page 3 of this testimony --

7 **COMMISSIONER SKOP:** Mr. Young, briefly.

8 **MR. YOUNG:** On, on 3, on Page 3 of his
9 testimony he, he, he also, I guess he agreed with
10 Mr. Avera, said it would be unfair for FPL and serve as
11 a major disincentive in the construction and operation
12 of low fuel-generation technologies such as nuclear,
13 solar and wind if FPL were to be penalized for the
14 replacement costs using, using the avoided cost
15 approach.

16 To me he is arguing for a system average cost
17 approach. Thus, I can ask him if it's a policy -- since
18 the Commission has never adopted that approach --
19 whether it's a policy argument or whether it's some
20 concrete argument in terms of FPL providing some
21 documentation to show that.

22 **COMMISSIONER SKOP:** All right. Before I go to
23 Ms. Helton, Mr. Butler, is it, are you contending FPL's
24 position is that the witness is merely performing
25 financial analysis based on inputs provided by others

1 and is not taking a position as to the correctness of
2 the policy that came into those inputs?

3 **MR. BUTLER:** That's a very succinct statement
4 of the position. Thank you.

5 **COMMISSIONER SKOP:** Ms. Helton. Ms. Helton,
6 to the objection.

7 (Pause.)

8 **MS. HELTON:** I hear what Mr. Butler is saying
9 with respect to this witness is being offered simply to
10 perform certain calculations, and the parameters for
11 those calculations were given to him by others, either
12 by counsel or by other persons involved in putting
13 forward this case.

14 However, I think Mr. Young does have a point.
15 When I, when I go back and I look at the line of
16 testimony that Mr. Young quoted from Page 3, it does, he
17 is expressing an opinion that it would be unfair to
18 Power & Light to serve as a major, and serve as a major
19 disinventive -- I'm sorry -- disincentive to the
20 construction and operation of low-cost generating
21 technologies such as nuclear, solar and wind if FPL were
22 to be penalized for replacement power costs associated
23 uniquely with Turkey Point Units 3 and 4 that are not a
24 result of any imprudence in the operation of those
25 units. So it seems to me that he does have an opinion

1 about what type of methodology should be used to
2 determine the appropriate replacement cost.

3 So I guess I'm a little bit confused. Are you
4 suggesting that this particular line of testimony should
5 be struck then and he's only offering calculations or --
6 I'm having a hard time getting to why that's offered.

7 **MR. BUTLER:** No, ma'am. What's been left out
8 of each of the quotes of that particular testimony is
9 the introductory clause for the reasons discussed by FPL
10 Witness Avera. And immediately preceding it is another
11 statement about the nuclear outages as discussed by FPL
12 Witness Stall. My apologies if it was not made clear
13 enough in the way we set out the testimony.

14 But the point here is that he's simply
15 summarizing briefly what is said by FPL's other
16 witnesses, setting the stage, as he described earlier,
17 for the calculation that he performs. He's here to
18 perform the calculation. Mr. Stall is here to explain
19 the nuclear operations. Dr. Avera is here to explain
20 the policy of FPL's position and will be happy to
21 address Mr. Young's questions at that time.

22 **COMMISSIONER SKOP:** Mr. Helton, does
23 Mr. Butler's response change advisory staff's opinion as
24 to the objection?

25 **MS. HELTON:** With, with that explanation, I do

1 think that Mr. Young's cross-examination is outside the
2 scope of the witness's testimony, and his prefiled
3 testimony should be read in that light as well.

4 **COMMISSIONER SKOP:** Okay.

5 **COMMISSIONER STEVENS:** Mr. Chairman.

6 **COMMISSIONER SKOP:** Commissioner Stevens.

7 **COMMISSIONER STEVENS:** Chairman, I'm sorry. I
8 was trying to follow. Mr. Butler, where does it say
9 that Mr. Yupp's testimony followed -- is based on
10 Dr. Avera's testimony? I missed that. I'm on Page 1 of
11 Mr. Yupp's introduction.

12 **MR. BUTLER:** No. It's on Page 2,
13 Commissioner. If you look at the, starting on Line
14 21 on Page 2 there are two sentences that really are
15 intending to set the stage and also specifically refer
16 to the testimony of others. The first, "As discussed by
17 FPL witness Stall," and it goes on to talk about the
18 nuclear units remaining offline. And then the next one
19 is "For the reasons discussed by FPL witness Avera," and
20 then goes into the policy arguments.

21 **COMMISSIONER STEVENS:** Okay. Thank you.
22 Thank you very much.

23 **MR. BUTLER:** Certainly.

24 **COMMISSIONER SKOP:** Okay. Based on the
25 discussion, I'm going to sustain the objection.

1 Mr. Young, if you would refer that question to the
2 appropriate witness when they come up for direct
3 testimony. I believe that witness is Dr. Avera.

4 **MR. YOUNG:** Yes, sir.

5 **COMMISSIONER SKOP:** Thank you.

6 **BY MR. YOUNG:**

7 Q. Well, with that said, Mr. Yupp, you have the
8 order in front of you, correct, from the drilled hole
9 incident?

10 A. Yes, I do.

11 Q. Let me ask you this before I start this line
12 of questioning.

13 Are you familiar with FPL's arguments in this,
14 in this case, for the drilled hole incident?

15 A. I am somewhat familiar at least with the
16 calculations that were done to yield the 6.1 million, I
17 believe it was, in replacement fuel costs in this case.
18 As -- I'm somewhat familiar, not, not 100 percent
19 familiar with all of the arguments, no.

20 Q. So I guess -- let me ask you, who would be,
21 who do you believe would be more familiar with this
22 document in terms of the drilled hole incident, or maybe
23 FPL, Mr. Butler can point me to someone who can be able
24 to talk about this, this case, this order.

25 **MR. BUTLER:** Well, Dr. Avera is familiar with

1 the policy arguments on it. Honestly, for the
2 calculation of the replacement power costs, if anyone
3 remembers differently, please correct me, but I believe
4 there was a stipulation of the \$6.13 million figure in
5 that case. So actually at hearing it wasn't much of a
6 topic of discussion. The hearing was about whether or
7 not the amount was going to be disallowed. So I don't
8 think that we have anybody that has any more familiarity
9 than Mr. Yupp does with the details of the calculation
10 that were done in that docket.

11 **MR. YOUNG:** Okay. No further questions.

12 We'll wait for Dr. Avera.

13 **COMMISSIONER SKOP:** Thank you.

14 Commissioners?

15 Commissioner Stevens, you're recognized.

16 **COMMISSIONER STEVENS:** Mr. Yupp, do you know
17 how many hours customers were without power?

18 **THE WITNESS:** I do not specifically know how
19 many hours customers were without power. No.

20 **COMMISSIONER STEVENS:** Okay. Mr. Yupp, do you
21 know what source provided the power when the plant, two
22 plants went down?

23 **THE WITNESS:** Source from the, the replacement
24 units on our system?

25 **COMMISSIONER STEVENS:** Yes, sir. Yes, sir.

1 **THE WITNESS:** Or the purchase, purchases we
2 bought?

3 **COMMISSIONER STEVENS:** Both.

4 **THE WITNESS:** Both? Units on our system, at
5 least a partial replacement was in the form of our
6 peaking units, our aircraft gas turbines, as well as
7 our, I'll call them, industrial gas turbines on the west
8 coast of Florida made up a fairly significant piece of
9 the replacement power.

10 **COMMISSIONER STEVENS:** And how are those, I'm
11 sorry, how are those turbines powered? How does that --

12 **THE WITNESS:** The 36 aircraft gas turbines
13 that we have on the east coast of Florida are powered,
14 our dual fuel unit's primary fuel is natural gas.
15 Generally we will only run distillate or jet fuel in
16 those units if we are having a gas supply issue or
17 pressure issues.

18 I don't recall specifically that day whether
19 we had to run jet fuel in those units. But if we did,
20 looking at the total of jet fuel that we ran throughout
21 the month of February, it was very minimal.

22 The other -- the additional 12 units on the
23 west coast of Florida at our Fort Myers facilities run
24 all distillate fuel oil.

25 From a standpoint of the purchases that we

1 made in the market, given the, the prices that we paid
2 for that power, I would say that most of it probably
3 came from peaking units, probably upper end peaking
4 units, potentially -- I know for sure the power that we
5 bought from the DeSoto facility in DeSoto County was,
6 those are GE 7FA combustion turbines, and we bought that
7 output on distillate fuel oil. So it was high end
8 peaking units mostly.

9 **COMMISSIONER STEVENS:** Okay. Thank you. And
10 one further question, if I may, Mr. Chairman.

11 **COMMISSIONER SKOP:** Go ahead.

12 **COMMISSIONER STEVENS:** Do you know where the
13 eight hours came from on the FPL calculation?

14 **THE WITNESS:** Yes. In supporting Witness or
15 Dr. Avera in the policy issues of this and tying this to
16 the transmission event itself, and what I have written
17 in my testimony is that that eight-hour period is the
18 time period during which FPL had the most difficulty
19 operating its generating system because of all of the
20 generation that had come off the line at that one point
21 in time.

22 And so where the calculation ended, I'll call
23 it maybe to say that the transmission event was, was
24 over and the system was back to stable was after that
25 eight-hour period when all of the gas turbines that I

1 just described were shut down and all of the purchased
2 power that we just talked about that we had bought in
3 response to the event had been sent back. We were
4 starting to return and almost had returned most of the
5 gas-fired units that came off the line in response to
6 the event at that time. And so that, that eight-hour
7 period kind of designates this is the time that the
8 transmission event had the impact on our system. After
9 that the system was in a stable configuration again.

10 **COMMISSIONER STEVENS:** Okay. So the system --
11 if I may, Mr. Chair.

12 **COMMISSIONER SKOP:** Continue.

13 **COMMISSIONER STEVENS:** The system was in a
14 state, it was stable, but we were using a higher cost
15 fuel.

16 **THE WITNESS:** Yes. Again, the system was
17 stable, the, the response to the transmission event I
18 guess I'll call as in my understanding was over, and
19 I'm, I'm watching our generation screen. So it's an
20 estimation that I'm making that once I have shut down
21 all of my peaking facilities, sent back all the
22 purchased power that I needed, that the system has now
23 become stable and that transmission event is, quote,
24 unquote, over for that period because I'm stable again.

25 But to answer your question, yes, even after

1 the eight-hour period the nuclear units were off, again
2 as we have talked about for the duration. And I think
3 we did have a couple more combustion turbines as part of
4 our gas-fired combined cycle fleet that still needed to
5 be returned, but they returned within a couple of hours.

6 **COMMISSIONER STEVENS:** Thank you, Mr. Yupp.

7 Thank you, Mr. Chair.

8 **COMMISSIONER SKOP:** Commissioners, any further
9 questions?

10 Mr. Yupp, just two quick questions. On Page 2
11 beginning on Line 24 and continuing on to Page 3 through
12 Line 9 of your prefiled direct testimony, again you
13 adopt the reasoning by Witness or Dr. Avera that'll be
14 coming later in this proceeding. But you don't have a
15 specific opinion, do you, as to the appropriateness or
16 the disincentive of looking at the lower cost fuel or
17 penalizing, as the other witness will testify to?

18 **THE WITNESS:** No, I don't have an opinion on
19 that specifically, Commissioner Skop.

20 **COMMISSIONER SKOP:** Okay. And in relation to
21 how FPL calculated its replacement fuel cost, I believe
22 on Line 7 of Page 3 it uses the eight-hour period that
23 Commissioner Stevens referred to. I assume that was a
24 number provided to you and you just ran your analysis
25 based on that specific number; is that correct?

1 **THE WITNESS:** Yes. As far as using the
2 eight-hour period, yes. And in understanding what FPL's
3 approach was going to be on this, that the intent was to
4 try to -- because of the uniqueness of this situation,
5 try to isolate it to the transmission event itself, I
6 felt that, as far as what I could see happen that day,
7 that in that eight-hour period was really the greatest
8 impact of the transmission event in and of itself.
9 After that the system had returned to a stable state.

10 **COMMISSIONER SKOP:** Okay. So I'm going to ask
11 a question to you, and I'll ask in fairness the same
12 question to OPC's witness, and I'm sure I'll hear
13 differing opinions. But am I correct to understand that
14 for that eight-hour period essentially what FPL did to
15 calculate its replacement power cost would be to take
16 the spot market price of replacement fuel and power less
17 the marginal cost of production on a systemwide basis,
18 that net cost differential being the amount that FPL
19 should refund to its customers? Is that holistically in
20 a nutshell --

21 **THE WITNESS:** Yes. I think in a general sense
22 that's correct. I could just a little bit maybe
23 clarification is we took the cost of all of the peaking
24 units that I just described based on their actual fuel
25 prices for the month. We calculated what the cost of

1 all of that generation was from the time they started
2 'til the time they shut down. We added in all of the
3 purchased power that we bought on a, on a total dollar
4 basis.

5 And I think the total was slightly over 16,600
6 megawatt hours between the peaking units we ran and the
7 purchased power we bought. From that, as you described,
8 we subtracted the system average cost times that exact
9 same amount of megawatt hours, the net differential.

10 **COMMISSIONER SKOP:** Okay. Like I said, I
11 could have got in deeper detail, but I was trying to say
12 it concisely. So it's correct to understand then that
13 basically the ascension power was completely omitted
14 from that calculation.

15 **THE WITNESS:** Correct. It would have been
16 because during that eight-hour period the units were
17 still off the line.

18 **COMMISSIONER SKOP:** Okay. And you merely
19 performed the financial analysis based on the inputs and
20 you're taking no opinion as to the appropriateness to
21 the dollar value of the replacement fuel cost; is that
22 correct?

23 **THE WITNESS:** From the direct -- from the
24 \$2 million? Yeah. That is correct.

25 **COMMISSIONER SKOP:** All right. Thank you.

1 Okay. Any other questions from the bench?

2 All right. Mr. Butler, redirect.

3 **MR. BUTLER:** Briefly. Before I do, let me
4 note one thing. Commissioner Stevens has asked a couple
5 of our witnesses now the question about how long
6 customers were out of, out of service, and Dr. Avera is
7 prepared to address that point when he comes to the
8 stand. So at that time it would be appropriate to ask
9 him that question, if you choose.

10 **REDIRECT EXAMINATION**

11 **BY MR. BUTLER:**

12 Q. Mr. Yupp, a couple of brief redirect questions
13 for you. You were asked by Mr. Young a question as I
14 recall it to the effect that FPL and OPC, Intervenors,
15 agree that the replacement power costs are between
16 \$14.5 million and \$15.9 million. Do you remember that?

17 A. Yes, I do.

18 Q. Okay. What are the conditions under which FPL
19 would agree that that is the replacement power cost
20 calculation?

21 A. I'm not sure I follow.

22 Q. For what scenario of outage time is that
23 appropriate?

24 A. Both of those numbers, the 14.5 and the 15.9,
25 correlate to an outage time duration of 158 hours for

1 Turkey Point Unit 3 and 107 for Turkey Point Unit 4.

2 Q. And so this would be the appropriate
3 calculation only if the Commission were to decide that
4 that's the outage duration for which it would be
5 disallowing replacement power costs; is that correct?

6 A. That is correct.

7 Q. Okay. You mentioned the, one of the
8 differences between the \$15.9 million calculation and
9 the \$14.5 million calculation of the replacement power
10 costs for the full unit outages as being the inclusion
11 or consideration of power ascension in the system
12 simulation approach that yields the \$14.5 million
13 figure. Are there any other differences that are
14 responsible for, differences in methodology that are
15 responsible for the differences in the dollars shown in
16 those calculations?

17 A. There probably is, and I should say there is
18 one other benefit as opposed to doing a manual
19 calculation and using a production cost model. The
20 manual calculation is looking straightforward at a blend
21 of, in this case, gas, oil and light oil as we have
22 described.

23 In the production cost model where the program
24 is trying to optimize system dispatch around the
25 parameters that it has, that blended cost will not

1 always be the case. So, in other words, it won't be a
2 mixture of gas, oil and light oil that's always being
3 referenced against system average or nuclear avoided --
4 at night, for example, when load is lower and units
5 regulate down. It may be looking at combined cycles
6 sitting close to their low limits as being the units
7 that, that are replacing the nuclear. It could even be,
8 depending on how low load goes that night, it could even
9 be a little bit of coal power.

10 So I think to a certain extent the manual
11 calculation tends to overstate because you're using a
12 static marginal value against, as I said, either system
13 average or nuclear; whereas, the production cost model
14 is really looking at how should the system have
15 dispatched what units really were on the margin? It may
16 not be a mix; it may be gas, it may be a little coal.
17 And so that would tend to lower what the replacement
18 fuel value would be, correctly lower it.

19 Q. Mr. Yupp, you were asked by Mr. Young whether
20 you were aware of any cases from this Commission
21 previously in which it has used the system average
22 approach that FPL proposes for calculating replacement
23 power costs, and I believe you said you were not aware
24 of any. Are you aware of any instances where this
25 Commission has addressed the circumstance of a nuclear

1 unit outage having resulted from an event external to
2 the plant?

3 **A.** No, I am not. And that's partly the answer on
4 the drilled hole case and understanding the methodology
5 that was used there. Again, a different case than what,
6 than what we face here today, and Dr. Avera will testify
7 to that. But the circumstances surrounding this, I have
8 not, I have not seen a case such as this before.

9 **MR. BUTLER:** Thank you. That's all the
10 redirect that I have.

11 **COMMISSIONER SKOP:** Okay. Mr. Butler, I just
12 want to speak briefly before we get to the exhibits.
13 Again, Mr. Yupp came real close to opening a door there.
14 I just want to clarify that I sustained the previous FPL
15 objection on the basis that Dr. Avera would be the
16 appropriate witness to answer staff's line of questions,
17 and it was not intended to impede staff's ability to get
18 the answers to its questions. So, again, let staff ask
19 those questions when they have the appropriate witness
20 onboard. But if we don't get the answers, then again I
21 think staff still reserves the right to ask these
22 questions again even if they're not, the witnesses
23 aren't able to answer them. But, again, I just want to
24 make the parties clear as to the objection was sustained
25 based on the representations that he was not the

1 appropriate witness.

2 **MR. BUTLER:** Understood. And that's, that,
3 that is certainly fair. And if by some chance their
4 questions lead to something about calculation, we
5 certainly wouldn't object to Mr. Yupp being asked those
6 questions when he comes back for rebuttal.

7 **COMMISSIONER SKOP:** Okay. Well, like I say,
8 just in the rebuttal he gave, came real close to
9 offering an opinion as to policy. So I didn't want to
10 have that door opened if he's not the appropriate
11 witness.

12 With respect to -- if that concludes your
13 redirect, I guess we need to address exhibits.

14 **MR. BUTLER:** Thank you. Yes. We would move
15 the admission of Exhibits 2 through 10.

16 **COMMISSIONER SKOP:** Okay. Any objection from
17 the parties? Okay. I'm showing no objection. Exhibits
18 2 through 10 will be entered into the record.

19 (Exhibits 2 through 10 admitted into the
20 record.)

21 And, staff, any additional matters before we
22 call the next witness?

23 **MS. BENNETT:** No, sir.

24 **COMMISSIONER SKOP:** Okay. Mr. Butler, if you
25 could call your next witness.

1 **MR. BUTLER:** We would call Dr. Avera.

2 (Pause.)

3 **COMMISSIONER SKOP:** And to our court reporter,
4 Linda, are you doing all right or do you need to take a
5 break any time soon? Okay. Thank you.

6 Mr. Butler, you're recognized.

7 **MR. BUTLER:** Thank you. Dr. Avera has been
8 previously sworn.

9 **WILLIAM E. AVERA**

10 was called as a witness on behalf of Florida Power &
11 Light Company and, having been duly sworn, testified as
12 follows:

13 **DIRECT EXAMINATION**

14 **BY MR. BUTLER:**

15 **Q.** And I would ask that he state his name and
16 business address for the record.

17 **A.** William E. Avera, 3907 Red River, Austin,
18 Texas.

19 **Q.** By whom are you employed and in what capacity?

20 **A.** I am the President of FINCAP, Incorporated, an
21 economic and financial consulting firm.

22 **Q.** Have you prepared and caused to be filed in
23 this proceeding 13 pages of prefiled direct testimony on
24 January 13, 2010?

25 **A.** Yes.

1 **Q.** Do you have any changes or corrections to make
2 to your prefiled direct testimony?

3 **A.** No, I do not.

4 **Q.** Okay. If I asked you the questions contained
5 in your prefiled direct testimony today, would your
6 answers be the same?

7 **A.** Yes.

8 **MR. BUTLER:** Okay. Commissioner Skop, I'd ask
9 that Dr. Avera's prefiled direct testimony be inserted
10 into the record as though read.

11 **COMMISSIONER SKOP:** The prefiled testimony of
12 the witness will be entered into the record as though
13 read.

14
15
16
17
18
19
20
21
22
23
24
25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **TESTIMONY OF WILLIAM E. AVERA**

4 **DOCKET NO. 090505-EI**

5 **January 13, 2010**

6

7 **Q. Please state your name and address.**

8 A. My name is William E. Avera, 3907 Red River, Austin, Texas, 78751.

9 **Q. By whom are you employed and what is your position?**

10 A. I am employed by Financial Concepts and Applications, Inc. ("FINCAP"),
11 a firm engaged in financial, economic, and policy consulting to business
12 and government. I am the President of FINCAP.

13 **Q. Please describe your educational background and professional**
14 **experience.**

15 A. I received a B.A. degree with a major in economics from Emory
16 University and a Ph.D in economics and finance from the University of
17 North Carolina at Chapel Hill. I have held the Chartered Financial Analyst
18 (CFA[®]) designation for 30 years. Upon receiving my Ph.D., I joined the
19 faculty at the University of North Carolina and taught finance in the
20 Graduate School of Business. I subsequently accepted a position at the
21 University of Texas at Austin where I taught courses in financial
22 management and investment analysis.

1 In 1977, I joined the staff of the Public Utility Commission of Texas
2 ("PUCT") as Director of the Economic Research Division. During my
3 tenure at the PUCT, I managed a division responsible for financial
4 analysis, cost allocation and rate design, economic and financial
5 research, and data processing systems, and I testified in cases on a
6 variety of financial and economic issues. Since leaving the PUCT I have
7 been engaged as a consultant. I have participated in a wide range of
8 assignments involving utility-related matters on behalf of utilities,
9 industrial customers, municipalities, and regulatory commissions. I have
10 previously testified before the Federal Energy Regulatory Commission
11 ("FERC"), as well as the Federal Communications Commission ("FCC"),
12 the Surface Transportation Board (and its predecessor, the Interstate
13 Commerce Commission), the Canadian Radio-Television and
14 Telecommunications Commission, and regulatory agencies, courts, and
15 legislative committees in 42 states. I have testified in over 300 regulatory
16 cases, including several before the Florida Public Service Commission
17 ("FPSC" or "the Commission").

18
19 In 1995, I was appointed by the PUCT, with the approval of the Governor,
20 to the Synchronous Interconnection Committee to advise the Texas
21 legislature on the costs and benefits of connecting Texas to the national
22 electric transmission grid. In addition, I served as an outside director of

1 Georgia System Operations Corporation, the system operator for electric
2 cooperatives in Georgia.

3
4 I have served as Lecturer in the Finance Department at the University of
5 Texas at Austin and taught in the evening graduate program at St.
6 Edward's University for twenty years. In addition, I have lectured on
7 economic and regulatory topics in programs sponsored by universities
8 and industry groups. I have taught in hundreds of educational programs
9 for financial analysts in programs sponsored by the Association for
10 Investment Management and Research (now the CFA Institute), the
11 Financial Analysts Review, and local financial analyst societies. These
12 programs have been presented in Asia, Europe, and North America,
13 including the Financial Analysts Seminar at Northwestern University. I
14 was elected Vice Chairman of the National Association of Regulatory
15 Commissioners ("NARUC") Subcommittee on Economics and appointed
16 to NARUC's Technical Subcommittee on the National Energy Act. I have
17 also served as an officer of various other professional organizations and
18 societies.

19
20 I have extensive experience with issues of fuel and purchased power
21 recovery, having led the PUCT staff review of the fuel adjustment clauses
22 in Texas. Since leaving PUCT I have been involved in a variety of issues

1 relating to fuel and purchased power recovery as a consultant and expert
2 witness for regulatory agencies, consumer groups, and utilities.

3 **Q. What is the purpose of your testimony?**

4 A. The purpose of my testimony is to examine the proper regulatory
5 treatment of the Replacement Power Cost ("RPC") arising from the
6 February 26, 2008 transmission event at Florida Power & Light Company's
7 ("FPL" or "the Company") Flagami substation (the "Flagami Transmission
8 Event"). My analysis is based on my education and experience in areas
9 of regulatory policy, finance, and economics.

10 **Q. Please summarize the conclusions of your testimony.**

11 A. My testimony demonstrates that, from the perspective of sound
12 economics and regulatory policy, the calculation of RPC should recognize
13 that FPL recovers power costs without profit and avoid creating any
14 disincentive to invest in generation alternatives that have low fuel costs,
15 such as nuclear, solar and wind. Basing the net cost of replacement fuel
16 exclusively on the Turkey Point nuclear units would be unfair and result in
17 adverse incentives for energy efficient technologies. The RPC calculation
18 proposed by FPL witness Gerard J. Yupp is fair to FPL's customers and
19 investors while avoiding disincentives for utilities to invest in energy
20 efficient and environmentally beneficial generation alternatives.

21

22 Mr. Yupp's calculation is consistent with the economic logic of fuel
23 recovery based on system average costs. His approach would also avoid

1 penalizing FPL for investing in nuclear power with its lower fuel cost, the
2 benefits of which are passed on to FPL's customers. As described in the
3 testimony of FPL witness J. A. (Art) Stall, the Flagami Transmission
4 Event caused Turkey Point Units 3 and 4 to automatically come offline as
5 they are required to do. Turkey Point's costs should not be used
6 exclusively in calculating the RPC, because 100% of the benefits of low
7 nuclear fuel costs are passed on to FPL's customers. If this low nuclear
8 fuel cost is used as a backdoor way to penalize FPL for an outage that
9 was unrelated to its nuclear operations, a clear message will be sent to
10 investors in FPL and other Florida electric utilities that investing in low
11 fuel cost alternatives has become a more risky, asymmetrical proposition.

12
13 If low nuclear fuel costs are used exclusively to calculate the RPC for an
14 outage that is entirely *unrelated to nuclear operations*, the *larger the cost*
15 *differential from the system average*, the greater the penalty of
16 disallowance to shareholders. Moreover, this increased risk does not just
17 apply to nuclear capacity, but would apply equally to any generating
18 resource with fuel costs significantly below the system average. This is
19 obviously a perverse incentive given the efforts of the FPSC and Florida
20 leaders to encourage energy-efficient and renewable technologies due to
21 their benefits for the environment and economy of Florida. A balanced
22 approach to RPC recovery based on system average costs is consistent
23 with Florida's policy that encourages utilities to invest in the high capital

1 cost alternatives of nuclear, wind, and solar, which have lower energy
2 costs and environmental benefits. This energy efficiency policy benefits
3 FPL's customers as well as the environment and the economy of Florida.

4
5 Mr. Stall explains that the outage of Turkey Point was triggered by the
6 Flagami Transmission Event, and was consistent with Nuclear Regulatory
7 Commission ("NRC") requirements for plant operations and not the result
8 of any improper or inappropriate actions in the operation of these units.

9 FPL then took appropriate, prudent actions to return the units to service as
10 promptly as possible. Therefore, Mr. Yupp's calculation of RPC properly
11 includes only the outage time related to the Flagami Transmission Event.

12 It would be both unfair and create additional disincentives to invest in
13 nuclear generation if the additional outage time required to address
14 equipment issues at Turkey Point were included in the calculation of the
15 RPC.

16
17 **Regulatory Policy on Power Cost Recovery**

18 **Q. Are there established regulatory policies related to the recovery of**
19 **replacement power costs?**

20 **A. Yes.** A fundamental tenet of the regulatory compact is that the utility is
21 entitled to an opportunity to recover from customers all reasonable and
22 necessary costs prudently incurred in providing service. Under regulatory
23 policy in Florida (as in most state and federal jurisdictions), a utility is

1 allowed to recover prudently incurred fuel and purchased power costs
2 without profit or loss.

3
4 Under Florida's fuel and power adjustment clauses, a utility has an
5 opportunity to recover its actual fuel costs. The best outcome for the
6 utility is that the dollars it has paid are fully recovered from customers,
7 with no opportunity for gain. On the other hand, if some of the utility's
8 expenditures are deemed to have been imprudent, then those costs are
9 not recovered from customers. Thus, utility investors see an asymmetric
10 risk exposure in clause recovery, with no upside opportunity and a
11 potentially large downside.

12 **Q. Has the FPSC recognized the importance of the economic
13 incentives inherent in fuel and purchased power recovery?**

14 **A.** Yes. This Commission has been a national leader in recognizing that the
15 rules for fuel and purchased power recovery create economic incentives
16 for efficient utility behavior. In 1979, when I was leading an effort at the
17 PUCT to introduce incentives into the fuel and purchased power
18 mechanism, I visited with senior staff and commissioners in Florida to
19 learn from the policies implemented here. The FPSC has continued to
20 be a leader in mobilizing incentives.

21 **Q. What is the effect of Florida's power cost recovery mechanism on the
22 economics of generation alternatives that have low fuel cost?**

1 A. The asymmetry of the risk exposure I described earlier is heightened.
2 The benefits of low fuel costs are passed on directly to consumers by
3 reducing the average power cost in the bills they pay. However, the low
4 fuel costs of those generating resources increase the economic exposure
5 of the utility and its investors to a disallowance if the FPSC finds that one
6 of those resources was not operating due to imprudence. Moreover,
7 since the most fuel-efficient generating alternatives have high capital
8 costs, utility shareholders are especially sensitive to any increased risk of
9 disallowance since they have huge amounts of money on the line. In
10 other words, the same low fuel costs that benefit customers may also
11 heighten the risk associated with power cost disallowances for investors.
12 This is because the potential differential between the cost of replacement
13 power and the lost low-cost generation source is large, which exposes
14 shareholders to the potential for greater disallowed energy costs than
15 from a higher fuel cost alternative.

16

17 Exposure to high replacement power costs when the utility is found to
18 have operated a low fuel cost resource in an imprudent manner is an
19 accepted part of the regulatory compact under which utilities in Florida
20 operate. Investors understand that they are exposed to this risk when
21 plant operations fail the prudence test. However, if the benefits
22 associated with low fuel cost resources were used to increase the RPC
23 when there is an outage unrelated to the operation of the generating

1 plants -- such as an outage caused by a transmission disturbance (as Mr.
2 Stall explains was the case in the Flagami Transmission Event) -- then
3 shareholders would be exposed to an additional risk due to the very
4 energy efficiency that the FPSC regulatory policy favors. In short, the
5 more fuel-efficient the resource, the steeper the RPC penalty from an
6 outage unrelated to plant operations. Investors have not included the
7 additional risk of disallowances unrelated to plant operations in the return
8 they require from securities issued by FPL. If investors are sent a signal
9 that they are exposed to large disallowances from events unrelated to the
10 operations of low fuel cost generation resources simply due to the spread
11 between the fuel-efficient cost and replacement power, the cost of capital
12 associated with investment in low fuel cost generation will increase.

13
14 If the RPC for a transmission outage were calculated based exclusively
15 on the low fuel cost generating resources that happened to be affected by
16 the outage, then investors' risk exposure would be increased even in
17 those cases where there has been no imprudence in operating those
18 resources. This would create a clear disincentive to invest in fuel-efficient
19 generation alternatives because their low cost would increase the
20 potential penalty from unrelated outages. For example, using the low fuel
21 cost of Turkey Point Units 3 and 4 as the sole basis to compute RPC in
22 this case would unfairly increase the penalty for the Flagami
23 Transmission Event even though that outage was unrelated to the

1 operation of the nuclear units. In contrast, calculating the RPC based on
2 system average costs, as Mr. Yupp has done, does not focus the penalty
3 on FPL's investment in low fuel cost generation and thus avoids a
4 disincentive to the development of these important resources.

5 **Q. Is the use of system average power costs consistent with FPSC**
6 **power cost recovery policy?**

7 A. Yes. Under FPSC regulatory policy, customers' bills reflect system
8 average power costs. When customers use more or less electric energy,
9 their bills go up or down by system average power costs. Consistent with
10 this policy, the RPC from a transmission outage that causes a generating
11 plant to become unavailable should also be based on system average
12 power costs. The fact that the Flagami Transmission Event happened to
13 affect the operation of a nuclear generating unit with low fuel cost does
14 not justify ignoring system average power cost and instead focusing the
15 RPC calculation exclusively on the operating costs for those nuclear
16 units.

17 **Q. What would be the effect of focusing on the low fuel cost resource,**
18 **rather than using system average power costs, in calculating RPC?**

19 A. Utilities would be discouraged from investing in nuclear and other low
20 fuel-cost generation because investors would be exposed to RPC refunds
21 whenever those facilities are forced offline for reasons unrelated to their
22 operations. As indicated earlier, such an outcome would increase the
23 risk exposure of investors beyond those ordinarily associated with

1 operating low cost generating resources because they would be subject
2 to increased disallowances due to transmission disturbances and other
3 events unrelated to the specific operations of these generating facilities.
4 This disincentive to efficiency is contrary to the regulatory policy of the
5 FPSC fuel and purchased power recovery.

6
7 **Reasonableness of FPL's Proposed RPC Calculation**

8 **Q. Why is it important not to penalize FPL for the time Turkey Point**
9 **Units 3 and 4 were unavailable due to the Flagami Transmission**
10 **Event?**

11 **A.** As explained by Mr. Stall, FPL responded prudently to return Turkey
12 Point Units 3 and 4 to service as promptly as possible. The
13 circumstances that extended the outages were not related to the Flagami
14 Transmission Event and were not the result of any improper or
15 inappropriate actions on FPL's part. It would be unfair to FPL and serve
16 as a major disincentive to the construction and operation of low fuel-cost
17 generating technologies such as nuclear, solar and wind if FPL were to be
18 penalized for replacement power costs that are not a result of any
19 imprudence in the operation of Turkey Point Units 3 and 4.

20
21 As discussed earlier, adding to the risk of disallowances associated with
22 fuel efficient generating resources creates disincentives that are contrary to
23 sound regulatory policy. Similarly, increasing the penalty because of

1 legitimate operational issues unique to Turkey Point and unrelated to the
2 triggering transmission disturbance, would heighten the disincentive and
3 would unfairly penalize investors. Therefore, FPL has calculated
4 replacement fuel costs for the 8-hour period during which the Flagami
5 Transmission Event had a significant impact on the company's ability to
6 operate its generation system and based that calculation on what its
7 system average fuel costs would have otherwise been during that period if
8 all generating resources were available and able to operate.

9 **Q. Have customers been well-served by FPL's investment in Turkey**
10 **Point Unit's 3 and 4?**

11 A. Yes. FPL's customers have enjoyed the benefits of the low fuel cost
12 associated with the Turkey Point nuclear units for many years in the
13 lower fuel adjustment they have paid in their bills. As explained by Mr.
14 Stall, Turkey Point Units 3 and 4 have performed in a safe and reliable
15 manner, exceeding industry averages for nuclear capacity factor and
16 equivalent availability in 2008 even with the outage triggered by the
17 Flagami Transmission Event and the equipment issues unrelated to the
18 triggering transmission disturbance.

19 **Q. Do consumers and the economy of Florida benefit from avoiding**
20 **disincentives for investing in low fuel cost alternatives?**

21 A. Yes. The policy of the FPSC and other agencies of Florida State
22 Government has been to encourage investment in nuclear power and
23 other energy-efficient generation alternatives. Development of low fuel

1 cost alternatives helps moderate the fuel and purchased power costs that
2 customers pay in their bills. Since Florida is remote from conventional
3 fuel sources, avoiding the cost of purchasing and transporting these fossil
4 fuels is an obvious and direct benefit to customers. In addition,
5 minimizing the burning of fossil fuels helps protect and improve the
6 environmental quality that brings visitors and new residents to this
7 beautiful state. Moreover, since low energy cost alternatives generally
8 require extensive upfront capital investment in facilities located inside the
9 state, these energy-efficient alternatives generate economic activity so
10 badly needed by Florida workers and communities. The efforts of the
11 FPSC and other leaders in Florida to encourage fuel-efficient investment
12 in the state would be undermined if investors are exposed to unwarranted
13 RPC penalties when an outage is caused by circumstances other than
14 imprudent plant operations.

15 **Q. Does this conclude your testimony?**

16 **A. Yes.**

1 **MR. BUTLER:** And Dr. Avera's testimony, direct
2 testimony does not have any exhibits, so at this point I
3 would ask him to summarize his testimony.

4 **THE WITNESS:** Good afternoon, Commissioners.
5 My testimony examines the proper regulatory treatment of
6 the replacement power costs from the February 26th,
7 2008, transmission event. Basing the cost of
8 replacement fuel exclusively on the Turkey Point nuclear
9 units would be unfair and would undermine incentives for
10 energy-efficient technologies. The replacement cost
11 calculation presented by Mr. Yupp recognizes that this
12 outage was triggered by a transmission event and not
13 plant imprudence. It is fair to FPL's customers and
14 avoids disincentives for utilities to invest in
15 energy-efficient and environmentally beneficial
16 generation alternatives.

17 As described in the testimony of FPL witness
18 Stall, the transmission event caused the Turkey Point
19 units to automatically trip offline as they were
20 designed to do. Turkey Point's costs should not be used
21 exclusively in calculating the replacement cost because
22 100 percent of the benefits of nuclear fuel cost are
23 passed on to FPL's customers. If this low nuclear fuel
24 cost is used to penalize FPL for an outage that was not
25 caused by nuclear operations, a clear message will be

1 sent to investors and FPL and other Florida electric
2 utilities that investing in low fuel cost alternatives
3 has become a more risky, asymmetrical proposition. The
4 larger the cost difference from the system average, the
5 greater the penalty from a disallowance unrelated to
6 plant operations.

7 Investors understand when they invest in a low
8 fuel cost alternative that they are exposed to the risk
9 of high replacement cost when plant operations are
10 imprudent. But what is new and what is not built into
11 investor expectations is that they would be exposed to
12 high replacement costs from an outage that is unrelated
13 to plant operations. That increases the risk and it
14 would undermine the state's policy of encouraging
15 energy-efficient, environmentally beneficial and
16 economically necessary investment. That completes my
17 summary.

18 **MR. BUTLER:** Thank you, Dr. Avera. I tender
19 the witness for cross-examination.

20 **COMMISSIONER SKOP:** Very well. Thank you,
21 Mr. Butler.

22 Mr. McGlothlin, you're recognized for
23 cross-examination.

24 **MR. MCGLOTHLIN:** Thank you, Commissioner.

25 **CROSS EXAMINATION**

1 **BY MR. MCGLOTHLIN:**

2 Q. Hello, Dr. Avera. I'm Joe McGlothlin with
3 OPC.

4 A. Hello, Mr. McGlothlin. Good to see you again.

5 Q. Thank you, sir. I first want to refer you to
6 Page 7 of your direct testimony.

7 A. Yes, sir.

8 Q. Since the last time you and I had a
9 conversation on the record, I've traded my old lenses in
10 for some new ones, and so I have to bounce back and
11 forth between my spectacles and you. The difference is
12 I can see you without the spectacles now. That was not
13 possible before. But please pardon as I, as I deal with
14 that little situation.

15 But I want to refer you to Page 7, Line 4
16 through 11, and the statement by you that, "Under
17 Florida's fuel and power adjustment clauses, a utility
18 has an opportunity to recover its actual fuel costs.
19 The best outcome for the utility is that the dollars it
20 has paid are fully recovered from customers, with no
21 opportunity for gain. On the other hand, if some of the
22 utility's expenditures are deemed to have been
23 imprudent, then those costs are not recovered from
24 customers. Thus, utility investors see an asymmetric
25 risk exposure in clause recovery, with no upside

1 opportunity and a potentially large downside." My
2 question refers to the statement about an asymmetric
3 risk exposure in clause recovery.

4 Now on the prior page, Page 6, you refer to a
5 fundamental tenet of what you would characterize as a
6 regulatory compact is that the utility is entitled to an
7 opportunity to recover from customers all reasonable and
8 necessary costs prudently incurred in providing service,
9 do you not?

10 A. Yes.

11 Q. And would you agree with me that the recovery
12 of fuel costs through a clause is a subpart of that
13 larger picture fundamental tenet?

14 A. That is correct. That the -- unless there has
15 been a finding of prudence, imprudence by the
16 Commission, the utility ought to be able to recover that
17 cost.

18 Q. And would you agree that it also follows that
19 if a utility has incurred unreasonable costs, it is not
20 entitled to recover those from customers?

21 A. That is correct. And as happens with some
22 frequency, the utility does not recover those costs and,
23 therefore, its return, its profit suffers.

24 Q. And translating that fundamental tenet that
25 you describe on Page 6 to what I would be, characterize

1 as the counterpart mathematical equation that we see in,
2 for instance, revenue requirement cases, you are
3 familiar, are you not, with the equation that says the
4 total revenues a utility is going to collect is a
5 function of its reasonably incurred expenses plus a fair
6 return on prudently invested capital?

7 **A.** That is correct. That's a good summary.

8 **Q.** Referring to the rate case scenario by
9 analogy, isn't it true that with respect to what we
10 characterize as operations and maintenance costs, O&M,
11 the best that the utility can do is to recover what it
12 incurred and there's some downside in the event the
13 Commission deems a portion of those costs as imprudent
14 or unreasonable?

15 **A.** Well, as a technical matter, Mr. McGlothlin,
16 that's not correct. Because generally for at least
17 fixed O&M costs they are established at the time of the
18 rate case. And if those O&M costs go down because of
19 economic conditions or because of management efficiency,
20 it is possible for management to actually benefit
21 because its actual O&M costs are different than those
22 that are built into the base rates.

23 So as to those O&M costs that are impounded in
24 the base rates, there is not a dollar-for-dollar
25 recovery as occurs for fuel costs and those variable O&M

1 costs that might be recovered through a clause.

2 Q. That variance though is a function not of any
3 action by the Commission to mark up O&M, but is instead
4 a function of the different frequency with which base
5 rates are adjusted to track actual costs; isn't that
6 correct?

7 A. Well, it's a function of many things,
8 Mr. McGlothlin. It's a function of what happens to
9 those costs relative to what is built into base rates.
10 Those costs could go down because of economic
11 circumstances beyond the control of management or they
12 could go up because of those same reasons. They could
13 also go down because management has found new
14 efficiencies, better and cheaper ways of doing things.
15 So there are any number of reasons why the O&M expenses
16 that are actually incurred can vary from those that are
17 built into base rates.

18 Q. Yes. I agree with your characterization which
19 says that over time the actual experience can depart
20 either above or below what was assumed or incorporated
21 in the, in the calculation of revenues.

22 But focusing for a moment on the ratemaking
23 exercise itself and using the example, for instance, of
24 wages, labor rates that, that are not capitalized as
25 part of construction, just straightforward labor rates,

1 at the time those are quantified in the revenue
2 requirements case, there's no markup or profit added to
3 those costs, are there?

4 **A.** That is correct. And the Commission reviews
5 those and it may find them, some are imprudently high
6 and it adjusts them down and builds into the base rates
7 the number, the prudent -- that the Commission believes
8 is representative of reasonable and prudent management
9 going forward.

10 But the profit that the utility gets is built
11 into the fair rate of return on rate base. But it's
12 important to understand that whenever there's a
13 disallowance of an expense that the company actually
14 incurred like a fuel expense, then the effect is to
15 lower the rate of return.

16 As Mr. Beck, I think, might have incorrectly
17 stated, if, if there are expenses that aren't recovered,
18 it does affect the rate of return of the company.

19 **Q.** And that is because the company and not the
20 ratepayers are absorbing those costs that have been
21 deemed unreasonable by the Commission; correct?

22 **A.** That is correct. Those that have been paid
23 but aren't ultimately recovered from customers, then
24 management pays those out of shareholder funds, so to
25 speak.

1 **Q.** Then you agree with me that focusing on the
2 ratemaking exercise specifically in the context of the
3 revenue requirements case, the manner in which the
4 Commission treats wages, copier paper, the gasoline that
5 is burned in the utility's trucks does not differ from
6 the way that fuel costs are covered in that those are
7 quantified as precisely as the base rate mechanism
8 allows without profit, and the best that the utility can
9 do is recover what it actually incurs, and there is the
10 corresponding downside as, as there is with the fuel in
11 the event the regulator determines that any of those was
12 imprudent?

13 **A.** Mr. McGlothlin, I can't agree with you for the
14 reasons we've discussed. The base rates are set. The
15 company collects the base rates. Whatever its expenses
16 are are what they are. And to the extent that those
17 deviate from what is built in base rates, the company
18 comes out ahead or behind. This is very different in my
19 mind from the fuel part of the collections where there
20 is a reconciliation of what the company actually paid.
21 So if fuel prices have gone down since the fuel factor
22 was set, then the reconciliation will return money to
23 the customers, just as if they've gone up, it will
24 collect extra money for the customers. So there is a
25 dollar-for-dollar reconciliation.

1 The only exception as I understand it, now
2 there's like the GPIF and a few other things to the
3 side, but in the main the company either gets to collect
4 its fuel cost or it doesn't if they're found to be
5 imprudent. It can't get extra dollars to contribute to
6 its profit from those fuel expenditures.

7 **Q.** You did agree with me that at the time the
8 Commission sets base rates, those O&M costs are
9 quantified with as much precision as possible to be
10 reflective of what the utility is going to incur;
11 correct?

12 **A.** That's right.

13 **Q.** Okay. That's my --

14 **A.** But once the base rates are set, the world
15 spins.

16 **Q.** One step at a time, Dr. Avera, please.

17 **A.** Yes, sir.

18 **Q.** You also agree that at that point in time
19 during the ratemaking exercise no profit is added to O&M
20 such as wages, gasoline, copier paper; correct?

21 **A.** That is correct.

22 **Q.** And you agreed with me that at the time those
23 base rates are set, the Commission does review those
24 expenses to determine whether any should be disallowed
25 by virtue of being unreasonable in amount; correct?

1 **A.** Unreasonable or unnecessary or any number of
2 other reasons, yes.

3 **Q.** So with respect to those aspects of the base
4 rate exercise and those aspects of the fuel cost
5 recovery exercise, those are treated in a similar
6 manner, are they not?

7 **A.** That is correct as to the initial setting.
8 It's what happens later that makes the difference.

9 **Q.** Now you referred to the aspect of Florida's
10 fuel cost recovery clause that enables the utility to
11 recover dollar for dollar, and that is by virtue of the
12 true-up mechanism, is it not?

13 **A.** Yes, sir.

14 **Q.** Because absent the true-up mechanism, as is
15 the case with base rates, the actual experience may very
16 well depart from what is incorporated in the fuel cost
17 recovery factor per se.

18 **A.** It may, and often does sometimes dramatically,
19 because fuel prices are volatile.

20 **Q.** But under Florida's fuel cost recovery clause,
21 the utility has the opportunity to demonstrate that it
22 has collected either more or less than was projected and
23 the difference is added to the, or subtracted from that
24 amount with interest taken into account; correct?

25 **A.** That is correct. So that the best that can

1 happen is it recover what it actually spent ultimately
2 after the reconciliation and the subsequent periods
3 except to those specific items that had been disallowed.

4 Q. Would you agree with me then that with respect
5 to fuel cost recovery in Florida, from the investor's
6 standpoint, the investor sees less downside risk with
7 respect to fuel than it does in the base rate mechanism
8 because there's no true-up mechanism there?

9 A. No, I can't agree. I think it depends on what
10 the investor believes about the ability of management to
11 manage its O&M costs and the other costs that are in
12 base rates relative to its exposure on the fuel side to
13 disallowances. So -- and the fuel is, is much bigger
14 than O&M. It, it's a huge part of the cost of service.
15 So it's a very big pot, so that a small difference can
16 make a big difference to investors.

17 Q. But you do acknowledge that with respect to
18 the base rate mechanism, that ratemaking exercise does
19 not incorporate a true-up aspect.

20 A. It does not.

21 Q. Now you alluded to the fact that with respect
22 to the utility's opportunity to make a profit or return,
23 that is associated with the part of the equation that
24 says revenue requirements shall include a fair return on
25 prudently invested capital; correct?

1 **A.** That's correct. That is the profit that's
2 built in the base rates. The actual profit that the
3 utility earns depends on how the world turns out, how
4 its expenses relate to what is in base rates and whether
5 or not it's able to collect all of its fuel expenses,
6 and of course its investment and capital costs change
7 over time.

8 **Q.** Let's focus on the -- that half of the
9 equation. Take the hypothetical example of a utility
10 that spends \$8 billion to build a new nuclear unit and
11 then approaches the Commission to place that in rate
12 base, and assume that the Commission determines that it
13 should have cost only \$7 billion. In that scenario what
14 amount of the investment would be placed in the
15 company's rate base? What would it return?

16 **A.** Well, the Commission would put into rate base
17 that investment that they regard to have been prudently
18 incurred. So irrespective of what the company actually
19 spent, what is put in rate base, and I think in your
20 hypothetical it was \$6 billion, what was the number,
21 billion?

22 **Q.** The investment was eight and the Commission
23 determines that seven was --

24 **A.** If the Commission determines that 7 billion is
25 the prudent amount, that's what goes in the rate base

1 and that's what the company is allowed to earn on.

2 Q. So even with respect to the profits half of
3 that equation from the investor's standpoint there is
4 the potential of what you referred to as a downside, and
5 that is the possibility that the company, the company
6 may not see the entire investment placed in rate base
7 where it's going to earn a return.

8 A. That is correct. That is one of the risks
9 that goes with being a utility, that you have to invest
10 as wisely and carefully as possible because this
11 Commission has the ability to review what you've done.
12 And if this Commission finds that you have not spent all
13 of those dollars prudently, then the customers will not
14 be responsible for them.

15 Q. So also in that regard there is a parallel to
16 be drawn between the base rate function on the one hand
17 and fuel cost recovery in that in both instances the
18 Commission performs a screening function to protect
19 customers from unreasonable amounts, and in both
20 situations the best that the company and its investors
21 can, can do is to see 100 percent of the amount spent
22 reflected in rates.

23 A. That's the best they can do. Now their actual
24 earnings of course depend on how events turn out. But
25 this Commission's role in the world, and it's a hard

1 world -- a hard role but an extremely important one, is
2 to review the expenditures that utilities make and make
3 sure that they are reasonable and prudently incurred.
4 And then for those expenditures and for those
5 investments, set rates that gives the company a
6 reasonable opportunity to earn a fair rate of return.

7 Q. With respect to your testimony on the fuel
8 cost issue in this case, you have referred to that as an
9 asymmetrical risk exposure, do you not?

10 A. Yes.

11 Q. Let's take another simple hypothetical, and
12 the hypothetical is that the utility has expended
13 \$100,000 on fuel costs and the Commission has determined
14 that \$10,000 of that \$100,000 was imprudently incurred
15 and unreasonable in amount and allows the utility to
16 pass through to the customers only \$90,000. And so that
17 would keep it as simple as possible. Let's say there's
18 no, there's no issue about the finding of imprudence.
19 That's not contested, it's certain, and the disallowance
20 is made. Would you agree that in that situation the
21 investors cannot expect the customers to collect, to pay
22 the entire \$100,000?

23 A. No. If, if an expenditure is found imprudent,
24 then the effect is that the company can only collect the
25 \$90,000. Its investors absorb the ten, the customers

1 only pay the 90.

2 Now it's really important that the Commission
3 consider the consequences of its prudent decision
4 because it will affect the behavior of the utility and
5 others. So it needs to make sure that in finding this
6 imprudence it has properly considered the facts and has
7 not created any perverse incentives that have unintended
8 consequences that end up hurting the customers.

9 **COMMISSIONER SKOP:** Mr. McGlothlin, do you
10 have -- how much longer of cross-examination do you
11 have? This may be a good breaking point otherwise.

12 **MR. MCGLOTHLIN:** Possibly another 30 minutes
13 or so.

14 **COMMISSIONER SKOP:** Okay. If you wouldn't
15 mind, it looks like we're about ready to switch out
16 court reporters, so I'd like to take a brief break and
17 we'll come back at 3:15.

18 (Recess taken.)

19 (Transcript continues in sequence with Volume
20 2.)

21

22

23

24

25


1 STATE OF FLORIDA)
2 COUNTY OF LEON) : CERTIFICATE OF REPORTER

3
4 I, LINDA BOLES, RPR, CRR, Official Commission
5 Reporter, do hereby certify that the foregoing
6 proceeding was heard at the time and place herein
7 stated.

8 IT IS FURTHER CERTIFIED that I
9 stenographically reported the said proceedings; that the
10 same has been transcribed under my direct supervision;
11 and that this transcript constitutes a true
12 transcription of my notes of said proceedings.

13 I FURTHER CERTIFY that I am not a relative,
14 employee, attorney or counsel of any of the parties, nor
15 am I a relative or employee of any of the parties'
16 attorneys or counsel connected with the action, nor am I
17 financially interested in the action.

18 DATED THIS 29th day of March,
19 2010.

20
21
22
23
24
25

LINDA BOLES, RPR, CRR
FPSC Official Commission Reporter
(850) 413-6734

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)
 :
)
COUNTY OF LEON)


CERTIFICATE OF REPORTER

I, JANE FAUROT, RPR, Chief, Hearing Reporter Services Section, FPSC Division of Commission Clerk, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 27th day of March, 2010.



JANE FAUROT, RPR
Official FPSC Hearings Reporter
(850) 413-6732