

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTED BY: LINDA BOLES, CRR, RPR
Official FPSC Reporter
(850) 413-6734

APPEARANCES: (As heretofore noted.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME: PAGE NO.

THOMAS R. KOCH

Examination by Mr. Butler	1293
Prefiled Rebuttal Testimony Inserted	1295
Examination by Mr. Moyle	1314
Examination by Ms. Csank	1316
Examination by Mr. Finnigan	1320
Examination by Mr. Butler	1352

STEVEN SIM

Examination by Ms. Cano	1355
Prefiled Rebuttal Testimony Inserted	1357
Examination by Mr. Moyle	1453
Examination by Ms. Csank	1459
Examination by Mr. Cavros	1483

BENJAMIN M. H. BORSCH

Examination by Ms. Triplett	1501
Prefiled Rebuttal Testimony Inserted	1503
Examination by Mr. Moyle	1525
Examination by Ms. Csank	1530

EXHIBITS

NUMBER:	ID.	ADMTD.
142-149		1500

P R O C E E D I N G

1
2 (Transcript continues in sequence from Volume
3 5.)

4 **MR. BUTLER:** FPL would call Mr. Koch to the
5 stand.

6 Whereupon,

THOMAS R. KOCH

7
8 was called as a witness on behalf of Florida Power &
9 Light Company and, having first been duly sworn,
10 testified as follows:

EXAMINATION

11
12 **BY MR. BUTLER:**

13 **Q** Mr. Koch, you've previously been sworn;
14 correct?

15 **A** Yes, that's right.

16 **Q** Okay. Would you please state your name and
17 business address for the record.

18 **A** Thomas R. Koch, 9250 West Flagler Street,
19 Miami, Florida.

20 **Q** And by whom are you employed and in what
21 capacity?

22 **A** Florida Power & Light as a Senior Manager, DSM
23 Strategy, Cost, and Performance.

24 **Q** Thank you. Have you prepared and caused to be
25 filed in this docket 15 pages of rebuttal testimony?

1 **A** Yes, I have.

2 **Q** Do you have any changes or revisions to your
3 prefiled rebuttal testimony?

4 **A** No, I don't.

5 **Q** So if I asked you the same questions contained
6 in your rebuttal testimony today, would your answers be
7 the same?

8 **A** Yes.

9 **MR. BUTLER:** Mr. Chairman, I ask that
10 Mr. Koch's prefiled rebuttal testimony be inserted into
11 the record as though read.

12 **CHAIRMAN GRAHAM:** We will insert Mr. Koch's
13 prefiled rebuttal testimony into the record as though
14 read.

15 **MR. BUTLER:** Thank you.

16 **BY MR. BUTLER:**

17 **Q** Mr. Koch, you have no exhibits to your
18 rebuttal testimony; correct?

19 **A** That's correct.

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

FLORIDA POWER & LIGHT COMPANY

REBUTTAL TESTIMONY OF THOMAS R. KOCH

DOCKET NO. 130199-EI

JUNE 10, 2014

Q. Please state your name and business address.

A. My name is Thomas R. Koch. My business address is 9250 W. Flagler Street, Miami, Florida 33174.

Q. Have you previously submitted testimony in this proceeding?

A. Yes.

Q. What is the purpose of your rebuttal testimony?

A. The purpose of my rebuttal testimony is threefold. First, in response to the proposals by EDF witness James Fine, Sierra Club witness Tim Woolf and SACE witness Karl Rábago that the Commission continue the current solar photovoltaic (PV) rebate pilot programs, I describe FPL's proposal for a solar research and development (Solar R&D) project that could replace all of FPL's current solar pilot programs (Solar Pilots). If approved, FPL would conduct the Solar R&D project which could be viewed as the next phase of research into solar PV technology, gathering information on a wide range of applications from demand-side PV on customer premises, to larger distributed PV facilities, and ultimately to central-station PV facilities. It would replace the expiring Solar Pilots which have been shown not to be cost-effective by wide margins under both RIM and TRC cost-effectiveness tests. The second purpose is to rebut the assertion that FPL's

1 Demand-Side Management (DSM) costs are “inflated,” that is made by SACE witness
2 Natalie Mims and, to a lesser degree, Sierra Club witness Woolf. Finally, I rebut
3 assertions by Ms. Mims and Mr. Woolf regarding the appropriateness and completeness
4 of the utilities’ 2009 Technical Potential Study and 2014 update.

5 6 I. FPL’S PROPOSED SOLAR R&D PROJECT

7
8 **Q. Dr. Sim’s rebuttal testimony recommends that the current solar PV pilot programs**
9 **be discontinued because they are not cost effective and concludes that the money**
10 **currently spent on those programs could be used more productively to conduct a**
11 **limited Solar R&D project that would gather information on the system impacts of**
12 **both DSM and non-DSM PV applications. Please describe FPL’s Solar R&D**
13 **proposal.**

14 **A.** As Dr. Sim notes, SACE, Sierra Club and Environmental Defense Fund all recommend
15 that further evaluation is needed to determine the costs and benefits of DSM PV. FPL
16 believes that the cost and benefits of solar (or any resource option for that matter) are best
17 assessed and considered in the context of a particular proposal for a resource option,
18 rather than in an abstract or generic proceeding. It is clear without the benefit of any
19 incremental research that the installed cost of utility scale PV is significantly lower than
20 roof top solar. However, FPL does agree that there is some merit to better understanding
21 system impacts of different forms of solar. To this end, FPL proposes to continue and
22 expand an initiative to gather data from a range of PV installations across the spectrum of

1 applications and located throughout FPL’s service territory, which would be metered and
2 instrumented to gather information on issues such as the following:

- 3 • impacts of PV installations on the transmission and distribution network based on
4 the size of the PV installations, their location and loading conditions on the
5 network;
- 6 • energy output characteristics of different PV installations based on factors such as
7 location, size and configuration;
- 8 • differences in customer electric consumption patterns based on whether PV is
9 located behind the customer’s meter vs. grid-connected; and
- 10 • effects of locational diversity for PV installations.

11

12 FPL would gather data from existing PV installations and may include a limited number
13 of targeted additional PV installations at appropriate locations around the FPL service
14 territory. We expect that arrangements could be made with an appropriate sample of
15 customers with existing DSM PV installations to limit the investment required to gather
16 information for that type of application. FPL also could rely upon data collected at its
17 DeSoto and Space Coast central-station PV facilities. To ensure that the full range of
18 locations and types of application are covered, FPL expects that it would need to install
19 several distributed PV systems of varying size throughout the service territory, relying
20 either on utility property or leases with customers for the necessary access. All
21 installations would be used to collect data on both the level of electric output that can be
22 expected from different types of installation and the impacts (positive and negative) that
23 the installations have on the electric grid. FPL would submit the exact scope and

1 parameters of such a Solar R&D project for Commission approval during the DSM Plan
2 phase, subsequent to this goal-setting proceeding. The annual cost for the Solar R&D
3 project would depend on specifics of implementation.

4 **Q. Why does FPL believe that this Solar R&D project would be preferable to the**
5 **current Solar Pilots?**

6 A. The current Solar Pilots constitute a large and concentrated cross-subsidy of a small
7 number of customers who receive rebates to install their own systems, by the vast
8 majority of customers who don't. For example, through year-end 2013 approximately
9 950 DSM PV systems were installed – a miniscule fraction of FPL's total customer base.
10 Those 950 systems received rebates totaling approximately \$15.8 million, an average of
11 about \$16,500 per system. FPL learns little from those pilots, other than confirming that
12 people will rush to get in line for giveaways. In contrast, the R&D project would gather
13 data that will be useful to FPL and our customers in determining the impacts that
14 different PV applications have on FPL's electric system.

15 **Q. Would this Solar R&D project be consistent with FEECA's requirements for**
16 **demand-side renewable energy systems?**

17 A. Yes. FEECA directs the Commission to adopt goals that will, among other things,
18 "increase[] the development of demand-side renewable energy systems." Section
19 366.82(2), F.S. As FPL witness Deason discusses in his rebuttal testimony, goals under
20 FEECA are to promote *cost-effective* DSM measures, and if available information shows
21 that there are no cost-effective applications for a particular DSM measure, then it is
22 appropriate for the Commission to set a goal of zero for that measure. Both my direct
23 testimony and FPL witness Sim's rebuttal testimony show that the current Solar Pilots are

1 not cost-effective, by wide margins and under both the RIM and TRC tests. At present,
2 no other cost-effective applications for DSM PV have been identified. By gathering
3 information about system impacts of DSM PV, the Solar R&D project would be an
4 efficient resource to help FPL evaluate the development of DSM PV.

6 II. UNFOUNDED ASSERTIONS REGARDING FPL'S DSM COSTS

7
8 **Q. What does SACE witness Mims contend regarding the level of costs that FPL and**
9 **the other FEECA Utilities have incurred for their DSM programs?**

10 A. She has two primary contentions:

- 11 • *"...more than a third of the program impacts associated with Utilities*
12 *portfolio have costs that are significantly above the average cost of*
13 *comparable programs."* (page 29, lines 16-17)
- 14 • *"Recent reports also indicate Florida's energy efficiency costs are inflated"*
15 *(page 30, line 9)*

16 **Q. On what does SACE witness Mims base her assertions?**

17 A. Her assertions are based on a single benchmarking study produced by Lawrence Berkley
18 National Laboratory (LBNL), although she characterizes this one document as multiple
19 "reports." The LBNL's primary comparative metric is the so-called levelized Cost of
20 Saved Energy (CSE). This metric attempts to portray an Energy Efficiency program's
21 present value life-cycle cost (installation cost minus the avoided cost from the estimated
22 future energy savings) divided by the future estimated kWh savings.

1 **Q. Is the LBNL's CSE a valid metric to support Ms. Mims' assertions?**

2 A. No. There are three main deficiencies with trying to use the CSE as Ms. Mims does.
3 First, the CSE omits demand savings, arguably the most important benefit of all DSM
4 programs, including Energy Efficiency programs. Second, it ignores the impact of lost
5 revenues, a significant component of any RIM-tested program. Any truly representative
6 metric must reflect all costs, including lost revenues. For these two reasons, CSE is not a
7 complete or valid metric to gauge or compare DSM programs or portfolios. The third
8 deficiency is with the LBNL's execution of the study itself, which suffers from many of
9 the typical problems inherent in DSM benchmarking, as well as major data integrity
10 problems that render its results meaningless and unusable.

11 **Q. Please briefly describe why the first deficiency, omitting demand savings, is a**
12 **concern.**

13 A. For all DSM, including Energy Efficiency programs, demand savings is a primary
14 benefit. Without it virtually no programs would have enough benefits to pass cost-
15 effectiveness testing. Any energy-only based comparison, such as CSE, that ignores this
16 parameter will yield results that are at best one-sided and at worst biased. Florida, where
17 reducing peak demand is recognized as an essential objective of DSM, is especially
18 negatively impacted by this omission in the CSE. By way of example, Load
19 Management programs (ignored by LBNL) would have extremely unfavorable CSE
20 results because they have little if any energy savings. In reality, however, Load
21 Management provides large cost-effective demand savings, and it is a key part of any
22 DSM portfolio and FPL's in particular. But based on CSE alone Load Management
23 would appear to make such a portfolio "expensive." Energy Efficiency programs are also

1 short-changed because only their energy savings and not their demand savings are
2 incorporated. In short, the CSE reflects SACE's inappropriate, tunnel-vision focus on
3 energy savings and thus misses an important part of the overall DSM picture.

4 **Q. Please briefly describe why the second deficiency, ignoring the impact of lost**
5 **revenues, makes the CSE an unreliable metric for comparing DSM programs.**

6 A. Lost revenues due to DSM Energy Efficiency programs represent a significant cost
7 component to all customers, which will increase their electric rates. Assuming programs
8 pass RIM; this rate uplift is mitigated by lowering other costs. However, because the lost
9 revenue impact will vary from one Energy Efficiency program to another, and between
10 different companies' portfolios, ignoring this impact significantly understates the
11 effective total cost of Energy Efficiency and distorts the CSE metric. Therefore, if lost
12 revenue impacts are excluded, performing a cursory side-by-side comparison of one CSE
13 result to another is essentially pointless.

14 **Q. Please discuss the third deficiency that you have pointed out, the lack of data**
15 **integrity in the LBNL CSE study.**

16 A. At first blush, the study appears to provide a somewhat straightforward metric and has
17 the veneer of analytical rigor. However, upon closer inspection, due to several fatal
18 shortcomings, it turns out to have little merit and its conclusions cannot be relied upon, at
19 least concerning Florida's results. I have organized my discussion of these shortcomings
20 into two groups: (1) problems inherent with all DSM benchmarking; and (2) problems
21 specific to the LBNL study itself, including its enormous data integrity flaws. I will add
22 that these shortcomings are well known; in fact several were listed by the authors

1 themselves. Given that this is Ms. Mims' sole piece of evidence on the topic, her failure
2 to mention any such problems appears either sloppy or disingenuous.

3 **Q. What problems are inherent with all DSM benchmarking studies?**

4 A. For many utility processes benchmarking can be a very useful tool to provide
5 comparative evaluations and FPL uses it effectively in many applications. However, like
6 any analytical tool, it has functional limitations that can inhibit its proper execution in
7 certain situations, and DSM programs are one of those situations. Most relevant here, is
8 the need for benchmarking to identify, quantify and control/normalize for any divergent
9 data, practices and circumstances. These steps are necessary to ensure a true apples-to-
10 apples comparison. Otherwise, the results will be inaccurate and perhaps misleading.

11
12 There are many variables that affect a given utility's planning, selection and execution of
13 its DSM programs. Some examples of these which can lead to significant differences
14 between the programs of different companies are: climate;
15 residential/commercial/industrial customer mix; customer load and usage patterns,
16 legislative/regulatory mandates; how long a company has been offering DSM (unlike
17 Florida's utilities, many have just started within the last few years); geography; demand
18 v. energy emphasis; varying manufacturer incentives; etc. Unfortunately, few, if any, of
19 these can be adequately quantified to allow proper data normalization in order to yield
20 valid empirical comparisons. Additionally, the dynamic interaction among all these
21 variables compounds the complexity and uncertainty.

1 To their credit, the LBNL study's authors noted their concern with these issues inherent
2 in all DSM benchmarking studies, stating:

3 *"When data are compiled from multiple states and program administrators,*
4 *terminology differences can potentially make it difficult to conduct comparative*
5 *analysis across states or program administrators."* (page 11)

6 **Q. What are the problems specific to the LBNL study?**

7 A. In the Executive Summary, the authors characterize the study as "*...the first technical*
8 *report of the LBNL CSE Project...*" and "*...proof of concept....*" Therefore, it's clear that
9 this study represents merely an initial foray, not a refined effort that has discovered how
10 to overcome the inherent DSM benchmarking problems. Reinforcing this, the authors
11 identified three critical specific problems with the data they were able to gather (pages
12 11-12):

13 *"1. Energy savings and program costs are not defined consistently."*

14 *"2. Program data are not reported consistently across states."*

15 *"3. Programs and sectors are not characterized in a standardized fashion."*

16 As a result, they provided this strong caution: "*We suggest that readers consider these*
17 *above issues when utilizing the information in this report for their own uses and*
18 *understanding of the cost of saved energy."* (page 11)

19
20 Below I touch on just a few of the most serious data integrity problems I observed with
21 the study (note that some of these alone can constitute a fatal flaw):

- 1 • **Data is inconsistent** – Some states have three years of data, many have as
2 little as only one year. Florida only has data for 2011. This is a glaring
3 incompatibility.
- 4 • **Program portfolios are not comparable across states** – As Ms. Mims points
5 out, “*FPL’s residential HVAC program dominates the Company’s energy*
6 *efficiency portfolio...*” (page 29, lines 2-3). However, in the data from other
7 states, “*Lighting rebate programs accounted for at least 44% of total*
8 *residential lifetime savings with a savings-weighted average levelized CSE of*
9 *\$0.007/kWh. The residential CSE, when the lighting programs were removed,*
10 *was \$0.028/kWh.*” (page xii). The costs and benefits associated with a
11 residential HVAC program are dramatically different from those for a lighting
12 program rendering any comparison meaningless. Please note that, as FPL
13 witness Deason points out in his rebuttal testimony, Home Depot reports that
14 some of the highest areas of energy-efficient lighting purchases in the nation
15 are in FPL’s service territory. FPL and its customers are thus getting the
16 benefit of lighting efficiency without the need for any program expenses, but
17 those benefits would not be reflected in a CSE evaluation of FPL’s DSM
18 portfolio.
- 19 • **Data is missing** – When data is missing, the authors implemented various
20 patches which introduced error and uncertainty into the results. One such
21 example of missing data: “*...program administrators reported lifetime savings*
22 *for only about 44% of the programs years...*” and a patch protocol: “*For*
23 *programs where we did not have lifetime savings or measure lifetime data, we*

1 *calculated a program average measure lifetime for similar programs in the*
2 *database and used that imputed value along with the program's first-year*
3 *savings to calculate program lifetime savings.*" (pages 16-17)

4 These issues individually, and in the aggregate, represent major data integrity failures that
5 render any results untrustworthy.

6 **Q. Were the LBNL authors able to explain the large variations and differences among**
7 **states, regions, etc. that resulted from their calculations?**

8 **A. No. They stated**

9 *"...we observe a wide range of values for the program administrator CSE from*
10 *virtually every perspective—nationally, and across regions, states, portfolios, and*
11 *sectors. Moreover, we find significant variability within the different types of*
12 *programs. The inter-quartile range of CSE values (the "middle" 50% of*
13 *programs) for the first-year CSE can vary by a factor of 10 or more within a*
14 *program category.*" (page 44)

15 This is hardly surprising given the previously listed DSM benchmarking and study
16 problems. The authors developed theories and conjecture as to causes (such as difference
17 in climate). However, these were either not empirically tested or if evaluated statistically
18 (with regression analysis) yielded correlations that were too weak to be of any
19 significance. Aside from the documented primary data integrity problems, I believe the
20 following statement correctly portrays the situation: "*We suspect that most or all of these*
21 *factors influence the CSE values, interacting in ways that can be difficult to disentangle.*"
22 (page 44)

1 **Q. Given the LBNL study's deficiencies, what are your conclusions regarding the**
2 **validity of Ms. Mims' assertions?**

3 A. It's clear that the LBNL study Ms. Mims provided as evidence does not have sufficient
4 quality or rigor to support her assertions. Though FPL was unable to directly verify any
5 of the calculations presented (due to lack of access to LBNL's primary data, etc.), it is
6 apparent that the data suffered from enormous data integrity deficiencies which renders
7 its results unreliable. Therefore, as a result, Ms. Mims' assertions are baseless.

8 **Q. Sierra Club witness Woolf's testimony also makes a CSE-based comparison. Do the**
9 **same, inherent CSE-related deficiencies apply to his comparison?**

10 A. Yes. Mr. Woolf uses a CSE calculation on page 67 of his testimony to argue Florida
11 utilities are more expensive than his calculated national average and to contrast the
12 Florida utilities. At a minimum, the first two deficiencies which are inherent with CSE
13 (omitting demand savings and ignoring lost revenues) apply equally to his information. I
14 was unable to determine if there were any data-integrity issues with his calculations.
15 While I suspect that there are data-integrity issues with his CSE calculation (because they
16 are practically endemic to this form of analysis), even if there were not the effects of the
17 first two deficiencies render his comparison meaningless.

18

19 Mr. Woolf also asserts that all of the FEECA utilities could provide DSM at the same
20 cost as Duke Energy Florida and Tampa Electric Co. Setting aside whether his cost
21 calculations are correct, this assertion cannot withstand scrutiny. Differences among the
22 utilities' customer bases, whether each is summer or winter peaking, level of DSM Goals,

1 etc. all warrant different types of programs that will naturally have different cost
2 structures.

3 **Q. Do you have any other observations regarding FPL's DSM costs?**

4 A. It's not clear whether Ms. Mims and Mr. Woolf are suggesting that FPL's DSM costs are
5 high relative to the nature and scope of its programs, or just that FPL's programs have
6 high CSEs. I have just shown that the latter is not a valid basis for comparison. If these
7 witnesses are also asserting the former, then FPL emphatically disagrees.

8
9 FPL has a long track record of effectively controlling costs across the organization,
10 including with respect to its DSM programs. The Commission's audit staff conducts
11 extensive annual audits of DSM costs in conjunction with the annual Energy
12 Conservation Cost Recovery (ECCR) clause proceedings. The most recently completed
13 audit (2012) had no findings. The 2013 audit is on-going and at this point FPL has no
14 reason to expect findings in it either. The Commission reviews FPL's costs as part of
15 approving FPL's ECCR factors each year, and those costs have consistently been
16 approved for recovery. In addition, in May 2013 the Commission's audit staff completed
17 an "Administrative Efficiency" review of the DSM programs for the four largest FEECA
18 utilities. For FPL, the review found that: (1) FPL's programs were properly focused on
19 implementing the objectives of FEECA and meeting the PSC-established goals; (2) FPL
20 continues to make substantial efforts to improve administrative efficiency; and (3) FPL's
21 internal auditing process has assisted with improvements in program management and
22 controls. While there were some modest process enhancement suggestions, this review
23 also resulted in no findings.

1 **III. UNFOUNDED TECHNICAL POTENTIAL ASSERTIONS**

2

3 **Q. Please comment on SACE witness Mims' and Sierra Club witness Woolf's**
4 **assertions regarding the Technical Potential.**

5 A. Ms. Mims expresses what can only be characterized as procedural quibbles concerning
6 FPL's determination of the Technical Potential (TP). Some relate to the 2009 TP study
7 and others concern the 2014 update process. At the Commission Staff's informal
8 meeting on June 17, 2013, the parties agreed that the FEECA Utilities would perform an
9 update to the 2009 TP study rather than generating a new, full TP study. This approach
10 was confirmed in the August 2013 Order Establishing Procedure (Order No. PSC-13-
11 0386-PCO-EU). An update was deemed to be reasonable because of the following:

- 12 • the relatively short time since the 2009 TP study had been prepared,
- 13 • the Commission's acceptance of that study in the 2009 DSM goals proceeding
14 (Order No PSC-09-0855-FOF-EG characterizes the study on page 8 as "an
15 adequate assessment of all available demand-side and supply-side conservation
16 and efficiency measures, including demand-side renewable energy systems,
17 pursuant to Section 366.82(3), F.S."), and
- 18 • the substantial time and expense required to perform a full, new study.

19

20 SACE participated actively in the process of determining how the TP was to be evaluated
21 in this current proceeding. Despite SACE's participation in that process, on page 42 of
22 her testimony, Ms. Mims tries to reopen debate on the acceptability of the 2009 TP study
23 and by extension the 2014 update. Likewise, Mr. Woolf's testimony, on pages 46-48,

1 essentially rehashes assertions that were made by other intervenor witnesses back in
2 2009. However, because the 2009 TP study was thoroughly debated and then accepted
3 by the Commission in 2009, there is no reason for the Commission to revisit them here.

4
5 Regarding the TP update, Ms. Mims recommends that: “[T]he Utilities
6 should...investigate measures for the technical potential instead of asking interested
7 parties to provide granular details.” (page 51, lines 13-16) At the June 17, 2013 meeting
8 with Staff, it was determined that any party could submit measures for evaluation in the
9 FEECA utilities’ update and that those parties were responsible for providing the data
10 necessary for that evaluation. SACE sent a letter to Staff including a lengthy list of
11 measures, but failed to provide any supporting data for them. The FEECA utilities can
12 and did evaluate measures submitted by SACE when it did not need further information
13 to do so, but requested additional supporting information from SACE on others. SACE
14 never responded to that request.

15
16 In any event, as noted earlier Ms. Mims is really just quibbling. The reality is that the
17 FEECA utilities conducted a robust and thorough update to the 2009 TP study, adding 25
18 new measures and carefully assessing the many impacts of Codes & Standards changes
19 since 2009. This process is discussed at length in my direct testimony.

20 **Q. Does this conclude your rebuttal testimony?**

21 **A. Yes.**

1 **BY MR. BUTLER:**

2 Q Okay. Would you please present your summary
3 of your rebuttal testimony at this time.

4 A Yes. Good morning, Commissioners. The three
5 main points to my rebuttal summary or testimony. First,
6 we know that the current solar pilots are not
7 cost-effective by wide margins and represent a large
8 cross-subsidy to the tiny fraction of customers who
9 receive rebates from the vast majority who don't.
10 Therefore, the solar pilot should expire as planned at
11 the end of 2014.

12 We also know that the installed cost for large
13 scale PV is much lower than distributed PV. However,
14 other issues are not as well understood, such as the
15 operational impact on FPL's electric grade on different
16 forms of PV. So rather than continuing the current PV
17 pilots as proposed by the Intervenor witnesses Fine,
18 Woolf, Rábago, I describe FPL's proposal for a solar R&D
19 project to better understand the system operational
20 impacts as the next phase of solar research.

21 FPL believes this would be best assessed in
22 the context of a particular proposal rather than doing
23 so through an abstract or generic proceeding. FPL
24 envisions it would cover a wide range of applications
25 from demand-side PV on customer premises to larger

1 distributed PV and ultimately to central station. If
2 the Commission wishes to pursue this concept, FPL would
3 submit the scope and parameters for approval during the
4 DSM plan phase after this goal setting proceeding.

5 My second rebuttal topic is the unfounded
6 assertion made by SACE witnesses Mims and, to a lesser
7 degree, Sierra Club witness Woolf that FPL's DSM costs
8 are high compared to other utilities.

9 For my summary I will focus on Ms. Mims'
10 assertions that are based on a single benchmarking study
11 produced by the Lawrence Berkeley National Laboratory
12 that uses as its primary comparative metric the
13 so-called levelized cost saved of energy, or CSE. This
14 metric presents an energy efficiency program's present
15 value life cycle cost divided by its future estimated
16 kWh savings.

17 At first blush, CSE appears to be a
18 straightforward metric with a veneer of analytical
19 rigor. However, there are three main deficiencies that
20 render the results meaningless and unusable.

21 First, CSE omits demand savings; arguably the
22 most important benefit of all DSM programs, including
23 those of energy efficiency.

24 Second, it ignores the impact of unrecovered
25 revenue requirements -- a vital consideration if the

1 Commission doesn't want DSM to drive rate increases for
2 customers. And any truly representative metric must
3 reflect all costs, including unrecovered revenue
4 requirements. For these two reasons, CSE is not a
5 complete or valid metric to gauge or compare DSM
6 programs or portfolios.

7 The third deficiency is with LBNL's execution
8 of the study itself, which suffers from many of the
9 typical problems inherent in DSM benchmarking as well as
10 major data integrity problems.

11 It's not clear whether Ms. Mims and Mr. Woolf
12 are suggesting that FPL's costs are high in general or
13 just that FPL's programs have high CSEs. However, the
14 latter is not a valid metric, and FPL emphatically
15 denies that it's the former. FPL has a long track
16 record of effectively controlling costs, including those
17 for DSM. In addition, the Commission routinely reviews
18 the costs for FPL without any findings that would
19 support such contentions of high costs.

20 My final topic concerns assertions by Ms. Mims
21 and Mr. Woolf regarding the appropriateness and
22 completeness of the utility's 2009 technical potential
23 study and 2014 update. Ms. Mims' issues are essentially
24 procedural quibbles mainly centered on the decisions
25 that were made in last year's staff informal meeting and

1 later confirmed in the Order Establishing Procedure.

2 Ms. Mims tries to reopen debate on the
3 acceptability of the 2009 study and, by extension, the
4 2014 update, a process which all parties agreed to in
5 order to save substantial time and expense. And SACE
6 was an active participant in that decision process.

7 Ms. Mims also tries to shirk the State's duty
8 to provide data for the new measures submitted for
9 consideration. SACE submitted a lengthy list of
10 measures but without data.

11 The FEECA utilities evaluated the SACE
12 provided measures when no further information was
13 needed, but were unable to do so where SACE didn't
14 provide the relevant information.

15 Mr. Woolf just rehashes assertions made by
16 other Intervenor witnesses back in 2009. However,
17 because the 2009 study was thoroughly debated and then
18 accepted by the Commission, there's no reason for the
19 Commission to revisit these assertions here.

20 The reality is that the FEECA utilities
21 conducted a thorough update of the 2009 study, adding 25
22 new measures that were already -- to what was already an
23 extensive list.

24 This concludes my summary. Thank you.

25 **MR. BUTLER:** Thank you, Mr. Koch.

1 I tender the witness for cross-examination.

2 **CHAIRMAN GRAHAM:** Okey-doke. OPC.

3 **MR. SAYLER:** No questions.

4 **CHAIRMAN GRAHAM:** Department of Agriculture.

5 **MR. HALL:** No questions.

6 **CHAIRMAN GRAHAM:** NAACP.

7 **MR. DREW:** No questions.

8 **CHAIRMAN GRAHAM:** FIPUG.

9 **MR. MOYLE:** We have a couple, Mr. Chairman.

10 **EXAMINATION**

11 **BY MR. MOYLE:**

12 **Q** Sir, I want to just kind of understand, make
13 sure I'm clear with respect to FPL's position on solar.
14 And I know you've said you don't think the current solar
15 program is cost-effective; correct?

16 **A** That's correct.

17 **Q** Okay. And then in your summary you said that
18 with respect to what FPL would propose, that you would
19 anticipate that being filed in the upcoming DSM measures
20 docket; is that right?

21 **A** It would be filed with the DSM program plans,
22 which would be the programs that are to support the
23 goals.

24 **Q** Okay.

25 **A** They're established by the Commission in this

1 part of the proceeding.

2 Q Right. That's kind of phase two of this
3 process; is that right?

4 A Correct. That's right.

5 Q Okay. And then just so I'm clear you had, in
6 your direct testimony you talked about FPL filing a
7 petition for solar. Is that the same thing or something
8 different?

9 A That's something different. That petition for
10 solar was for the -- let me see if I can get this
11 right -- the Voluntary Solar Community Participant
12 Project. Sorry. I'm missing some of the acronyms for
13 VSP. But, but that particular proposal was for a
14 program where FPL would install community solar and it
15 would be paid for by participants who wanted to
16 voluntarily contribute towards it. And I think, if I'm
17 remembering correctly, the staff rec for that is due at
18 the end of this month, and next month you're taking it
19 up at agenda. At least that's how it's scheduled.

20 Q Okay. So when I had asked you whether --
21 previously when we were talking about this I'd asked you
22 had that petition been filed. I think you told me, no,
23 it had not.

24 A That was a mistake if I said that.

25 Q Okay. All right. So two different things --

1 one is a petition that's in process, and the other is
2 your anticipated plans on, on solar that would be part
3 of this process; is that correct?

4 **A** That's correct. This, this one would be for
5 an R&D project.

6 **MR. MOYLE:** Okay. Thank you. That's all I
7 have?

8 **CHAIRMAN GRAHAM:** Sierra Club.

9 **MS. CSANK:** A few questions, Mr. Chairman.

10 **CHAIRMAN GRAHAM:** Sure.

11 **EXAMINATION**

12 **BY MS. CSANK:**

13 **Q** Hello below, Mr. Koch.

14 **A** Good morning.

15 **Q** How are you?

16 **A** Okay. How are you?

17 **Q** I have a few brief questions. We've talked a
18 lot about low income communities within FPL's service
19 territory.

20 Are you familiar with so-called gap customers?
21 In other words, individuals who may be over the, the
22 threshold as we define low income here in Florida but
23 who may still be, you know, the working poor struggling
24 to make ends meet?

25 **A** I'm not familiar with that terminology

1 particularly as it relates to DSM programs. But I would
2 say that the definition of low income customers isn't
3 something derived for Florida. It's something derived
4 from the federal government, either 150 percent or
5 200 percent over the poverty limit.

6 **Q** So just to help us understand, in terms of
7 FP&L's low income programs, do you use that federal
8 criteria then for, for customers to qualify for that
9 program?

10 **A** That's correct.

11 **Q** So if someone were just above that criteria,
12 they wouldn't be eligible?

13 **A** When you say they wouldn't be eligible, all
14 customers are eligible for every FPL program. But in
15 the particular one program which we offer for low income
16 weatherization, that's determined based on the
17 guidelines that are provided through the weatherization
18 assistance program agencies, and that's based upon their
19 criteria which is established by DOE.

20 **Q** So, in other words, you don't have a program
21 specifically targeting sort of the next tier of, of
22 consumers who have a slightly higher income than what
23 federal government defines as low income?

24 **A** Not specifically targeting them. But as I
25 said, every program is available to every customer, and

1 even those who are identified by that criteria as being
2 low income do participate in our other programs as well
3 as the one that's particularly targeted to low income.
4 And I would add I'm also not aware of other companies
5 who target that segment, but that's just something I'm
6 unfamiliar with. If there is, that's somewhere else in
7 the country.

8 **Q** And would you agree that for that particular
9 segment of your customers it would be more difficult to
10 achieve? They might not have the financial resources to
11 adopt energy efficiency programs or energy efficiency
12 measures without some aid through programs?

13 **A** I would have no basis for knowing whether that
14 particular group of customers as identified in your
15 premise would have more or less ability to participate
16 in FPL's programs. We have no information on that.

17 **Q** So you have no information on that?

18 **A** That's correct.

19 **Q** Thanks for the clarification.

20 So then going back to the two-year payback
21 tool as a tool for screening out free ridership, do you
22 consider, for instance, the kind of flip side of the
23 coin, right, there's the free rider concept of people
24 who would do it anyway, but then there's the so-called
25 free drivers, right; the people who, as a result of

1 these programs, are then incented to do more energy
2 efficiency measures?

3 **MR. BUTLER:** I'm going to object to this line
4 of questions. I don't think it relates to Mr. Koch's
5 rebuttal testimony.

6 **MS. CSANK:** Mr. Chairman, we just heard from
7 Witness Deason that Witness Koch is the one who can help
8 elucidate more the two-year payback tool and
9 Commissioner Balbis's questions about it. And so I
10 submit that it is relevant to this particular witness.

11 **MR. BUTLER:** All right.

12 **CHAIRMAN GRAHAM:** Continue.

13 **MS. CSANK:** Thank you.

14 **THE WITNESS:** Could you repeat the question?

15 **BY MS. CSANK:**

16 **Q** So to repeat the question -- yes, of course.

17 So this concept of a free driver, just to
18 clearly define it, is an individual who, as a result of
19 your company's program offerings, you know, gets more
20 excited about energy efficiency, gains more information,
21 and wants to do more energy efficiency measures
22 specifically because you offer the program. Are you
23 familiar with that concept?

24 **A** In general terms, yes.

25 **Q** And do you have any data or empirical analysis

1 that tries to valuate how much of that there is in the
2 marketplace?

3 **A** No, we don't.

4 **Q** So there's no analysis to see, one, how many
5 free riders you actually have and, two, how many free
6 drivers you have who would offset that; is that correct?

7 **A** There's no specific analysis other than what
8 we talked about when we were looking at the adoption
9 curves the other day. But there's no specific Florida
10 analysis where we are trying to further evaluate free
11 riders or free drivers as you have defined it.

12 **MS. CSANK:** Thank you, Mr. Koch. That
13 concludes my questions.

14 **CHAIRMAN GRAHAM:** Thank you.

15 SACE.

16 **MS. TAUBER:** No questions, Mr. Chairman.

17 **CHAIRMAN GRAHAM:** EDF.

18 **EXAMINATION**

19 **BY MR. FINNIGAN:**

20 **Q** Good morning, Mr. Koch.

21 **A** Good morning.

22 **Q** Mr. Koch, I have some questions about the
23 recommendation you made in your rebuttal testimony about
24 a solar research and development project.

25 **A** Okay.

1 **Q** And I'm not sure I understand the rate
2 treatment that you would propose for that project. Are
3 you recommending that this be part of the FEECA program
4 for FP&L such that just like today there's a solar pilot
5 that pays \$2 as an incentive for the installed
6 capacity -- this would change to a research and
7 development project, but it would still be part of the
8 FEECA program -- or are you recommending that it be
9 something outside of the FEECA program?

10 **A** I think you're referring to whether -- so the
11 answer, the short answer to your question is, yes, it
12 would be part of FEECA or part of our DSM programs.

13 **Q** Okay.

14 **A** So that's the, that's the recommendation.

15 **Q** So would the same process apply then that just
16 as for the current solar program the Commission
17 established a goal for how much should be spent on the
18 solar project, are you recommending that that continue
19 and that for your research and development project the
20 Commission also should establish the funding level as it
21 did for the current program?

22 **A** That's not the nature of what we were
23 proposing here exactly. What we were saying is that we
24 would come back during the DSM plan phase and provide a,
25 all the parameters associated with cost, the exact

1 nature of the R&D, exactly what would be studied, how it
2 would be implemented, how many installations we were
3 envisioning. Those types of details would all be part
4 of that package at that point in time.

5 **Q** The way I understand this, the way the process
6 works is that this is a two-stage type of process, and
7 that in this stage of the process the Commission
8 establishes the overall goals for the utilities'
9 program. And then the next stage of the process we all
10 come back at a later time and that's where the program
11 details are developed and approved. Is that how you
12 understand it, or is it some different process?

13 **A** Yes. That's, that's how I understand it.

14 **Q** Okay. So if this is the stage where the
15 Commission would establish the overall goals for the
16 program, the way I think about it is that they would
17 establish a funding level like they did five years ago,
18 and then in the second part of the proceeding is where
19 we would come back and you would propose all these
20 program details that you just mentioned. Is that how
21 you conceive of it, or do you have a different thought?

22 **A** Not exactly. I would say that it's at the
23 Commission's discretion if they are interested in the
24 concept, if you are interested in the concept, then you
25 would provide direction to the company as to exactly

1 what, what parameter you would like it to fall within.
2 That may be a funding level. It could be, it could be
3 anything. I think it's at the Commission's discretion.

4 Q Okay. So that would be part of this stage of
5 the proceeding.

6 A If it was deemed necessary to be part of that.
7 It may be a broader type of message to come back. I
8 think I'm getting a little into the legal side of
9 things, which I might not have direct expertise in.

10 Q Well, I know you said that if it's necessary,
11 it'll be part of this proceeding. But I'm just talking
12 about your recommendation. You recommended this R&D
13 project, didn't you?

14 A Yes. And we recommend -- what we're
15 recommending is the concept. That's what we're putting
16 for Commission consideration. And if the Commission
17 says, yes, proceed, proceed with the concept, then we
18 would come back with a fully, fully designed proposal
19 for the Commission's consideration at that point, which
20 may result in modifications, it may result in approval
21 of that, et cetera.

22 Q Okay. And I just want to ask some questions
23 about the scope of the research and development project.

24 And would you please turn to page 3 of your
25 rebuttal testimony. Is that where you describe some of

1 the parameters that could be considered for the R&D
2 project?

3 **A** Are you referring me to a particular part of
4 page 3? I mean, I could scan through it quickly.

5 **Q** Yes. You have some testimony there where
6 you -- it begins -- and I apologize. I don't have the
7 line number. I don't have that in front of me. But it
8 size, "To ensure the full range of locations and types
9 of locations are covered, FP&L expects that it would
10 need to place several distributed PV systems of varying
11 size throughout the service territory." Is that --
12 that's what I wanted to reference is some of those
13 parameters. Is that --

14 **A** Uh-huh. Yes, that's correct.

15 **Q** Okay. And so when you say "full range of
16 locations," why is it important to study a full range of
17 locations and what do you mean by full range?

18 **A** What I mean by full range is that this would
19 be distributed all the way up to utility scale, so we're
20 talking about small distributed, large distributed, or
21 larger distributed, I guess would be a better way to say
22 it, up to a central station or large scale PV
23 installations to observe what is the impact on the grid.
24 That's the direct intention of this, the scope of this
25 particular project is to discern the effects on the

1 grid.

2 **Q** Okay. And so I take it that if you're
3 studying the impacts of solar on the grid, one reason
4 you would need to consider a full range of locations is
5 that you would need to examine things like what the
6 amount of cloud cover is in a particular area, the
7 amount of tree cover, the angle at which the panels are
8 installed relative to the sun, the geographic location,
9 you know, north, south, or what direction they're
10 installed in. Do those all sound like reasonable
11 parameters you would want to test for when you describe
12 the full range of locations and types of locations?

13 **A** Actually not, so thanks for asking that
14 question. What we're really talking about here, and let
15 me give an illustration, is we've been doing field
16 testing now, you know, quote, unquote, for almost four
17 years with distributed PV through the pilot programs.
18 We do have some central station in Florida; FPL has
19 110 megawatts, as you all know, of central station
20 generation as well.

21 What we're looking at here is trying to
22 examine, and I'll give a specific one, let's say voltage
23 fluctuation. If you have a large concentration of PV on
24 a circuit, you're going to have when the PV is on,
25 voltage is up. When the PV is off, voltage is down. We

1 have electromagnet -- electromechanical equipment which
2 today regulates that voltage: Regulators, capacitor
3 banks, load changer taps, that kind of thing. And those
4 are designed to operate a certain number of times over
5 their life. Well, with the voltage fluctuations that
6 has been seen elsewhere in places where there's
7 concentrated, where solar is concentrated on a circuit,
8 you'll see a lot more operations of that and it may even
9 require a different mitigation strategy to regulate the
10 voltage on the circuit so that reliability isn't
11 negatively impacted. That's the type of thing that
12 we're trying to study, not so much the installation of
13 the PV and its affect on output from the PV. I think
14 we've got a pretty healthy amount of information related
15 to that right now.

16 **Q** Okay. And from this healthy amount of
17 information you have right now, have you discerned
18 whether distributed solar provides any benefits to the
19 grid?

20 **A** Excuse me. I couldn't hear the last part of
21 your question.

22 **Q** From this healthy amount of information that
23 you say you have from testing it over the last four
24 years, have you determined whether distributed solar
25 provides any benefits to the grid?

1 **A** I would say at this point we haven't
2 established -- could you give me an example maybe of the
3 benefits you're referring to and then I could answer
4 that more specifically.

5 **Q** Sure. I'll give you an example of a few that
6 I've heard about, and one is avoided distribution,
7 transmission and distribution system costs. For
8 example, let's say that the company, the company's
9 planning engineers determined that here's a distribution
10 line or here's a substation that needs to be upgraded
11 because we have increased load on this facility and
12 here's the cost of doing this upgrade. However, if we
13 looked at reducing the load on the distribution circuit
14 through things like distributed solar or storage, things
15 of that nature, then that would eliminate the necessity
16 to upgrade the distribution system and it might even be
17 less expensive. And so that deferred or avoided cost of
18 upgrading the distribution system would be considered a
19 benefit because it saved ratepayers money in terms of
20 paying the higher cost of rebuilding the distribution
21 circuit or the substation.

22 So that's an example of one type of benefit.
23 I was wondering whether you had tried to measure any of
24 that during the four years of extensive study that you
25 just mentioned.

1 **MR. BUTLER:** I'm going to object to the form
2 of the question. It's assuming a lot of facts not in
3 evidence. But I don't have a problem with Mr. Koch
4 answer it, if he can.

5 **THE WITNESS:** So what I would say is that
6 those types of benefits, for the most part of what I
7 understood them, are already accounted for in the
8 cost-benefit analysis that we do. We have avoided
9 transmission, we have avoided distribution assumptions.
10 And so every one of these solar pilots when they're
11 tested for cost-effectiveness, those costs are on the
12 benefit side of the ledger. So I would say that those
13 have already been factored into the programs as we've
14 evaluated them at this point.

15 **BY MR. FINNIGAN:**

16 **Q** I understand that you made assumptions for
17 those values, but I'm wondering if you had the benefit
18 of a study that was done in your Florida service
19 territory that did any kind of a rigorous measurement of
20 actual installed locations of distributed solar at
21 different points along your distribution circuits and
22 different areas of your service territory where you
23 could point us to some report that was the culmination
24 of all that research that measured what those benefits
25 are?

1 **A** I can't point to a specific report like that
2 because we haven't done it. I would say that a number
3 of these instances you're describing would be specific
4 to a given circuit and not necessarily generically
5 applicable to the network.

6 **Q** It may be generic to a circuit, but it would
7 be applicable to the network because when you have to do
8 a distribution circuit upgrade, that goes into all --
9 I'm asking, Mr. Koch, is that it would be generic to
10 your whole service territory because if you can install
11 distributed solar and it reduces the cost of the
12 distribution circuit upgrade, that saves rates for
13 everybody.

14 **A** I agree. And I said, and as I said, that's in
15 the mix right now as far as the cost-effectiveness
16 evaluation. There is avoided benefits for transmission
17 and distribution included in the analysis.

18 **Q** I understand, and you mentioned that just a
19 moment ago. But you said that those numbers that you
20 used in your analysis do not derive from a study that
21 you can point us to that studies the location of many
22 different installations on many different distribution
23 circuits throughout your territory. Or if you do have
24 such a study, please refer us to it.

25 **A** So as I said, we don't have a specific study

1 that was location by location that demonstrated the
2 installations customers made, did not necessarily avoid
3 something at their specific household. We didn't shrink
4 the size of the wire or anything of that nature. We
5 didn't have something where we didn't upgrade that
6 particular circuit. The -- but the fact that there is
7 more generation available on the system, we applied
8 using the budget for, a certain portion of the cost of
9 the budget for doing upgrades was what was the basis of
10 the T&D benefits which were assigned to every one of
11 the, it was assigned in the cost-effectiveness analysis.
12 Excuse me.

13 And, I mean, if you want to -- I'm not -- if
14 you want to explore the exact details of those, I mean,
15 Dr. Sim could speak to that. But, again, they're not
16 going to be based upon a specific analysis of point A,
17 point B. They're going to be based upon broader
18 assumptions in terms of the costs for upgrading the
19 system, and a certain portion of that being deferred or
20 avoided, excuse me, by the installation of PV.

21 **Q** Mr. Koch, when you made your recommendation
22 for an R&D study, did you try to investigate whether any
23 such studies are underway in other states?

24 **A** The reason for focusing on this is that in
25 some other places this is becoming a problem with a

1 higher concentration of PV. It's not something we're
2 experiencing at the moment right now in Florida, but
3 it's something that would be useful for being prepared
4 for the future because we all expect that there's going
5 to be more PV installations made by, by others as we go
6 forward in time. And so this is getting us prepared for
7 what that might be to make sure that we better
8 understand what are the costs and benefits of solar. So
9 that's the reason for it being a research proposal, an
10 R&D proposal, to gather that information which is useful
11 for all applications of, of PV.

12 **Q** I was just wondering when you made your
13 recommendation to do this study here in Florida you
14 investigated whether any such similar studies are
15 underway in other states?

16 **A** I personally did not investigate if the
17 studies were underway. The part of the FPL that
18 examines reliability of the network is the ones who
19 were -- who had identified this as a potential issue
20 that FPL customers could face, and, therefore, that was
21 the reason for, for bringing it forward. And, again,
22 right now we're at the conceptual stage moving forward a
23 complete design of the R&D program during the plan
24 phase.

25 **Q** And I accept your statement that you did not

1 personally investigate whether any such studies are
2 underway in other states, but did you receive any
3 information that other studies are underway in other
4 states?

5 **A** I understand that there's other studies
6 underway in other states. There's also -- because of
7 the experiences they're having, the issue here is that
8 those lessons or that information may or may not be
9 directly applicable to FPL's network. And so the
10 information, the idea of the R&D project is to gain
11 Florida-specific information as far as those impacts are
12 concerned on the network as we're configured here.

13 **Q** Yes. I, I understand what you're saying
14 there, that it's important to do a Florida-specific
15 study. I, I understand that.

16 Now the way you have proposed the study is
17 that the solar installations will be owned by the
18 utility?

19 **A** That's correct.

20 **Q** Would they go into your rate base?

21 **A** They would be part -- the costs of the
22 facilities would be part of the program that would be
23 collected through the ECCR clause.

24 **Q** Okay. So none of this would go into rate
25 base?

1 **MR. BUTLER:** I'm sorry. I'd ask -- excuse
2 me -- EDF's attorney to clarify his question, what he's
3 referring to as going into rate base.

4 **MR. FINNIGAN:** Sure.

5 **BY MR. FINNIGAN:**

6 **Q** The way I understand it is that the
7 conventional treatment when you make a capital
8 expenditure is that that goes into your rate base and
9 then you earn an allowed return on it. Are you familiar
10 with general ratemaking principles for that kind of
11 treatment of capital expenditures?

12 **A** Yes, as far as base rates are concerned. The
13 treatment of capital expenditures from an accounting
14 standpoint is no different whether it's in -- the costs
15 are collected through rate base or whether they're
16 collected through the ECCR clause.

17 So the treatment from an accounting standpoint
18 would be the same, so it'd be part of the assets of the
19 company obviously, but the collection of the costs
20 related to the revenue requirements would go through the
21 clause in this case as opposed to going through base
22 rates, if that's your question.

23 **Q** Do you earn any allowed return on your FEECA
24 expenditures or is that just an expense?

25 **A** For the capital expenditures that are

1 collected through the ECCR clause there is a return.
2 It's treated exactly the same way as any capital
3 expenditure is for collection purposes.

4 **Q** What, what is an example of a capital
5 expenditure that you currently have in your FEECA
6 program that goes into your rate base?

7 **A** Again, I want to be clear that rate base in my
8 mind has to do with base rates. It's part of our
9 assets. But in terms of answering your question, a
10 couple of illustrations. The transponders that we use
11 for load management, those are capital expenditure items
12 and are collected through the clause. And the revenue
13 requirements are collected over, in this case, a period
14 of five years. That's one example of the type of
15 capital expenditures that we have that go through the
16 clause today and have for, you know, many years.

17 **Q** So the utility's recovery of costs might occur
18 over a different period of time than the way the
19 programs are evaluated. For example, if the programs
20 were evaluated using a two-year period, that may not
21 coincide with the rate recovery of those items.

22 **A** I'm not sure I understand the question.

23 **MR. BUTLER:** I'm going to object to the form.
24 I'm not sure what counsel is referring to as evaluated
25 over a two-year period.

1 **MR. FINNIGAN:** I'll withdraw the question.

2 Thank you.

3 **BY MR. FINNIGAN:**

4 **Q** So going back to your program design, you
5 propose that the equipment should all be owned by the
6 utility. Would it be possible to design this type of
7 R&D program where you could continue to pay an incentive
8 to the customer but, as a condition of that incentive,
9 you would require the customer to make their solar unit
10 available to the company for the research and
11 development?

12 **A** If -- are you asking about -- excuse me. Are
13 you asking about continue -- is your premise continuing
14 the program, the rebate, a rebate type of program, and
15 then just ask them to -- I'm not sure certain what "make
16 available to the utility" means, but is that the premise
17 you're questioning?

18 **Q** Yes, that's the basic premise. I wasn't
19 suggesting that the incentive be kept at the same level.
20 I think it needs to come down or be changed. But it's
21 the same concept that you just described is exactly what
22 I was trying to answer -- or to, to put to you as a
23 question for you to answer.

24 **A** Okay. So I would say the answer to that is,
25 no, that wouldn't make sense for a couple of reasons.

1 The first reason is that we've demonstrated
2 that there's no level of incentive that can actually be
3 cost-effectively paid to customers, and that's, that was
4 in my direct testimony. So the program can't support
5 anything as far as an incentive because there's just not
6 enough benefits to support any level of rebate.

7 The second thing is that it kind of
8 exacerbates the problem of the customers who are
9 participants, the small handful of customers who are
10 participants who really don't bear the fair share of
11 fixed costs of the network by the nature of the way that
12 they are, they are paid. That would continue on with
13 these customers, and it's a cross-subsidy which would
14 continue to exist. So we think that that cross-subsidy
15 doesn't make sense to continue going forward, so it
16 would be perpetuating that, that issue as well.

17 The third issue is that the key for, for
18 getting, for evaluating these impacts, reliability
19 impacts is that we get a concentration of solar on
20 particular circuits for customers selecting -- they're
21 not going, we're not going to be able to generate that
22 level of concentration on a circuit. So that's the
23 reason for the, another reason for the utility ownership
24 is to make sure that we've got enough concentration so
25 we can see the effects on the circuit, and we're not

1 going to get that just by customer-selected
2 installations.

3 Q Well, you know, I just asked would it be
4 possible to design a program. And let me just put this
5 to you that let's say under your proposal where you've
6 got a million dollars to spend -- this is a
7 hypothetical -- you've got a million dollars to spend on
8 a utility program, and the utility picks ten circuits
9 where it wants to see the solar projects go in, and it's
10 going to cost a million dollars and it's all utility
11 owned. One alternative would be to design the program
12 that the company would pay incentives to customers, but
13 it would have to be customers that live on these ten
14 circuits and the incentives would be for the same number
15 of installations. And I'm just wondering would it be
16 possible to design a program that way where it has the
17 same level of spending that you have proposed for your
18 utility-owned program, and the only difference would be
19 that instead of utility ownership, you would pay out the
20 money as incentives to customers at some amount of
21 incentive, but that you would only pay it to customers
22 that live in the same locations where you were otherwise
23 going to test the equipment for your utility-owned
24 program? And I'm just asking would it be possible to
25 design a program along those lines and get similar

1 results in terms of being able to test the locations
2 that you think are important tests?

3 **A** I think the answer is that it has to do with a
4 cross-subsidy that is paid by the vast majority of the
5 rest of us to kind of a select few who would be
6 installing these. If they're utilizing the energy on
7 their premise, then there's going to be a cross-subsidy
8 that's occurring there because they aren't covering the
9 fair share and it exacerbates that problem. And so that
10 would be the reason why it makes sense for the utility
11 ownership -- there will be some on customer premises,
12 you know, definitely, but there would be some sort of,
13 for lack of a better term, hosting fee amount, you know,
14 that would be paid probably to them to encourage them to
15 participate. Just like when we do R&D, we always pay
16 something to somebody who participates in the R&D
17 project for allowing us the ability to conduct the
18 testing.

19 **Q** Okay. So let me see if I understand the
20 difference then. So you're saying that in your program,
21 the utility-owned, there are no subsidies. Even though
22 all this money that's collected from customers on their
23 bills for the FEECA program would go to the utility for
24 paying for these solar installations, there would be no
25 subsidization involved if the program were designed the

1 way you have recommended it.

2 **A** That's correct. There would be no, there
3 would be no winners and losers between customers. All
4 customers would bear the cost of the program. All
5 customers would receive the benefit of, A, the learnings
6 that came from it, and, B, obviously the reduced fuel
7 expenses by virtue of the fact that the PV is generating
8 that. So all customers share in that equally as opposed
9 to some getting a disproportionate share.

10 **Q** But if -- the utility-owned program would
11 benefit certain customers, wouldn't it? For example, if
12 I owned a Best Buy store and as part of your utility
13 design program, utility-owned program you put the solar
14 panels on my store, that might benefit me in some way
15 even though the energy would be wired to go back to the
16 utility system. Just having the solar panels on my roof
17 might be a benefit for my store, wouldn't it?

18 **A** I think you get the benefit commensurate with
19 the fact that you're willing to host the PV facilities.

20 **Q** Okay. Now I want to change the subject a
21 little bit and talk about the level of the incentive
22 that's paid for the current program, the \$2 a kW.

23 **A** Okay.

24 **Q** And is there anything written in stone that
25 says the incentive has to be \$2 a kW?

1 **A** Not written in stone. I mean, it's obviously
2 part of the program standards. But that -- as the
3 program is designed and then approved by the Commission.

4 **Q** Okay. And when you say program design, the
5 utility plays a role in designing the program, doesn't
6 it?

7 **A** Absolutely.

8 **Q** Okay. And since the program was initially
9 approved a few years ago, at the start of the program
10 what was the installed cost of solar per kW?

11 **A** If I use a residential example, I think it
12 was, in 2011, about \$5,400 per kW.

13 **Q** Okay. And what is it today?

14 **A** For residential, as of the end of 2013, it was
15 \$4,100 per kW.

16 **Q** During that timing has the company ever come
17 back to the Commission or other stakeholders saying that
18 we think it would be appropriate to redesign the
19 incentive?

20 **A** No, because -- no, we have not.

21 **Q** Okay. And is part of your role in managing
22 this program, do you look at best practices that are in
23 place among other utilities across the country to
24 understand what they might be doing well in their states
25 that you might be able to apply to Florida?

1 **A** Yes.

2 **Q** And in so doing have you seen any innovative
3 incentive programs to encourage more deployment of
4 things like renewable energy and energy efficiency?

5 **A** Could you repeat the question?

6 **Q** Yes. Through your investigation of best
7 practices by other utilities, have you come across any
8 innovative incentive programs that allow for the same or
9 more deployment of clean energy at a lower or redesigned
10 or alternative kind of incentive payment?

11 **MR. BUTLER:** I'm going to object to the
12 question -- I've let it go for a while -- but this
13 really goes well beyond the scope of Mr. Koch's rebuttal
14 testimony. He has two or three pages in his testimony
15 proposing the outlines of a solar R&D project. He's
16 been asked several questions about that, which was
17 appropriate, but at the moment it doesn't seem to have
18 anything to do with the solar R&D project.

19 **MR. FINNIGAN:** Your Honor, the only reason I'm
20 asking these programs -- or these questions about the
21 program is that Mr. Koch made a recommendation, and his
22 recommendation is that the company adopt this R&D
23 program. And the suggestion in his recommendation is
24 that this is the only way they can do it. And I'm
25 trying to explore, as part of his recommendation for

1 this R&D proposal, did he explore different incentives
2 that might have been a better alternative than the R&D
3 proposal?

4 **CHAIRMAN GRAHAM:** I'll allow the question.

5 **THE WITNESS:** The answer is, yes, we looked at
6 different incentive levels. But the bottom line here is
7 that zero incentive is supportable, and I think I
8 actually have a table in my direct testimony that shows
9 that it's underwater. And so there's no level of
10 incentive that cost-effectiveness can support.

11 **BY MR. FINNIGAN:**

12 **Q** I understand that's true the way that you
13 measure the benefits attributable to solar, but I'm
14 wondering did you look at an incentive that could be
15 paid out as an energy, a credit on the customer's energy
16 charge as opposed to a capacity charge? This is a
17 capacity incentive, isn't it?

18 **A** No, it's not.

19 **Q** Explain to me the \$2 per kW. Is that
20 considered a capacity incentive or an incentive based on
21 capacity or energy?

22 **A** The incentive is based upon -- so let me
23 answer it in two parts because I think you're confusing
24 if the incentive is expressed in a dollars per kW, the
25 answer is, yes, that is how the incentive is expressed.

1 However, the derivation of the incentive didn't have to
2 do with just how many kW. It had to do with looking at
3 the -- it looks at cost-effectiveness. So it includes
4 both energy and demand impacts of solar.

5 **Q** I guess we're talking about two different
6 things.

7 **A** I think we may be.

8 **Q** How it was calculated and how it was
9 expressed. And if I'm a customer, the only thing I see
10 is how it's expressed; right?

11 **A** You're going to see it in a per kW basis.
12 That's correct.

13 **Q** Okay. And that's, that's what I want to ask
14 you about in this line of questioning is how it's
15 expressed to the customer.

16 **A** Okay.

17 **Q** So did you consider developing a different
18 type of incentive that would be based on energy
19 generated by the solar facility as opposed to a capacity
20 type incentive?

21 **A** So my answer would be cost-effectiveness is
22 cost-effectiveness. It doesn't matter the form of the
23 incentive. If the incentive results in a dollar, it
24 results in a dollar. If it results in \$10, it results
25 in \$10. And I'm saying that zero dollars is supportable

1 regardless of the structure by which a customer would be
2 the incentive.

3 Q I'm just -- I understand your testimony about
4 cost-effectiveness. I think you've mentioned that more
5 than once. I'm just asking whether you have examined
6 the use of different incentives like the type I just
7 described, one based on energy usage?

8 A We looked at different alternatives and
9 incentives at the original time. This was the most
10 readily understood by customers, readily measurable,
11 capturable, that kind of stuff. And that is what we
12 chose, which actually was the typical standard and, for
13 the most part, remains the typical standard of how
14 people are paid for PV under these types of programs,
15 recognizing there's always differences in program design
16 and structure. But this was the most straightforward
17 approach, and that was the one we selected.

18 Q I understand that might have been the most
19 straightforward approach, you know, four, five years ago
20 when this program was developed. I'm just wondering
21 whether now when the program is up for reconsideration
22 you've taken another look at different kinds of
23 incentives that could be paid.

24 A No, because, again, no incentive is cost
25 justifiable, so it doesn't matter what the form would

1 be. So we did not spend time trying to come up with a
2 different way to skin the dead cat, for lack of a
3 better.

4 Q Well, I guess when this program was initially
5 approved, as I understand it, the Commission concluded
6 that there was not a demonstration of cost-effectiveness
7 five years ago, yet the Commission was cognizant of the
8 Legislature's goals to promote renewable energy and
9 approved the program anyway; right?

10 A Without attributing too much of my thinking
11 onto what the Commission might have been thinking, yes,
12 it was well understood that these programs were not
13 cost-effective at the time. They were set up as pilots
14 I think specifically for that reason, to see -- because
15 there was some discussion at that point that the costs
16 would come down and maybe things would improve and it
17 might make sense to encourage it, as well as the fact
18 that there was the recently modified legislation at that
19 moment. However, at this point we've confirmed, not
20 only from studies but from actual practice, what the
21 real situation is. And so that's why it was my
22 testimony that as the programs were designed to expire,
23 we've learned what we were going to learn from them, and
24 there's really no reason to continue perpetuating,
25 perpetuating the cross-subsidization from the general

1 body of customers to, you know, the select few who
2 actually receive the benefits.

3 Q Did, did costs come down and did conditions
4 continue to improve in that regard?

5 A Costs did come down, but it's not specific to
6 Florida that the costs came down. We came down the
7 exact same amount everybody else did. So it's improved,
8 but it's not even remotely close to where it would have
9 to be.

10 Q And are you able to say that if Florida was
11 taken out of the market, that the costs would have come
12 down the same amount nationally without any
13 participation from Florida or -- let me, let me strike
14 that.

15 So the fact that whatever happened in Florida
16 regarding deployment of solar had no impact on the
17 national decline in prices for distributed solar.

18 A I would say this, a couple of points. First
19 of all, there were lots of -- there was almost the same
20 amount of solar was being installed before these
21 programs were instituted, as is, as continued through
22 the pendency of the programs. So there was some bump up
23 in the number of installations, the costs did come down,
24 but it's, it's exactly the national trend. I don't
25 believe that Florida's installations affected the

1 national outcome. You know, we've seen largely, widely
2 publicized information on Chinese panel pricing, et
3 cetera, et cetera. These are the impacts that affected
4 things. So -- and we definitely believe that after the
5 sunsetting of these programs you're still going to see
6 the program -- excuse me -- PV installed. Clearly,
7 customers are installing it for reasons other than
8 financial. So they did before, a number of them are
9 doing it now, and, you know, they'll do so in the
10 future, and that is perfectly fine.

11 The real question is who's going to pay for
12 it? Should the general body of customers be on the hook
13 for that, or should we just let the market dictate with
14 people installing as they would based upon, you know,
15 the costs that they bear, or should it be subsidized by
16 the, you know, 4.7 million of us to, you know, a few
17 hundred? That's really the question, I think. And the
18 answer is that we did not affect that outcome by virtue
19 of paying these rebates.

20 **Q** Okay. And have you seen any reports about the
21 projected trend for cost of distributed solar?

22 **A** Yeah. We expect the cost of distributed --
23 well, all forms of solar to continue to decline.

24 **Q** Okay. And at some point would it be
25 reasonable to assume that the cost of distributed solar

1 may come into parity with the company's rates?

2 **A** There is, I guess, a possibility that that
3 could happen, but that would probably be many years into
4 the future.

5 **Q** How many years?

6 **A** I, I don't know.

7 **Q** I'm sorry. I thought you just said that you
8 looked into those kinds of projections about declining
9 solar costs.

10 **A** Okay. So maybe I should answer it this way.
11 In order for some -- for it to pass RIM -- I may have
12 even -- let me see if I did that calculation. It's
13 probably going to have to decline, you know, more than
14 50 percent from where it is today. If you want to bear
15 with me, if I can see if I actually calculated that,
16 provided that.

17 Right. So what we were saying here is even
18 just based on the Participant test it would have to drop
19 by more than 50 percent today in order to just pass the
20 Participant test, let alone the RIM test.

21 **Q** And some of the witnesses have described that
22 the costs are declining at the rate of about 20 percent
23 per year.

24 **A** I would totally disagree with that. We saw a
25 25 percent decline from 2011 to today. That's not

1 20 percent per year.

2 Q Okay. Well, I guess the numbers will speak
3 for themselves. But if it's 20 percent per year or
4 20 percent over a couple of years, that's a pretty rapid
5 rate of decline, isn't it?

6 A I don't accept your premise. It's, clearly
7 it's a rapid rate of decline, but it has nothing to do
8 with the price of PV.

9 Q Okay. Well, that's what we're talking about,
10 isn't it, the --

11 A Yeah. But you made up the statistic. The
12 decline has not been 20 percent in, nationally nor in
13 the State of Florida per year.

14 Q What has it been?

15 A 6 percent roughly.

16 Q What was the cost of the residential
17 distributed solar at the beginning of the program?

18 A \$5,400.

19 Q Okay. What is it today?

20 A \$4,100.

21 Q Okay. And that's a 6 percent decline?

22 A Per annum. You asked me per year. I said
23 it's 25 percent over the pendency of the program, which
24 has been three years.

25 Q Okay.

1 **A** So, in essence, 25 divided by three is where I
2 came up with the six.

3 **Q** Okay. But do you accept that there have been
4 some other estimates and, in fact, other utilities have
5 reported steeper --

6 **A** Let me correct that thing because I see
7 Commissioner Balbis saying good job of math in your
8 head. Okay. But it was slightly less than 25 percent,
9 but, yes, maybe more closer to eight. I think our
10 forward projections for FPL are more in the six range.
11 Sorry. I should have corrected that.

12 **Q** Okay. So anyway, getting back to the
13 incentives and you said that you have studied best
14 practices that other companies use in other states for
15 incentive design. That's something you've investigated?

16 **A** I would characterize it as differences. I
17 wouldn't characterize it per se as a best practice. If
18 somebody is doing something different doesn't mean it's
19 a best practice just because it's different.

20 **Q** Okay. Are you aware of a program that's
21 available in Georgia called the Advanced Solar
22 Initiative where Georgia Power pays out 13 cents a
23 kilowatt hour to customers who install solar and
24 participate in the program?

25 **A** I'm not personally aware of the details of

1 that program. It sounds like a standard feed-in tariff
2 based upon the way you've described it. But what I
3 would say here is what matters is what makes sense in
4 the State of Florida, what is cost-effective based on
5 the conditions of our system, the costs of our system,
6 and not what happens in some other state where there
7 would be many other conditions that could impact it. It
8 could be something where there's a regulated reason why
9 they, they set a goal for something to happen. There
10 could be higher costs, there could be avoidance of other
11 things, there could be a difference in all sorts of
12 assumptions that go into it. But based upon the numbers
13 that relate to FPL directly, you know, no level of
14 incentive makes any sense.

15 Q Okay.

16 A And certainly nothing of the nature you
17 described.

18 Q Okay. But just so we're clear, you say that
19 without having the benefit of the study done on your
20 Florida territory that measures the benefits that
21 distributed solar would provide by studying all -- a
22 number of different locations on a number of different
23 circuits and evaluating what those benefits might be in
24 a report that you could share with us.

25 A I would say I agree that there's no report,

1 but I disagree with the premise of your question.

2 **MR. FINNIGAN:** That's all I have. Thank you,
3 Mr. Koch.

4 **THE WITNESS:** Thank you.

5 **CHAIRMAN GRAHAM:** Staff.

6 **MR. MURPHY:** No questions.

7 **CHAIRMAN GRAHAM:** Commissioners.

8 Redirect.

9 **MR. BUTLER:** Thank you. Just very briefly.

10 **EXAMINATION**

11 **BY MR. BUTLER:**

12 **Q** Mr. Koch, you were asked by Ms. Csank about
13 the, some questions about low income customers and
14 programs available for low income customers. Do you
15 recall that?

16 **A** Yes.

17 **Q** Do you have any information on the level of
18 participation by low income customers in FPL's existing
19 demand-side management programs?

20 **A** The low income customers participate roughly
21 at the same level in most of the programs that the
22 remainder of the customers who are not classified as low
23 income do. And regarding load management, they're kind
24 of even a higher share in the load management program.
25 I think we spoke about that during my direct testimony.

1 **Q** Thank you. And would you please comment
2 briefly on what FPL does in the way of making
3 information on those programs available to low income
4 customers?

5 **A** Sure. Obviously one of the ways is the home
6 energy survey. We deliver that either in person or over
7 the phone or online. That includes many low cost, no
8 cost types of activities that could be engaged in, as
9 well as obviously promoting FPL's programs. We have
10 things that are outside of DSM such as participation in
11 LIHEAP where we provide assistance for electric
12 customers. I think it's about 180,000 of those over the
13 past couple of years where we've, where we have assisted
14 with paying the electric, electric service.

15 Obviously we have the one program that is
16 directly targeted at low income customers which deals
17 with air and filtration measures and air conditioning
18 measures to make those more efficient for customers.
19 And then we've also gone and done sort of neighborhood
20 sweep type of programs as well where we'll go in and
21 offer to kind of run through the house and, and install
22 many sort of low cost type of measures for that, that in
23 addition.

24 **Q** Thank you. Turning to the questions that
25 Mr. Finnigan had for you regarding the proposed solar

1 R&D project, when FPL -- or if FPL is asked to and comes
2 back in the plan phase of this proceeding to propose a
3 specific R&D proposal, what is your understanding about
4 the level of cost for that per year to customers
5 compared to the existing solar pilot projects?

6 **A** The level of cost would be, you know, no more
7 than the existing pilot projects.

8 **MR. BUTLER:** Thank you. That's all the
9 redirect that I have.

10 **CHAIRMAN GRAHAM:** Okay. And I don't believe
11 we have any exhibits, so I guess we're done, Mr. Koch.
12 Thank you very much.

13 **THE WITNESS:** Thank you.

14 **MR. BUTLER:** Thank you.

15 **CHAIRMAN GRAHAM:** We are right dead on our
16 two-hour mark for our court reporter, so let's take a
17 couple of minute break. By my clock back there, let's
18 come back at 11:35, which is about seven minutes. Thank
19 you.

20 (Recess taken.)

21 My clock says it's about two minutes past
22 where I said. And I do have a quorum, so let's move on
23 to the next witness.

24 Florida Power & Light.

25 **MR. BUTLER:** Before we do, Mr. Chairman, may I

1 just confirm that Mr. Koch is excused?

2 **CHAIRMAN GRAHAM:** Yes.

3 **MR. BUTLER:** Thank you.

4 **MS. CANO:** FPL calls Dr. Steven Sim.

5 Whereupon,

6 **STEVEN SIM**

7 was called as a witness on behalf of Florida Power &
8 Light Company and, having first been duly sworn,
9 testified as follows:

10 **EXAMINATION**

11 **BY MS. CANO:**

12 **Q** And you were previously sworn for this
13 proceeding; correct?

14 **A** Yes.

15 **Q** Okay. Did you prepare and cause to be filed
16 93 pages of prefiled rebuttal testimony in this
17 proceeding on June 10th, 2014?

18 **A** Yes.

19 **Q** Do you have any changes or revisions to your
20 prefiled rebuttal testimony?

21 **A** Yes. I have a revision on one page. On page
22 30, line 16, the second column labeled RIM, the number
23 504 appears. That number should be 508.

24 **Q** Thank you. With that correction, if I were to
25 ask you the same questions today contained in your

1 prefiled rebuttal, would your answers be the same?

2 **A** Yes, they would.

3 **MS. CANO:** Chairman Graham, we ask that the
4 prefiled rebuttal testimony be inserted into the record
5 as though read.

6 **CHAIRMAN GRAHAM:** We will insert Dr. Sim's
7 prefiled rebuttal testimony into the record as though
8 read.

9 **BY MS. CANO:**

10 **Q** Did you also sponsor exhibits to your rebuttal
11 testimony?

12 **A** Yes.

13 **Q** And those consist of Exhibits SRS-17 through
14 SRS-24?

15 **A** Yes.

16 **Q** Okay. I'd note that those have been premarked
17 for identification on the Comprehensive Exhibit List as
18 Exhibits 142 through 149.

19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

FLORIDA POWER & LIGHT COMPANY

REBUTTAL TESTIMONY OF DR. STEVEN R. SIM

DOCKET NO. 130199 - EI

JUNE 10, 2014

Q. Please state your name and business address.

A. My name is Steven R. Sim and my business address is Florida Power & Light Company, 9250 West Flagler Street, Miami, Florida 33174.

Q. Have you previously submitted direct testimony in this proceeding?

A. Yes.

Q. Are you sponsoring any rebuttal exhibits in this case?

A. Yes. I am sponsoring the following eight exhibits that are attached to my rebuttal testimony:

Exhibit SRS – 17: Benefits (Only) Calculation Comparison: Minnesota VOS vs. Florida Screening Tests;

Exhibit SRS – 18: Incorrect and/or Misleading Statements Made in the Testimonies of Witnesses Woolf and Mims;

Exhibit SRS – 19: A Look at a Typical Screening Curve Analysis: A Generation Option;

Exhibit SRS – 20: A Look at a Typical Screening Curve Analysis: A DSM Option;

Exhibit SRS – 21: ACEEE’s LCOE Formula;

Exhibit SRS – 22: Table from NREL’s Economic Evaluation Document;

1 Exhibit SRS – 23: SACE 1% GWh Goal Analysis: A Look at Resulting
2 Electric Rates and Customer Bills; and,
3 Exhibit SRS – 24: Sierra Club 1% GWh Goal Analysis: A Look at
4 Resulting Electric Rates and Customer Bills.

5 **Q. What is the purpose of your rebuttal testimony?**

6 A. My rebuttal testimony discusses and/or responds to a number of statements
7 and recommendations made by the four intervenor witnesses who filed
8 testimony in this docket: Dr. Fine (EDF), Mr. Rábago (SACE), Ms. Mims
9 (SACE), and Mr. Woolf (Sierra Club) from a resource planning perspective.

10 **Q. How is your rebuttal testimony structured?**

11 A. My rebuttal testimony is divided into three main parts. In the first part, I will
12 briefly discuss DSM solar-related comments, particularly concerning the
13 testimonies of Dr. Fine and Mr. Rábago. This discussion begins on page 5. In
14 the second part of the testimony I will address the testimonies of Ms. Mims
15 and Mr. Woolf. My discussion of their testimonies is organized into four
16 sections and begins on page 26. The third part is my conclusion that begins on
17 page 89.

18 **Q. Please provide a summary of what you will discuss in this rebuttal**
19 **testimony.**

20 A. Regarding the DSM solar-related comments, mostly found in the testimonies
21 of Dr. Fine and Mr. Rábago, that are discussed in Part I, I find no fault in the
22 fact that none of the witnesses have objected to FPL's recommendation that
23 the solar water heating DSM Pilot programs be allowed to expire as scheduled

1 at the end of this year. I do disagree with their recommendation that the DSM
2 photovoltaics (PV) Pilot programs be allowed to continue despite the fact that
3 the programs have never been cost-effective for FPL's customers and are not
4 cost-effective today. I point out some misconceptions each witness has
5 regarding FPL's integrated resource planning (IRP) analysis process. I
6 disagree with their recommendation that Florida's time-tested DSM
7 evaluation approach be suddenly thrown out and replaced with a brand new
8 evaluation approach based on the Minnesota Value of Solar (VOS) approach.
9 The reasons for my disagreement with this recommendation are that: (i) this
10 VOS approach is not a cost-effectiveness test, (ii) it ignores well known
11 system cost impacts thus overstating DSM PV benefits, and (iii) it takes a one-
12 sided view of DSM PV. In addition, I discuss that PV applications other than
13 DSM PV would allow FPL's customers to receive both substantially more
14 MW of installed PV, and more PV-generated MWh, for the same expenditure
15 that is being made for FPL's solar Pilot programs.

16
17 In Part II, I first point out that the testimonies of Ms. Mims and Mr. Woolf
18 attempt to avoid the obvious facts that: (i) DSM is less cost-effective now than
19 in previous years, and (ii) the increased impact of energy efficiency codes and
20 standards has diminished the market potential for utility DSM. Second, I
21 discuss the fact that the testimonies of Ms. Mims and Mr. Woolf are riddled
22 with inaccurate and/or misleading statements. Through these statements they
23 demonstrate that they clearly do not understand FPL's IRP process. Third, I

1 evaluate the DSM goals recommended by these two witnesses. In doing so I
2 respond to the over-simplistic mantra that DSM is cheaper than supply-side
3 resources by explaining why a Levelized Cost of Energy (LCOE) analysis is
4 meaningless for the purpose of making resource decisions. I also demonstrate
5 the significant cost impacts to FPL's customers that do not participate in
6 utility DSM programs that would result from the witnesses' 1% reduction in
7 retail sales GWh goal recommendations. My conclusion is that, due to the vast
8 number of problems in their testimonies, and the fact that their recommended
9 goals are both extreme and unsupported, their testimonies do not warrant
10 serious consideration.

11

12 In Part III, I explain that adhering to sound resource planning principles for
13 setting DSM goals in the past has assisted FPL in its ability to serve its
14 customers with a high level of generating efficiency, low emission rates, and
15 low electric rates. The intervenor witnesses do not (and cannot) challenge
16 these results. By again using these sound principles in the 2014 goals-setting,
17 Florida and FPL may be described as "out of touch" with what "leading"
18 states are now doing in regard to DSM. However, if being "out of touch"
19 results in a high level of generating efficiency, low emission rates, and low
20 electric rates, then we should be delighted with this description. Florida and
21 FPL should be proud to continue down the path of using sound resource
22 planning principles it has used over most of the last two decades and ignore

1 the “go along to get along” entreaties from other parties who ask Florida to
2 radically change course.

3

4

Part I: DSM Solar Testimony

5

6 **Q. Please briefly describe the testimonies of Dr. Fine and Mr. Rábago.**

7 A. Both testimonies focus solely on PV applications of solar energy and address
8 the Florida utilities’ DSM PV Pilot programs. The messages in each of the
9 two testimonies are similar and can be summarized as follows: (i) FPL and the
10 other utilities should continue their DSM PV Pilot programs after their
11 scheduled expiration at year-end 2014, and (ii) the DSM PV Pilot programs
12 should be evaluated using “value of solar” (VOS) calculations. The recent
13 Minnesota VOS calculation approach is repeatedly pointed to by these
14 witnesses as a model for the type of VOS calculation approach that Florida
15 should use.

16 **Q. Did Mr. Woolf also provide testimony on the topic of the utilities’ DSM
17 PV Pilot programs?**

18 A. Yes. Mr. Woolf also recommends that FPL’s DSM PV Pilot programs be
19 continued, with modifications, and that the Commission open a separate
20 docket to investigate appropriate demand-side renewable goals and address
21 the role of utility-owned solar PV systems. While my rebuttal is tailored
22 toward responding to Dr. Fine and Mr. Rábago, much of the discussion is
23 applicable to the recommendations of Mr. Woolf as well.

1 **Q. Did any of these witnesses recommend continuation of FPL’s solar water**
2 **heating Pilot programs?**

3 A. No. None of them recommended that the solar water heating Pilot programs
4 be continued. This is consistent with FPL’s view that these non-cost-effective
5 programs should be allowed to expire at the end of 2014 as scheduled.

6 **Q. In regard to FPL’s PV Pilot programs, are these programs appropriately**
7 **evaluated as DSM programs?**

8 A. Yes. To understand why, it is helpful to look at the three basic types of PV
9 applications:

10
11 1) Central Station PV: Large-scale (MW) PV facilities at one specific
12 location in which 100% of the output is fed into the utility grid. FPL’s
13 DeSoto (25 MW) and Brevard County (10 MW) PV facilities are
14 examples of this type of PV application.

15
16 2) Distributed Generation (DG) PV: Medium-scale (MW or kW) PV
17 facilities at multiple locations located nearer to load centers (than with
18 central station PV) in which 100% of the output is fed into the utility
19 grid. FPL’s C&I Solar Partnership Program that is under development
20 and that was described in FPL’s 2014 Site Plan is an example of this
21 type of PV application.

1 3) DSM PV: Small-scale (kW) PV installation at a home or business
2 premise that is primarily intended to serve all or part of the customer's
3 load (as any DSM measure does) and the remaining portion, if any, of
4 the PV output is fed into the utility grid. FPL's DSM PV Pilot
5 programs are examples of this type of PV application.

6

7 Because a substantial majority, if not all, of the PV output serves to lower the
8 customer's load, DSM PV programs such as FPL's PV Pilot programs impact
9 FPL system similarly to other DSM programs.

10 **Q. Were FPL's PV Pilot programs and DSM PV measures evaluated in the**
11 **same manner as all other DSM measures during the IRP analyses**
12 **performed for this docket?**

13 A. Yes.

14 **Q. What were the results of those analyses?**

15 A. All of the DSM PV Pilot programs and DSM PV measures, as well as the
16 DSM Solar Water Heating Pilot Programs and DSM solar water heating
17 measures, failed both the RIM and TRC preliminary screening tests.

18 **Q. Were these results in the 2014 analyses similar to the results from earlier**
19 **cost-effectiveness analyses performed in 2010, when the Pilot programs**
20 **were introduced, and in the years between 2010 and 2014?**

21 A. Yes. The 2014 result is consistent with the 2010 analyses and with every
22 annual cost-effectiveness analysis that has been performed since then. In other
23 words, the 'initial' analyses of the DSM PV programs that were conducted in

1 2010 showed that the Pilot programs were not cost-effective. Five years later,
2 the programs are still not cost-effective. This consistent result of being non-
3 cost-effective in each of these five years is not surprising when considering
4 that, these programs started off as non-cost-effective, and there has been a
5 trend over the same time frame of steadily decreasing cost-effectiveness for
6 DSM measures in general.

7

8 And, as Mr. Rábago indicates in his testimony, a trend such as this one is
9 important:

10

11 *“The Companies should focus not just on numbers of systems, dollars,*
12 *kilowatts, and kilowatt hours. For a pilot program that should translate*
13 *into a full program, it is the direction that the numbers are moving that is*
14 *most important...”* (Page 11, lines 15 – 17, emphasis added)

15

16 In regard to the DSM PV Pilot programs, the outcomes of analyses performed
17 over the last five years have consistently shown the Pilot programs are not
18 cost-effective. Thus, in Mr. Rábago’s terms, the “direction” is definitely
19 unfavorable for the PV Pilot programs.

20 **Q. Is that why FPL is recommending that the DSM PV Pilot programs be**
21 **allowed to expire at the end of their current program terms?**

22 A. Yes. There is more than enough evidence to conclude that the PV Pilot
23 programs are not in the best interests of FPL’s customers. The general body of

1 FPL’s customers is harmed by DSM programs that are not cost-effective and
2 continuing the DSM PV Pilot programs would only result in continuing to
3 harm FPL’s customers. FPL believes that its customers can be better served
4 by pursuing PV through other applications. I will return to the idea of
5 pursuing other PV applications shortly.

6 **Q. Do Dr. Fine and Mr. Rábago claim that FPL’s IRP analyses somehow**
7 **short-changed DSM PV, compared to other DSM measures, in the cost-**
8 **effectiveness evaluations?**

9 A. Yes. One such claim was based on a misconception of the period of time over
10 which FPL analyzed the DSM PV Pilot programs. Dr. Fine states in his
11 testimony;

12
13 *“The utilities used a two-year payback period to determine the cost-*
14 *effectiveness of the distributed solar PV program.” (Page 22, lines 4 & 5)*

15
16 and,

17
18 *“I recommend that the utilities use a longer payback period to measure*
19 *the program’s cost-effectiveness that better aligns with the useful life of*
20 *the distributed solar PV investment.” (Page 22, lines 13 & 14)*

21
22 FPL did use a two-year payback in the last step of its preliminary economic
23 screening process. However, all of the PV-based DSM measures failed to

1 survive earlier screening steps and never even made it to the two-year payback
2 screening step. All of the earlier screening steps assumed at least a 30-year
3 life for the PV equipment, not two years as Dr. Fine apparently believes. In
4 addition, the payback screen works in the opposite manner suggested by Dr.
5 Fine – the longer the term of the payback criterion, the fewer the number of
6 DSM measures that survive this screening step.

7

8 Mr. Rábago makes another unfounded time-related claim:

9

10 *“...they did not value transmission and distribution cost avoidance during*
11 *the entire 30+ years that a distributed solar PV system is likely to*
12 *operate.” (Page 7, line 25 through Page 8, line 2)*

13

14 Again, this is incorrect. FPL’s preliminary screening analyses of all DSM
15 measures, including DSM PV measures, appropriately accounted for projected
16 transmission and distribution cost savings for at least 30 years (with the exact
17 number of years varying depending upon when the DSM installation was
18 assumed to occur).

19 **Q. Do Dr. Fine and Mr. Rábago agree that DSM PV should be evaluated in a**
20 **consistent manner with other DSM measures?**

21 A. No. In addition to the “input- or assumption-based” misconceptions that DSM
22 PV was short-changed in FPL’s analyses, the two witnesses take issue with
23 the entire analytical approach that FPL and the state of Florida have used to

1 evaluate DSM for several decades. What these two witnesses want is to toss
2 out this time-tested evaluation approach and replace it with a brand new
3 evaluation approach.

4

5 Both witnesses are in basic agreement regarding what this brand new
6 approach should look like. As Dr. Fine states:

7

8 *"I recommend that the Commission generally use as a starting point the*
9 *Minnesota VOS protocol..."* (Page 25, lines 19 & 20)

10 **Q. Have you examined the Minnesota Value of Solar approach and, if so,**
11 **what was your view of it?**

12 **A.** Yes. I have examined the calculation approach as described in the document
13 Minnesota Value of Solar: Methodology, Prepared for Minnesota Department
14 of Commerce, Division of Energy Resources, January 31, 2014. The
15 description of the approach, and how it will be applied, lacked detail in certain
16 areas. In addition, it will probably take a few years to see how it actually
17 works in practice in Minnesota. However, I believe the description that was
18 provided gives a pretty good idea of how it was designed to work.

19

20 Based on that description, I have two primary observations about this
21 calculation approach. First, it is not a true cost-effectiveness test. Second, it is
22 an incomplete and one-sided compilation of supposed benefits.

1 **Q. Please explain what you mean by your statement that it “is not a true**
2 **cost-effectiveness test.”**

3 A. The objective of a true DSM cost-effectiveness test is to examine the
4 projected system benefits of implementing a DSM measure as well as the
5 costs and cost impacts from implementing the DSM measure. Then, using the
6 benefits and costs information, the utility can determine if it is in the best
7 interests of all of its customers to implement the DSM measure by examining
8 projected “directional” impacts on electric rates and costs. In other words, are
9 electric rates projected to increase or decrease as a consequence of adopting a
10 particular DSM measure?

11
12 The Minnesota VOS approach does not meet this standard. It examines only
13 the benefit side of the ledger. For example, it does not appear to account for a
14 utility’s administrative costs of implementing a DSM PV program and/or
15 tariff. Nor does it provide projections on what direction(s) electric rates and
16 costs will be driven by implementation of the DSM PV measure.

17
18 Instead, the objective of the Minnesota VOS approach is to provide a
19 projection of annual payments that will be made, presumably by the utilities’
20 customers, to DSM PV participants over a 25-year period (with the
21 understanding that new VOS calculations will be performed each year). In
22 other words, it is a “what will a participant be paid” calculation. Thus this
23 VOS calculation is somewhat similar in basic concept to a Standard Offer

1 Contract calculation. Neither of these calculations is a true cost-effectiveness
2 test calculation.

3 **Q. In what ways is the Minnesota VOS approach an incomplete and one-**
4 **sided compilation of supposed benefits?**

5 A. There are two major problems with the Minnesota VOS approach that make it
6 incomplete and one-sided. The first relates to the categories of system cost
7 impacts from DSM that appear to be accounted for as benefits in the
8 Minnesota VOS calculation compared to the system cost impacts that are
9 accounted for as benefits in the RIM and TRC screening tests used in Florida.
10 Exhibit SRS – 17 provides a benefits (only) comparison of the two
11 approaches. In other words, this exhibit examines only categories of system
12 benefits and does not address DSM PV-related program costs.

13
14 Column (1) lists 10 categories of system cost impacts that, at a minimum,
15 should be accounted for on the benefits side of the ledger in a DSM cost-
16 effectiveness test analysis. As columns (2) and (3) indicate, the first six of
17 these benefits categories are accounted for both in the Minnesota VOS
18 calculation and in the Florida screening tests. The remaining four benefits
19 categories are accounted for in the Florida screening tests, but are not
20 accounted for in the Minnesota VOS calculation.

21
22 Among these four categories, there are two pairs of system cost impacts. One
23 pair accounts for fuel-related system cost impacts and the other pair accounts

1 for emission-related system cost impacts. For either pair, the net impact of the
2 two components is typically a net penalty to the DSM measure being
3 evaluated.

4 **Q. Would you please explain why the net impact of these pairs of system cost**
5 **categories is typically a penalty for DSM measures?**

6 A. Yes. Mr. Rábago's testimony reflects a lack of understanding of this concept
7 when he states:

8

9 *"FPL takes the position of assessing a penalty against distributed solar*
10 *PV based on 'avoiding fuel-efficient new generation,' though the basis for*
11 *this approach is not explained in testimony or response."* (Page 9, lines 23
12 - 25)

13

14 Let me first state that these system cost impacts apply to all DSM and
15 generation options, not just to DSM PV, when a new generator is avoided. I'll
16 explain this using a system fuel cost perspective (the system environmental
17 cost perspective works in an identical fashion). When a DSM option with a
18 non-zero kW reduction is implemented on a utility system (thus getting credit
19 for avoiding or deferring a new generation unit), there are three impacts that
20 occur to the utility system:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21

- 1) The kW reduction avoids the new generation unit. Thus the kW reduction avoids the fuel cost that would have been incurred to operate the new generating unit. This is a benefit for DSM.

- 2) However, without the addition of the new generating unit, the existing generating units on the utility system must operate more hours to deliver the GWh that would have been supplied by the avoided unit. Because a new generating unit is typically more fuel-efficient than most existing generating units on the utility system, the operation of the existing generating units will result in additional fuel costs that are higher than the cost of fuel that would have been needed to operate a new generating unit. This represents a naturally occurring fuel “penalty” for DSM that is also driven by the kW reduction of DSM. When taken together, the net effect of (1) and (2) is a system fuel “penalty” for DSM; i.e., a reduction in projected DSM benefits.

- 3) The kWh reduction aspect of DSM serves to lower sales and to lower system fuel costs from the marginal unit on the system, thus offsetting, at least to a degree, the net fuel penalty that occurs from the impacts (1) and (2) described above.

1 All three of these system fuel (and environmental) cost impacts must be
2 accounted for in order to develop a complete and accurate determination of
3 system cost impacts, or benefits, for any DSM measure that has a kW
4 component that is given credit for avoiding or deferring new generation
5 additions. The Minnesota VOS approach to avoided fuel costs appears to be
6 based solely on avoiding fuel that is burned by the marginal unit on the
7 system. This is analogous to only the third, kWh-driven step described above.
8 Because the Minnesota VOS calculation does not address all three of these
9 cost impacts, it provides only an incomplete and inaccurate accounting of cost
10 impacts for DSM PV.

11 **Q. Is accounting for a “fuel (or environmental) penalty” something that has**
12 **only recently been introduced in regard to DSM analyses in Florida?**

13 A. No. This “net fuel penalty” calculation to analyze DSM impacts on utility
14 systems has been used in Florida by the FPSC Staff and Florida utilities for at
15 least 30 years. This is both appropriate and necessary to account for all of the
16 impacts on utility customers. Furthermore, all of the commercially available
17 production costing and optimization models that FPL has used in the last 20
18 years account for this impact in analyses of both DSM and Supply options
19 when a new generating unit is avoided by another resource option.

20 **Q. Does the Minnesota VOS calculation properly include all categories of**
21 **costs associated with DSM PV?**

22 A. No. It fails to take into account some of the costs that DSM PV would impose
23 on the system as described above. This is shown in columns (4) and (5) of

1 Exhibit SRS – 17. In these columns, the projected system cost impacts on the
2 benefit side of ledger for all 10 system cost categories are provided based on
3 values derived from an analysis of FPL’s Residential DSM PV Pilot program
4 that has been previously provided in this docket in response to discovery. The
5 Minnesota VOS calculation does not account for the 7th through the 10th
6 system cost categories and thus would project total benefits that are 12% too
7 high simply by virtue of not taking all system costs associated with DSM PV
8 into account.

9 **Q. What is the second reason why you view the Minnesota VOS approach as**
10 **“an incomplete and one-sided compilation of supposed benefits”?**

11 A. This has to do with how the Minnesota VOS calculation and the Florida
12 screening tests differ in regard to addressing system environmental costs. In
13 Florida, if environmental costs are used in an analysis, then projected
14 environmental compliance costs are typically used because these are
15 reasonably ascertainable and will directly impact the costs that the utility
16 incurs and its customers pay through electric rates. Also, compliance costs
17 typically represent the lowest cost alternative that will avoid the
18 environmental impacts. However, in the Minnesota VOS calculation,
19 externalities are used instead. As the term implies, externalities refer to
20 impacts that are external to those incurred in the market being examined (e.g.,
21 impacts external to electric utility costs and electric rates paid by utility
22 customers in this docket). Therefore, the perceived costs of these externalities
23 are not typically recovered from the utility’s customers (unless a calculation,

1 such as the Minnesota VOS approach, attempts to internalize these costs so
2 that utility customers are paying for them).

3

4 Because externalities are less well defined than projected compliance costs,
5 and the magnitude of externality cost values may be limited only by one's
6 imagination, their use in the Minnesota VOS calculation will likely result in
7 supposed environmental benefits for DSM PV that far exceed the projected
8 compliance costs that are typically used in Florida.

9

10 For example, the document states that "the federal social cost of CO₂
11 emissions" is used (page 39, emphasis added). The document states that this
12 social cost value for the year 2020 is \$51.22 per ton which is much higher
13 than the environmental compliance cost projections FPL has seen and utilized
14 in recent years. Thus the use of externalities, rather than environmental
15 compliance costs, will result in an even greater overstatement of projected
16 benefits for DSM PV than is shown in Exhibit SRS – 17.

17

18 Furthermore, the Minnesota VOS calculation does not appear to account for
19 externalities and/or other factors (property tax revenues for the municipality
20 the generator would be located in, for example) that would favor the
21 generating unit that is projected to be avoided by DSM PV. In this regard, the
22 Minnesota VOS approach is clearly one-sided in its perspective.

1 FPL witness Deason's rebuttal testimony also addresses problems regarding
2 the use of externalities in analyzing resource options. These problems include
3 giving credit for avoiding costs that are not considered in setting a utility's
4 electric rates and which are arguably beyond the FPSC's jurisdiction.
5 Accounting for such costs will typically increase electric rates. For all of
6 these reasons, the Commission has never approved the inclusion of
7 externalities for the purpose of assessing DSM or other resource options.

8 **Q. Based on these shortcomings in the Minnesota VOS approach, would you**
9 **recommend that Florida adopt this approach to evaluating DSM PV?**

10 A. No. Using the Minnesota VOS approach may be fine for someone who wishes
11 to promote any type of PV use regardless of whether it is cost-effective for a
12 utility's customers. However, the use of this VOS calculation would not be a
13 good thing for FPL's customers because it could lead to paying for PV
14 applications that either cannot deliver the value that has been attributed to
15 them or are a more expensive way of delivering value than customers need to
16 bear.

17
18 The Florida DSM screening test approach, in particular the use of the RIM
19 test, is a far better way to perform initial evaluations of DSM options such as
20 DSM PV. The RIM test evaluates projected benefits, costs, and cost impacts
21 that will impact electric rates with which all of FPL's customers will be
22 served. Thus the RIM test meets the objective of a true cost-effectiveness test
23 to help determine whether a resource option should be implemented based on

1 what direction electric rates and costs are projected to go. The Minnesota
2 VOS calculation was simply not designed to meet this objective. It was
3 designed to calculate a cost value that would be paid to DSM PV participants.

4 **Q. Do Dr. Fine and Mr. Rábago discuss other, non-DSM approaches to**
5 **utilizing PV?**

6 A. Yes. Mr. Rábago's testimony contains the following passage in which he
7 supports a non-DSM PV approach:

8

9 *"Q. What recommendations do you offer regarding community solar*
10 *programs discussed by the companies?"*

11 *A. I believe that community solar programs offer an important opportunity*
12 *to make participation in the benefits of distributed solar an option for*
13 *more customers and in more areas of a utility service territory." (Page 33,*
14 *lines 18-22)*

15

16 Dr. Fine's testimony supports another non-DSM PV approach:

17

18 *"I also recommend that the Commission consider implementing a utility-*
19 *owned commercial rooftop PV program." (Page 19, lines 12-14)*

20

21 Other statements in his testimony offer additional support for the idea of
22 utility-owned PV installations. For example:

1 *"The total installed cost for distributed installations fell 12 percent in*
2 *2012 and has fallen 33 percent over the past three years. The cost decline*
3 *is even greater for utility installations."* (Page 15, lines 9 – 12)

4

5 In addition, he states in a table on page 17 of his testimony that in 2013 the
6 reported average installed cost for FPL's residential DSM PV Pilot program
7 was *\$4.10/watt*. By comparison, FPL's current estimates for the cost of
8 installing utility-scale PV are significantly lower.

9

10 These statements suggest two things. First, if the objective is to promote and
11 utilize PV in a more efficient and economic manner than the demonstrably
12 non-cost-effective DSM PV approach, significantly more MW of PV can be
13 installed right now with utility-owned, utility-scale PV for the same amount of
14 money than with a continuation of the DSM PV. Second, if the trend of
15 greater cost declines for utility installations compared to non-utility
16 installations continues, then this economic advantage for utility-owned,
17 utility-scale PV will only increase in the future.

18

19 Note also that this advantage refers only to how many MW of PV can be
20 installed for the same expenditure amount between utility and non-utility
21 installations. In addition, the first year capacity factor of FPL's DSM PV Pilot
22 programs has been approximately 17% to 20%. The current projection for
23 utility-scale PV facilities' first year capacity factor is approximately 20% to

1 25%. Consequently, not only will a given expenditure amount result in more
2 MW of PV capacity being installed with utility versus non-utility installations,
3 more MWh of energy will also be produced from each installed MW in utility
4 versus non-utility installations.

5 Based on these considerations, it is clear that Florida and FPL's customers
6 would get more value per dollar spent on PV if those expenditures were made
7 for utility-scale PV than with a continuation of the DSM PV Pilots which have
8 never been cost-effective. Any consideration of PV should focus on the
9 relative economics of the different PV applications. If PV is to be promoted
10 as a matter of public policy, FPL believes that the PV application(s) most
11 economic for FPL's customers should be pursued.

12 **Q. Is FPL proposing an alternative to the uneconomic solar rebate pilot**
13 **programs?**

14 A. Yes. FPL witness Koch presents in his rebuttal testimony the framework for
15 a research and development (R&D) program that FPL believes could be
16 substituted for the ineffectual and non-cost-effective solar pilot programs that
17 FPL is currently funding.

18 **Q. Does Dr. Fine's testimony address a program that is similar to what FPL**
19 **proposes?**

20 A. Yes. Dr. Fine's testimony contains a discussion involving a recent Duke
21 Energy Carolinas petition to the North Carolina Utilities Commission for
22 approval of a utility-owned distributed PV program. He quoted passages from
23 the Duke Carolinas witness (Owen Smith) in that docket in which the witness

1 discussed the benefits of their PV petition. In addition to helping Duke
2 Carolinas meet a state RPS requirement, the following benefits were
3 mentioned by the witness:
4

5 *“The Program will enable the Company to understand the impact of*
6 *distributed generation on its system... [and] ...The Program will enable*
7 *the Company to develop and enhance competencies as owners and*
8 *operators of renewable generation facilities.”* (Dr. Fine testimony, page
9 26, lines 21 – 29).
10

11 This description indicates that the Duke Carolinas program is, at least in part,
12 an R&D effort. An R&D-based PV effort in Florida that addressed all three
13 types of PV applications would be more valuable to FPL’s customers than an
14 extension of the DSM PV application used in the DSM PV Pilot programs.

15 **Q. In summary, what do you recommend in regard to the DSM PV Pilot**
16 **programs and the witnesses’ view that the Minnesota VOS approach be**
17 **used to evaluate DSM PV programs?**

18 A. I recommend the following:

- 19 1) Allow proven cost-ineffective DSM solar water heating and DSM
20 PV Pilot programs to expire as scheduled at the end of 2014. They
21 have not been cost-effective since their inception and they are not
22 cost-effective today. In lieu of these pilot programs, FPL and other
23 Florida IOUs could use the money spent on those programs more

- 1 productively by conducting R&D that helps gather information on
2 the system impacts of both DSM and non-DSM PV applications.
- 3 2) Encourage FPL and the other utilities to look at alternate PV
4 applications that deliver more PV MW and MWh per dollar than
5 the DSM PV Pilot programs, even if these more promising PV
6 applications are non-DSM applications.
- 7 3) Disregard the suggestion to throw away a DSM cost-effectiveness
8 analysis approach that has served Florida well for decades, and to
9 replace it with an unproven framework from a non-Florida
10 jurisdiction with distinctly non-Florida circumstances, to evaluate
11 DSM PV. The Minnesota VOS calculation is not a cost-
12 effectiveness test and clearly overstates the projected system cost
13 savings value. In addition, it will be interesting to see what the
14 Minnesota experience with this approach will actually be in
15 practice over the next few years. A prudent course for Florida will
16 be to observe to see if the problems apparent in the calculations are
17 addressed.

18 **Q. Are there any other aspects of either of these testimonies that you would**
19 **like to address?**

20 A. Yes. There is one other item I would like to address from Dr. Fine's testimony
21 that concerns projected CO₂ emissions for the state of Florida. He states:

1 *“Recent emissions trends suggest that the state is going in the wrong*
2 *direction as emissions are rising”*. (Page 10, lines 5 & 6)

3

4 This statement appears to be based on 2008 and 2010 data and projections for
5 the Florida economy as a whole, its power sector, and its transportation sector.
6 However, a more recent projection specifically for FPL’s utility system was
7 provided in Exhibit SRS – 15 of my direct testimony. This projection shows
8 that FPL’s annual system CO₂ emissions are projected to decrease by
9 approximately 13% over the 2015 to 2025 time frame despite significant
10 growth in customer load.

11

12 This projection is a direct result of FPL’s successful on-going efforts to
13 improve the efficiency, and lower costs, in generating electricity using clean
14 natural gas and in increasing the portion of its total electricity generation that
15 comes from emission-free nuclear power. Not only have these efforts resulted
16 in low emissions, but in low costs and low electric rates as well. These are
17 great results for FPL’s customers. However, lower emissions, costs, and
18 electric rates for the FPL system also serve to explain why the trend of
19 declining DSM cost-effectiveness seen across the U.S. is heightened for FPL.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

Part II: Ms. Mims’ and Mr. Woolf’s Testimonies

Q. How is your discussion of Ms. Mims’ and Mr. Woolf’s testimonies organized?

A. My discussion is organized into four general areas for which I will use the following headings:

- 1) Ignoring the Obvious;
- 2) Failure to Understand FPL’s IRP Process and Analyses;
- 3) An Evaluation of the Recommended Alternate Goals and Impacts on FPL’s Customers; and,
- 4) Other Comments.

I will generally refer to these two witnesses collectively as “these witnesses.” However, when discussing specific statements in testimony, I will specify which witness made the statement being discussed.

1) Ignoring the Obvious

Q. FPL’s direct testimony pointed out that there were two primary reasons for FPL’s proposed goals being lower than in years past: (1) DSM is less cost-effective than it has been in the past; and (2) the increased impact of energy efficiency codes and standards has lowered the potential market for utility DSM by addressing many energy efficiency opportunities that

1 **otherwise could have been addressed by utility DSM. Did these witnesses**
2 **acknowledge that these two factors will logically result in a reduced role**
3 **for utility DSM?**

4 A. No. These witnesses generally failed to acknowledge that DSM is less cost-
5 effective than in previous years and that energy efficiency codes & standards
6 are eliminating the potential market for specific equipment that otherwise
7 would exist as an opportunity for utility DSM. Not surprisingly, instead of
8 acknowledging these realities, they attempted to avoid these two facts as much
9 as possible.

10

11 However, perhaps recognizing that they could not avoid these two key facts
12 entirely, Mr. Woolf offered the following passage:

13

14 *“These proposed DSM goals are not low because the DSM opportunities*
15 *are not available or are not cost-effective – as the Utilities claims. The*
16 *proposed goals are also not low because...new building codes and*
17 *standards are going to eliminate DSM opportunities – as the Utilities*
18 *claim”.* (Page 4, line 18 through page 5, line 2)

19

20 In this statement, Mr. Woolf is widening the scope of the topic to make it
21 appear that FPL is dismissing all utility DSM opportunities. In regard to the
22 first sentence, FPL has not claimed that there are no available DSM
23 opportunities that are cost-effective. In fact, FPL is proposing 337 MW of

1 DSM – the equivalent of avoiding a new 400 MW power plant – as cost-
2 effective for its system. The point is that DSM measures in general are less
3 cost-effective now than they were in previous years. This means that fewer
4 DSM measures pass preliminary economic screening than was the case in
5 previous years. In addition, it means that for those measures that do pass this
6 screening, the maximum incentive level that can be paid for those measures is
7 generally lower than in previous years. Both of these outcomes result in lower
8 Achievable Potential for DSM.

9
10 However, Mr. Woolf eventually does make one statement that shows he
11 recognizes the obvious fact that DSM cost-effectiveness is declining:

12

13 *“...avoided costs are less than they were in the past.”* (Page 78, line 13)

14

15 In regard to his second statement, FPL has not said that new building codes
16 and standards are going to eliminate all DSM opportunities. What FPL has
17 said, and what is obviously true, is that if codes and standards now require a
18 certain level of energy efficiency for electrical equipment, the potential for
19 utility DSM to have obtained that exact same efficiency gain from that
20 equipment has been eliminated. For example, if codes and standards
21 previously allowed the sale of an air conditioner with a SEER level of 14, but
22 now require a minimum SEER of 15, the potential for utility DSM to ‘move’ a

1 customer from selecting a 14 SEER air conditioner to a 15 SEER model has
2 been eliminated. These are simple, indisputable facts.

3
4 Again, in regard to the impact of codes and standards' impact on utility DSM,
5 Mr. Woolf eventually does admit the obvious:

6
7 *"It is true that increasing building codes and standards will make it more*
8 *difficult to achieve DSM savings over time."* (Page 78, lines 26 & 27)

9 **Q. Would you please provide an example that demonstrates that DSM is less**
10 **cost-effective than it was in previous years?**

11 A. Yes. I will present two examples, one for a single DSM measure and one that
12 addresses the entire projected Achievable Potential. First, let's compare the
13 RIM and TRC cost-effectiveness results for a single DSM measure (code
14 number RSF150 which is a residential R-0 to R-19 ceiling insulation
15 measure), assuming no change in the kW, kWh, life of measure,
16 administrative costs, or incentive costs, from the 2009 goals-setting analyses
17 and the 2014 analyses. The same RIM and TRC preliminary screening tests
18 are used in these calculations. The respective benefit-to-cost ratios are:

19			
20		<u>RIM</u>	<u>TRC</u>
21	2009	1.21	3.16
22	2014	1.03	2.30

1 The cost-effectiveness ratios under both preliminary screening tests are clearly
 2 lower now than in 2009 which indicate that the measure is less cost-effective
 3 now than it was in 2009. From this example it is obvious that other measures
 4 that were closer to a 1.01 ratio in 2009 would now fall below that threshold
 5 value in 2014 and be eliminated in the preliminary economic screening steps.

6
 7 Moving from a comparison of a single individual DSM measure to all of the
 8 individual DSM measures, we now compare the Achievable Potential results
 9 from 2009 and 2014. The list of total DSM measures analyzed, and the
 10 screening process itself, remained essentially the same between the two years.
 11 The 2014 results shown include CO₂ costs to further ensure the comparison is
 12 a valid one. The respective Achievable Potential MW values are:

	<u>RIM</u>	<u>TRC</u>
2009	949	1,153
2014	504 508 ↓	577

17
 18 The decrease in the Achievable Potential MW from 2009 to 2014 is
 19 approximately 50% under either of the preliminary screening tests. Because
 20 Achievable Potential addresses all DSM measures identified initially in the
 21 Technical Potential step which have survived the preliminary economic
 22 screening process, these results indicate that there has been a significant
 23 decrease in DSM cost-effectiveness in general across all DSM measures.

1 **Q. Does the projection of higher impacts of codes and standards also**
2 **contribute to the current lowering of Achievable Potential results?**

3 A. Yes. In 2009, the projected Summer MW impact from codes and standards
4 over the 10-year goals-setting period was projected to be 1,255 MW. The
5 current projection of this impact over the present 10-year goals-setting period
6 is projected to be 1,823 MW. Thus the projected impact has increased by
7 almost 50%. After accounting for FPL's 20% reserve margin criterion, the
8 1,823 MW of energy efficiency is equivalent to avoiding more than five
9 additional new power plants of 400 MW each. Therefore, this increase in
10 energy efficiency delivered by codes and standards is significant – and is
11 benefiting all FPL customers because customers do not fund these efficiency
12 gains through the Energy Conservation Cost Recovery Clause. It also,
13 however, clearly contributes to the current lower Achievable Potential DSM
14 MW values.

15 **Q. Is the dramatic lowering of DSM cost-effectiveness something only being**
16 **seen in Florida?**

17 A. No. I have the privilege of representing FPL in biannual meetings of the
18 Southeast Electric Exchange's IRP Task Force. The group consists of
19 representatives of a number of utilities that range geographically from
20 Oklahoma to Ohio to Florida. This group includes utilities who operate under
21 traditional regulatory structures as well as ones who operate in so-called
22 deregulated regulatory structures and/or power pools. At each of these

1 meetings, resource planning issues and trends are discussed in a roundtable
2 format.

3

4 A recurring issue in these information sharing meetings in recent years is the
5 trend of steadily decreasing cost-effectiveness of DSM. (I note that this trend
6 is of particular concern to utilities for whom excessively high DSM goals have
7 been set and/or who are operating under DSM-linked reward-and-penalty
8 structures.) Because many, if not all, of the utilities in the Task Force are
9 seeing this trend, the issue of decreasing cost-effectiveness of DSM is
10 definitely not unique to Florida.

11 **Q. Is there anything special about FPL's utility system which is contributing**
12 **even more to this trend of decreasing DSM cost-effectiveness?**

13 A. Yes. Efficiency is not something unique to DSM resources; efficiency applies
14 to generation resources as well. Since 2001, FPL's fossil-fueled generation
15 system has seen a 20% improvement in its efficiency. This means that FPL
16 now can generate the same amount of electricity using 20% less fossil fuel – a
17 fact SACE and Sierra Club should appreciate but which they are
18 understandably silent about when these generation efficiency improvements
19 are discussed in regard to contributing to declining cost-effectiveness of DSM
20 for FPL's system. These generation efficiency gains result in lower fuel costs
21 to produce each kWh of electricity. In regard to DSM, it means that the kWh
22 reduction aspect of DSM options now provides lower benefits than in
23 previous years, making DSM options less cost-effective. Furthermore, FPL's

1 system is projected to become even more efficient, and to lower fuel costs
2 even more, with the completion of the Port Everglades modernization project
3 and the planned addition of the Turkey Point 6 & 7 nuclear units. Both Ms.
4 Mims and Mr. Woolf have chosen to ignore the important role that utility
5 system efficiency and lowered costs play in DSM cost-effectiveness analyses.

6 **Q. Despite their attempts to avoid seriously discussing the obvious fact of**
7 **decreasing cost-effectiveness of DSM, did these witnesses' testimonies**
8 **suggest to you that they are actually concerned about this?**

9 A. Yes. There were two aspects of their testimonies that suggest to me that they
10 really do recognize the trend of decreasing cost-effectiveness of DSM and,
11 rather than accept that fact, they are trying to avoid that reality by changing
12 the rules of the game in Florida. They attempt to do so through two
13 discussions or suggestions.

14
15 The first "change the rules of the game" discussion/suggestion is that Florida
16 is not using the Utility Cost Test (UCT) in its preliminary screening of DSM
17 measures. Regarding this topic, Mr. Woolf states:

18
19 *"...the Utilities ignore one of the most useful screening tests available: the*
20 *Utility Cost test."* (Page 20, lines 21 & 22)

21
22 It is not surprising that Sierra Club would prefer that Florida use the UCT in
23 its preliminary screening of DSM measures. Use of the UCT will result in

1 even higher benefit-to-cost ratios for DSM measures than the already “low
 2 hurdle” TRC test. To demonstrate that, let’s return to our previous example of
 3 the RIM and TRC benefit-to-cost ratios in 2014 for a single DSM measure.
 4 When we now add the UCT benefit-to-cost ratio for that measure, we have the
 5 following:

	<u>RIM</u>	<u>TRC</u>	<u>UCT</u>
6 2014	1.03	2.30	3.71

8
 9 As shown above, the UCT represents an even lower hurdle for DSM than the
 10 already low-hurdle TRC test. In addition, the UCT shares a fundamental flaw
 11 inherent in the TRC test: neither the UCT nor TRC test accounts for the
 12 important impacts on electric rates from DSM. In previous DSM goals
 13 dockets in Florida, the UCT was rarely, if ever mentioned. The TRC test was
 14 ardently endorsed by intervenors desiring the highest possible DSM goals as
 15 the only correct cost-effectiveness test to use. However, in 2014, with the
 16 cost-effectiveness of DSM having significantly declined to the point where a
 17 significant number of DSM measures are no longer passing even the TRC test,
 18 it is not surprising that the UCT is now being discussed. This is an attempt to
 19 change the rules in Florida so that the bar for DSM resource options is
 20 lowered.

1 **Q. What is the other “change the rules” suggestion that is offered in these**
2 **testimonies?**

3 A. That suggestion is to include additional “non-energy benefits” on the DSM
4 side of the ledger in the preliminary economic screening of DSM measures.
5 Both of these witnesses believe this would be a really good thing to do. First,
6 Ms. Mims states:

7

8 *“The Utilities do not appear to take into account non-energy benefits, also*
9 *known as Other Program Impacts (OPI).” (Page 47, lines 20 & 21)*

10

11 Perhaps to avoid the interpretation of OPI as an impact to “Other People’s
12 Income,” Ms. Mims immediately provides some examples of OPIs which
13 include: *“improved health and safety, increased comfort.”* (Page 48, lines 1 &
14 2) I will return to these non-energy benefit examples in a moment.

15

16 Mr. Woolf also gets into this act by stating that:

17

18 *“DSM goals should reflect DSM benefits beyond those that accrue to the*
19 *utility system. To do so, non-energy benefits should be included in DSM*
20 *screening.”* (Page 36, lines 13-15);

21

22 And, in regard to accounting for non-energy benefits, Mr. Woolf states:

1 “... I recommend that the Commission require the Utilities do apply the
 2 following...adders: 50 percent for low-income customer programs; 25%
 3 for residential non-low-income customer programs; and 10% for
 4 commercial and industrial customer programs.” (Page 38, lines 6-9)

5
 6 The potential impact of including such non-energy benefits in DSM
 7 preliminary screening analyses is demonstrated in Ms. Mims’ Figure 10 that is
 8 presented on page 49 of her testimony. This figure shows that use of such
 9 benefits in Massachusetts can change the TRC test’s beuefit-to-cost ratio
 10 many times over. For example, in regard to the Residential Retrofit program,
 11 the TRC benefit-to-cost ratio increases from what appears on her chart to be
 12 roughly a 1.1 ratio to a ratio of roughly 5.5 solely by applying non-energy
 13 benefits.

14
 15 In other words, the use of non-energy benefits in DSM analyses is a miracle
 16 cure for the indisputable ailment of decreasing DSM cost-effectiveness.

17 **Q. Would inclusion of non-energy benefits in DSM analyses in Florida be a**
 18 **good idea?**

19 A. No. There are numerous reasons why this is a bad idea and I’ll mention a few
 20 of them. First, inclusion of non-energy benefits is an obvious attempt to
 21 artificially make the cost-effectiveness of DSM appear better than it really is.
 22 Second, making non-cost-effective DSM appear to be cost-effective through

1 the inclusion of non-energy benefits will result in unnecessary increases in
2 electric rates if the non-cost-effective DSM measures are implemented.

3

4 Third, even if one wanted to try to account for non-energy benefits, it would
5 be impossible to place an accurate cost value on such benefits. Even Mr.
6 Woolf admits as much when he states:

7

8 *“...there is some uncertainty regarding the magnitude of some participant*
9 *non-energy benefits”* (Page 37, lines 16 & 17).

10

11 His attempt to heavily qualify this statement does not hide the fact that any
12 cost values attributed to non-energy benefits are, at best, highly uncertain. He
13 reveals as much regarding his 10% to 50% recommended “adders” to TRC
14 benefits in the following statement:

15

16 *“These recommended values are based on my extensive review of non-*
17 *energy benefits in other states, and are conservative relative to some of*
18 *the quantified values of non-energy benefits that I am aware of.”* (Page 38,
19 lines 10-12)

20

21 In plain English, these estimates vary all over the place.

1 Fourth, once one starts down the path of trying to identify what impact to
2 society will count as a “non-energy benefit”, it will be impossible to know
3 where the correct place is to draw the line and say “stop, we won’t count any
4 more impacts.”

5
6 Fifth, use of non-energy benefits as adders to DSM benefits appears to be
7 entirely one-sided with various benefits counting only on the DSM side of the
8 ledger. Common sense would tell one that there have to be non-energy
9 benefits on the supply side of the ledger as well. Examples might include:
10 employment impacts, property tax impacts, economic development benefits
11 from lower electric rates, etc. And, returning to Ms. Mims’ examples of ‘non-
12 energy benefits’ that include “*improved health and safety, increased*
13 *comfort,*” lower electric rates that result from not implementing high levels of
14 non-cost-effective DSM will certainly assist FPL’s customers in these two
15 considerations.

16
17 In regard to the issue of one-sidedness, it is interesting that Mr. Woolf’s
18 testimony points out that analysis of resource options should not be one-sided,
19 as inclusion of non-energy benefits only on the DSM side of the ledger would
20 be, when he discusses the guiding principles of the National Efficiency
21 Screening Project (NESP). The NESP principle that is relevant to this
22 discussion is:

1 “Applicability to all resources. In general, these principles should be
2 applied to all types of electric and gas utility resources; both demand-side
3 and supply-side resources.” (Page 13, lines 17-19)

4

5 Yet the incredible increase in the TRC benefit-to-cost ratios in Massachusetts
6 when ‘non-energy benefits’ are added as shown in Figure 10 of Ms. Mims’
7 testimony suggests that the *“applicability to all resources”* principle may not
8 have actually been put in practice. To see five-fold (or more) increases in
9 benefit-to-cost ratios for DSM when non-energy benefits are incorporated
10 strongly suggests that either these “benefits” are only incorporated on the
11 DSM side of the ledger, or that benefits on the supply-side of the ledger were
12 not pursued as diligently or imaginatively.

13

14 For at least all of these reasons discussed above, the notion that Florida should
15 suddenly begin to account for non-energy benefits is a very bad idea. In
16 addition, FPL witness Deason discusses in his rebuttal testimony why
17 inclusion of non-energy benefits would be contrary to established practice and
18 good regulatory policy.

19 **Q. Please summarize this section of your rebuttal testimony.**

20 A. The testimonies of Ms. Mims and Mr. Woolf attempt to ignore the obvious
21 fact that DSM is less cost-effective now than in previous years. A simple
22 comparison of the cost-effectiveness of a single DSM measure in 2009 and
23 2014, and of the Achievable Potential MW in 2009 and 2014, clearly shows

1 that DSM cost-effectiveness has diminished. This is not a phenomenon
2 specific to Florida and to how Florida utilities analyze DSM, though it is
3 exacerbated by the increasingly high efficiency of FPL's generation system.
4 This is a very good thing for FPL's customers, but it also lowers the benefits
5 that DSM can provide.

6
7 The testimonies of these two witnesses also attempt to ignore the obvious
8 regarding another issue: an almost 50% increase in the projected impact of
9 codes and standards in 2014 compared to 2009 will definitely reduce the
10 potential for utility DSM to address the specific efficiency gains that are now
11 addressed by the codes and standards.

12
13 Nonetheless, their testimonies also suggest that they are aware that utility
14 DSM is now less cost-effective. Their testimonies recommend that Florida
15 should "change the rules" to protect DSM resources. They suggest that Florida
16 should implement the UCT which presents a significantly lower hurdle for
17 DSM in screening analyses, thus giving the appearance that DSM is more
18 cost-effective than it actually is. In addition, they recommend that Florida now
19 incorporate a set of "adders" to boost DSM benefits by up to 50% despite the
20 fact that these adders are based on highly uncertain, speculative values that are
21 completely one-sided in their application.

1 These suggestions/recommendations are an attempt to deny the current reality
2 for DSM: DSM is less cost-effective now than in previous years, particularly
3 for FPL, and the growing impact of energy efficient codes and standards is
4 reducing the potential for utility DSM efficiency improvements that have
5 already been addressed by the codes and standards. As a result, a reduced role
6 for utility DSM, as seen in FPL's proposed DSM goals, is now warranted. The
7 FPSC should not seriously consider these witnesses' calls to change the rules
8 in Florida to shield one type of resource option (i.e., DSM) from reality.

9
10 **2) Failure to Understand FPL's IRP Process and Analyses**

11
12 **Q. The testimonies of Ms. Mims and Mr. Woolf contained statements that**
13 **were critical of FPL's IRP process and analyses. Were you surprised by**
14 **this?**

15 **A.** Not at all. In my approximately 35 years of performing resource analyses for
16 FPL, I have come to the conclusion that some organizations are almost
17 fanatical in how fervently they hold onto the belief that DSM resources must
18 always be better than all other resource options. Consequently, when faced
19 with analyses that show that DSM should play a smaller role in FPL's
20 resource plans than in previous years, it was expected that the analyses,
21 assumptions, motives, etc. might be criticized.

1 **Q. Did these testimonies include “summary” statements regarding FPL’s**
2 **IRP process and analyses?**

3 A. Yes. I believe the following two statements, one from each of these two
4 witnesses, sum up the view they have of FPL’s IRP process and analyses:

5

6 *“FPL lacks transparency and analytical rigor in its resource planning....”*

7 (Mims, Page 7, line 24);

8

9 and,

10

11 *“It is also clear that if the Utilities were to adopt significantly higher DSM*
12 *goals, then customer bills would be reduced significantly. This is the basic*
13 *conclusion from a straightforward comparison of the costs of supply-side*
14 *and demand-side resources; unencumbered by opaque, unduly complex*
15 *and constraining resource planning practices.”* (Woolf, Page 72, lines 9-
16 12)

17

18 I will come back to their descriptions of *“lacks...analytical rigor”* and
19 *“unduly complex”* later in my testimony. For the moment, let me just state
20 that I believe part of the reason for these summary statements is that these
21 witnesses simply do not understand FPL’s IRP process and analyses. This is
22 clear from the number of inaccurate and/or misleading statements that are
23 present throughout their testimonies.

1 **Q. Please discuss these incorrect and/or misleading statements.**

2 A. Exhibit SRS – 18 provides a listing of at least some of the statements from
3 their testimonies that are inaccurate and/or misleading. The exhibit’s 10 pages
4 provide several dozen examples of inaccurate and/or misleading statements.
5 This partial listing of such statements also includes the correct information for
6 the topic they have addressed. Many of these statements are about FPL’s IRP
7 process and analyses.

8

9 From both the number and breadth of these inaccurate and/or misleading
10 statements, it is obvious that Ms. Mims and Mr. Woolf do not understand the
11 resource planning process and analyses that they have chosen to attack.

12 **Q. Are there other problematic statements in their testimonies that you did**
13 **not include in Exhibit SRS – 18?**

14 A. Yes. I’ll discuss two of them. The first is the following statement from Mr.
15 Woolf in which he attempts to argue that the RIM test overstates the lost
16 revenue component of the RIM test:

17

18 *“The Utilities estimate lost revenues on the basis of a projection of total*
19 *electricity prices...This is not the correct methodology for estimating lost*
20 *revenues that will impact rates. The correct methodology is to use a*
21 *projection of fixed components of rates, not the fixed plus variable*
22 *components of rates.” (Page 25, lines 21-25)*

1 I disagree. Let me illustrate using fuel costs, which is the predominant
2 component of variable costs. An analyst starts with a projection of electric
3 rates that includes a projection of the fuel component of the rates. Thus the
4 analyst has a projection of the fuel-based revenues that are expected to be
5 recovered. However, once a DSM option is added to the system, there are
6 several fuel cost impacts that will occur as previously discussed in Part I of
7 my testimony. Some impacts will lower the utility system's fuel costs and
8 some will increase the utility system's fuel costs. In the RIM test, the net
9 effect of these fuel cost impacts from DSM is compared to the forecasted fuel-
10 based revenues. The net effect of DSM on fuel costs is accounted for on the
11 benefit side of the ledger and the reduction in fuel-based revenues is
12 accounted for on the cost side of the ledger as part of lost revenues.

13
14 This comparison appropriately captures whether the fuel component of
15 electric rates will increase, decrease, or remain unchanged due to DSM
16 impacts. To exclude the fuel-based revenues on the cost side of the ledger, and
17 include the net fuel impacts on the system on the benefit side of the ledger,
18 would incorrectly understate the impact of DSM on electric rates. (It would
19 also artificially inflate the benefit-to-cost ratios of the RIM test which is in
20 keeping with Mr. Woolf's recommendation to add non-energy benefits to the
21 DSM side of the ledger.)

1 **Q. What is the other problematic statement you would like to discuss that is**
2 **not included in Exhibit SRS – 18?**

3 A. This is actually a series of statements that is made in Mr. Woolf’s testimony
4 and it refers to the concept of “bills.” The following two statements provide
5 good examples:

6

7 *“Higher DSM goals would result in reduced costs, and therefore reduced*
8 *bills.”* (Page 9, line 1, emphasis added);

9

10 and,

11

12 *“Maintaining low utility system costs, and therefore low customer bills on*
13 *average....”* (Page 22, line 18 & 19, emphasis added)

14

15 I do not believe that Mr. Woolf’s testimony ever explains what he is actually
16 referring to when he uses the terms “bills” and “customer bill.”

17

18 In statements in which he uses the phrase “*reduced bills,*” he is giving the
19 misleading impression that bills for all customers will be reduced by high
20 levels of DSM. He provides cover for himself by occasionally making slightly
21 revised statements such as “*low customer bills on average,*”

1 Mr. Woolf is simply referring to total costs as “bills.” Because total costs do
2 decrease with DSM additions, he claims that the utility’s total “bill” to all
3 customers will, on average, decrease. This is just a verbal construct that
4 ignores the fact that high levels of DSM increase electric rates, resulting in
5 actual bill increases for many actual customers. His use of the term “bills” in
6 this fashion is an attempt to ignore the fact that non-cost-effective DSM will
7 inevitably lead to unnecessary cross-subsidization between DSM participants
8 and non-participants in which the non-participants will be harmed. In other
9 words, in the context of DSM, there is no one “bill” impact, or even an
10 “average bill.” There are participants and there are non-participants, and non-
11 participants’ bills will go up if electric rates go up.

12 **Q. Do these witnesses acknowledge the flexibility of DSM to be increased or**
13 **decreased as resource needs and cost-effectiveness warrant?**

14 A. No. In fact, these two witnesses are strongly resisting the Florida utilities’
15 conclusion, based on months of analyses performed by each individual utility,
16 that the appropriate course of action at this time is to reduce utility DSM
17 goals.

18
19 My involvement in utility DSM efforts began in 1979 and has continued
20 through today. Utility DSM was in its infancy in 1979. One of the initial big
21 selling points regarding DSM was the flexibility it offered to utilities. It could
22 be ramped up quickly if load growth accelerated. Likewise, it could be ramped
23 down quickly if load growth stalled or the cost-effectiveness of DSM began to

1 decline. This flexibility attribute of DSM still exists today. However, some
2 organizations such as SACE and Sierra Club now see the flexibility attribute
3 of DSM as something that can only work in one direction: ever upwards.

4
5 FPL has utilized DSM's inherent flexibility. In 2004, FPL's DSM goals were
6 set at approximately 88 MW (Summer) per year. After experiencing very high
7 peak loads in 2005, FPL voluntarily increased its DSM implementation
8 quickly to its current level of approximately 120 MW per year. However, by
9 the time the 2009 DSM goals docket rolled around, both FPL's rate of load
10 growth, and DSM cost-effectiveness, had decreased. Therefore, FPL sought to
11 utilize the inherent flexibility of DSM and reduce DSM implementation in its
12 2009 DSM goals filing. Accordingly, FPL proposed goals of approximately
13 66 MW per year.

14
15 However, FPL's goals were significantly increased to an average of about 150
16 MW per year in the 2009 docket. Yet soon thereafter, recognizing the rate
17 impacts that would occur from implementing such a high level of DSM, FPL
18 was instructed to return to its then current DSM levels, which averaged about
19 120 MW per year. In 2014, DSM cost-effectiveness has significantly
20 decreased even more than in 2009. Furthermore, energy efficiency codes and
21 standards have diminished some of the market potential for utility DSM,
22 particularly in regard to air conditioning equipment.

1 Consequently, FPL is attempting to again utilize the inherent flexibility of
2 DSM to reduce its goals to a proper level that utilizes those utility DSM
3 options that remain cost-effective. However, rather than accept the current
4 reality of declining DSM cost-effectiveness, and embracing the ability of
5 DSM to be quickly ramped down or up as a fundamental strength of DSM, the
6 testimonies of these two witnesses argue fiercely against FPL's planned
7 reduction in DSM levels.

8 **Q. Why do you believe these witnesses are so resistant to reduced levels of**
9 **DSM?**

10 A. I believe much of their resistance stems from the business motives of the
11 organizations they represent. DSM has become a fair sized industry in the
12 U.S. and organizations like Mr. Woolf's employer, Synapse Energy
13 Economics (Synapse), have now been in business for over a decade. Synapse,
14 and other such organizations, consistently push for ever higher levels of DSM
15 regardless of changing load forecasts, changing fuel cost forecasts, etc. This is
16 not surprising because DSM is their business. Therefore, these organizations
17 have a vested interest in attempting to convince as many utilities, regulators,
18 and legislators as possible to commit to DSM at ever increasing levels.

19
20 In this regard, organizations such as Synapse and SACE are simply special
21 interests attempting to sway decision makers to decide in favor of their
22 product (DSM) as often as possible instead of presenting impartial,
23 analytically-based recommendations. It is good for their individual businesses

1 to do so and I don't fault them for attempting to get favorable decisions that
2 will enable them to stay in business. But I believe viewing these testimonies
3 as coming from special interest organizations helps explain the extreme and
4 unsupported recommendations for DSM goals that I will discuss next in my
5 rebuttal testimony.

6

7 **3) An Evaluation of The Recommended Alternate Goals and**
8 **Impacts on FPL's Customers**

9

10 **The Alternate Recommended Goals & Their Development**

11

12 **Q. In regard to the DSM goals recommended by Ms. Mims and Mr. Woolf**
13 **for FPL, were they based on FPL-specific economic analyses?**

14 **A. No.**

15 **Q. Were their goals at least based on Florida-specific economic analyses?**

16 **A. No.**

17 **Q. Were their goals based on any economic analyses at all?**

18 **A. No.**

19 **Q. Please describe their recommended goals.**

20 **A.** The primary DSM goal for both witnesses is for GWh reduction. Both
21 recommend a 1% reduction in retail sales (but differ slightly in regard to what
22 year that goal should be reached). In regard to MW reduction, Ms. Mims
23 appears not to have any such goal in mind. Mr. Woolf recommends that FPL's

1 2013 ratio of MW-reduction-to-MWh-reduction be used and then multiplied
2 by the GWh goal. The resulting product is his recommended MW goal.

3 **Q. Please describe how their recommended goals were developed?**

4 A. Because they offer no description of how they arrived at their recommended
5 goals, it appears that the GWh goal was developed by simply pulling an
6 arbitrary percentage value out of the air. Then the MW goal recommended by
7 Mr. Woolf appears to have been developed by selecting an arbitrary ratio
8 value from an arbitrarily selected year, then multiplying the arbitrary ratio by
9 the arbitrary GWh value.

10 **Q. What justification did they give for their GWh and MW goals?**

11 A. In regard to the GWh goal, both witnesses essentially said that it was selected
12 because (paraphrasing) "other people are doing it." In regard to Mr. Woolf's
13 MW goal, he really gave little or no justification as to why he selected this
14 approach. Mr. Woolf does admit that his MW-reduction-to-MWh-reduction
15 ratio is a "...*simplistic assumption*..." (Page 85, line 23)

16 **Q. In regard to FPL's analyses that led to the identification of its proposed
17 goals, how long did it take to complete those analyses?**

18 A. These analyses took at least five months of continuous work to complete.

19 **Q. How long do you estimate it took for these witnesses to develop their
20 recommended goals?**

21 A. Selecting an arbitrary number for the GWh goal would have been quick.
22 However, an arbitrary year had to be selected, and then a ratio had to be
23 calculated, for the MW goal. Taking all of this into account, I cannot imagine

1 why it would take more than five minutes in total to develop their goals
2 recommendations.

3 **Q. Their “select an arbitrary number” approach certainly wasn’t “unduly**
4 **complex,” but didn’t one of these witnesses also state that FPL’s IRP**
5 **process “lacked... analytic rigor”?**

6 A. Ironically, yes.

7

8 **A Discussion of Their LCOE-based “Justification”**

9

10 **Q. In the absence of actual economic analyses, did these witnesses attempt to**
11 **offer anything that could serve as an economic justification?**

12 A. Yes. However, just as certain intervenors attempted to do in the 2009 Goals
13 docket, these witnesses chose a levelized cost of electricity (LCOE) approach
14 to serve as their economic “justification.” This was an unfortunate choice.

15 **Q. Why is an LCOE approach an unfortunate choice?**

16 A. It is an unfortunate choice because the results of an LCOE comparison are
17 meaningless if the objective is to make a final decision regarding two
18 competing resource options, such as a generation option and a DSM option.

19 **Q. Didn’t you discuss this previously in the 2009 DSM docket?**

20 A. Yes. In the 2009 DSM Goals docket, my rebuttal testimony included a
21 detailed 15-page explanation regarding why a cents/kWh LCOE comparison
22 of dissimilar resource options, such as generation and DSM options, could not
23 provide a meaningful answer to the question of which resource option should

1 be selected for a utility. This explanation was also subsequently repeated in
2 my rebuttal testimonies in the 2009 and 2010 nuclear cost recovery dockets
3 (Docket Nos. 090009-EI and 100009-EI).

4 **Q. Is that explanation still valid today?**

5 A. Yes.

6 **Q. Please summarize the explanation.**

7 A. A typical LCOE calculation looks at the projected \$/MWh, or cents/kWh, cost
8 of an individual resource option to either generate electricity or to reduce
9 electricity use. However, the perspective taken is solely of the individual
10 resource option itself and assumes that the resource option is completely
11 unconnected to a utility system. In other words, an LCOE calculation is based
12 on a starting point assumption that the generator or DSM option is “placed in
13 a field by itself” with no connection to a utility system. The LCOE calculation
14 then develops a cost of operating the resource option by itself.

15

16 However, this starting point assumption is clearly unrealistic because any
17 resource option will be connected to the utility system. As a result, the
18 addition of the resource option will have a number of impacts on the operation
19 of other existing resources on the utility system. These are termed “system
20 impacts” and are accounted for in IRP analyses, but not in LCOE calculations.

21

22 For example, assume that a LCOE calculation is performed for a new
23 combined cycle (CC) generating unit. The LCOE calculation will account for

1 the annual cost of fuel used to run the CC unit. For simplicity's sake, let's
2 assume that annual cost of fuel in a particular year is \$100 million. However,
3 the new CC unit would not operate on the utility system unless it was less
4 expensive to run the new CC unit than it was to run existing generating units
5 on the system.

6
7 Therefore, for each hour the new CC unit operates and incurs fuel cost, the
8 operation of more expensive existing generating units will be reduced. The
9 result is that the system fuel savings will be greater than the cost of fuel to
10 operate the CC unit. For example, assume the annual fuel savings from
11 reduced operation of the existing generating units is \$110 million. Then the
12 true annual fuel cost for the utility system from operating the new CC unit is a
13 net fuel savings of \$10 million (= \$110 million saved from existing units -
14 \$100 million spent to operate the new CC unit).

15
16 Because an LCOE calculation accounts only for the fuel cost to operate the
17 new CC unit, an LCOE calculation fails to account for the fuel savings from
18 reduced operation of the more expensive existing generating units on the
19 system. Thus an LCOE calculation only accounts for the \$100 million fuel
20 cost for the new CC unit and fails to end up with the correct result of a \$10
21 million net fuel savings from placing the new CC unit on the utility system.
22 (Note that this problem with LCOE calculations is identical to the problem
23 earlier discussed in regard to the Minnesota VOS calculation.)

1 As this example shows, an LCOE calculation can be wildly inaccurate
2 regarding the true cost of placing a resource option on a utility system because
3 it fails to account for a number of system impacts similar to this net fuel
4 impact. Thus LCOE calculations provide incomplete, and thus inaccurate,
5 results regarding the true costs of resource options.

6
7 LCOE calculations (also commonly called “screening curve” analyses) may
8 be useful only in screening applications where similar resources are being
9 compared. In fact, LCOE calculations can only provide meaningful screening
10 results when the resources in question are identical, or nearly identical, in
11 regard to at least four characteristics:

- 12
13 (1) resource capacity (MW);
14 (2) annual capacity factor;
15 (3) the percentage of the resource’s capacity (MW) that is firm capacity;
16 and,
17 (4) the projected life of the resource.

18
19 If at least all of these four characteristics of competing resources are identical,
20 or nearly identical, the system impacts of the individual resources will be
21 similar and can be ignored in a simple screening among these similar
22 resources.

1 However, DSM and generation options are very dissimilar resource options
2 and typically share none of these four characteristics. Therefore, use of an
3 LCOE calculation to compare these very dissimilar resource options cannot
4 give meaningful results. Most importantly, because an LCOE calculation fails
5 to account for a number of system cost impacts that must be known before a
6 complete cost picture of competing resource options is known, LCOE
7 calculations should never be used to make a final resource decision for a
8 utility.

9 **Q. Since the time of the 2009 DSM Goals docket, have you further examined**
10 **the LCOE approach that SACE and the Sierra Club are still advocating**
11 **in these two testimonies?**

12 **A. Yes. On at least three occasions I have had the opportunity to further consider**
13 **the LCOE approach and perform additional examinations. These three**
14 **examinations can be summarized as follows:**

15
16 1) Using current forecasts and assumptions, updated LCOE
17 calculations for a combined cycle (CC) unit were performed.
18 Similar to the analysis presented in rebuttal testimony in 2009, this
19 examination looked at how the projected LCOE value for the CC
20 unit will change if even one of a number of system impacts is
21 accounted for.

22 2) A fairly recent American Council for an Energy-Efficient
23 Economy (ACEEE) publication that used projected low LCOE

1 values for DSM options, and higher LCOE values for generation
2 options, to recommend implementation of large amounts of DSM
3 was examined. The second examination took a critical look at both
4 the LCOE formula used by ACEEE and the assumptions used in
5 LCOE calculations. This examination concluded by performing a
6 series of LCOE calculations for one DSM option. In these
7 calculations, changes to various assumptions were sequentially
8 made, one at a time, to make these assumptions more reflective of
9 real world DSM. These more realistic assumptions result, not
10 unexpectedly, in increases in projected LCOE costs for DSM.

11 3) The third examination returned to the specific LCOE formula used
12 by ACEEE to see if their application of the formula followed
13 guidelines for evaluating energy efficiency and renewable energy
14 options that were specified in a publication by the U.S. Department
15 of Energy's National Renewable Energy Laboratory (NREL). In
16 short, ACEEE's attempted application of this specific LCOE
17 formula to decide between competing DSM and Supply options is
18 not recommended by NREL's guidelines.

19

20 These three examinations demonstrate two things about LCOE calculations.
21 First, by failing to account for system impacts that accompany the choice of
22 every resource option, LCOE calculations can only provide inaccurate
23 information and should never be used to make a final resource decision.

1 Second, in regard to the values produced in an LCOE calculation, one can
2 significantly change (or manipulate) what the resulting values will be through
3 the choice of inputs to the calculation.

4 **Q. Would you please discuss the first of these three examinations?**

5 A. Yes. Similar to the LCOE calculation presented in the 2009 rebuttal
6 testimony, a new LCOE calculation for a 2019 CC unit was performed. This
7 calculation used the same CC unit cost and performance assumptions, and the
8 same forecasts for fuel costs, etc., that were used in the DSM goals analyses
9 performed for this docket. FPL then performed a second, modified LCOE
10 calculation in which only one set of system impacts was accounted for. This
11 second LCOE calculation assumed that there would be a 10% net savings for
12 the FPL system in regard to system fuel costs and system environmental
13 compliance costs. This 10% net savings assumption is representative of the
14 net impact that FPL typically sees in more detailed analyses. These projected
15 system net savings are incorporated in the second LCOE calculation.

16

17 For example, the first LCOE calculation shows that the cost of fuel to operate
18 the new CC unit in the first year of operation was \$422 million. In the second,
19 modified LCOE calculation, it was assumed that the system fuel cost avoided
20 by operating the new unit (which reduces the operating hours of existing,
21 more expensive-to-operate generating units) would be \$464 million (= \$422 x
22 1.10). The end result for the first year is that the net fuel impact for the entire
23 FPL system would be a net savings of \$42 million.

1 Both of the LCOE calculations were performed using FPL's levelized cost of
2 electricity calculation spreadsheet. The results of this examination are
3 provided in Exhibit SRS – 19 which consists of three pages. Page 1 of 3
4 presents the results of the two calculations and pages 2 of 3 and 3 of 3 present
5 the two LCOE calculations.

6
7 The result of the 1st calculation is a projected LCOE cost of \$95/MWh, or 9.5
8 cents/kWh, for the CC unit assuming a 90% capacity factor (which is a
9 representative capacity factor value for a new CC unit on FPL's system). This
10 projected LCOE cost for a CC unit is similar to those regularly seen in LCOE-
11 based reports presented by organizations such as SACE and Sierra Club in
12 dockets like this one.

13
14 However, the result of the 2nd calculation, an LCOE calculation modified to
15 account for just system fuel cost and environmental cost impacts, is a
16 projected LCOE cost of \$23/MWh, or 2.3 cents/kWh, for the same 90%
17 capacity factor assumption.

18
19 Accounting for just this one set of system impacts only begins to move a
20 typical LCOE calculation towards the desired outcome of any resource
21 analysis: to fully account for all cost impacts to a utility system from the
22 addition of a resource option. Yet accounting for only this one set of system
23 impacts lowers the original LCOE projected value of 9.5 cents/kWh by a

1 factor of more than 4 to 2.3 cents/kWh. (Needless to say, the LCOE-based
2 reports favored by SACE and the Sierra Club do not discuss the results of
3 more accurate modified LCOE calculations such as this one.)

4
5 The results of this examination are consistent with the results of prior analyses
6 that were discussed in my rebuttal testimony in 2009. And these results show
7 how misleading the results of a typical LCOE calculation are and why one
8 should never make a final resource decision based on LCOE calculations.
9 Fortunately, neither any Florida utility nor the state of Florida makes final
10 resource decisions based on such a flawed method of comparing resource
11 options.

12 **Q. Please discuss the second examination you made which involves an LCOE**
13 **calculation formula and associated assumptions.**

14 A. The second examination looked at two aspects of LCOE calculations used in
15 the ACEEE's September 2009 report Saving Energy Cost-Effectively: A
16 National Review of the Cost of Energy Saved Through Utility-Sector Energy
17 Efficiency Programs. Those two aspects that were examined are: (i)
18 assumptions used in their LCOE calculation; and (ii) the formula actually used
19 to calculate the LCOE values.

20
21 In regard to the assumptions, the ACEEE's report did not provide much
22 readily available information regarding specific assumptions. However, the
23 report did state that a real discount rate of 5% was used in their LCOE

1 calculations and that values in the 2009 document were present valued back to
2 the year 2007. FPL noted that the discount rate selected by ACEEE for their
3 calculation is substantially different than the approximate 7%-to-8% range of
4 discount rates that FPL has recently used in its IRP analyses, which results in
5 a lower cents/kWh projected result for DSM.

6
7 With that in mind, FPL performed a series of LCOE calculations for a
8 representative DSM option again using the same FPL LCOE spreadsheet that
9 was used in the LCOE projections for a CC unit discussed above. The initial
10 LCOE calculation for this DSM option used a particular set of economic
11 assumptions/inputs. Then, these assumptions/inputs were varied one at a time
12 in additional LCOE calculations.

13
14 The DSM option was assumed to have the following characteristics: 1 kW of
15 demand reduction, 1,752 kWh reduction (i.e., an equivalent capacity factor of
16 20%), and a 10-year measure life. These assumptions remained unchanged
17 throughout the LCOE calculations. The starting point economic
18 assumptions/inputs were: (i) a 5% discount rate, (ii) a 2019 installation (the
19 same year as the avoided unit would have gone in service as was assumed in
20 the LCOE calculations for the CC unit discussed above), and (iii) an
21 accounting of administration and incentive costs needed to initially sign up
22 DSM participants.

1 Then, the following sequential changes to the economic assumptions/inputs
2 were made:

- 3 - The discount rate was changed from 5% to 7.54% (to match the
4 discount rate used in the CC LCOE calculation);
- 5 - The DSM installation year was changed from 2019 to 2014 (to reflect
6 the reality that DSM implementation must occur a number of years
7 prior to when a generating unit would go in-service in order to sign up
8 enough DSM MW to avoid that unit);
- 9 - The fact that the DSM option has only a 10-year life, but the CC unit it
10 is seeking to avoid has a 30-year life, is addressed by assuming that the
11 DSM option (or its equivalent) is “re-signed up” in the 11th year and
12 again in the 21st year with escalation of the administration costs; and,
- 13 - The impact of unrecovered revenue requirements is also accounted for.

14

15 An LCOE calculation was made for each of these five cases. The results are
16 presented in Exhibit SRS – 20. This exhibit consists of 6 pages. Page 1 of 6
17 summarizes the results. Pages 2 of 6 through 6 of 6 present the calculation for
18 each of the five cases.

19

20 As shown on page 1 of 6, the initial LCOE value is 3.5 cents/kWh. This
21 projected LCOE value is within the 2 to 4 cents/kWh range typically reported
22 for DSM in LCOE-based reports favored by organizations such as SACE and
23 the Sierra Club.

1 However, the calculated LCOE values for the other four cases steadily
2 increase as economic assumptions/inputs are changed. It is important to note
3 that each of these changes resulted in adjustments that: (i) used identical
4 assumptions (discount rate and number of years of costs addressed in the
5 calculations) to those used in Exhibit SRS – 19 which calculated an LCOE
6 value for a CC unit, and/or (ii) used more realistic assumptions regarding
7 when DSM is implemented to avoid a generating unit; and/or (iii) accounted
8 for additional costs that would need to be incurred to maintain the kW and
9 kWh reductions for the 30-year life of the generator that DSM seeks to avoid;
10 and/or (iv) accounted for the unrecovered revenue requirement impact of
11 DSM on electric rates.

12
13 The revised LCOE calculations showed the projected cents/kWh cost of the
14 DSM option increasing steadily from 3.5 cents/kWh to 4.8 cents/kWh in the
15 first three revised cases, then jumping significantly to 17.6 cents/kWh when
16 the impact of unrecovered revenue requirements is incorporated.

17 **Q. Do you draw any new conclusions from these LCOE calculations?**

18 A. Yes. I have already discussed the fact that a final resource decision should
19 never be made based on an LCOE calculation because this type of calculation
20 fails to account for very significant system impacts that occur if a resource
21 option is added to a utility system. This makes an LCOE calculation
22 meaningless in regard to resource decisions.

1 The new conclusion I draw from these five LCOE calculations is that an
2 LCOE value for a single DSM option can vary over a wide range depending
3 upon what assumptions or inputs are selected for use in the calculation.
4 Therefore, attempting to present LCOE projected values for resource options
5 in support of a type of resource option, without also presenting the key
6 assumptions/inputs used in the calculation, makes an LCOE-based argument
7 even more meaningless (if such a thing is possible).

8 **Q. You mentioned earlier that you also took a look at the ACEEE's LCOE**
9 **calculation formula. Please discuss what you found.**

10 A. In regard to their LCOE calculation, ACEEE used a formula instead of a
11 spreadsheet approach. The LCOE formula they used is presented in Exhibit
12 SRS – 21. This one-page exhibit presents both the formula itself and a simple
13 calculation using that formula.

14

15 As the top half of the exhibit shows, the formula is based on a “Capital
16 Recovery Factor.” This makes it an odd choice for use in attempting to
17 calculate LCOE values for DSM options because the vast majority of DSM
18 options have no utility-incurred capital costs associated with them. (Only a
19 relatively few DSM options, such as load management options, have capital
20 costs.) This raises the question of how applicable a “Capital Recovery
21 Factor”-based formula is when applied to non-capital costs.

1 This question is underscored by the calculation shown in the bottom-half of
2 the exhibit. A very simple DSM option was selected for this calculation. The
3 DSM option is assumed to cost \$50, reduce 1,000 kWh, and have a one-year
4 life. The LCOE calculation using this formula appears to produce a value of
5 5.4 cents/kWh. This is disturbing because simple math shows that is the
6 wrong answer. \$50, or 5,000 cents divided by 1,000 kWh results in a 5.0
7 cents/kWh answer.

8

9 Therefore, not only is the applicability of a capital cost-based formula to non-
10 capital costs questionable, at least in this one example this specific capital
11 cost-based formula appears to provide the wrong answer.

12 **Q. Would you please now discuss the third examination you made regarding**
13 **whether the LCOE calculation approach is appropriate when attempting**
14 **to compare DSM and Supply options?**

15 A. Yes. While puzzling over the ACEEE's use of a capital cost-based formula for
16 calculations of non-capital costs, and the fundamental problems inherent in
17 attempting to use an LCOE calculation to compare very dissimilar resource
18 options, I ran across an interesting document. The document is A Manual for
19 the Economic Evaluation of Energy Efficiency and Renewable Energy
20 Technologies. The document was released by the United States Department of
21 Energy's National Renewable Energy Laboratory (NREL) in 1995. As a
22 national laboratory, one would expect NREL to have taken an impartial view
23 of how best to analyze energy efficiency and renewable energy technologies.

1 The document's introductory chapter begins by stating the document's
2 objective:

3
4 *"This manual is a guide for analyzing the economics of energy efficiency*
5 *and renewable energy (EE) technologies and projects. It is intended (1) to*
6 *help analysts determine the appropriate approach or type of analysis and*
7 *the appropriate level of detail and (2) to assist EE analysts in completing*
8 *consistent analyses using standard assumptions and bases, when*
9 *appropriate."* (Page 1, 1st paragraph)

10
11 To that end, the document examines a number of methods of performing
12 economic analyses (or "*economic measures*" as they are referred to in the
13 document) including, but not limited to: net present value (NPV), revenue
14 requirements (RR), internal rate of return (IRR), etc. Among the methods
15 analyzed is LCOE and the LCOE formula discussed is identical to the
16 previously discussed formula used by ACEEE.

17
18 In the document's third chapter, a Table 3-1 is presented. The table is
19 described in the document's text as follows:

20
21 *"Table 3-1 is a quick reference for identifying the appropriate economic*
22 *measure for different investment features and decision criteria. Letters in*
23 *the table indicate whether the measure is recommended, generally not*

1 *recommended, or commonly used. A blank cell signifies that the measure*
2 *is acceptable. An 'R' signifies that the measure is recommended.*
3 *However, this does not mean that the other economic measures are*
4 *inappropriate. On the other hand, an 'N' means that the measure is not*
5 *generally recommended and may yield incorrect results and conclusions.*"

6 (Page 36, full page, emphasis added)

7

8 Exhibit SRS – 22 provides a reproduction of Table 3-1 from the NREL
9 document. Shading has been added to the table to highlight the table's
10 conclusions regarding LCOE. Specifically, the table states that the use of an
11 LCOE calculation to select from mutually exclusive alternatives is "N" (Not
12 recommended). DSM and generation options are typically considered as
13 mutually exclusive alternatives, and they are certainly mutually exclusive
14 alternatives in a DSM goals analysis in which DSM seeks to avoid the
15 addition of generation units in FPL's resource plans.

16

17 NREL's recommendation to avoid using LCOE calculations to select from
18 mutually exclusive alternatives is entirely consistent with FPL's view that
19 final resource decisions should never be made based on LCOE calculations.
20 However, the witnesses' use of LCOE calculation to justify high levels of
21 DSM rather than generation additions is completely inconsistent with NREL's
22 recommendation.

1 **Q. Please summarize your view of SACE’s/Sierra Club’s use of LCOE**
2 **calculation results to justify their recommendation for higher DSM goals.**

3 A. I have three comments regarding this topic. First, for all of the reasons
4 discussed above, it is clear that LCOE calculations are meaningless if the
5 objective is to make final resource decisions between dissimilar, competing
6 options. Because DSM and generation options are about as dissimilar as
7 resource options can be, LCOE calculations are definitely meaningless in
8 regard to this docket. The FPSC should base its DSM goals decision on
9 comprehensive system analyses that utilize current assumptions and
10 projections of resource needs. The IRP analyses FPL performed for this
11 docket is such an analysis.

12
13 Second, it is disappointing that, five years after the fundamental flaws in
14 attempting to justify resource decisions based on LCOE calculations had been
15 explained in detail in Florida’s 2009 goals docket, and in two Florida nuclear
16 cost recovery dockets, these witnesses continue to use LCOE calculations as
17 part of their testimonies in a new Florida docket. Although it is disappointing,
18 it is not surprising.

19
20 The LCOE spiel appears to be a staple in organizations such as SACE’s
21 “DSM is always better” playbook. Their LCOE argument sounds good
22 superficially, especially for an audience that either does not already
23 understand the fundamental flaws inherent in attempting to use LCOE

1 calculations to compare resource options, or which does not then take a
2 critical look at this calculation approach. Because such organizations have
3 little else they can use in attempting to make an economic justification for
4 high levels of DSM, I suspect the LCOE spiel will remain in their playbook.
5 These organizations will have to hope that LCOE's superficial appeal will be
6 enough to get by with audiences who are not curious enough to examine their
7 claims.

8
9 Third, these witnesses' use of LCOE calculations again in the 2014 docket has
10 allowed the results of additional critical examinations of LCOE to be
11 presented to the FPSC. These additional examinations, discussed above, only
12 serve to further point out how fundamentally flawed an attempt to justify
13 resource decisions on LCOE calculations is. In this regard, their testimonies
14 have afforded FPL the opportunity to add these new critical examinations of
15 LCOE into the record for the FPSC and other interested parties.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21

Impact of Intervenor’s Proposed Goals on FPL’s Customers

Q. Both of these witnesses focus on a recommended goal of a 1% reduction in GWh sales. Did either of these two witnesses provide any analyses regarding the magnitude of impacts to electric rates and corresponding bill impacts to DSM non-participants that would result from their recommended goal?

A. No. They offer no such analyses. However, Mr. Woolf offered the following opinion:

“The rate impacts of the Sierra Club goals will not be much higher than those of the Utilities’ goals.” (Page 87, lines 2 & 3)

He offers no analyses to back this statement up.

Q. Could these two witnesses have offered an analysis to demonstrate the impacts of their recommendations?

A. Yes. Such an analysis was possible using a few of the exhibits that were presented in my direct testimony and a response to a discovery request.

Q. Did FPL perform such an analysis?

A. Yes. Because both witnesses recommend a “1% reduction of retail sales” goal, the analysis focused on the impacts this GWh goal would have.

1 **Q. Please discuss how the analysis was structured.**

2 A. Because the timing (i.e., the year) of when the full 1% goal was to be met
3 differed between SACE and the Sierra Club's recommendations, two analyses
4 were performed. One analysis was performed using SACE's 1% GWh goal
5 timing and the other analysis was performed using the Sierra Club's 1% GWh
6 goal timing. The analysis was structured as follows:

7

8 - The levelized system average electric rate sheet for the TRC 576 MW
9 resource plan was the starting point. This sheet provides information for
10 the TRC 576 MW resource plan that was equivalent to the information
11 provided for the RIM 337 MW resource plan in Exhibit SRS – 12 of my
12 direct testimony. An electronic version of the sheet for the TRC 576 MW
13 resource plan was provided to all parties in response to SACE's 2nd set of
14 discovery, POD # 2.

15 - Because this sheet utilizes the projected total GWh sales value, and the 1%
16 reduction goal applies only to the retail sales portion of total sales, FPL
17 developed annual modifiers to address the additional impact of the GWh
18 goal on total GWh sales. These annual modifiers were then multiplied by
19 the previously projected net annual GWh sales to derive reduced annual
20 total sales projections in line with the GWh goal.

21 - Because the "1% reduction in retail sales" goal would reduce projected
22 variable costs, the same annual modifiers were multiplied by the
23 previously projected variable costs to derive reduced annual variable costs.

- 1 - In order to achieve such an extreme level of GWh reduction, projected
2 DSM expenditures would have to increase. The GWh associated with 1%
3 of FPL's retail sales is approximately 10 times the GWh associated with
4 the TRC 576 plan. FPL very conservatively assumed that the currently
5 projected DSM costs for the TRC 576 MW resource plan would double.

6

7 The projected impacts of their recommended GWh goal on electric rates and
8 customer bills were then determined and the results were presented in several
9 ways for each analysis:

10

- 11 - The levelized system average electric rate was developed and
12 compared to the levelized system average electric rates for the five
13 resource plans previously analyzed. This information is presented in
14 the same formats used in Exhibits SRS – 11 and SRS – 12 of my direct
15 testimony.
- 16 - The one-time additional cost that would be needed to make the
17 levelized system average electric rate of the RIM 337 MW resource
18 plan equal to the levelized system average electric rate associated with
19 the recommended goal was determined. This information is presented
20 in the same format used in Exhibit SRS – 13 of my direct testimony.
- 21 - The projected annual system average electric rates for the years 2015
22 through 2025 were determined.

1 - The projected bills for a customer with a 1,200 kWh usage over the
 2 years 2015 through 2025; i.e., a non-participant in utility DSM, based
 3 on the annual electric rates developed were developed and compared
 4 to the equivalent projections for the five resource plans previously
 5 analyzed. The projected electric rate and customer bill information is
 6 presented in the same format used in Exhibit SRS – 14 of my direct
 7 testimony. In addition, a cumulative 10-year bill impact for 2015
 8 through 2025 for such a customer was also developed.

9 **Q. What were the results of these analyses?**

10 A. The results of these analyses are presented in Exhibit SRS – 23 (SACE) and
 11 Exhibit SRS – 24 (Sierra Club). Each exhibit consists of four pages. I'll
 12 summarize these results as follows:

13
 14 - Page 1 of 4 of the two exhibits shows that the levelized system average
 15 electric rate is projected to be 12.1728 cents/kWh for the Sierra Club's
 16 1% GWh goals recommendation and 12.2368 cents/kWh for SACE's
 17 1% GWh goals recommendation.

18 - Page 2 of 4 compares the respective levelized electric rates for the 1%
 19 GWh goal analysis to the comparable levelized electric rate for the
 20 other five resource plans previously analyzed. In both analyses, the
 21 levelized system average electric rates for the 1% GWh goals analysis
 22 are significantly higher than the levelized rates for the other five
 23 resource plans (including the supply-only resource plan). In addition,

1 this page also shows that the 1% GWh goals recommendations will not
2 avoid cross-subsidization of customer groups. In fact, it will increase
3 cross-subsidization by a significant amount.

4 - Page 3 of 4 begins to put into perspective the magnitude of how much
5 higher the 1% GWh goal's levelized system average electric rate is
6 compared to those of the other five resource plans.

7

8 Exhibit SRS – 13 of my direct testimony showed that to increase the
9 levelized system average rate of the RIM 337 MW plan to the higher
10 levelized electric rate of the TRC 337 MW plan, a one-time additional
11 cost of \$630 million in 2024 would be needed. Page 3 of 4 of Exhibit
12 SRS – 23 now shows that the one-time additional cost in 2024 of
13 approximately \$18,680 million, or \$18.7 billion, would be needed to
14 bring the RIM 337 MW resource plan's levelized system average
15 electric rate to the much higher levelized system average electric rate
16 with SACE's 1% GWh goal. In addition, Page 3 of 4 of Exhibit SRS –
17 24 shows that the one-time additional cost in 2024 of approximately
18 \$16,266 million, or \$16.3 billion would be needed to bring the RIM
19 337 MW resource plan's levelized system average electric rate to the
20 much higher levelized system average electric rate with the Sierra
21 Club's 1% GWh goal.

1 - Page 4 of 4 continues to put the magnitude of the impacts of the 1%
 2 sensitivity case on electric rates and individual customer bills into
 3 perspective. There are two tiers of information on the page. The top
 4 tier shows the projected annual values for electric rates and customer
 5 bills based on 1,200 kWh usage. An examination of these values
 6 shows that these values with the two 1% GWh goals are significantly
 7 higher than for any of the five resource plans.

8
 9 The bottom tier presents the projections in two ways. First, the
 10 differentials in customer bills based on 1,200 kWh usage (i.e., a
 11 monthly bill) for the four “with DSM” resource plans, and with the 1%
 12 GWh goals, compared to the Supply Only resource plan. The projected
 13 bill increases with the 1% GWh goals analysis are enormous compared
 14 to that of the RIM 337 plan as shown by the projected monthly
 15 impacts for selected years shown below:

16
 17 Projected 1,200 kWh Bill Impact Compared to the Supply Only Plan


	<u>RIM 337 MW Plan</u>	<u>SACE 1% GWh</u>	<u>Sierra Club 1% GWh</u>	
18				
19	2015	\$0.07	\$1.13	\$1.04
20	2019	\$0.20	\$4.17	\$3.38
21	2024	\$0.28	\$9.30	\$8.32
22	2025	(\$0.60)	\$7.94	\$6.99

1 The bottom tier of Exhibits SRS – 23 and SRS – 24 also presents the customer
 2 bill information in a second way. This shows both the annual customer bill
 3 impacts, and the cumulative customer bill impacts for the years 2015 through
 4 2025, for the RIM 337 plan, and with the respective 1% GWh goals, versus
 5 the Supply Only resource plan. The corresponding annual customer bill
 6 differential values for all years from 2015 through 2025 are presented
 7 graphically in Figure 1 below:

8
 9

Figure 1

**Projection of Annual Customer Bill Impacts of SACE's & Sierra Club 1% GWh Goals,
 and FPL's Proposed Goals vs Supply Only Plan (for 1,200 kWh Monthly Usage)**



10
 11
 12
 13
 14

Both of the 1% GWh goals recommendations are projected to result in higher, and generally increasingly higher, annual customer bills for a customer whose 1,200 kWh usage remains unchanged compared to either the Supply Only plan or the RIM 337 MW plan.

1 In regard to the cumulative bill impact for such a customer over the 2015-
2 2025 time period, the RIM 337 MW plan is projected to result in
3 approximately a \$15 cumulative increase in the customer's total bill (and
4 shows a bill savings beginning in 2025) versus the Supply only plan over the
5 2015-2025 period. Conversely, the Sierra Club 1% GWh goal
6 recommendation is projected to result in a cumulative increase of
7 approximately \$586 in the customer's bills over the same time period. The
8 SACE 1% GWh goal recommendation is projected to result in a cumulative
9 increase of approximately \$681 in the customer's bills over the same period.


10

11 Figure 2 illustrates these enormous differentials in cumulative bill impacts
12 over this time period for a customer with 1,200 kWh usage between the RIM
13 337 MW plan and the two 1% GWH goal recommendations.

1

Figure 2

Projection of Cumulative Customer Bill Impacts of SACE's & Sierra Club's 1% GWh Goals, and FPL's Proposed Goals vs Supply Only Plan (for 1,200 kWh Monthly Usage)



2

3

4

5

6

7

8

Therefore, the 1% GWh goal recommendations of either Sierra Club or SACE are clearly projected to result in significantly higher annual and cumulative bills for individual customers who do not participate in utility DSM and whose usage remains at a 1,200 kWh level. The higher bill impacts are projected to begin immediately and steadily increase throughout the goals-setting period.

1 **Q. What conclusion can be drawn from these analyses of projected impacts**
2 **to electric rates and individual customer bills from the 1% GWh**
3 **reduction of retail sales goals recommended by SACE and the Sierra**
4 **Club?**

5 A. Three conclusions can be drawn. First, Figures 1 and 2 clearly show that the
6 individual customer bill impacts that will result from the witnesses'
7 recommended GWh goals are significantly different from the "*...will not be*
8 *much higher than those of the Utilities' goals*" claim of Mr. Woolf in regard
9 to electric rate increases. The projected bill impacts for individual customers
10 who are non-participants in utility DSM programs from either of the 1% GWh
11 goal recommendations would definitely be significant from the beginning.

12

13 Second, the projected bill impacts from the SACE 1% GWh recommendation
14 are even worse than the Sierra Club's 1% GWh recommendation. This is due
15 to the fact that SACE's recommendation is for the 1% GWh reduction level to
16 be reached in 2016 while the Sierra Club's 1% GWh recommendation is for
17 this reduction level to be reached three years later in 2019. Therefore, the
18 longer such an extreme GWh goals recommendation is delayed, the better.
19 Obviously, the best solution for FPL's customers is to never implement such a
20 recommendation.

21

22 Third, it is important to keep in mind that the usage level used in these
23 projections, 1,200 kWh, is the usage level of a residential customer. For

1 commercial and industrial non-participants whose usage levels are much
2 higher, their annual and cumulative bill impacts would be much greater.

3 **Q. There appear to be two factors driving these projected increases in**
4 **electric rates and non-participating customer bills that would result from**
5 **the 1% GWh goals recommendations: recovery of costs over fewer GWh**
6 **and higher DSM expenditures. Which of the two factors is the bigger**
7 **driver?**

8 A. In these analyses, the biggest driver by far is the fact that costs will be
9 recovered over fewer GWh. However, there should be little question that
10 DSM expenditures would have to increase to meet higher goals. Mr. Woolf
11 expressed this in the following statement:

12

13 *“...DSM program goals and budgets can be set in a way to increase*
14 *customer participation. Energy efficiency program goals and budgets*
15 *could be increased to grow the number of customers that experience bill*
16 *reductions.”* (Page 31, lines 10-12)

17

18 In order to test the sensitivity of the individual customer bill impacts discussed
19 above to DSM expenditure levels, FPL ran a separate analysis, labeled “SACE
20 1% GWh (2),” in which the projected DSM expenditure increase was cut in
21 half. The results of that analysis in regard to individual non-participating
22 customer monthly bills with a 1,200 kWh usage are shown on the right-most
23 column in the table below:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19

Projected 1,200 kWh Bill Impact Compared to the Supply Only Plan

	<u>RIM 337 MW Plan</u>	<u>SACE 1% GWh</u>	<u>SACE 1% GWh (2)</u>
2015	\$0.07	\$1.13	\$0.83
2019	\$0.20	\$4.17	\$3.78
2024	\$0.28	\$9.30	\$8.82
2025	(\$0.60)	\$7.94	\$7.68

Thus the DSM expenditure assumption has relatively little impact on the much higher monthly bills resulting from a 1% GWh reduction goal.

In regard to cumulative bill impacts for such a customer over this time frame, this assumption of a 50% reduction in the increase in DSM expenditures also only decreases the projected impact a relatively small amount. The original projection for the SACE 1% GWh goal of approximately \$681 is only decreased by a relatively small amount to approximately \$631.

These results show that the projected increase in customer bills from a 1% GWh goal would be driven almost completely by the reduction in GWh over which costs would be recovered; i.e., by an increase in electric rates.

1 *“...one of the key challenges in setting DSM goals is striking the*
2 *appropriate balance between reduced costs and increased rates....”* (Page
3 87, lines 11 & 12)

4 **Q. What is your reaction to that statement?**

5 A. I have a couple of reactions. First, in IRP analyses of resource options one
6 should not start with an objective of looking for “an appropriate balance
7 between costs and rates.” Instead, the first issue to be considered is system
8 reliability in terms of when does the utility have resource needs and what are
9 the magnitudes of those resource needs. Only then does one begin analyses
10 that examine how best to meet the specific annual resource needs of the
11 utility.

12
13 FPL’s IRP analyses are based on determining how to meet resource needs at
14 the lowest electric rate impact. This is because electric rate levels affect all of
15 FPL’s customers.

16
17 However, if one wanted to “strike a balance between costs and electric rates”
18 in their decision-making, I can envision a two-column checklist. One column
19 would have “Lowers Costs?” as its heading. The other column would have
20 “Lowers Electric Rates?” as its heading. In FPL’s IRP analyses for this
21 docket, all of the With DSM resource plans are projected to lower costs
22 compared to the Supply Only resource plan. However, only one of the With

1 DSM resource plans, the RIM 337 MW plan, will also result in lower electric
2 rates compared to the Supply Only plan.

3
4 Consequently, the table just discussed would look as follows:

	<u>Resource Plan</u>	<u>Lowers Costs?</u>	<u>Lowers Electric Rates?</u>
6	RIM 337 MW	Yes	Yes
7	TRC 337 MW	Yes	No
8	RIM 526 MW	Yes	No
9	TRC 576 MW	Yes	No

10
11
12 Recall that FPL’s IRP analyses start with a blank slate in regard to
13 incremental DSM. One possibility that was examined was to add no
14 incremental DSM. That possibility is represented by the Supply Only resource
15 plan. The four With DSM resource plans incorporate different levels and/or
16 types of incremental DSM. If one’s objective is to determine if any of the
17 With DSM resource plans accomplish both “objectives” of lowering costs and
18 lowering electric rates compared to the Supply Only plan (i.e., thus striking a
19 “balance” between costs and electric rates), only the RIM 337 MW resource
20 plan accomplishes both objectives. Thus the RIM 337 MW resource plan is
21 the best choice if the objective is find the best balance between the issues of
22 cost and electric rates.

1 However, these witnesses are not interested in an actual balance along these
2 lines. Instead, their definition of balance appears to be: lower costs as much as
3 possible and try to ignore the resulting higher electric rates.

4 **Q. Do they offer a “fix” for the problem of higher electric rates caused by**
5 **inappropriately high levels of DSM?**

6 A. Not really. They first try to ignore it as seen in the statement of Mr. Woolf’s
7 that was earlier discussed in which he stated that electric rates with very high
8 DSM goals *“will not be much higher than those of the Utilities’ goals.”*
9 We’ve seen how incorrect that statement was.

10

11 Perhaps to cover themselves if anybody checked the accuracy of that
12 statement, Mr. Woolf offers the following “fix”:

13

14 *“Utilities should be able to serve a large portion of customers with*
15 *efficiency programs, thereby offsetting any increases in rates that might*
16 *occur.”* (Page 87, lines 6 & 7)

17

18 In other words, Mr. Woolf’s suggested “fix” is do a lot more of the same thing
19 that caused the high electrical rates problem in the first place. Non-
20 participants will be harmed from electric rate increases that are driven by any
21 level of non-cost-effective DSM. It should be obvious that non-participants
22 will be harmed even more if one were to try to solve their problem by

1 implementing even more non-cost-effective DSM that further increases
2 electric rates.

3
4 The testimonies of these witnesses lead me to believe that the witnesses have
5 a very dismissive, almost cavalier attitude toward the problem of high electric
6 rates that their recommended goals would result in.

7 **Q. Please explain.**

8 A. These witnesses first attempt, with a few “trust me” statements, to give the
9 impression that their recommended goals will result in little to no electric rate
10 increases. They offer no analysis specific to FPL or Florida to support their
11 claims. Then, still in full “trust me” mode, they claim that any increased
12 electric rate problems and non-participant bill problems can be magically
13 solved by just implementing even more DSM. They again offer nothing to
14 support this second claim. Their testimonies suggest that the witnesses simply
15 will not even consider that increasing electric rates will be harmful for a
16 portion, and perhaps a large portion, of FPL’s customers who will be non-
17 participants in voluntary utility DSM programs. I view this attitude as both
18 dismissive and cavalier.

19
20 Perhaps this is to be expected. The main, if not sole, objective of these
21 witnesses is to reduce electric consumption. Higher electric rates typically
22 encourage customers to reduce usage. If these witnesses can unnecessarily
23 increase electric rates through high levels of utility DSM, then these witnesses

1 have the best of both worlds for their objective. They get energy reduction
2 directly from high levels of DSM, and they get more energy reduction
3 indirectly due to increasing electric rates caused by the high levels of DSM.

4
5 This is quite a business model for organizations such as SACE and Synapse.
6 However, it ignores the obvious fact that all customers who either cannot
7 participate, or choose not to participate, in voluntary utility DSM programs
8 will be harmed by higher electric rates. These non-participants, as well as
9 DSM participants, are all FPL's customers. FPL cannot ignore the fact that
10 unnecessarily high electric rates, such as those that would occur as a result of
11 arbitrarily high DSM levels, will harm a substantial portion of its customers.
12 This is one of the primary reasons why FPL is proposing DSM goals of 337
13 MW. FPL's proposed goals result in lower electric rates for all of FPL's
14 customers.

15 **Q. Were there any specific comments in either of these two witnesses'**
16 **testimonies that you would like to point out because you are in agreement**
17 **with the comment?**

18 A. Yes. I have already mentioned two such statement earlier in my testimony in
19 which Mr. Woolf stated that "*...avoided costs are less than they were in the*
20 *past*" and that "*It is true that increasing building codes and standards will*
21 *make it more difficult to achieve DSM savings over time.*"

1 In addition, there are four other statements in Mr. Woolf's testimony that I
2 would like to point out because they are also important points to make in this
3 docket and I also agree with these statements. The first of these statements is
4 actually a quote from the FPSC Order in the 2009 DSM goals docket:

5
6 *"Those who do not or cannot participate in an incentive program will not*
7 *see their monthly utility bill go down unless they directly decrease their*
8 *consumption of electricity. If that is not possible, non-participants could*
9 *actually see an increase in their monthly utility bill. Since participation in*
10 *DSM programs is voluntary and this Commission is unable to control the*
11 *amount of electricity each household consumes, we should ensure the*
12 *lowest possible overall rates to meet the needs of all customers."* (Page
13 18, lines 19-25, emphasis added)

14
15 FPL agrees with this key principle espoused by the Commission.

16
17 The second statement in Mr. Woolf's testimony that I agree with is the
18 following:

19
20 *"Applying the RIM test to screen efficiency programs...may lead to the*
21 *lowest rates...."* (Page 22, lines 14 & 15)

1 FPL agrees and utilized the RIM screening test to help ensure that its
2 proposed DSM goals are projected to deliver the lowest possible electric rates
3 of any of the With DSM resource plans.

4

5 The third statement of his that I am in agreement with is:

6

7 *“...it is important to avoid cross-subsidies where possible....”* (Page 23,
8 line 13)

9

10 Unnecessary cross-subsidization that results from selection of inappropriate
11 levels of DSM is an excellent example of the type of cross-subsidies that can
12 and should be avoided.

13

14 The fourth statement of Mr. Woolf's that I agree with is the following:

15

16 *“As explained in DEF's and FPL's testimony, the number of payback*
17 *years influence consumer decisions for adopting energy efficiency*
18 *measures....”* (Page 101, lines 3 & 4)

19

20 FPL again agrees and uses this consideration to address free-riders.

1 **Part III: Conclusion**

2

3 **Q. Based on your experience, do you believe that an IRP analysis approach**
4 **is the best approach to use when making resource decisions?**

5 A. Yes. An IRP approach, such as the IRP process that FPL utilizes, is by far the
6 best approach to use when making resource decisions for a utility's customers.
7 It requires analysis of the timing and magnitude of resource needs, plus
8 analysis of the capacity and energy impacts that competing resource options
9 will have on the utility system from both an economic and non-economic
10 perspective.

11 **Q. For how long has FPL's generation analyses utilized FPL's IRP process?**

12 A. FPL has used its IRP process to analyze generation options since at least 1991
13 which was the year I joined FPL's Resource Assessment & Planning
14 department, then named the System Planning department.

15 **Q. For how long has FPL's DSM analyses utilized FPL's IRP process?**

16 A. FPL also has used its IRP process to analyze DSM options since at least
17 1991.

18 **Q. Did the analyses that developed FPL's proposed DSM goals in this docket**
19 **utilize FPL's IRP process?**

20 A. Yes.

21 **Q. Why is FPL proposing DSM goals based on IRP analyses?**

22 A. FPL is doing so because it believes that an IRP analysis approach will result in
23 the best resource decisions for FPL's customers.

1 **Q. Are the intervenor witnesses recommending alternate goals based on IRP**
2 **analyses and, if not, why not?**

3 A. No. Their testimonies do not explain why they choose not to utilize IRP
4 principles and analyses. Instead, they choose to base their alternate goals
5 recommendations on arbitrarily selected numbers which, if accepted by the
6 FPSC, would result in those witnesses' objective of ever-increasing amounts
7 of DSM, and ever-increasing electric rates, being realized. Their objective of
8 ever-increasing amounts of DSM also appears to be based, at least in part, on
9 the fact that such an objective is economically beneficial to organizations such
10 as SACE and Synapse.

11 **Q. Intervenors recommend DSM goals of a 1% reduction in retail sales.**
12 **FPL has sought approval of a RIM 337 MW portfolio. Would a good**
13 **middle ground be the extension of the current DSM goals levels?**

14 A. No. To better understand why this is so, one needs to return to the 2009
15 docket. Even at that time, utility DSM cost-effectiveness overall was declining
16 and the impact of energy efficiency codes and standards was becoming more
17 widely recognized. As a result, FPL proposed a reduction in the 2009 docket
18 from its set-in-2004 DSM goals of approximately 88 MW/year down to 66
19 MW/year.

20
21 Thus the eventual decision to instruct FPL to continue to implement DSM at
22 an average level of 120 MW/year meant that the 120 MW/year DSM
23 implementation level was already not cost-effective in 2009. Since that time,

1 DSM cost-effectiveness has further declined and the impact of energy
2 efficiency codes and standards has increased. This means that DSM
3 implementation at a 120 MW/year level is even more non-cost-effective and
4 less supportable today than it was in 2009.

5 **Q. What is your reaction to the perceived-dramatic decrease of DSM if**
6 **FPL's proposed goals are adopted by the FPSC?**

7 A. If FPL's proposed goals are adopted by the FPSC, then the decrease in goals
8 from 120 MW/year to 34 MW/year will appear to be dramatic and may be
9 deemed by some as questionable. I have two reactions to that.

10

11 First, as discussed in direct testimony, the FPL system is in a very desirable
12 situation for FPL's customers in regard to fuel efficiency, low emissions, and
13 low electric rates. With the approval of the FPSC, FPL was able to accomplish
14 this by adhering to sound IRP principles and basing its decisions on rigorous
15 IRP analyses. FPL's proposed goals are based on the utilization of these same
16 sound IRP principles and analyses. Consequently, it should be made clear that
17 FPL's proposed goals are based on a proven and logical approach that has
18 shown to deliver very desirable results for FPL's customers.

19

20 Second, it is important to remember -- with perfect 20-20 hindsight from a
21 resource planning perspective -- that the proposed decrease from 120
22 MW/year to 34 MW/year was not supposed to have happened in that manner.
23 Recall that in 2004 FPL's goals were set at 88 MW/year. By 2009 it was clear

1 to FPL that DSM cost-effectiveness was steadily declining and that energy
2 efficiency codes and standards were delivering significant amounts of energy
3 efficiency that could, therefore, no longer be delivered by utility DSM. Based
4 on these facts, FPL proposed lowering its goals in 2009 from 88 MW/year to
5 66 MW/year. Both trends of declining cost-effectiveness of DSM and
6 increasing energy efficiency from codes and standards have continued since
7 2009. As a result, FPL is now proposing that its DSM goals be lowered to 34
8 MW/year.

9
10 Thus, from a resource planner's perfect 20-20 hindsight view, what "should"
11 have happened was a logical and step-wise decrease in DSM goal levels from
12 88 MW/year in 2004, to 66 MW/year in 2009, to the proposed 34 MW/year
13 level in 2014. This decrease would have been consistent with trends of
14 declining DSM cost-effectiveness and increasing impacts from energy
15 efficiency codes and standards over that time period.

16 **Q. What is your reaction to the implications by the intervenor witnesses that**
17 **FPL, and the state of Florida, have "outdated" views and are "not**
18 **following [so called] leading states and utilities"?**

19 **A.** If someone wants to describe adhering to sound IRP principles and analyses in
20 how a utility plans to meet its system needs as an "outdated" method, so be it.
21 In my opinion such a statement simply reveals a lack of understanding
22 regarding how traditionally regulated utility systems operate and should be
23 planned for. The IRP approach is the best way to perform such planning.

1 In regard to the notion of so called “leading” utilities and states, that view is in
2 the eye of the beholder. Taking a lemming-like approach and following
3 someone else to avoid criticism is behavior that should have been left behind
4 when one ends their high school days. Doing the correct thing, regardless of
5 any name calling or criticism that may ensue, is the very definition of what
6 being a “leader” means. FPL is doing the correct thing for all of its customers
7 by utilizing IRP principles and analyses to determine its proposed DSM goals.
8 Thus I view FPL as a leader in how DSM analyses should be conducted. I
9 hope that the 2014 docket decision will be a “leader” result, not a “lemming”
10 result.

11 **Q. In summary, what would be the best decision in this docket for all of**
12 **FPL’s customers?**

13 A. FPL’s proposed goals are based on sound IRP principles and analyses.
14 Therefore, I believe that the best decision for all of FPL’s customers is to
15 adopt FPL’s proposed goals.

16 **Q. Does this conclude your rebuttal testimony?**

17 A. Yes.

1 **BY MS. CANO:**

2 **Q** Would you please provide a summary of your
3 rebuttal testimony to the Commission?

4 **A** Yes, I'll be glad to.

5 Good morning, Chairman Graham and
6 Commissioners. My rebuttal testimony addresses aspects
7 of the testimonies from all four Intervenor witnesses.

8 First, regarding testimony about FPL's solar
9 pilot programs. FPL's solar water heating and PV pilot
10 programs were not cost-effective in 2009 and have
11 remained non-cost-effective every year since then. No
12 witness recommends extending FPL's solar water heater
13 pilot programs. However, Dr. Fine and Mr. Rábago do
14 recommend extending FPL's DSM PV pilot program, despite
15 the fact that doing so will continue to harm FPL's
16 general body of customers.

17 They offer no FPL or Florida-specific analysis
18 that supports their recommendation. Instead, they
19 recommend that Florida disregard its time tested DSM
20 cost-effectiveness test and substitute a brand new
21 evaluation approach similar to the Minnesota Value of
22 Solar calculation. However, the Minnesota Value of
23 Solar calculation is, one, not a cost-effectiveness test
24 and, two, clearly overstates utility system benefits.
25 Therefore, it should not be adopted for use in Florida.

1 Therefore, FPL's solar water heating and DSM PV pilot
2 program should be allowed to expire on schedule at the
3 end of this year. There are more economical
4 applications of PV in Florida such as utility scale
5 solar that can be pursued instead.

6 Second, regarding the testimonies of Witnesses
7 Mims and Woolf, these witnesses' testimonies can be
8 summarized in two main points. Number one, they do not
9 like FPL's and Florida's approach to analyzing DSM, and,
10 number two, they recommend an arbitrary 1 percent of
11 retail sales gigawatt hour reduction DSM goal. However,
12 the witnesses make numerous incorrect and/or misleading
13 statements about FPL's IRP analysis process, thus
14 clearly demonstrating that they don't understand FPL's
15 process or analyses.

16 The witnesses offer no FPL-specific or
17 Florida-specific analysis supporting their arbitrary
18 1 percent gigawatt hour reduction goal except for
19 statements which I'll paraphrase as other people are
20 doing it.

21 FPL's analysis show that their arbitrary
22 1 percent of gigawatt hour goal will not only increase
23 electric bills but will significantly increase annual
24 electric bills for all DSM non-participants.

25 For example, for residential customers only

1 with a 1200-kilowatt-hour-a-month usage who are DSM
2 non-participants, these customers are projected to pay
3 from roughly \$580 to \$680 more over the ten-year period
4 with a 1 percent goal. The increase in bills for higher
5 usage non-participant, non-participating customers
6 including commercial and industrial customers will be
7 even greater. For these reasons, their arbitrary
8 1 percent gigawatt hour reduction goal recommendation
9 should not be given serious consideration.

10 In conclusion, two obvious facts provide a
11 foundation for this DSM goals docket. Number one, DSM
12 in general is less cost-effective than it has been in
13 the past, and, number two, energy efficiency codes and
14 standards have further diminished DSM potential. FPL
15 should avoid the Intervenor's' pleas to avoid these
16 obvious facts and to make DSM appear more cost-effective
17 than it is by using arbitrary adders for DSM benefits or
18 switching to new lower hurdle for DSM evaluation
19 approaches. Instead, Florida should continue its well
20 considered approach for setting DSM goals on sound
21 planning principles and analyses, and FPL's proposed DSM
22 goals are based on just such an approach and will
23 benefit all of FPL's customers. Therefore, I recommend
24 that FPL's proposed goals be adopted. Thank you.

25 **MS. CANO:** The witness is available for

1 cross-examination.

2 **CHAIRMAN GRAHAM:** Thank you. OPC.

3 **MR. SAYLER:** No questions.

4 **CHAIRMAN GRAHAM:** Department of Agriculture.

5 **MR. HALL:** No questions.

6 **CHAIRMAN GRAHAM:** NAACP.

7 **MR. DREW:** No questions.

8 **CHAIRMAN GRAHAM:** FIPUG.

9 **MR. MOYLE:** Just a short line of questioning,
10 Mr. Chairman.

11 **CHAIRMAN GRAHAM:** What's your definition of
12 short line?

13 (Laughter.)

14 Continue, Mr. Moyle.

15 **MR. MOYLE:** Less than five minutes. How's
16 that?

17 **EXAMINATION**

18 **BY MR. MOYLE:**

19 **Q** Let me refer you to page 4 of your rebuttal
20 testimony, lines 4 through 7. And you made reference to
21 this in your summary too. You state on those lines,
22 quote, I also demonstrate that significant cost impacts
23 to FPL customers that do not participate in utility DSM
24 programs will result from the witnesses' 1 percent
25 reduction in the retail gigawatt hour goal

1 recommendations.

2 Have you -- you quantified what you believe to
3 be significant cost as it relates to residential, is
4 that right, in your testimony?

5 **A** In regard to the recommended 1 percent
6 gigawatt hour sales goal?

7 **Q** Yes, sir.

8 **A** Yes. We quantified it, quantified both
9 representative electric rate impacts as well as
10 non-participant bill impacts.

11 **Q** Okay. And then in your summary you talked
12 about there would also be cost impacts, and you put
13 together commercial and industrial; correct? You looped
14 them together and said not only will residential see an
15 increase, and you set some dollar figures out, but you
16 said commercial and industrial will see an increase as
17 well if you went with this 1 percent approach.

18 **A** Yes. The analysis we did was based on a
19 1200-kilowatt-hour-per-month non-participating
20 customers, and in my summary I said that the impact
21 would be even greater for higher use customers,
22 including commercial and industrial.

23 **Q** Okay. And have you made any effort to, to
24 quantify what those numbers would look like the way you
25 did with respect to the residential?

1 **A** No, we haven't, we haven't done a specific
2 analysis on that, but the effect would be reasonably
3 linear.

4 **Q** Okay. And I don't know if you have
5 information, but do you -- commercial customers, like
6 Mr. Wright represents Wal-Mart, they typically use a lot
7 more than a residential at 1200 megawatt; right?

8 **A** Yes.

9 **Q** And the same with industrials?

10 **A** Yes.

11 **Q** All right. But there's nowhere in your
12 testimony or any exhibits you have that would, that
13 tries to put a dollar figure on that; correct?

14 **A** We have not tried to specific quantify it,
15 although it would be higher than what our analysis for
16 1200 kilowatt hours shows.

17 **Q** There was one other phrase or reference in
18 your testimony I wanted to ask you about, if I could.
19 This is on, on page 36, line 15 to 16. I'm looking up
20 for the lights. I think I'm still okay.

21 Fifteen, you say, "In other words, the use of
22 non-energy benefits in DSM analyses is a miracle cure
23 for the indisputable ailment of decreasing DSM
24 cost-effectiveness." I'm not sure exactly what you --
25 what are you trying -- what references -- the non-energy

1 benefits, what are you referencing in that respect?

2 **MS. CSANK:** Mr. Chairman, I'm going to launch
3 an objection as this seems to be friendly cross.

4 **MR. MOYLE:** Well, a couple of points. One,
5 you know, I'm not going to go through this in -- other
6 than this question, this is my last line of questioning.

7 And, two, you know, just because a position
8 may be aligned, I don't know that it forecloses your
9 right to ask clarifying questions about, about
10 testimony.

11 Three, while I think FIPUG's position is
12 aligned in some respects with some of the utilities,
13 it's not, it's not lined up in a way that makes it, you
14 know, a wholly aligned entity, so.

15 And, four, I think the record would be
16 benefited by a little explanation of what he means by
17 non-energy benefits.

18 **CHAIRMAN GRAHAM:** I will allow it to continue,
19 seeing that you're getting, getting to a point
20 eventually.

21 **BY MR. MOYLE:**

22 **Q** Would you, would you go ahead and answer the
23 question with respect to non-energy benefits, what
24 you're referencing?

25 **A** Yes. The Intervenor testimonies referred in a

1 couple of places to non-energy benefits that they
2 believe should be included when considering the
3 cost-effectiveness of DSM. And these were such items
4 that are not typically included in the calculation of an
5 electric rate such as health impacts, safety impacts, et
6 cetera. And I believe in Ms. Mims' testimony she showed
7 where those were included on the benefits side of the
8 ledger for DSM, and it jumped the projected benefit cost
9 ratio, I believe, in her chart for at least one or two
10 of the measures from something like a 1.1 benefit-to-
11 cost ratio to 5.5 benefit-to-cost ratio by including
12 those items that are not addressed in utility costs and
13 ratemaking.

14 And my comment here is simply that, as we have
15 stated many times, the cost-effectiveness of DSM is
16 decreasing across the country due to lower fuel prices,
17 more efficient generation options, and in FPL it's
18 decreasing even more so because of the rather incredible
19 strides we have made in increasing the efficiency with
20 which we generate electricity. So that's what I was
21 referring to.

22 Q Okay. And just to get to the point, something
23 yesterday a witness talked about, you know, rising ocean
24 levels, health benefits, rising ocean levels, those are
25 things that are very difficult to measure for this

1 Commission today in terms of quantifying the impact;
2 correct?

3 **MR. CAVROS:** Commissioner, I'm going to lodge
4 an objection again about friendly cross. I think he's
5 bolstering the witness here.

6 **CHAIRMAN GRAHAM:** Mr. Moyle, I understand -- I
7 guess I'm trying to understand where you're trying to
8 get to your point of not having information, enough
9 information to decide if you're having a two- or
10 three-year. Let's get to that point.

11 **MR. MOYLE:** Okay.

12 **BY MR. MOYLE:**

13 **Q** The -- you would agree, sir, that to the
14 extent that you use a one-year screen, a two-year
15 screen, or a three-year screen, that is a mathematical
16 calculation that you, you make and there's a pretty hard
17 line in or out; correct?

18 **A** Yes.

19 **Q** Okay. And you would also agree that these
20 non-energy benefits are arguably maybe not the converse
21 but are not like that where you can make judgments based
22 on the input of data and come out with a, with an answer
23 that's of, kind of like mathematical precision; correct?

24 **A** I believe I would agree with that statement.
25 I would say they are extremely difficult to quantify,

1 and I would say to the extent that they exist on the
2 demand-side of the ledger, there are also offsetting
3 benefits, let's say, on the generation side of the
4 ledger that are perhaps difficult to quantify as well.
5 And I believe in the years that I have been doing
6 resource planning for FPL and before this Commission, I
7 believe that's one of the primary reasons why the
8 Commission has chosen not to include, and I believe
9 prudently, such imprecise calculations in the
10 cost-effectiveness analysis of resource options.

11 **MR. MOYLE:** Okay. That's all you have I have.
12 Thank you.

13 **CHAIRMAN GRAHAM:** Thank you.
14 Sierra Club.

15 **MS. CSANK:** Thank you, Mr. Chairman.

16 **EXAMINATION**

17 **BY MS. CSANK:**

18 **Q** Hello, Dr. Sim.

19 **A** Good morning.

20 **Q** How are you?

21 **A** Fine, thank you.

22 **Q** Great. You began working on demand-side
23 management around 1979; right?

24 **A** Yes.

25 **Q** DSM was in its infancy then.

1 **A** This sounds familiar. Yes?

2 **Q** One of DSM's initial selling points was its
3 flexibility?

4 **A** Yes.

5 **Q** In other words, DSM can be ramped up quickly.

6 **A** It can be ramped up and ramped down quickly.
7 Yes.

8 **Q** In other words, your company, FP&L, can grow
9 DSM programs and savings quickly.

10 **A** Yes. And we have demonstrated that back in
11 the middle 2000s.

12 **Q** I'll get to that example in a second.

13 So, in other words, it's not as though you can
14 just flip a switch and DSM programs turn on. There's,
15 there's a process by which FP&L develops them and rules
16 them out; yes? And that takes time?

17 **A** It takes time. But one can ramp up DSM and
18 put it on your system faster than one can do generally a
19 new generating unit.

20 **Q** Thank you for that clarification.

21 So let's go to the example from the last
22 decade. So in 2004, the Commission set FPL's DSM goals,
23 you say, to approximately 88 megawatts of summer demand
24 per year?

25 **A** I believe that's correct. Yes.

1 **Q** And so in 2005, FP&L experienced high peak
2 loads; right?

3 **A** Yes. We experienced a very high peak load in
4 the summer of 2005.

5 **Q** And so you subsequently increased your DSM
6 implementation.

7 **A** We did, yes. We did that in conjunction with
8 a number of power purchase agreements that we signed
9 quickly to ensure the reliability of our system in the,
10 in the short run.

11 **Q** How long did that take you to, to reach your
12 current level, which you say is approximately 120 summer
13 megawatts per year?

14 **A** Yes. I don't recall how many months, but it
15 was roughly within a year, two tops, that we got to
16 about that level.

17 **Q** From what level?

18 **A** From the 88 or so per year that we were tasked
19 with as our goals.

20 **Q** So it's safe to say that it took you roughly a
21 year to increase by 30 megawatts of summer demand.

22 **A** Roughly.

23 **Q** And you sought regulatory approval for that
24 increase?

25 **A** Yes.

1 **Q** Okay. How long would it take to go three
2 times as much? So let's say 100 megawatts, how many
3 years do you anticipate that would take you? And let's
4 be specific about in terms of summer megawatts.

5 **A** I think it would take a good bit longer now,
6 and the question of whether it is cost-effective would
7 have to enter into the picture. We, we increased them
8 at, right after the high peak of summer 2005 because we
9 were looking at higher resource needs, we were looking
10 at fairly high fossil fuel costs, and DSM was very
11 cost-effective. So it was -- those factors entered into
12 whether or not we could get regulatory approval for it
13 and how fast we could move.

14 Today with codes and standards taking away the
15 opportunity for a sizable amount of DSM that otherwise
16 would be achievable at least potentially through DSM
17 programs and with certainly declining
18 cost-effectiveness, it would be, it would take
19 considerably longer and it would have considerably more
20 negative effects on electric rates and on participant
21 bills than it did back in 2005.

22 **Q** All right. But let's go back to my question.
23 So in terms of the feasibility, and many factors, as
24 you've mentioned some, go into the cost-effectiveness
25 and what actually the company ultimately and the

1 Commission ultimately decides the company should do, but
2 in terms of the feasibility of advancing and boosting
3 DSM programs and savings, do you have a, kind of a
4 maximum level in mind of how much the company could
5 achieve with any particular year? And we can stick with
6 my example of summer megawatt savings.

7 **A** I do not. I believe Mr. Koch would have been
8 the more appropriate witness to address that simply
9 because he is the witness who is most familiar with DSM
10 programs and the constraints, both administratively
11 dealing with contractors, et cetera, that one needs to
12 consider to, in regard to ramping up or ramping down
13 programs.

14 **Q** But if I'm not mistaken, you're, you're
15 significantly involved in the company's integrated
16 resource planning and are aware of these types of
17 factors that can go into the company's resource plans,
18 right, in terms of how quickly a particular resource can
19 be relied upon and ramped up to the point where it helps
20 meet the system's needs?

21 **A** I would agree with a lot of that statement.
22 But I don't deal with how fast one can ramp up DSM. I'm
23 familiar with how long it takes to build a power plant.
24 I'm familiar with in general how long it takes to do a
25 power purchase agreement. But in terms of ramping up

1 DSM programs to arbitrary levels, no, Mr. Koch would be
2 the one who could, who could respond to that accurately.

3 Q Okay. But then let's go back to your rebuttal
4 testimony. At page 47, I believe, you were describing
5 the inherent flexibility of DSM as one factor the
6 Commission should consider in setting goals, and that
7 these can, these are resources that can be ramped up and
8 ramped down quickly. So what's the basis of your
9 statement if you're not the one who thinks about how
10 quickly these resources can, in fact, be ramped up?

11 A I believe if you go back to page 46 and look
12 at the start of this discussion, I was discussing that
13 DSM was in its infancy in 1979 when I started. And one
14 of the points of discussion was, in regard to DSM, was
15 this is a resource that in theory can be ramped up
16 relatively quickly, ramped down relatively quickly when
17 cost-effectiveness and/or need declined, and it should
18 be approached that way. That was one of the -- in not
19 so many words -- a selling point for utilities to do DSM
20 so that it had this flexibility to go and go down.

21 I wasn't referring to you can do this in X
22 number of years. It was simply it's a decision that
23 once you decide to participate in DSM, you're not stuck
24 with that decision as you might be with, say, a
25 long-term power purchase that if you decided five years

1 later was no longer cost effective but yet you'd signed
2 a contract for ten years, it would have been difficult
3 to undo that. With DSM, if the need is no longer there,
4 if the cost-effectiveness is not there, it would make
5 sense to simply throttle back. And, in essence, that's
6 what we are asking in, in this docket.

7 We're essentially at a point, as we are every
8 five years, where we've reached a reset. The data,
9 especially the cost data on which goals were set in
10 2009, is now five years old. I think the intent of five
11 years of, every five years a DSM goal hearing recognizes
12 that fact, and that's the point we are. Costs have
13 declined significantly, and we're asking for a reset.

14 **Q** All right. So let's go back to, to my
15 question about how quickly FP&L and the Commission and
16 your customers could, in fact, rely on DSM programs as
17 the need arises. So let's go through the steps. We're
18 here at this goal setting but, in fact, the companies
19 thinking about what the goal should be started over a
20 year ago; is that correct?

21 **A** Probably not quite a year. But around October
22 of last year, I would say, we began to freeze
23 assumptions and begin to, to perform analyses.

24 **Q** Fair enough. So we can say that it takes
25 about a year, this goal setting phase of thinking about

1 and, thinking about DSM resources?

2 **A** It probably will take at least a year before
3 we get a, a final decision in the docket. But I'll
4 accept a year for discussion purposes.

5 **Q** Okay. That works for me. And then next comes
6 the plan approval stage, and that takes about a year at
7 least; right?

8 **A** Probably not quite a year. More like a half a
9 year, I would think.

10 **Q** So give and take, a year and a half to two is
11 how much time it takes us from the company beginning to
12 freeze assumptions and think about what the appropriate
13 level of DSM programs would be in its system, on its
14 system to the point where those have regulatory approval
15 by this Commission.

16 **A** Roughly, yes.

17 **Q** Okay. And then it takes some time to actually
18 implement the programs; right? It's not as though then
19 the following day you turn those programs on. It takes
20 some time; right?

21 **A** That's correct.

22 **Q** And what are some of the things that take time
23 in terms of implementation?

24 **A** Again, I'm not the right witness for that.
25 Mr. Koch, who operates those programs and plans those

1 programs, would be the right one to respond to that line
2 of questioning.

3 Q All right. But you must need to know
4 approximately the implementation time frames in order to
5 fit them into this bigger bulwark of resource planning
6 that you oversee; right?

7 A I take as inputs what Mr. Koch and his
8 department provide us. But the exact question as to how
9 long it takes to implement to reach certain levels, I
10 don't believe there's a set answer for that. I believe
11 it would depend upon what the goals are, it would depend
12 upon how different the programs would need to be, what
13 types of contractors you'd need to line up, what tariffs
14 or administrative changes you'd need to make in the
15 program standards. I mean, all of that has to be taken
16 into consideration. I just don't have a good handle on
17 that.

18 Q Thank you. That's actually exactly what I was
19 looking for is for you to identify those inputs and the
20 fact that those inputs take some amount of time to, to
21 secure in order to achieve implementation. Is that
22 right?

23 A They do take some time. But, again, it's
24 faster and more flexible than locking one's self into a
25 power purchase agreement, and it certainly takes less

1 time than it would be to permit and construct a power
2 plant; hence, the flexibility of DSM to both ramp up and
3 ramp down.

4 Q Okay. So switching gears a little bit, and
5 thank you for that answer, let's turn to your
6 participation in the Southeast Electric Exchange's
7 Integrated Resource Planning Task Force. Are you
8 familiar with that task force, Dr. Sim?

9 A Yes. I'm a member.

10 Q You represent FPL at the task force's biannual
11 meetings; right?

12 A That's correct.

13 Q And the task force consists of representatives
14 of utilities that range geographically from Oklahoma to
15 Ohio to Florida?

16 A Yes.

17 Q And at those biannual meetings you discuss
18 resource planning issues and trends; yes?

19 A Among other things, yes.

20 Q You discuss trends regarding energy
21 efficiency?

22 A On occasion. We don't have a set agenda, but
23 we typically at those meetings have round tables where
24 topics that one utility wishes to discuss or ask
25 questions of other utilities come up. And in the last

1 few years, the general trend of decreasing
2 cost-effectiveness of DSM has come up several times.

3 Q And you discuss the -- have you discussed
4 energy efficiency resource standards? Are you familiar
5 with that term?

6 A Yes, I'm familiar with the term. I don't
7 recall that specifically being discussed.

8 Q Okay. But so going back to the term, it's a
9 mandatory energy savings target for various DSM
10 programs. Is that a fair definition?

11 A I believe so. I think of it in terms as the
12 energy efficiency equivalent of a renewable portfolio
13 standard.

14 Q Absolutely. So in some states targets like
15 those are fairly new; is that fair to say?

16 A I couldn't answer in regard to when they went
17 in in various states. And I don't know which states
18 have them, with, with only a few exceptions.

19 Q That's fine. And so what I'm driving at is
20 that, that in these other states that are newer to
21 adopting energy savings programs, they too use a ramp-up
22 period to thoughtfully and carefully implement DSM
23 programs, or at least that would be ideal to have
24 ramp-up periods. You see ramp-up periods in other
25 states for DSM programs?

1 **A** I'm not aware of them, but it would seem to be
2 logical they would consider that.

3 **Q** Why would that be logical?

4 **A** Because one would need to know what is
5 practical to do for a given utility in a given state for
6 a given target.

7 **Q** All right. And ramp-up periods also help
8 regulators and utilities evaluate DSM resources as they
9 go; right?

10 **A** Can you clarify your question, please, as to
11 --

12 **Q** Sure. So instead of going from zero to
13 200 megawatts of summer savings in a single year as the
14 goal, phasing that in in smaller increments gives the
15 utility, for example, time to develop internal expertise
16 regarding those programs, relationships with trade
17 allies and so on, so that they can calibrate and refine
18 and improve upon their delivery and their implementation
19 of the programs so that they are truly efficient and
20 cost-effective and seek out the most creative solutions
21 for providing those services to their customers. Does
22 that all make sense?

23 **MS. CANO:** I object to the form of that
24 question. It assumed a lot of facts not in evidence.

25 **THE WITNESS:** It was a long question. I'm not

1 sure I under -- I remember the start of the question.

2 **BY MS. CSANK:**

3 Q Let me try again. So in terms of the logic
4 behind these ramp-up periods, and we've established that
5 they are not only present here in Florida in terms of
6 the history of DSM program implementation but also you
7 generally admit they, they occur elsewhere too.

8 A I would in principle there is a ramp up
9 associated with DSM programs.

10 Q And now I'm trying to get at the logic of
11 having a ramp-up period be more gradual to allow the
12 utility and regulators to really think about what is the
13 optimal implementation of higher levels of DSM on a
14 utility system.

15 A I'm sorry. Is there a question?

16 Q Yeah. So is -- a ramp-up period allows for
17 that.

18 A A ramp-up period would -- again, is a
19 practical constraint that one, or consideration that one
20 should take into account when assuming DSM targets.

21 Q All right. Let's switch gears a little bit.
22 So going back to your specific job responsibilities at
23 FP&L, you are the Senior Manager in FP&L's Integrated
24 Resource Planning -- Resource Assessment and Planning
25 Department; is that right?

1 **A** Yes.

2 **Q** And you're good at your job. You've been at
3 FP&L for a few years now.

4 **A** Yes.

5 **Q** And you've worked in various capacity at the
6 company and supervise and coordinate currently analyses
7 designed to determine the magnitude and timing of FP&L's
8 resource needs; right?

9 **A** Yes.

10 **Q** And you also developed the integrated resource
11 plan with which FP&L will meet those resource needs.

12 **A** In conjunction with others in our department,
13 yes.

14 **Q** Okay. But FP&L is holding you out as the, the
15 expert that I get to question about these issues.

16 **A** It would appear so, yes.

17 **Q** So your work requires familiarity with
18 existing and proposed DSM-related regulations; is that
19 fair to say based on your resumé?

20 **A** To some, to some degree, yes.

21 **Q** And you are, in fact, familiar with
22 DSM-related state and federal regulations; right? You
23 mentioned some in your testimony.

24 **A** Can you give me an example, please?

25 **Q** Building codes.

1 **A** I'm not specifically familiar with what the
2 building codes are. However, I know of the impact on
3 building codes from discussions with Mr. Koch and his
4 staff as well as our load forecasting group, which has
5 taken the building code impact for both megawatts and
6 gigawatt hours into account. And those efficiency
7 standards are projected to result in truly significant
8 reductions in gigawatt hours as well as substantial
9 decreases in megawatt peak loads.

10 **Q** Thank you. And you work with your, in
11 conjunction with your FP&L colleagues who track and
12 analyze DSM-related state and federal regulations;
13 right?

14 **A** I work at FPL and deal with departments and
15 individuals whose responsibility that is, yes.

16 **Q** And you are familiar with the U.S.
17 Environmental Protection Agency's June 2nd proposal to
18 set mandatory carbon emission limits on existing power
19 plants, including Florida plants?

20 **A** Yes, I'm generally familiar with it.

21 **Q** And you testified on Monday evening that FP&L
22 has done some studies and thought about compliance
23 options for the company vis-a-vis that regulation.

24 **A** In part, yes. I believe what I testified to
25 is we've taken a preliminary look at the EPA proposed

1 regulations in conjunction with where we believe we will
2 be with CO2 emission rates with our current resource
3 plan with no changes to it. So we've not really looked
4 at options because our -- but we will, because our
5 projection is that our current resource plan by 2030
6 rather easily gets us under the 2030 target that EPA has
7 proposed.

8 **Q** Okay. And help me understand the relevance of
9 that regulation regarding clean power to DSM programs in
10 FPL's system.

11 **A** I'm sorry. Can you clarify the question,
12 please?

13 **Q** Sure. So this EPA proposal, does it, does it
14 identify energy efficiency in any way? Does it relate
15 to energy efficiency?

16 **A** In the following sense: What the EPA proposed
17 regulations state is in regard to setting targets, the
18 EPA looked at each state and considered four building
19 blocks. Energy efficiency was one of those building
20 blocks that was used to set targets. Targets were set
21 for the State of Florida. However, the proposed
22 regulations state that if a, if a utility or state needs
23 to take action in order to meet those targets, they are
24 free to choose virtually any approach that they deem to
25 be prudent in order to meet those targets. So they are

1 not requiring -- my reading of the regulations -- any
2 particular approach, be it renewable energy, be it
3 lowering heat rates for existing fossil fuel generators,
4 or energy efficiency. That's left to the states to
5 address.

6 Q Thank you. So in that description one thing
7 we heard was that energy efficiency is an option that
8 Florida and FP&L could exercise towards meeting this
9 regulation.

10 A It certainly is one of many options that the
11 State of Florida, FPL, could take.

12 Q And this proceeding, this proceeding is about
13 the amount of energy efficiency resource we will have in
14 Florida over the next ten years; right?

15 A Yes. From utility programs, yes.

16 Q And EPA's proposal --

17 **MR. MOYLE:** Mr. Chairman, can I register an
18 objection? FIPUG has taken a position that what's
19 relevant and pertinent is the existing regulations that
20 are in place today. And I think these regulations have
21 been proposed, I think there's been some testimony or
22 comments that there's a process that has to be
23 undertaken, possible litigation. I've allowed a lot of
24 questions about the flavor of the regulations, but I
25 think that to the extent we're going to spend a lot of

1 time talking about regulations that are being developed
2 that are subject to comments, that potentially may be
3 litigated, that it, it really puts the witness in a
4 position of having to speculate on a lot of things and
5 assumes a lot of facts that aren't in evidence. That's
6 the basis for the objection.

7 **MS. CSANK:** Mr. Chairman, Commissioners have
8 asked questions about the relevance of the Clean Power
9 Plan, and it certainly is a regulation that relates to
10 clean power and the resources that are being
11 contemplated today by the Commission. And surely there
12 is some uncertainty regarding when and how exactly that
13 regulation will be implemented and its impacts in
14 Florida; however, I don't think that Mr. Moyle can
15 dispute the relevance of that plan. And we are goal
16 setting and thinking about the future; that's what
17 planning is. So I, I would submit that this line of
18 questioning is absolutely relevant and will help
19 complete the record.

20 **MS. CANO:** Mr. Chairman, at this point I'll
21 just add that it's also outside the scope of this
22 witness's rebuttal testimony.

23 **MS. CSANK:** Mr. Chairman, may I please respond
24 to that?

25 **CHAIRMAN GRAHAM:** Sure.

1 **MS. CSANK:** Dr. Sim, in explaining FP&L's
2 proposal, explains why the company has opted to put
3 before the Commission goals that are actually lower than
4 the company's achievable potential that they've
5 calculated and explains that based on the needs that
6 they have anticipated through their resource planning.

7 And my line of questioning is trying to
8 solicit and understand -- to the extent that they
9 haven't put into, put information before this Commission
10 to factor in the Clean Power Plan -- I'm trying to
11 understand how much the company in its resource planning
12 is thinking about that, that set of regulations. And
13 I'm trying to show that there is, in fact, now in
14 proposal at least a compliance schedule that absolutely
15 overlaps with this goals settings time frame. I'm
16 trying to understand what that means for the Commission
17 in making its decisions regarding how quickly the
18 inherent flexibility of DSM can be used today, three
19 years from now, or five years from now. So I think the
20 relevancy is beyond dispute.

21 **CHAIRMAN GRAHAM:** I think there's relevancy --
22 I think there is relevancy there as far as mentioning
23 the EPA proposal. I think we're getting too deep into
24 the weeds on something that is still extremely dynamic.
25 Once again, it is just a proposal that's in front of us.

1 There's many opportunities for this thing to be, for
2 lack of a better term, tweaked. So I don't think that
3 we need to get as deep into it. I mean, I think you can
4 ask him some broader questions on the proposal that's
5 out there and some of the things you may have thought
6 of, but I don't think we need to get as deep into the
7 weeds as you have been.

8 **MS. CSANK:** Fair enough. I'll keep my
9 questions at a high level.

10 **CHAIRMAN GRAHAM:** Thank you.

11 **MS. CSANK:** And relatively short.

12 **BY MS. CSANK:**

13 **Q** Dr. Sim, going back then to EPA's Clean Power
14 Plan and what the company has thought about, so when you
15 testified on Monday evening that without any changes to
16 the current FP&L Ten-Year Site Plan -- is that, was that
17 what you were saying -- let me just clarify the
18 question.

19 When you said that without any changes you
20 anticipate being on track to meet the regulation as
21 proposed, give or take a couple of percents, a couple of
22 percentage points, by 2020 and certainly by 2030, can
23 you clarify what you're basing that on?

24 **A** I'm basing it on the resource plan, the RIM
25 337 megawatt resource plan that we have discussed in

1 this docket.

2 Q So, in other words, you're also basing that on
3 new gas-fired generation within the next ten, 15 years?

4 A As needed, as well as on Turkey Point 6 and
5 7 nuclear units.

6 Q And can you remind us, please, when those are
7 expected to come online?

8 A For our resource planning purposes for this
9 docket, when we froze assumptions it was 2022 and 2023.
10 And the in-service dates for those units will be
11 discussed subsequently in the NCRC docket, I believe, in
12 two weeks -- or hearing.

13 Q And just for our purposes here today, there is
14 some uncertainty, right, about the in-service dates of
15 those two units at Turkey Point. They may come in
16 later, as you discussed at your deposition with
17 Mr. Cavros; right?

18 A As --

19 MS. CANO: I'm going to object at this point.
20 Now we're getting pretty far outside the scope of his
21 testimony for this docket.

22 CHAIRMAN GRAHAM: I agree on that one.

23 MS. CSANK: Strike that question then.

24 BY MS. CSANK:

25 Q So let the record show then that your

1 statement on Monday evening regarding FP&L's initial
2 take on the Clean Power Plan is that through the
3 proposed DSM goals and new gas-fired generation and
4 nuclear units, that's what will get you to where you
5 need to be in terms of mandatory carbon pollution
6 standards that EPA has proposed?

7 **A** That's correct. The resource plan that is
8 based on the RIM 337 megawatt proposed goals in this
9 docket.

10 **Q** And in terms of cost-effectiveness, are you
11 also familiar with the EPA's conclusion that one of the
12 most cost-effective resources to meet the proposed
13 requirements is energy efficiency?

14 **MS. CANO:** I object to the form of that
15 question. Assumes facts not in evidence.

16 **BY MS. CSANK:**

17 **Q** Let me try it this way. If I were to say to
18 you, and we're going to -- I just want to understand how
19 the company would plan for this regulation given a
20 certain scenario. So let's say for, for our purposes
21 here that EPA identified that energy efficiency would
22 cost between \$16 to \$24 per metric ton of carbon dioxide
23 and that the redispatch to natural gas would cost \$30
24 per metric ton of CO2. So given that dynamic of price
25 range, would the company's thinking around the

1 cost-effectiveness of the supply-side option versus the
2 demand-side option potentially change?

3 **MR. MOYLE:** Mr. Chairman, I think we're back
4 into the EPA regulations where she's delving into the
5 regulations that we just had talked about that are not,
6 not final, that are subject to rulemaking process, and
7 --

8 **MS. CSANK:** Mr. Chairman, may I proffer --
9 let's put the Clean Power Plan aside.

10 **BY MS. CSANK:**

11 **Q** Let's say that in the future there's a
12 regulation with a compliance period that overlaps with
13 this goal setting, and that regulation identifies that
14 energy efficiency costs almost half as much as
15 supply-side alternatives. Wouldn't that indicate that
16 the cost-effectiveness of those demand-side measures
17 should be further investigated?

18 **A** First of all, I disagree with the premise of
19 that question because the analysis we've done, as I
20 discussed at some length in my rebuttal testimony, does
21 not show that DSM comes in at half the price of power
22 plants. In fact, exactly the opposite is the evidence
23 in this docket.

24 Going back to 2009, we've seen that using the
25 exact same screening of DSM measures that we used in

1 2009, at that point we had, for -- under the RIM path,
2 for example, we had roughly 950 megawatts and 1800
3 gigawatt hours that were cost-effective at least
4 preliminarily through the screening. But yet this year
5 the exact same analysis with updated fuel costs, updated
6 CO2 costs, more efficient power plants, et cetera, we're
7 seeing it's dropped to, from 950 to 526. We've seen
8 1800 gigawatt hours drop down to approximately 500. So
9 I don't accept the premise of the question that DSM is,
10 is half the price of generation. We're seeing exactly
11 the opposite. It's moving in the opposite direction.

12 **Q** And let me ask you this. In terms of how you
13 conduct your resource planning, is it that you allow any
14 amount of DSM, whatever the model -- and remind me, do
15 you just Strategist?

16 **A** We use Strategist for one specific calculation
17 of the supply-only plan in this process.

18 **Q** Okay. So more broadly, your resource planning
19 where you optimize for various resource options that the
20 company has, you -- do you allow the model to take as an
21 input any amount of DSM and optimize that DSM, or do you
22 input a particular level of DSM to compete with that,
23 with the various supply-side options?

24 **A** We did both in this docket. We took
25 everything that came through the achievable potential,

1 plugged it into a resource plan, analyzed it fully, and
2 then we looked at what our resource needs actually were,
3 optimized the DSM measures that met that resource need,
4 and constructed a resource plan around it, and ran that
5 through all of the same economic and non-economic
6 analyses.

7 **Q** So -- and just for clarification, that
8 achievable potential already had the three-year payback
9 screen and a variety of other screens that had cut down
10 from technical potential and an economic potential to a
11 smaller subset that you were then considering and
12 plugging into the model; is that fair to say?

13 **A** Yes. We went through the technical potential
14 down to the achievable potential by looking at measures
15 both through the RIM screening path and the TRC
16 screening path.

17 **MS. CSANK:** Thank you, Dr. Sim. No further
18 questions.

19 **CHAIRMAN GRAHAM:** SACE.

20 **MR. CAVROS:** Chairman, SACE has questions.

21 **EXAMINATION**

22 **BY MR. CAVROS:**

23 **Q** Dr. Sim, please turn to page 69 of your
24 testimony.

25 **A** I'm sorry. Which page?

1 Q Page 69, please.

2 MS. CANO: And just to clarify, that's
3 rebuttal?

4 MR. CAVROS: Correct.

5 MS. CANO: Thank you.

6 BY MR. CAVROS:

7 Q And on line 19 the question is asked, "Did FPL
8 perform such an analysis?" And the answer is, "Yes."
9 And that's referring to an analysis of both the SACE and
10 the Sierra 1 percent goals plan generally; is that
11 correct?

12 A Yes.

13 Q Okay. And then on the following page, on page
14 70, on line 11 you also state that this is equivalent to
15 the information provided for the company's RIM 337
16 megawatt resource plan; is that correct?

17 A We're referring here to the levelized system
18 average electric rate sheet, yes.

19 Q Okay. And do you stand by the accuracy of the
20 data in both those analyses?

21 A To my knowledge, it is accurately calculated
22 and intended to provide a representative impact of what
23 1 percent gigawatt hour goals on retail sales would be.

24 Q Okay. Great. Let's take a look at those.
25 I'd like to enter a -- well, actually I'm going to, I'd

1 like to pass out a demonstrative exhibit. These are
2 already in Dr. Sim's testimonies.

3 **CHAIRMAN GRAHAM:** Okay.

4 **THE WITNESS:** Okay.

5 **MR. CAVROS:** Great.

6 **BY MR. CAVROS:**

7 **Q** So just for the record there are two
8 attachments there that are connected by paperclip, and
9 one of them is Exhibit SRS-23, page 1 of 4, which is an
10 analysis of SACE's 1 percent gigawatt hour goal, and
11 column 5 is highlighted. And the other one is an
12 example of levelized system average electric rate
13 calculations for one resource plan, RIM 337 megawatts,
14 and that is Exhibit SRS-12, page 1 of 1. And we're
15 going to do a little comparison here, and the best way I
16 believe to do this is simply to put the tables side by
17 side and go through them by year. And these are, this
18 is actually quite a fascinating table as, as we go
19 through it.

20 Table 5 for both is the system revenue
21 requirement, all the columns -- is that correct? Is
22 that what Table 5 represents, Dr. Sim?

23 **A** You're referring to column 5?

24 **Q** I'm sorry. Column 5, yes.

25 **A** Yes, sir.

1 **Q** Okay. Great. Let's start with year 2015, and
2 I'm going to -- as I go through this, I'm going to go,
3 I'm going to start with the system revenue requirement
4 of the plan that FP&L has put forward, and then I'm
5 going to go to the system revenue requirement of the
6 analysis of the SACE 1 percent gigawatt hour goal.

7 So if we start in 2015, we see that for FP&L
8 it's 10,242, and I'm going to stop at the second comma
9 just for simplicity's sake. And when we go to the SACE
10 plan, we see it's 10,314. So you would agree there that
11 the system revenue requirement for the SACE plan is
12 little bit higher than for the FP&L plan; is that
13 correct?

14 **A** Yes.

15 **Q** Okay. Now as we go to 2016, we see that the
16 -- and I'm, just for, for administrative efficiency I'm
17 going to call one the FPL plan and one the SACE plan.
18 As we go to 2016, we see that in the, for the FPL plan
19 the value is 10,754, and we see in the SACE plan it is
20 10,796. So, again, in 2016 the, the value in the SACE
21 plan is a bit higher; is that correct?

22 **A** Yes.

23 **Q** Okay. As we move to 2017, in the FP&L plan we
24 have a value of 11,234 and for the SACE plan we have a
25 value of 11,251. So, again, the SACE plan is a tad

1 higher in 2017; is that correct?

2 **A** Yes.

3 **Q** Okay. Then we go to 2018. The FPL -- under
4 the FPL plan the system revenue requirement is
5 12,210 and under the SACE plan it's 12,177. So you
6 would agree that the 2018 value in the SACE plan is
7 lower; correct?

8 **A** That's correct.

9 **Q** Okay. And as we go through 2019, we see that
10 the FPL system revenue requirement is 12,705 and the
11 SACE plan is 12,636; correct?

12 **A** Yes.

13 **Q** Okay. And as we go to 2020, the SACE, the
14 value in the FPL plan is 13,205 and the value in the
15 SACE plan is 13,092. Again you would agree that the
16 value in the SACE plan is lower; is that correct?

17 **A** Yes.

18 **Q** Okay. As we go to 2021, the value is 13,536
19 for the FPL plan and 13,377 for the SACE plan. You
20 would agree that the value in the SACE plan is lower?

21 **A** Yes. And in an effort to try to anticipate
22 where you may be going, I'm happy to state that the
23 revenue requirements will be lower under the SACE plan
24 than under the FPL plan for virtually every year after
25 the first few. However, as shown in the analysis, the

1 electric rate impact and the costs or the bills for
2 non-participants will be significantly higher under the
3 SACE plan.

4 Q So then, Dr. Sim, you agree, you would agree
5 overall that the system revenue requirement for the SACE
6 plan is lower than that of the FPL plan.

7 A So you're referring, for example, to CPVRR,
8 the total over the entire time period here?

9 Q I'm, I'm talking -- I'm looking at column 5,
10 I'm referring to the system revenue requirement, the
11 comparison of the two plans. And no need to go through,
12 through every year if, if you're willing to accept that,
13 in fact, the system revenue requirement for the SACE
14 1 percent gigawatt hour goal plan is lower than the, the
15 goals that FPL has proposed here.

16 A Yes. I would agree the SACE plan is lower in
17 total cost or revenue requirements and considerably
18 higher in electric rates and non-participant bills.

19 MR. CAVROS: I have no further questions.
20 Thank you.

21 CHAIRMAN GRAHAM: Thank you.

22 EDF.

23 MR. FINNIGAN: No questions, Your Honor.

24 CHAIRMAN GRAHAM: Staff.

25 MR. MURPHY: No questions.

1 **CHAIRMAN GRAHAM:** Commissioners. Commissioner
2 Balbis.

3 **COMMISSIONER BALBIS:** Thank you, Mr. Chairman.
4 I just wanted to clarify because I was the one that
5 brought up the proposed EPA 111(d) rule and questioned
6 several witnesses about that rule. And my -- what I
7 wanted to clarify is that we have expert sworn testimony
8 that indicates that less than a 1% reduction is
9 cost-effective, and we also have expert sworn testimony
10 from parties that Dr. Sim's indicated consistently push
11 for DSM, propose a 1 percent goal, and yet the EPA has
12 proposed a 10 percent goal. So I just wanted to
13 question the difference between those numbers, and I
14 received what I feel is a plausible answer, is that the
15 EPA didn't go through this rigorous process that we go
16 through today. So that's kind of why we went down that
17 path. That's all I had.

18 **CHAIRMAN GRAHAM:** Was that a question?

19 **COMMISSIONER BALBIS:** No.

20 **CHAIRMAN GRAHAM:** Commissioner Brisé, do you
21 have a question?

22 **COMMISSIONER BRISÉ:** Yeah, I have maybe a few.

23 **CHAIRMAN GRAHAM:** Thank you.

24 **COMMISSIONER BRISÉ:** Thank you, Dr. Sim, for
25 being here today.

1 **THE WITNESS:** Yes, sir.

2 **COMMISSIONER BRISÉ:** So I want to pursue the
3 line of question that SACE was going down with you in
4 terms of -- if you've been here, sort of my focus has
5 been on rate impact for consumers, particularly
6 non-participants and so forth. So if we can pursue
7 that, that same line of thought for each one of those
8 years that we talked about, so if we can start with '14
9 through, through maybe '20 or even when the -- yeah, '14
10 through about '20, as to the impact on the whole body of
11 ratepayers and then the non-participants in terms of
12 rate impact.

13 **THE WITNESS:** Yes, sir.

14 **COMMISSIONER BRISÉ:** So if you can go through
15 that, please.

16 **THE WITNESS:** Perhaps the best place to look
17 at that would be -- one moment, please.

18 **COMMISSIONER BRISÉ:** Sure.

19 **THE WITNESS:** Are we talking the SACE proposal
20 or will the Sierra Club proposal do or --

21 **COMMISSIONER BRISÉ:** If we can do all three so
22 I, so we can get sort of a side by side in our minds.

23 **THE WITNESS:** Yes, sir. If I could direct
24 you, please, to, in my rebuttal testimony, Exhibit
25 SRS-23, page 4 of 4. This compares the year-by-year

1 rates, projected rates and the year-by-year bill impacts
2 of a variety of plans. It addresses it on the top --
3 there are like two rows of tables. On the top we're
4 looking at, we start with a supply only resource plan
5 moving from left to right, the RIM 337, then the TRC
6 337, the RIM 526, the TRC 576, and then the SACE
7 1 percent gigawatt hour goal.

8 So what we're projecting, if -- let's take the
9 last two columns up there. We're looking at the
10 projected electric rate, and then to the right of it the
11 projected customer bill for a non-participant with 1200
12 kilowatt hour usage under the SACE gigawatt hour goal.
13 So that can be compared back to any of the other five
14 plans that I have discussed in direct testimony. And
15 then the bill differentials are shown on the bottom row
16 of tables down below.

17 And perhaps the, I guess the best summation is
18 shown at the bottom right where there are three columns.
19 We show there the RIM 337 plan. The annual bill impact
20 for the RIM 337 compared to the supply only plan would
21 about 90 cents for RIM 337 and \$13.54 for SACE. So we
22 are seeing -- going down the column one can see the
23 annual impact for each, for those two resource plans
24 head to head.

25 And then down below, the total shows that for

1 the RIM 337 plan it is about \$15 total impact above a
2 supply only plan for those ten years, where SACE's
3 impact compared to a supply only plan is a little over
4 \$681.

5 **COMMISSIONER BRISÉ:** Okay. So some of the
6 Intervenor witnesses in their testimony, as I read
7 through some of it, have expressed that the benefits
8 that they would receive ultimately would wash that
9 figure. And I think you make an argument against that.
10 Can you sort of expound on that argument?

11 **THE WITNESS:** Yes, sir. I believe what the
12 Intervenors have attempted to do in, in, I'd say kind of
13 in lockstep with what Mr. Cavros was discussing is, is
14 the total cost, the total revenue requirement for the
15 system will drop under the SACE plan. However, there
16 are two groups of customers: participants and
17 non-participants. What we're trying to show here is
18 although the participants will certainly benefit the
19 more DSM you do, if DSM is done improperly and at too
20 high amounts, the non-participants will bear the brunt
21 of it in terms of higher electric rates and higher
22 bills.

23 So I would say FPL's position, if you had to
24 summarize it quickly, is in general the more DSM you do,
25 the more you lower costs, but the more you raise

1 electric rates and the more you penalize
2 non-participants.

3 **COMMISSIONER BRISÉ:** Okay. One other area, I
4 think on SRS-17 you have a chart describing the
5 Minnesota VOS model and the Florida screen test. If you
6 could sort of walk me through why you feel that the
7 Florida screening tests are better from the company's
8 perspective than the Minnesota Value of Solar instrument
9 that is used there.

10 **THE WITNESS:** Yes, sir. I believe there are
11 at least two reasons why we think the Florida approach
12 is better. Number one, whenever one installs DSM on a
13 system that has any sort of kW reduction, it tends --
14 well, the purpose is to avoid or defer new generating
15 capacity. And in light of that, there are three impacts
16 that that DSM program has on fuel. If you avoid the
17 unit, you avoid burning any fuel in that unit. That's a
18 benefit to DSM, and it's driven by the kW reduction.

19 However, if you avoid the unit, all else
20 equal, the rest of the system has to generate the amount
21 of energy that that new avoided unit would have
22 generated, and it is generally higher cost energy
23 because the avoided unit is more fuel efficient than the
24 average of the units on your system. So that number is
25 a higher number.

1 So, for example, if you saved 100 -- if you
2 were going to burn \$100 million in fuel in a generating
3 unit and you avoided it, you'd save \$100 million from
4 DSM. But in supplying the same amount of energy without
5 building that unit, you would incur higher fuel costs.
6 Let's say it would be 110 million you would save by not
7 running your less efficient generators to make up that
8 energy. So the net impact of those would be 100 saved
9 versus now 110 incurred, so you'd have a net fuel
10 penalty of 10 million from DSM avoiding that unit.

11 Now there's a third component and the third
12 component is reduced energy from kilowatt hours. And
13 that can be anything from a very small impact for a load
14 management program to a larger impact from energy
15 efficiency. The Florida approach correctly captures all
16 three of those components. The Minnesota Value of Solar
17 approach, from what I have read from the manual on it,
18 only accounts for the third of those three components,
19 only the gigawatt hour output of solar or, in this case,
20 what would be the kilowatt hour reduction of DSM. It
21 does not account for either of the first two components.
22 Therefore, it's giving you an inaccurate and overstated
23 look at fuel benefits. So that's one of the reasons why
24 the Florida approach, because it's an accurate depiction
25 and a complete depiction, is much better than the Value

1 of Solar Minnesota approach.

2 The second reason I think the Florida approach
3 is better is it's been Florida's practice to, when we
4 look at environmental costs, we look at environmental
5 compliance costs. We don't look at what the Minnesota
6 Value of Solar calculation does, which is projected
7 societal costs. And they use a very high cost; I think
8 it's a little over \$51 per ton of CO2. But the Florida
9 view is one that I agree with. For example, if it takes
10 \$10 to comply and avoid \$100 of, of cost that would
11 otherwise incur, the rational approach would be I'll
12 spend the \$10 to avoid the hundred. Florida's approach
13 looks at compliance costs; it would calculate the
14 rational \$10 and not assume the \$100 in total cost,
15 which the Minnesota study does. So it overstates the
16 savings for environmental impacts.

17 **COMMISSIONER BRISÉ:** Okay. So I'm going to
18 switch gears a little bit here. In your testimony you
19 talk about the three solar programs that FPL is, in
20 essence, looking at. One is the large scale that sort
21 of is in place so far, then we have the medium scale,
22 and, and then the pilot.

23 What is FPL ultimately trying to get to in
24 terms of solar, and how does it intend to get there so
25 that it's beneficial and cost-effective for Florida

1 consumers, considering that there's obviously an
2 interest in, in moving in that direction in the state?

3 **THE WITNESS:** Yes, sir. Let me try to address
4 it this way. I'll compare utility scale solar to the PV
5 pilot programs and, for good measure, I'll throw in a
6 combined cycle unit to try to give you a relative
7 goodness of these, these projects.

8 Currently, the combined cycle is the more
9 cost-effective of the three to put on our system. But
10 we're seeing utility scale solar certainly becoming a
11 lot more competitive than it has in the past and it's
12 nearing parity with combined cycle.

13 At the far end of the scale are the PV pilot
14 programs. They're not cost-effective under any of the
15 tests. For the same amount of money spent on them they
16 provide significantly less megawatts of installed PV
17 capacity. And what's more, due to the capacity factor
18 differences between utility scale and rooftop -- or we
19 call it the PV pilot programs -- there's significant
20 differences. The capacity factor is ball park
21 23 percent for utility scale versus about 16 or 17
22 percent for rooftop. And the reason for that is that a
23 rooftop installation such as the pilot programs has to
24 take into account the orientation of the house. It may
25 be oriented not due south, it may have tree shading, it

1 may have angles to the roof that one has to deal with.
2 With utility scale you can level a field, place the,
3 place the panels on the exact orientation, tilt, et
4 cetera, to get the maximum output out of the units and
5 the difference is considerable. Just those relatively
6 small sounding difference in capacity factor, 23 versus,
7 say, 17 percent or 16 percent, that's a 40 percent
8 difference in output of the units.

9 So for utility scale you get more megawatts
10 per dollar spent, and for each megawatt you put in, you
11 get 40 percent more output of the unit. So clearly it
12 is more economical to go with utility scale than it is
13 in regard to the PV pilot programs.

14 And I think there are other advantages. The
15 utility scale installation will be maintained by utility
16 personnel. On a rooftop for a homeowner, as much as
17 they might like to maintain it and do their best to
18 maintain it, it's more difficult than it is for a
19 utility power plant that's manned by individuals whose
20 job it is to maintain it.

21 In terms of sturdiness or reliability, I would
22 think it would be, again, advantage utility scale to
23 build it in a way to withstand high winds rather than
24 bolting it in the air to a roof.

25 So for a variety of reasons, FPL believes that

1 the best way to approach solar would be to go utility
2 scale.

3 **COMMISSIONER BRISÉ:** So, so with that in mind,
4 wouldn't it make sense to, as some of the Intervenors
5 have suggested, to maybe have a, a proceeding
6 specifically to look at those possibilities?

7 **THE WITNESS:** In regard to a proceeding, it
8 wasn't clear to me as to what they were recommending
9 those proceedings would actually try to address.

10 **COMMISSIONER BRISÉ:** Okay. I suppose it would
11 be the potential and so forth, but that is a bridge that
12 we would probably have to cross at a different time.

13 **THE WITNESS:** Well, sir, if I may.

14 **COMMISSIONER BRISÉ:** Sure.

15 **THE WITNESS:** There were certain questions
16 regarding is an analysis needed that's Florida specific,
17 for example? We have been doing analyses -- well, let
18 me back up just a second.

19 We have looked at a number of studies: The
20 Duke Carolina study on solar integration, transmission,
21 and distribution; we've looked at similar studies from
22 Nevada; we have done a good bit of work looking at the
23 Hawaiian Islands where they are seeing real problems
24 with, on the distribution system with massive
25 penetrations of rooftop PV. In fact, we have even

1 modeled the Hawaiian systems in order to get a better
2 understanding of solar as well as for other reasons.

3 In addition, I believe it was within the last
4 two weeks we had representatives from NREL down. They
5 met with a group of us from our resource planning group,
6 our system operations group, our transmission group, our
7 distribution group, our project development group, and
8 we had asked them to come down and share with us the
9 preliminary results of a study they've undertaken which
10 looks at the entire eastern interconnection, which
11 includes Florida. And what they're looking at are a
12 variety of impacts that PV, both central station and
13 rooftop, would have for various penetration levels. And
14 they came down and shared with us what that piece for
15 Florida was. And we have agreed to continue discussions
16 along those lines with NREL. So we're doing a lot along
17 those lines to try to get the answers, frankly, to
18 prevent Florida from being in a situation that the
19 Island of Oahu in Hawaii finds itself in.

20 **COMMISSIONER BRISÉ:** Okay. I think that's all
21 I have for now, Mr. Chairman.

22 **MS. TAUBER:** Mr. Chairman, I just have a quick
23 questions. I had neglected to ask for Mr. Rábago to be
24 excused when he was up here testifying. And in light of
25 the questions from Commissioner Brisé, I just wanted to

1 offer to the Commission that Mr. Rábago is here and
2 would relish the opportunity to respond to any questions
3 that the Commissioner just raised concerning the value
4 of solar methodology or any of the other issues that
5 were just asked.

6 **CHAIRMAN GRAHAM:** Thank you.

7 Any other Commissioners with questions for
8 Dr. Sim?

9 Redirect.

10 **MS. CANO:** No redirect.

11 **CHAIRMAN GRAHAM:** Exhibits.

12 **MS. CANO:** FPL moves Exhibits 142 to 149.

13 **CHAIRMAN GRAHAM:** We will enter Exhibits
14 142 through 149 into the record.

15 (Exhibits 142 through 149 admitted into the
16 record.)

17 Dr. Sim, thank you very much for your
18 testimony.

19 **THE WITNESS:** Thank you, sir.

20 **MS. CANO:** And is this witness excused from
21 the rest of the proceeding?

22 **CHAIRMAN GRAHAM:** Dr. Sim is excused for the
23 rest of the meeting. Thank you.

24 **MS. CANO:** Thank you.

25 **CHAIRMAN GRAHAM:** Travel safe, sir.

1 Okay. We are to Duke.

2 **MS. TRIPLETT:** Duke Energy calls Benjamin
3 Borsch. Mr. Chairman, he was -- has not been sworn.
4 Whereupon,

5 **BENJAMIN M. H. BORSCH**

6 was called as a witness on behalf of Duke Energy Florida
7 and, having first been duly sworn, testified as follows:

8 **EXAMINATION**

9 **BY MS. TRIPLETT:**

10 **Q** Will please introduce yourself to the
11 Commission and provide your address.

12 **A** Yes. My name is Benjamin Borsch. My work
13 address is 299 1st Avenue North, St. Petersburg.

14 **Q** And who do you work for and what is your
15 position?

16 **A** I work for Duke Energy. I am the Director of
17 Integrated Resource Planning and Analytics, and I'm
18 responsible for DEF planning.

19 **Q** And have you filed rebuttal testimony in this
20 proceeding?

21 **A** Yes.

22 **Q** Do you have your prefiled rebuttal testimony
23 with you today?

24 **A** Yes.

25 **Q** Do you have any changes to make to that

1 testimony?

2 **A** No.

3 **Q** And if I asked you the same questions in your
4 prefiled rebuttal testimony today, would you give the
5 same answers that are in your prefiled testimony with
6 the corrections that have already been filed with the
7 Commission?

8 **A** Yes.

9 **MS. TRIPLETT:** We request that the prefiled
10 testimony of, rebuttal testimony be entered into the
11 record as though read here today.

12 **CHAIRMAN GRAHAM:** We will enter his prefiled
13 direct -- rebuttal - I'm sorry -- prefiled rebuttal
14 testimony into the record as though read.

15 **MS. TRIPLETT:** Thank you, sir.
16
17
18
19
20
21
22
23
24
25

**IN RE: COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS
(DUKE ENERGY FLORIDA, INC.)**

FPSC DOCKET NO. 130200-EI

REBUTTAL TESTIMONY OF BENJAMIN M. H. BORSCH

1 **I. INTRODUCTION AND QUALIFICATIONS.**

2 **Q. Please state your name, employer, and business address.**

3 A. My name is Benjamin M. H. Borsch and I am employed by Duke Energy Corporation.
4 My business address is 299 1st Avenue North, St. Petersburg, Florida.

6 **Q. Please tell us your position with Duke Energy and describe your duties and
7 responsibilities in that position.**

8 A. I am the Director, IRP & Analytics – Florida. In this role, I am responsible for
9 resource planning for Duke Energy Florida, Inc. (“DEF” or the “Company”). I am
10 responsible for directing the resource planning process in an integrated approach to
11 finding the most cost-effective alternatives to meet the Company’s obligation to serve
12 its customers in Florida. As a result, we examine both supply-side and demand-side
13 resources available and potentially available to the Company over its planning
14 horizon, relative to the Company’s load forecasts, and prepare and present the annual
15 Duke Energy Florida Ten-Year Site Plan (“TYSP”) documents that are filed with the
16 Florida Public Service Commission (“FPSC” or the “Commission”), in accordance
17 with the applicable statutory and regulatory requirements. In my capacity as the
18 Director, IRP & Analytics –Florida, I oversaw the completion of the Company’s most
19 recent TYSP document filed in April 2014 and the Company’s 2013 TYSP. I was

1 also responsible for development of the base resource plan used in the Company’s
2 analysis of cost-effective DSM goals in support of the goals proceeding.

3

4 **Q. Please summarize your educational background and employment experience.**

5 A. I received a Bachelor’s of Science and Engineering degree in Chemical Engineering
6 from Princeton University in 1984. I joined Progress Energy in 2008 supporting the
7 project management and construction department in the development of power plant
8 projects. In 2009, I became Manager of Generation Resource Planning for Progress
9 Energy Florida, Inc. and, following the 2012 merger with Duke Energy, I accepted my
10 current position with the Company. Prior to joining Progress Energy, I was employed
11 for more than five years by Calpine Corporation where I was Manager (later Director)
12 of Environmental Health and Safety for Calpine’s Southeastern Region. In this
13 capacity, I supported development and operations and oversaw permitting and
14 compliance for several gas-fired power plant projects in nine states. I was also
15 employed for more than eight years as an environmental consultant with projects
16 including development, permitting, and compliance of power plants and transmission
17 facilities. I am a professional engineer licensed in Florida and North Carolina.

18

19 **II. SUMMARY OF TESTIMONY.**

20 **Q. Please summarize of your rebuttal testimony.**

21 A. The purpose of my rebuttal testimony is to address the Direct Testimony of SACE
22 witness Natalie Mims, Sierra Club witness Tom Woolf, and Environmental Defense
23 Fund witness James Fine. The focus of my rebuttal testimony is the resource

1 planning process utilized by DEF for purposes of evaluating the cost-effectiveness of
 2 proposed DSM measures, as well as the assumed carbon cost forecast used in those
 3 evaluations. Specifically, I refute three points made by the intervener witnesses with
 4 respect to DEF’s Integrated Resource Planning (“IRP”) process: (1) DEF manipulates
 5 or skews the analysis to yield a given result; (2) the IRP process is flawed in general
 6 and does not comport with industry standard; and (3) DEF has used unrealistic carbon
 7 assumptions in the model.

8 With respect to the first point, the DEF planning process provides an optimal
 9 portfolio of supply side resources against which DSM measures are tested for cost
 10 effectiveness. DEF allows DSM measures to be tested for cost effectiveness against
 11 all potential units other than those near term units committed to an imminent need.
 12 Interveners’ second assertion is incorrect. DEF utilizes industry standard modeling
 13 techniques that have been reviewed and approved by the Commission and have been
 14 refined and updated over a period of more than 20 years. Finally, DEF has properly
 15 included an appropriate level of carbon cost, particularly when considering the
 16 uncertain future of environmental regulations. DEF has provided a price proxy for the
 17 potential costs of carbon regulation that might be borne by DEF customers through
 18 rates as an appropriate cost measure against which DSM benefits can be evaluated.

19
 20 **Q. Are you sponsoring any exhibits to your testimony?**

21 A. No.

22

23 **III. REBUTTAL TESTIMONY.**

1 **1. DEF's IRP Process is Principled and not Subject to Manipulation or Skewing**

2 **Q. Please explain DEF's Resource Planning process in regard to this docket.**

3 A. DEF uses a process for analyzing and incorporating DSM measures into the resource
4 plan that is performed in three major steps. In the first step, DEF creates a new load
5 forecast with no incremental DSM from the first analysis year and uses the Strategist
6 model to create an optimized resource plan incorporating a portfolio of supply side
7 resources that would be required to serve the full load in the absence of new or continuing
8 DSM measures. With few exceptions, the units making up this portfolio are the
9 avoidable units. In the second step, measures identified through the technical potential
10 process are evaluated against the avoidable units in the portfolio to determine which
11 measures are cost effective. In this step, the benefits of individual DSM measures in
12 terms of avoided capacity and energy are calculated (again by the Strategist model) and
13 compared to the program costs. Measures identified as cost effective, using Commission
14 approved screening criteria, are then aggregated to form the proposed goals. At this
15 point, which is where we stand today, the Company seeks Commission approval of the
16 goals. Following approval, the final step of the process is to re-optimize the resource
17 plan incorporating the anticipated changes to the load and energy forecast resulting from
18 implementation of the approved measures.

19
20 **Q. Did you perform such a planning analysis for this proceeding?**

21 A. Yes, I am responsible for the group that completes the first and third steps in these
22 analyses. The detailed description of this analysis contained on pages 24-29 of DEF's
23 Direct Testimony is accurate and I incorporate it into this testimony.

1
2 **Q. Do you agree with Ms. Mims' statement that "the Strategist model was so**
3 **constrained as to apparently give DEF the 'answer' it wants rather than offering**
4 **anything approaching an objective result"?**

5 A. No. As detailed in DEF's Direct Testimony and in the summary above, DEF
6 followed the Commission-approved process in evaluating energy efficiency measures.
7 During the first phase of the analysis, constructing portfolios of units to be avoided, DEF
8 constrains the model only to identify units which are already committed. To determine
9 whether a unit is committed for these purposes, DEF looks at two main criteria: (1)
10 whether there are project execution and need constraints requiring that a particular need
11 be met with a generating unit; and (2) whether the Company has started to engage in a
12 process to commit itself or counter-parties to a particular generating option.

13 To explain the first criteria, in some instances the system planning model may
14 generate a unit to meet a specific need, and that unit may be of such size and imminence
15 that it must be fulfilled with an actual steel in the ground generating unit, rather than
16 DSM measures. Prudent resource planning requires consideration of the actual nature of
17 the need in question. No prudent utility can assume that a particular unit could be
18 avoided by DSM measures, without first considering the particular nature of that need
19 and whether there is sufficient time and likelihood that energy efficiency measures could
20 provide all the necessary reductions in demand and energy in the timeframe at issue. This
21 becomes particularly important when considering the lead times associated with specific
22 near term needs and generating units. DEF does not have the luxury of waiting to see if

1 DSM programs produce some expected result. We must ensure that adequate resources
2 are available when our customers need them.

3 When determining whether a unit is committed or avoided, DEF also considers a
4 second factor, whether DEF has committed itself or counter-parties to a particular
5 generating unit option. Through its load forecasting process and the ongoing evaluation
6 of current fleet conditions and availability, DEF regularly evaluates the amount of future
7 need, including the achievement of approved DSM measures, and through its planning
8 model identifies the most cost-effective manner in which to meet that need. Once DEF
9 has identified a particular need and selected either a self-build option to meet that need or
10 has issued a request for proposals (“RFP”) to invite counter-parties to bid an alternative
11 resource to meet DEF’s need, it no longer considers that unit or Power purchase
12 avoidable. To reliably meet the need, there comes a point in time when DEF needs
13 project certainty to ensure there is time to either self-build or negotiate an appropriate
14 arrangement with a counter-party. This is analogous to the process set forth in Rule 25-
15 17.250, F.A.C. to determine when the avoided unit upon which a standard offer contract
16 is based should no longer be used as the avoided unit.

17
18 **Q. Please explain why the chillers, the two CT’s, and the 2018 Citrus CC units**
19 **noted in Ms. Mims’ testimony could not be avoided by DSM measures and**
20 **therefore are not appropriate to be used as the avoided unit for DSM evaluation**
21 **purposes.**

22 A. Each of the units Ms. Mims references is properly considered committed for the reasons
23 explained above. I will first explain why the chillers and the two 2016 CTs meet the

1 criteria outlined above. I consider these two resources to have the same rationale because
2 they were evaluated together to meet a need that starts in the summer of 2016. Starting
3 with the first criteria, DEF identified a need of 280 MW that begins in the summer of
4 2016 and grows to over 470 MW in the summer of 2017. Given the size of the capacity
5 need, DEF determined that no DSM programs could be developed, approved, and
6 implemented in time to avoid the need for the 2016 CTs. In addition, bringing the 2016
7 CTs online will allow older units on DEF's system to retire without additional impact on
8 the transmission system. Similarly, the chillers will bring approximately 200MW of
9 capacity to DEF's system in the summer of 2017. DEF does not believe that any DSM
10 measures could be implemented in time to meet that additional need.

11 The chillers and the CTs are also committed under the second criteria. DEF
12 began evaluating how to fill the need for 2016 beginning in the fall of 2013. At that time
13 DEF asked counter-parties to refresh previous bids and provide indicative bids to meet
14 the 2016 need. DEF also began work on its self-build alternative (i.e. the CTs and the
15 chillers) so that it could select the most cost-effective option to meet the need. As
16 explained above, because DEF had begun the process of committing to a generating
17 option, it was not reasonable to stop that process to determine whether DSM programs
18 could avoid the particular unit.

19 With respect to the 2018 Citrus CC, DEF also considered this unit to be
20 committed under the same two criteria. First, there are several operational constraints as
21 to why the unit must be considered committed. The Citrus CC is a 1,640MW combined
22 cycle unit that will be placed into service near DEF's existing Crystal River Units 1 and 2
23 ("CR1" and "CR2"). The Citrus CC will be brought into service at the same time CR1

1 and CR2 will be retired to comply with environmental regulations. DEF, and the Florida
 2 Reliability Coordinating Council, determined that if there was not continuous operation
 3 of generation near CR1 and CR2, there would be significant transmission grid reliability
 4 issues. By bringing the Citrus CC unit online concurrent with the retirement of CR1 and
 5 CR2, DEF will avoid expensive and substantial transmission projects, and maintain grid
 6 reliability. The need for these transmission projects would result in a substantial
 7 additional cost to any alternative project, either demand side or supply side to the Citrus
 8 CC. In addition, DSM programs of such a scale necessary to defer this large block of
 9 capacity (1,640MW) could not be developed, approved, and implemented in time to
 10 avoid the need for the 2018 CC.

11 The Citrus County CC is also committed under the second criteria, because
 12 DEF issued an RFP on October 8, 2013, soliciting proposals for other generation capacity
 13 resources that might prove superior as a supply-side alternative to the Citrus County CC.
 14 At that time, DEF had begun the formal process of soliciting and considering options to
 15 meet the 2018 need. As explained above, it does not make sense to stop and start such a
 16 process once it has begun. Accordingly, DEF considered it to be committed for purposes
 17 of evaluating the avoided unit for use in evaluating DSM options.

18

19 **Q. Did DEF “hardwire” resources into the Strategist model such that DEF’s**
 20 **analysis was biased against DSM?**

21 A. No. With the exception of properly excluding the committed resources discussed above,
 22 DEF did not “hardwire” any of the Strategist selections. This question demonstrates a
 23 misunderstanding of the evaluation process. Ms. Mims’ assertion that DEF “hardwired”

1 or otherwise tinkered with the Strategist model to bias the results against DSM is an
2 unsupported claim. DEF employed an analysis that is based on a familiar, Commission-
3 approved resource planning methodology to consider all resources, including cost-
4 effective DSM resources. In the first stage of the process in which Strategist identifies
5 resources, this optimization is being performed against a load forecast which incorporates
6 no incremental DSM. This part of the process develops the resource plan against which
7 the DSM measures are evaluated. The resource plan selected for use in the cost benefit
8 evaluation of DSM measures is the lowest cost plan on a Cumulative Present Value
9 Revenue Requirements (“CPVRR”) basis utilizing reasonably available supply side
10 resources. As such, it is not biased with regard to DSM, but produces a low cost supply
11 side portfolio of resources against which the DSM measures compete. DEF’s forecasted
12 need, driven by upcoming unit retirements and load growth, drives the selection of
13 resources in that period.

14
15 **Q. What is your response to Mr. Woolf’s assertion that DEF’s resource planning**
16 **process does not allow DSM measures the full opportunity to defer new supply-**
17 **side resources?**

18 A. I believe Mr. Woolf is combining elements of the DEF and FPL methods in a way
19 that confuses each individual process. As described above, DEF produces a supply side
20 only plan and then screens DSM measures for their cost effectiveness against that plan.
21 Assuming approval of the cost effective measures by the Commission, DEF incorporates
22 those measures into the plan and then adjusts the supply side resources around the new
23 load and energy projections including those approved measures. There is no “second

1 screen” in which DEF reduces or eliminates measures based on expectations of supply
2 side units.

3
4 **Q. Please respond to Ms. Mims’ assertion that the avoided unit CT (2018) is lower
5 in cost than the 2016 CT.**

6 A. Ms. Mims raises this point because she is suggesting that we are improperly assuming a
7 lower price for the 2018 avoided unit to jeopardize the cost-effectiveness of the DSM
8 measures. First, it appears that she is comparing the capital costs of the two units without
9 comparing the total cost of each project. Because the 2018 CT is a generic CT, it has
10 associated fixed gas transportation charges assumed which will result in a higher
11 production cost than the 2016 CTs which have been planned to utilize the existing
12 transportation portfolio. The reason that the 2018 CT has a lower capital cost in the
13 model than the 2016 CT is due to the way that DEF plans CTs. DEF endeavors in its
14 planning to make a realistic representation of the way in which actual units would be
15 planned and sited. Typically DEF does not site single CTs on separate greenfield sites.
16 As such, DEF models CTs in sequences of 2 – 4 CTs. When a CT is needed, the model
17 can determine if the next CT should be a “greenfield” or “brownfield” unit. Greenfield
18 units have a higher cost because the cost includes costs for initial site development.
19 Brownfield units have lower costs. In this case, the 2018 unit is a brownfield unit
20 following the development of the 2016 units.

21 **2. DEF’s IRP Process is not Flawed and Comports with Industry Standards**

22 **Q. Do you agree with Mr. Woolf’s claim that DEF’s “resource planning process is
23 inconsistent with standard industry practice for integrated resource planning”?**

1 A. No. DEF's Resource Planning process is an integrated process in which the Company
2 seeks to optimize its supply-side options along with its demand-side options into a
3 final, integrated plan, designed to deliver reliable, cost-effective power to DEF's
4 customers. We evaluate the relationship of demand and supply against the
5 Company's reliability criteria to determine if additional capacity is needed during the
6 planning period. We utilize a computer model called Strategist to evaluate future
7 generating unit options. Strategist is an electric utility industry standard resource
8 optimization program. Strategist models DEF's system and determines combinations
9 of future resource additions that meet system reliability criteria while satisfying
10 system constraints at the most cost-effective total production cost for DEF's system,
11 measured by CPVRR.

12 The most cost-effective supply-side resource or combinations of resources are
13 evaluated and the various generation plans are ranked by system revenue requirements, or
14 the CPVRR results. Strategist considers many tens or hundreds of thousands of resource
15 combinations. Each of these resource combinations is ranked based on cost performance
16 over the selected planning period and the study period which includes end effects. After
17 using Strategist to identify the lowest cost plan candidates, DEF uses the Planning and
18 Risk module of the Energy Portfolio Manager ("EPM") software to further evaluate the
19 production cost results. EPM is a detailed production cost model which models system
20 behavior at an hourly level and allows for the input of a greater detail of operating
21 constraints. DEF combines the production cost results of EPM with the fixed cost
22 outputs from Strategist to create its final rankings. While other utilities use a range of
23 other modeling tools, the general steps in evaluating cost effective resource plans

1 including option identification and screening, capacity resource optimization and detailed
2 production cost modeling are common to resource planning processes across many
3 utilities. I would note that Mr. Woolf's only support for his assertion that DEF's process
4 is not industry standard is that DEF does not use the minimization of CPVRR to select
5 resource plans. This statement is incorrect. Minimization of CPVRR is one of the key
6 objectives in the DEF process and is an explicit result in all of DEF's planning results.
7

8 **Q. How do you respond to Mr. Woolf's statement that DEF's resource screening**
9 **practices are "opaque, convoluted, and misguided"?**

10 A. DEF has consistently explained our resource planning practices before the
11 Commission in a wide variety of dockets, and we have consistently and clearly explained
12 the processes and procedures. Specifically, DEF and its predecessor companies have
13 used the same resource planning processes including the use of Strategist and its
14 predecessor models since the mid-1990's. Accordingly, those processes have been used in
15 several proceedings during that time period, including the annual TYSP filing, need
16 determination proceedings, nuclear feasibility dockets, and avoided cost proceedings.
17 The Commission, and intervener parties, have asked multiple interrogatories, requests for
18 production, and data requests related to our resource planning model in these various
19 proceedings. Indeed, in this DSM proceeding, I have assisted with answering multiple
20 discovery questions from the interveners with respect to our planning model. To cite just
21 one example, I provided multiple input and output files related to the relevant Strategist
22 and EPM runs for this docket. The process is clear, logical, and consistent with how
23 planning decisions have been made in Florida for more than 20 years.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

Q. Do you agree with Mr. Woolf’s recommendation that the utilities should “analyze numerous plans to optimize the combination of demand-side and supply-side resources”?

A. As discussed earlier in this testimony, DEF does analyze numerous plans to establish an optimal mix of supply side resources given a set of assumptions regarding available DSM resources. DEF analyzes hundreds of demand side measures to identify the portfolio of cost effective measures which minimizes the total cost from that optimal plan. Following the establishment of the cost effective DSM programs DEF will further optimize the supply side plan to reflect the projected changes resulting from the implementation of demand side resources. Since each step optimizes to identify the lowest cost supply side portfolio that meets DEF’s reliability criteria, further iterations “mixing and matching” DSM measures with supply side resources would not yield any lower cost solutions.

Q. Does DEF use rate impacts as the primary criterion for resource planning and choosing among resource options?

A. No. DEF’s primary criterion for choosing among resource options is CPVRR, i.e. total system cost. CPVRR is a metric designed to measure the total forward looking cost of a system portfolio.

Q. Do you agree with Mr. Woolf that DEF’s resource planning results suffer from so many fundamental flaws that they cannot be used for setting DSM goals?

1 A. No. As explained above, DEF's resource planning process is consistent with
2 Commission approved practices and provides an objective measure of costs and benefits
3 of specific alternatives for both DSM and supply side resources.
4

5 **Q. What is your response to Ms. Mims' conclusion that DEF uses a flawed resource**
6 **planning process that does not appropriately estimate its avoided costs?**

7 A. Ms. Mims' comments focus primarily on the assertion that DEF over constrains the
8 model to produce specific results, "hardwiring" the model as she refers to it. As
9 explained previously in the testimony, DEF does not engage in any improper
10 "hardwiring" of its planning model.
11

12 **Q. Do you agree with the interveners that Florida lacks comprehensive energy**
13 **planning?**

14 A. No, I do not. First, these arguments about the Florida planning process appear to be
15 beyond the scope of this proceeding because, as I explain below, the planning process is
16 mandated by statute. However I will explain further why I disagree with these arguments.
17 Ms. Mims acknowledges that Florida's planning process consists of three components:
18 the Ten Year Site Plan ("TYSP"), the FEECA proceeding (i.e. this docket), and need
19 determination proceedings for proposed power plants. These three components make up
20 a comprehensive planning process, one that considers all relevant factors to planning and
21 appropriately balances all interests (e.g. reliability, cost-effectiveness, environmental,
22 etc.). These processes are set out by statutes, and by implementing these statutes, the

1 FPSC has engaged all stakeholders in thoughtful and meaningful planning with all
2 stakeholders.

3 Ms. Mims is incorrect regarding the robustness and transparency of the TYSP
4 review process. Each year the Commission expounds multiple data requests upon DEF
5 and other utilities to test the information contained in each utility's TYSP. The
6 Commission also accepts comments from interested parties, a process that SACE and the
7 Sierra Club have both utilized in recent years. The Commission also has a public hearing
8 to discuss the TYSP filings, at which time the Florida Reliability Coordinating Council
9 ("FRCC") presents the planning forecasts for all Florida utilities. Comments from the
10 public are welcome, and again SACE and the Sierra Club have provided comments in
11 previous TYSP proceedings.

12 Florida's planning process, while it may be completed in separate pieces and stages,
13 does have all the relevant components of an effective planning process. Contrary to Ms.
14 Mims' argument, this Commission has been appropriately implementing a rigorous
15 planning process, and by doing so it has ensured that DEF and all the electric utilities are
16 pursuing least cost and least risk alternatives while maintaining system reliability.

17
18 **Q. Ms. Mims argues that the reserve margin should be lower than the 20 percent**
19 **that DEF currently utilizes. Do you agree with her argument?**

20 A. No. First I would point out that this issue is well beyond the scope of this proceeding.
21 Notwithstanding the relevance to this docket, DEF has been planning its resources to
22 satisfy a minimum Reserve Margin criterion and a maximum Loss of Load Probability
23 ("LOLP") criterion since the 1990s. This planning criterion has been reviewed, accepted,

1 and approved by the Commission each year in the TYSP process, as well as in various
2 need proceedings for new generating plants (filed both by DEF's predecessor and other
3 Florida utilities). The stipulation which established the 20% minimum reserve margin
4 for the Investor Owned Utilities was based on consideration of many basic conditions of
5 the Florida geography and electric system. At a high level, these include an
6 acknowledgement that Florida, as a peninsula, has limited import capability from other
7 states, and thus must have sufficient reliability to stand alone, that the existing Florida
8 transmission system has significant constraints to transfer among the utilities, and that the
9 Florida generation system includes numerous small entities which choose not to fully
10 supply reserves and rely, in part, on the ability of the investor owned utilities to supply
11 reserve generation during periods of system upset.

12 **3. DEF Utilized Appropriate Carbon Cost Assumptions**

13
14 **Q. Did DEF consider the future potential cost of carbon regulation in its analysis of**
15 **the cost-effectiveness of DSM measures and programs?**

16 **A.** Yes, as explained in the Direct Testimony filed April 2, 2014 (see pages 39-41), DEF
17 performed a sensitivity including the impact of a monetized cost for Greenhouse Gas
18 emissions compliance. This sensitivity did not show a significant increase in the number
19 of programs that the utility could offer meeting the cost effectiveness test. In the Order
20 Establishing Procedure, the FPSC required that utilities analyze cost effectiveness in the
21 absence of a price for GHG emissions as the base case. DEF's sensitivity showed that
22 including the projected GHG did not materially impact the results. Given this result, and
23 the lack of immediacy of a carbon market within this goal setting period combined with

1 the lack of certainty that the EPA regulations currently under development will translate
2 into an external cost for CO₂ emissions like the one we model here, DEF did not propose
3 goals assuming a cost for carbon. At this time, the specifics of EPA's rule making is
4 currently uncertain and the timeline for implementation is likely to extend over the
5 duration of this goal setting.

6
7 **Q. How do you respond to Mr. Woolf's arguments with respect to the cost of**
8 **greenhouse gas regulations?**

9 A. I would first note that, while he generally expounds on the need to include the cost of
10 such regulations, he does not provide a specific compliance cost that DEF should have
11 used. He also does not provide any information as to the impact of using this un-
12 identified cost on the results in this proceeding (he does refer to the 2009 proceeding and
13 the impact of including compliance costs on another utility's goals in that proceeding. Of
14 course such a comparison is irrelevant to the facts and circumstances that face DEF in this
15 proceeding.) In any event, I disagree with his assertion that DEF has not appropriately
16 analyzed the compliance costs for environmental regulations. Indeed, we have done
17 exactly what he claims we should have done: "apply the best estimate available of the
18 likely costs of complying with state and federal requirements for controlling greenhouse
19 gas pollution during the entire DSM cost-effectiveness study period."

20 Specifically, to determine the compliance cost for purposes of the sensitivity analysis,
21 DEF reviewed the state of the environmental regulations. With respect to CO₂ prices,
22 DEF did not consider a price for CO₂ in its base case given the lack of activity to enact
23 federal climate change legislation that sets a price on CO₂ emissions, and the uncertain

1 prospects for such action in the future. At the time of this analysis, EPA action was
2 pending and equally uncertain. For its sensitivity case, DEF used a CO₂ price trajectory
3 that starts at \$17.47 per ton (nominal dollars) in 2020, increasing at a rate of 8.44% per
4 year. Given the lack of any specific policy proposals that would set a price on CO₂
5 emissions, these prices by necessity reflect considerable judgment on our part. DEF
6 considers these CO₂ prices to be a reasonable trajectory given the uncertainty surrounding
7 this issue.

8 The outcome of the legislative debate that occurred in 2009 and early 2010 is
9 informative to the prices we are using today. As evidenced by the 2009 debate over the
10 Waxman-Markey legislation, there are many strongly held differences of opinion within
11 the Democratic and Republican caucuses and between members of Congress representing
12 different regions of the country regarding climate change legislation. It is not simply a
13 Democrat versus Republican issue. For example, members of both parties from states
14 with farm- and industrial-based economies expressed concerns about the impact of
15 climate change legislation on manufacturing and energy prices; coal state members
16 expressed concerns that climate change legislation would hurt the mining economy; and
17 members from states that have historically relied on coal-fired generation expressed
18 significant concerns over increased electric costs to consumers.

19 DEF believes a primary reason for the failure of climate change legislation in 2009
20 was concern that the legislation would lead to higher energy prices that would have had
21 an adverse impact on the economy. It is reasonable to assume that this same concern will
22 be present during any future debate over federal climate change legislation or proposed
23 regulation. In addition, regional differences, more than those between the political

1 parties, could have a great bearing on the outcome of any future debate in Congress over
2 climate change policy.

3 USEPA issued proposed guidelines in June 2014 that will start a multi-year process to
4 regulate CO₂ emissions from existing fossil-fueled power plants. The outcome of EPA's
5 upcoming CO₂ regulation for existing EGUs is highly uncertain, both in terms of its fate
6 in the courts and in the fashion of its implementation by EPA and the states and DEF
7 cannot predict the outcome. As our projection was necessarily determined in the fall of
8 2013, DEF did not factor this upcoming rulemaking in its consideration of the CO₂ prices
9 to use in this docket.

10 The Florida Public Service Commission staff directed utilities that were going to use
11 a CO₂ price in this docket to agree on a single price trajectory. Only DEF and Florida
12 Power and Light are using a CO₂ price. Based on the Staff's direction in this regard, DEF
13 and Florida Power and Light decided to derive a single price trajectory by averaging each
14 company's annual CO₂ prices.

15
16 **Q. What do you say to Dr. Fine's argument that the utilities should use the carbon**
17 **compliance cost presented in the "Technical Update of the Social Cost of Carbon for**
18 **Regulatory Impact Analysis"?**

19 A. I disagree with Dr. Fine. The referenced document ("Technical Update") does not imply
20 or state what the cost of compliance for a particular company is now or will be in the
21 future. Rather, it attempts to estimate the full societal or social cost of carbon emissions
22 given a particular set of assumptions. In fact, it states that the "purpose of the 'social cost
23 of carbon' (SCC) estimates presented here is to allow agencies to incorporate the social

1 benefits of reducing carbon dioxide (CO₂) emissions into cost-benefit analyses of
2 regulatory actions that impact cumulative global emissions.” (See p. 2 of Technical
3 Update). In other words, the Technical Update includes the cost of global environmental
4 externalities, such as “changes in net agricultural productivity, human health, property
5 damages from increased flood risk, and the value of the ecosystem services due to climate
6 change.” (See p. 2 of Technical Update). It is inappropriate in this proceeding to use
7 these global social cost estimates for purposes of evaluating the cost-effectiveness of
8 DEF’s DSM programs. The only relevant carbon cost assumption for use in this
9 proceeding is an estimate of DEF’s implemented cost of compliance for any future set of
10 reasonable environmental regulations. DEF’s assumptions regarding its expected future
11 cost of compliance are explained above. Because there is no reasonable expectation that
12 any future regulation would require DEF to pay the costs of global climate change, like
13 costs incurred due to sea changes or temperature changes in Eastern Europe, the social
14 costs included in the Technical Update are not reasonable carbon compliance costs for
15 this proceeding.

16
17 **Q. Does this conclude your testimony?**

18 **A.** Yes, it does.
19

BY MS. TRIPLETT:

Q Mr. Borsch, do you have a summary of your rebuttal testimony.

A I do.

Q Could you provide it, please?

A Yes. Good day, Commissioners. I am the Director of Integrated Resource Planning and Analytics Florida. In this role I'm responsible for the resource planning for Duke Energy Florida.

The purpose of my rebuttal testimony is to address the direct testimony of SACE witness Natalie Mims, Sierra Club witness Tom Woolf, and the Environmental Defense Fund witness James Fine.

The focus of my rebuttal testimony is the resource planning process utilized by DEF for the purpose of evaluating the cost-effectiveness of proposed DSM measures, as well as the assumed carbon, carbon cost forecast used in those evaluations.

The DEF planning process provides an optimal portfolio of supply-side resources against which DSM measures are tested for cost-effectiveness. DEF allows DSM measures to be tested for cost-effectiveness against all potential units other than those near-term units committed to an imminent need.

DEF utilizes industry standard modeling

1 techniques that have been reviewed and approved by the
2 Commission and have been refined and updated over a
3 period of more than 20 years.

4 Finally, DEF has properly included an
5 appropriate level of carbon costs, particularly when
6 considering the uncertain future of environmental
7 regulations. DEF has provided a price proxy for the
8 potential costs of carbon regulation that might be borne
9 by DEF customers through rates as an appropriate cost
10 measure against which DSM benefits can be measured.

11 This concludes the summary of my rebuttal
12 testimony, and I'm happy to answer any questions that
13 you have.

14 **MS. TRIPLETT:** We would tender the witness for
15 cross. Thank you.

16 **CHAIRMAN GRAHAM:** Thank you very much.

17 OPC.

18 **MR. SAYLER:** No questions.

19 **CHAIRMAN GRAHAM:** Department of Agriculture.

20 **MR. HALL:** No questions.

21 **CHAIRMAN GRAHAM:** NAACP.

22 **MR. DREW:** No questions.

23 **CHAIRMAN GRAHAM:** PCS.

24 **MR. BREW:** No questions.

25 **CHAIRMAN GRAHAM:** FIPUG.

1 **MR. MOYLE:** We have questions.

2 **EXAMINATION**

3 **BY MR. MOYLE:**

4 **Q** Sir, good afternoon. How are you? Jon Moyle
5 on behalf of FIPUG.

6 I want to ask you a couple of questions just
7 about the carbon cost assumptions.

8 **A** Sure.

9 **Q** Okay. You did that as a sensitivity analysis;
10 correct?

11 **A** Yes, we did. In the Order Establishing
12 Procedure, the staff asked us to use a no carbon cost
13 evaluation as the base case. And we --

14 **CHAIRMAN GRAHAM:** Sir, could I get you to pull
15 that microphone down a little bit so we can hear you
16 clearly.

17 **THE WITNESS:** Oh. I'm a little, little away
18 from it. Sorry. I sounded loud to myself the first
19 time.

20 In the Order Establishing Procedure, the staff
21 requested that we perform the no carbon cost, that is to
22 say zero dollars for carbon emissions, analysis as the
23 base case, and a, and gave us the opportunity to provide
24 data on a case with carbon costs as a sensitivity, and
25 that's what we did.

1 **BY MR. MOYLE:**

2 **Q** Okay. So, so when you add the carbon costs,
3 that has the result of adding cost to ratepayers in the
4 analysis; is that right?

5 **A** Yes.

6 **Q** And as we sit here today, are there any
7 Florida laws that impose a carbon cost on you?

8 **A** Not today.

9 **Q** Same question with respect to the federal
10 government?

11 **A** Not today.

12 **Q** And you're responsible for resource planning
13 for the company; is that right?

14 **A** Yes.

15 **Q** Okay. I don't want to open a door, but I
16 think the door may have been opened a little bit
17 already, but with respect to federal rulemaking, the
18 federal government proposes rules and then people have a
19 chance to comment and challenge and it's a process that
20 takes place; correct?

21 **A** Yes.

22 **Q** Yeah. Were you familiar with, during your
23 responsibilities, with the federal government's proposal
24 of a regulation related to Numeric Nutrient Criteria in
25 Florida in Florida waters?

1 **A** At a high level, yes.

2 **Q** Okay. And you're aware that the federal
3 government proposed certain regulations, and ultimately
4 the regulations that they proposed were, were not
5 adopted as proposed; correct?

6 **A** Yes, in that case. And frequently proposed
7 regulations are significantly modified before they're
8 final and implemented.

9 **Q** Okay. And the same thing could happen with
10 the proposed carbon regulations that the federal
11 government has proposed; correct?

12 **A** It is very early days in that proposal, so
13 it's, I would say, a matter of speculation to say how
14 they will get finally implemented.

15 **MR. MOYLE:** That's all I have. Thank you.

16 **CHAIRMAN GRAHAM:** Thank you, sir.

17 **MR. GUEST:** Mr. Chairman, I have a question
18 about that I would like to add as a new issue. We did
19 the Numeric Nutrients case and what he said isn't true,
20 so we'd like to follow up on that.

21 **CHAIRMAN GRAHAM:** I misunderstood. What's
22 that question?

23 **MR. GUEST:** What I'm saying, the question he
24 asked him is what ultimately happened with the federal
25 nutrients case. That was our case and what he said

1 isn't true, and I would like to examine him on that
2 issue. It's a new issue.

3 **CHAIRMAN GRAHAM:** I think what, the issue he
4 was trying to get to was the fact that sometimes if
5 EPA proposals come out, and just because of the way
6 they're proposed doesn't mean the way they're -- the way
7 they're proposed or the way they're implemented. That's
8 what I believe, unless I'm misunderstanding.

9 **MR. GUEST:** I understood him as saying that it
10 ended up not ultimately being adopted and something else
11 happened, so we shouldn't count on what happened in the
12 federal regulations. And my questions would show that
13 actually that representation about the nutrients rule
14 actually is not true. And that so to the extent that
15 one could use the Numeric Nutrients case to establish
16 that federal regulations do not ultimately have the
17 effect that you should count on, I would show on, on
18 cross that the opposite is actually shown by that case.

19
20 **CHAIRMAN GRAHAM:** Mary Anne.

21 **MS. HELTON:** I was afraid you were going to
22 ask me. Can you hold on one second?

23 **CHAIRMAN GRAHAM:** Sure.

24 **MR. MOYLE:** And, Mr. Chairman, maybe to try to
25 short circuit a little bit, to your question, I mean,

1 the point that was trying to be made was simply that
2 federal regulations are subject to change. I mean, I
3 used that as an example, but it could be an airline
4 regulation or a host of other regulations.

5 **CHAIRMAN GRAHAM:** That's the way I anticipated
6 it. But not being the attorney, I can use the
7 reasonable man standard, but I want to make sure I'm not
8 making any mistakes here. That's why I went to my, my
9 knowledge base.

10 **MS. HELTON:** Mr. Chairman, Mr. Guest hasn't
11 asked a question yet, so I think until he asks a
12 question and we see where he's going with the question,
13 that might be an appropriate time to look at the
14 appropriateness of the question. I don't think he's had
15 his turn yet. I think Mr. Moyle, if my memory serves me
16 correctly, goes before him in the, in the process that
17 you're using. So until we get to Mr. Guest's turn, I
18 would suggest that we withhold any judgment.

19 **CHAIRMAN GRAHAM:** So we'll table this until we
20 get to SACE.

21 **MR. GUEST:** Thank you, Mr. Chairman.

22 **CHAIRMAN GRAHAM:** Sierra Club.

23 **MS. CSANK:** Thank you, Mr. Chairman.

24 **EXAMINATION**

1 **BY MS. CSANK:**

2 **Q** Hello, Mr. Borsch. How are you?

3 **A** Fine, thanks.

4 **Q** You are Director of Integrated Resource
5 Planning and Analytics for DEF; right?

6 **A** Yes.

7 **Q** You provide analysis and recommendations
8 related to Florida generation resource plans.

9 **A** Yes.

10 **Q** You also oversee demand-side resources
11 including DSM dockets like this one.

12 **A** This is the first DSM docket in which I have
13 appeared.

14 **Q** Right. My question was you oversee generally
15 demand-side resources including dockets like this one.

16 **A** No, I would not say that. I provide analysis
17 which contributes to DEF's decision-making and
18 recommendation process around DSM dockets. It's
19 probably more fair to say that Mr. Duff oversees the
20 process.

21 **Q** All right. But for -- but it's fair to say
22 that you participate and are knowledgeable about these
23 types of demand-side resource decisions.

24 **A** I would say that I participate in some aspects
25 of the process and that I am knowledgeable in those

1 areas.

2 Q Concerning demand-side resources.

3 A Concerning demand-side resources.

4 Q And you work with a variety of colleagues on
5 DEF's regulatory strategy, including consideration of
6 demand-side resources.

7 A Yes.

8 Q And regulatory conditions help inform DEF's
9 resource planning which you oversee or contribute to.

10 A Yes.

11 Q And DEF plans for future conditions; right?
12 That's what planning does?

13 A To the best of our ability.

14 Q And factors that are relevant to DEF's
15 electric system such as forecasted fuel prices, demand
16 growth, those are the types of things you think about;
17 right?

18 A Yes.

19 Q And you also in your planning address state
20 regulations that impact your Florida system.

21 A Yes.

22 Q And you also address federal regulations that
23 impact your Florida system.

24 A Yes.

25 Q And so, for example, we've been discussing

1 here today the Clean Power Plan. Are you familiar with
2 that federal regulation?

3 **A** In a general way, yes. I have not read all
4 thousand pages of it.

5 **Q** It's a little less than a thousand, but fair
6 enough. In terms of what you do know about the
7 proposal, it identifies energy efficiency as a part of
8 the regulation; right?

9 **A** It identifies energy efficiency as one of the
10 available building blocks to achieve compliance.

11 **Q** Okay. So energy efficiency is relevant to
12 that federal regulation.

13 **A** I would say that remains to be seen.
14 Certainly in its proposal the EPA has identified energy
15 efficiency as one of the potential opportunities to
16 reach compliance with its targets. I think that
17 depending on the way the state -- well, first of all,
18 depending on the way the rule is finalized, but perhaps
19 more importantly depending on the way the state chooses
20 to implement the rule, the importance of energy
21 efficiency as a contributor to that compliance will be
22 determined, you know, later on.

23 **Q** So certainly there's some uncertainty there,
24 and certainly there are a variety of options. But in
25 terms of those four building blocks that EPA's

1 regulation is premised on, energy efficiency is one of
2 those four building blocks; right?

3 **A** Yes, it is.

4 **Q** So it's relevant to the regulation in that
5 regard.

6 **A** Yes.

7 **Q** Okay. And this proceeding, it relates to
8 energy efficiency; right?

9 **A** Yes.

10 **Q** It determines energy efficiency resources that
11 will be on DEF's system for the next ten years; right?

12 **A** It sets the targets for those resources.

13 **Q** Right. And so that's between 2015 and 2024;
14 right?

15 **A** Yes.

16 **Q** And EPA's proposal, are you familiar with the
17 target finalization date for that, for that regulation?

18 **A** Yes.

19 **Q** It's June of 2015, isn't it?

20 **A** Yeah. Next year. Yeah.

21 **Q** And the President of the United States
22 committed to that deadline last summer in 2013, right,
23 per a memorandum to EPA?

24 **A** I believe that's true.

25 **Q** Great. So -- and the following year, right,

1 next, the summer of 2016 is when Florida's
2 implementation plan is due under that presidential
3 memorandum and the proposed rule?

4 **A** Yes, although obviously there remains a
5 substantial uncertainty about whether those deadlines
6 would be met.

7 **Q** Reasonable minds can have differences of
8 opinion of how much uncertainty there is. But anyhow,
9 2016 is now the deadline.

10 **A** I'll say it this way. I'll agree that 2016 is
11 the proposed deadline.

12 **Q** Fair enough. And so 2016 is within this goal
13 setting ten-year period; right?

14 **A** Yes.

15 **Q** And 2020 is the proposed first year in which
16 those requirements that are proposed would take effect;
17 right?

18 **A** Uh-huh.

19 **Q** And 2020 is also within this 2015 to 2024 goal
20 setting period; right?

21 **A** Uh-huh.

22 **Q** And were you here earlier when I talked to
23 Dr. Sim about the way energy efficiency programs are
24 implemented and the amount of time they take to roll out
25 and ramp up?

1 **A** Yes.

2 **Q** So is it fair to say that your company also
3 seeks regulatory approval for your energy efficiency and
4 demand-side management programs that you end up
5 implementing?

6 **A** Yes.

7 **Q** And it takes about a year, give or take, to
8 get through this goal setting proceeding.

9 **A** I think we're on a similar schedule.

10 **Q** And so then it's also true that it takes a
11 little under a year to get through the program approval
12 stage.

13 **A** I guess that will depend a lot on how many
14 people disagree with the way we decide to roll out the
15 programs. Some years -- in principle it should take
16 that long.

17 **Q** Okay. So I'm looking for a yes or no answer.
18 So generally is it around a year -- in your experience
19 in the history of DEF's participation in that docket it
20 takes an additional year or so for programs to be
21 approved.

22 **A** Well, I guess I'll say this. My history of
23 participation in these proceedings or even, you know,
24 real involvement in how DEF is moving in these
25 proceedings is really limited to the 2009 proceeding and

1 this proceeding. And I would say that it took us more
2 than a year to get to the programs in the 2009
3 proceeding.

4 **Q** Thank you. That will do. So it sounds like
5 to, to increase energy efficiency -- let's say that's
6 what our goal was, we wanted to increase energy
7 efficiency -- it'll take at least two years and more to
8 conceive of the idea that we want to increase energy
9 efficiency programs and actually get to the point where
10 we're implementing expanded programs, right, with
11 regulatory approval?

12 **A** If they were passed through this process, yes.

13 **Q** Thank you. And so if we go back, we just said
14 that Florida's plan is due two years from now; right?

15 **A** That's the proposed date.

16 **Q** So if an energy efficiency is relevant to that
17 plan potentially, it's been identified by EPA as one of
18 the relevant considerations for states?

19 **A** It's been identified, EPA, as one of the
20 applicable tools to reach the compliance.

21 **Q** And it is your testimony that the company's
22 proposed goals do not factor in compliance requirements
23 under the proposal by EPA.

24 **A** They do not. They were developed before the
25 proposal came out.

1 **Q** And I understand that there is a comment
2 period open for, that this Public Service Commission has
3 opened for Clean Power Plan related comment. Does your
4 company plan to file comments?

5 **MS. TRIPLETT:** Mr. Chairman, I'm just going to
6 object to the, to the relevance of that question.

7 **MS. CSANK:** Mr. Chairman, may I?

8 **CHAIRMAN GRAHAM:** Please.

9 **MS. CSANK:** We've been talking with Mr. Borsch
10 about the, the relevant time frames. And to the extent
11 that this is the energy efficiency docket and we've
12 established that energy efficiency is relevant to that
13 proposal and this Commission is taking comment, the
14 Sierra Club submits that these are all steps towards
15 understanding relevant information and how the company
16 came to its goals and building a complete record.

17 **CHAIRMAN GRAHAM:** I'll let you continue with
18 your questioning.

19 **MS. CSANK:** Thank you.

20 **CHAIRMAN GRAHAM:** Let's stay at the peaks, not
21 down in the valleys.

22 **MS. CSANK:** Indeed.

23 **THE WITNESS:** I am not directly responsible or
24 even directly participating in the development of
25 whatever comments we may make to either, you know, in

1 the environmental docket for the Commission or the set
2 of questions that the Commission has asked, although I
3 am aware of them, nor am I involved directly in the
4 development of comments to EPA under the rule.

5 So, you know, it would seem reasonable to
6 believe that we will comment, but I don't know directly
7 what those comments will be.

8 **BY MS. CSANK:**

9 Q All right. And in terms of your company's
10 thinking though, whether or not you ultimately decide to
11 comment here, you are thinking about compliance options
12 for the proposal; right?

13 A Again, it's very early days in this proposal.
14 We are evaluating different understandings of how the
15 proposal might, should be interpreted and what those
16 might apply to as far as compliance options. I would
17 say that we are not anywhere near the stage of actually
18 developing even a preliminary plan around the
19 compliance.

20 Q I see. But so help me understand better the
21 kind of thinking that you're doing at this point. So
22 you, you said earlier that when you're thinking about
23 regulatory strategy, that typically includes demand-side
24 resources. And we've identified that energy efficiency
25 is relevant to this particular regulation; right? But

1 energy efficiency generally is a way to minimize carbon
2 emissions from the power sector?

3 **MS. TRIPLETT:** Mr. Chairman, I'm sorry. I was
4 just going to object. I think this has been asked and
5 answered. He's answered the preliminary, the company
6 has done preliminary analysis on a rule that's not even
7 final. And in addition, I'm not sure -- I think this is
8 beyond the scope of this witness's expertise in terms of
9 analyzing compliance options for a rule like the EPA
10 rule.

11 **CHAIRMAN GRAHAM:** I agree with the objection.
12 I think we've explored a little bit and the witness has
13 said more than once that this is not his area and he
14 doesn't know. So I think let's move on to some other
15 line of questioning.

16 **MS. CSANK:** Will do, Mr. Chairman.

17 **BY MS. CSANK:**

18 **Q** So as DEF thinks about resource planning and
19 plans for the future and the possibility of state or
20 federal requirements concerning carbon emissions, have
21 you done any studies to identify, besides the
22 sensitivity analyses that you've offered here, any
23 additional studies to understand how various resource
24 options will be cost-effective in a scenario where there
25 is a regulation of carbon?

1 **A** I guess the answer to that question is no. We
2 have based our carbon cost studies around the analyses,
3 the sensitivity that's presented here with regard to DSM
4 alternatives. We are not at the stage yet -- I mean,
5 you've referenced the Clean Power Plan, and we are not
6 at the stage yet of performing similar analyses under
7 scenarios that would result from different
8 interpretations of how the Clean Power Plan might be
9 implemented. So the short answer to your question is
10 no.

11 **Q** Thank you.

12 **MS. CSANK:** May I have a second?

13 **CHAIRMAN GRAHAM:** Sure.

14 **BY MS. CSANK:**

15 **Q** Just one final line of questions then.

16 In terms of when you do develop more
17 information about the cost-effectiveness of various
18 resources to meet carbon regulations, could you please
19 explain to the Commission how you would model and have
20 those various resources compete?

21 **A** Well, in a general way we will understand what
22 kinds of potential targets might be determined or, you
23 know, established by the plan. And, you know, I think
24 at this point because the rule is so undeveloped we're
25 going to have to create a number of scenarios around

1 ways that the state might choose to implement the plan.
2 And, you know, from there we would presumably establish,
3 as we always do, a range of alternative resources,
4 including both DSM resources as well as supply-side
5 resources, that would be available to us to construct a
6 new portfolio that would comply with, you know, a given
7 interpretation of how the plan would be promulgated.
8 And then, you know, we'll take those alternatives,
9 develop costs around them, and see what the analysis
10 tells us about the lowest total cost.

11 **Q** And based on what you know today about, let's
12 start with supply-side options, what, what might some of
13 those supply-side options be?

14 **MS. TRIPLETT:** Mr. Chairman, I'm sorry. I was
15 going to say this perhaps calls for speculation. Again
16 you're talking about what we may do with a rule that
17 hasn't been proposed. But if he can answer it, I
18 suppose -- I mean, that would be okay, but.

19 **MS. CSANK:** Mr. Chairman, would you like me to
20 rephrase my question?

21 **CHAIRMAN GRAHAM:** No. She said it's okay to
22 answer the question.

23 **THE WITNESS:** Well, I mean, I think we'll, you
24 know, continue to evaluate the range of technical
25 options that we see available. I mean, one of the

1 things that we do regularly is refresh the technologies
2 that are available to us, including both renewable
3 technologies as well as conventional fossil fuel-fired
4 technologies. We, you know, we look regularly at the
5 option of building new nuclear generation. So, you
6 know, we will put all of those options, you know, back
7 on the table, as we do every year, frankly, as
8 supply-side options, and then view them through the lens
9 of what we think the new regulation may look like.

10 **BY MS. CSANK:**

11 **Q** And in terms of your current plans, you are
12 proposing to this Commission a certain amount of new
13 natural gas burning power; right?

14 **A** Yes.

15 **Q** Can you tell us a little bit more about what
16 that looks like?

17 **A** We have proposed to the Commission that we are
18 considering the construction of two natural gas-fired
19 peakers in 2016, the addition of inlet chilling to
20 enhance the summer capacity of our Hines combined cycle
21 units.

22 **Q** May I just interrupt you there? Do you have a
23 measure of how many, what the cost of those particular
24 facilities are in a cents-per-kilowatt-hour basis or
25 whatever metric you may be able to readily offer?

1 **A** I don't have those numbers off the top of my
2 head, but they are filed in our docket.

3 **Q** Fair enough. So you -- please continue. So
4 you were, you were explaining the natural gas
5 facilities.

6 **A** Right. So the two combustion turbines in
7 2016, inlet chilling for our Hines combined cycle unit
8 in 2017, and a new combined cycle facility in 2018.

9 **Q** Thank you. And in terms of -- so that's,
10 those are, those are all facilities that would come
11 online during this goal setting period.

12 **A** Yeah.

13 **Q** And when you think about future resources and,
14 and in the next ten years how demand-side resources can
15 contribute to your portfolio, could you please remind us
16 of that process by which you optimize and weigh the
17 resource -- sorry -- the demand-side and supply-side
18 resources? In other words, how do you, how do you plug
19 the demand-side resources into your, your model?

20 **A** Well, I think this is covered in my testimony.
21 But at a high level, what we do first is to -- and as we
22 have done in this proceeding -- is to essentially zero
23 out the assumption of future demand-side contributions
24 from the first forward year of the analysis. So in this
25 case 2015. And then we create a portfolio of

1 supply-side resources that would fill the need resulting
2 from our expected load growth without any additional
3 demand-side contribution. And then --

4 Q May I just interrupt to make sure I
5 understand. When you zero out future DSM, do you still
6 take into consideration naturally occurring DSM that
7 would happen during that relevant time horizon?

8 A Yes.

9 Q Okay.

10 A We're talking, when I say zero, we're talking
11 about zero out utility-sponsored programs.

12 Q Thank you.

13 A So from that point once we have a portfolio of
14 supply-side units that we would utilize to fill that
15 need, we then establish a cost for the capital and
16 operation associated with those units. And then
17 Mr. Duff's team takes that information and does a
18 cost-benefit analysis of individual measures that have
19 been identified under the potential study and
20 establishes what is the cost-effectiveness for each one
21 of those measures and, you know, rolls them up into a
22 goal level. And that's represented in our proposed
23 goals in this docket.

24 Q All right. And just a couple of clarifying
25 points. So when you're putting, when Mr. Duff's team is

1 plugging in those measures, those don't include the ones
2 that have been screened out as you get closer and closer
3 from technical potential to achievable potential; is
4 that right?

5 **A** I don't really know at what stage they do that
6 relative to their cost-effectiveness analysis. You'd
7 have to ask him that.

8 **Q** Well, but, but you, you contribute and are
9 generally familiar with how resource -- you oversee
10 resource planning in DEF's service territory, so you
11 have some familiarity with what that, what that looks
12 like, what the inputs are and what the outputs are;
13 right?

14 **A** Only at a very high level. Truthfully we --
15 my group supplies the initial resource plan, as we refer
16 to it, the no new DSM resource plan. And then the
17 screening exercise for the individual measures is
18 conducted by Mr. Duff's group, and I generally don't get
19 involved with that part of the exercise and end up
20 looking at the results of that exercise, you know, at a
21 high level or a summary level that would impact our, you
22 know, resource plan from a supply-side viewpoint. So
23 the question of which measures are screened or otherwise
24 excluded following the potential study, I'm not actually
25 familiar with that.

1 **Q** That's fair. So it's in the record and the
2 record will be clear that, that DEF does, in fact, use
3 measures that have passed, or actually part of the
4 achievable potential to do that, that modeling against
5 supply-side resources. And so, in other words, those
6 measures don't include the two-year payback measures, as
7 we've been defining it here, those measures that are the
8 cheapest and the low-hanging fruit. So, in other words,
9 when you're going supply-side versus demand-side, the
10 demand-side measures that are the cheapest and most
11 cost-effective are no longer, because of free ridership,
12 part of the analysis; right?

13 **MS. TRIPLETT:** Mr. Chairman, I'm going to
14 object to the characterization of the evidence. I don't
15 think that's accurate.

16 **CHAIRMAN GRAHAM:** I agree with you. The thing
17 that's eliminated is that two-year rule that kind of
18 pulls it out. It's not necessarily the cheapest.

19 **MS. CSANK:** Right. It's those measures that,
20 that pay back in two years. And so they generally are
21 the ones that are so cost-effective that we worry about
22 there being free riders; right?

23 **CHAIRMAN GRAHAM:** It's a two-year rule.

24 **MS. CSANK:** Right.

25

1 **BY MS. CSANK:**

2 Q So, but you agree that the two-year rule in
3 your proposed goal and the way you do resource planning
4 has eliminated those two-year rule measures.

5 A Again, I have -- I understand that from other
6 people's testimony. It's not part of my work.

7 **MS. CSANK:** Thank you. May I have another
8 second, please?

9 **CHAIRMAN GRAHAM:** Sure.

10 **MS. CSANK:** No further questions. Thank you,
11 Mr. Borsch.

12 **CHAIRMAN GRAHAM:** Okay. I'm assuming you guys
13 have more than about five minutes.

14 **MR. GUEST:** I believe so.

15 **CHAIRMAN GRAHAM:** Okay. Because we're right
16 at the end where we said we were going to take lunch.
17 And I don't want to cut you off in the middle of your
18 questioning.

19 **MR. GUEST:** Thank you. I would like to just
20 raise my procedural issue, which is that this new issue
21 about the nutrients case that we poured thousands of
22 hours into has come up. I would like to just ask him a
23 handful of questions about that and let Ms. Tauber take
24 the rest of it that doesn't relate to our case.

25 **CHAIRMAN GRAHAM:** I think we can all do that

1 in an hour.

2 **MR. GUEST:** Okay. Yeah. Thank you.

3 **CHAIRMAN GRAHAM:** Okay. So right now I've got
4 1:30. Let's get back here, and we're going off my clock
5 back there, at 2:30. Thank you.

6 (Recess taken.)

7 (Transcript continues in sequence with Volume
8 7.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)
 : CERTIFICATE OF REPORTER
 2 COUNTY OF LEON)

3
 4 I, LINDA BOLES, CRR, RPR, Official Commission
 Reporter, do hereby certify that the foregoing
 5 proceeding was heard at the time and place herein
 stated.

6
 7 IT IS FURTHER CERTIFIED that I stenographically
 reported the said proceedings; that the same has been
 transcribed under my direct supervision; and that this
 8 transcript constitutes a true transcription of my notes
 of said proceedings.

9
 10 I FURTHER CERTIFY that I am not a relative, employee,
 attorney or counsel of any of the parties, nor am I a
 relative or employee of any of the parties' attorney or
 11 counsel connected with the action, nor am I financially
 interested in the action.

12 DATED THIS 8th day of August, 2014.

13
 14 *Linda Boles*

15
 16 LINDA BOLES, CRR, RPR
 FPSC Official Commission Reporters
 17 (850) 413-6734