

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

DOCKET NO. 140001-EI

FUEL AND PURCHASED POWER COST  
RECOVERY CLAUSE WITH GENERATING  
PERFORMANCE INCENTIVE FACTOR.

\_\_\_\_\_ /

FILED DEC 03, 2014  
DOCUMENT NO. 06556-14  
FPSC - COMMISSION CLERK

VOLUME 6

Pages 663 through 871

PROCEEDINGS:

HEARING

COMMISSIONERS  
PARTICIPATING:

CHAIRMAN ART GRAHAM  
COMMISSIONER LISA POLAK EDGAR  
COMMISSIONER RONALD A. BRISÉ  
COMMISSIONER EDUARDO E. BALBIS  
COMMISSIONER JULIE I. BROWN

DATE:

Tuesday, December 2, 2014

TIME:

Commenced at 9:30 a.m.  
Concluded at 11:55 a.m.

PLACE:

Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY:

TERRY WILHELMI, CCR  
Notary Public in and for  
the State of Florida  
at Large

APPEARANCES:

(As heretofore noted.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

WITNESSES

NAME :	PAGE NO.
DANIEL J. LAWTON, ESQUIRE	666
Direct Examination by Mr. Sayler	666
Prefiled Direct Testimony Inserted	669
Cross Examination by Mr. Guyton	746
Cross Examination by Ms. Barrera	775
Redirect Examination by Mr. Sayler	786
 H. KIM OUSDAHL	 799
Direct Examination by Mr. Butler	800
Prefiled Rebuttal Testimony Inserted	802
Cross Examination by Mr. Rehwinkel	819
Cross Examination by Mr. Moyle	824
Redirect Examination by Mr. Butler	838
 DR. TIMOTHY TAYLOR	 841
Direct Examination by Mr. Butler	841
Prefiled Rebuttal Testimony Inserted	844
Cross Examination by Mr. Truitt	856
Cross Examination by Mr. Moyle	860
Redirect Examination by Mr. Butler	868

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

EXHIBITS

NUMBER:	ADMITTED
Exhibits 35, 36, 37, 38 39	799
Exhibit 20	841
Exhibits 31 and 32	870

1 P R O C E E D I N G S

2 (Transcript follows in sequence from  
3 Volume 5.)

4 CHAIRMAN GRAHAM: Well, the Art Graham clock  
5 says 9:30 and I have a quorum. So, OPC, I believe  
6 you have a witness.

7 MR. SAYLER: Yes, sir. Good morning, Mr.  
8 Chairman, how are you doing this morning?

9 CHAIRMAN GRAHAM: Just fine.

10 MR. SAYLER: All right. The Office of Public  
11 Counsel would like to call Daniel J. Lawton,  
12 Esquire to the stand.

13 Whereupon,

14 DANIEL J. LAWTON, ESQUIRE

15 was called as a witness on behalf of Office of Public  
16 Counsel, and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. SAYLER:

19 Q Would you please state your name and business  
20 record -- excuse me, your name and business address  
21 for the record?

22 A Sure. My name is Daniel Lawton and my  
23 business address is 12600 Hill Country Boulevard,  
24 Austin, Texas.

25 Q And by whom are you employed?

1           A       I am self-employed. I have a law firm and a  
2 consulting practice.

3           Q       All right. And on whose behalf are you  
4 appearing today?

5           A       Office of Public Counsel.

6           Q       And did you prepare and submit prefiled  
7 testimony in this proceeding on September 22, 2014?

8           A       I did.

9           Q       All right. And do you have that testimony  
10 with you?

11          A       I do.

12          Q       And do you have any corrections or revisions  
13 to make to your prefiled direct testimony?

14          A       Not that I'm aware of at this time, no.

15          Q       Okay. And do you adopt your prefiled  
16 testimony as your testimony today?

17          A       I do.

18          Q       All right. And you are also sponsoring five  
19 exhibits to your testimony, those are Exhibits DJL-1  
20 through 5, is that correct?

21          A       Yes, it is.

22          Q       Okay.

23               MR. SAYLER: Commissioners, for the record,  
24 those are identified in Staff's comprehensive  
25 exhibit list as Exhibits 36 through 39.

1 CHAIRMAN GRAHAM: Duly noted.

2 BY MR. SAYLER:

3 Q All right. Mr. Lawton, do you have any  
4 changes to your exhibits?

5 A Not that I am aware of at this time.

6 MR. SAYLER: All right. Mr. Chairman, Office  
7 of Public Counsel would ask that the testimony of  
8 this witness be inserted into the record as though  
9 read.

10 CHAIRMAN GRAHAM: We will insert Mr. Lawton's  
11 prefiled direct testimony into the record as  
12 though read.

13 MR. SAYLER: All right, thank you.

14 (Whereupon, prefiled testimony was inserted.)

15

16

17

18

19

20

21

22

23

24

25



1 of legal practice include administrative law representing municipalities in  
2 electric and gas rate proceedings and other litigation and contract matters.  
3 I have included a brief description of my relevant educational background  
4 and professional work experience in my Exhibit \_\_\_\_ (Schedule DJL-1).

5

6 **Q. HAVE YOU PREVIOUSLY FILED TESTIMONY IN UTILITY**  
7 **RATE PROCEEDINGS?**

8 **A.** Yes. I have previously filed testimony in Florida and a number of  
9 jurisdictions across the country. A list of cases where I have previously  
10 filed testimony is included in my Exhibit \_\_\_\_ (Schedule DJL-1).

11

12 **Q. ON WHOSE BEHALF ARE YOU FILING TESTIMONY IN THIS**  
13 **PROCEEDING?**

14 **A.** I have been retained to review the Florida Power & Light Company  
15 (“FPL” or “Company”) Petition regarding FPL’s proposed gas exploration  
16 and production joint venture with PetroQuest Energy, Inc. (“the Woodford  
17 Project”) and its proposed guidelines for additional such ventures  
18 (“Petition”), on behalf of the Office of Public Counsel, State of Florida  
19 (“OPC”).

20

21 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS**  
22 **PROCEEDING?**

23 **A.** The purpose of my testimony in this proceeding is to address some of the

1 economic and regulatory policy issues surrounding the Company's  
2 Petition and its potential impacts on consumers if approved by the Florida  
3 Public Service Commission ("Commission"). Another OPC witness,  
4 Donna Ramas, will address other aspects of FPL's Petition.

5

6 **Q. WHAT MATERIALS DID YOU REVIEW AND RELY ON FOR**  
7 **THIS TESTIMONY?**

8 **A.** I have reviewed prior rate orders of the Commission, the Company's  
9 Petition and Direct Testimony of FPL witnesses Sam Forrest, Kim  
10 Ousdahl, and Dr. Tim Taylor, Company responses to interrogatories,  
11 financial reports of the Company and proposed Woodford Project partner,  
12 PetroQuest Energy, Inc. ("PetroQuest"), along with other information  
13 available in the public domain. When relying on various sources, I have  
14 referenced such sources in my testimony and/or attached Exhibits.

15

16 **Q. PLEASE SUMMARIZE YOUR CONCLUSIONS REGARDING**  
17 **THE REASONABLENESS OF FPL'S PROPOSED WOODFORD**  
18 **PROJECT AND ITS PROPOSED GUIDELINES FOR FUTURE**  
19 **SUCH JOINT VENTURES.**

20 **A.** My analysis of the Company's Petition is that it should not be approved by  
21 the Commission for the following reasons:

22

23 1. The capital investments and profits on those investments that  
24 FPL proposes to flow through the fuel cost recovery clause on

1 a preapproved basis would be made in the natural gas  
2 exploration, drilling, and production industry—a highly  
3 competitive market that is not regulated by the Commission.  
4 Such investments would not be part of FPL’s regulated  
5 monopoly utility operations and so would not be recovered  
6 through base rates that customers pay. Under the  
7 Commission’s fuel clause exception criteria, the investments  
8 should be ineligible for recovery through the fuel cost recovery  
9 clause. The fundamental role of the Commission is to protect  
10 customers from monopolistic excesses by serving as a  
11 substitute for competition. If the Commission were to grant  
12 FPL’s petition, the Commission would be instead requiring  
13 customers to protect FPL from competition (in a different,  
14 nonutility industry). Granting the petition would shift the risks  
15 of its gas exploration ventures onto its customers and require  
16 them to backstop FPL’s desire to diversify into a risky,  
17 competitive business.

18  
19 2. FPL’s claim that the Woodford Project venture with  
20 PetroQuest will generate savings for customers necessarily  
21 stems from the assumption that the price that FPL pays its  
22 subsidiary for the Woodford gas will be less than the market  
23 price of gas. In discovery, FPL provided recent historical data  
24 regarding the relationship between the cost of production in the

1 Woodford area and the market price of gas that belies this  
2 critical assumption. For the past four years (2010–2013), the  
3 cost of Woodford gas has exceeded the market price of gas—  
4 and the difference has been material.<sup>1</sup> Not surprisingly, given  
5 this relationship, the major players (including drillers who  
6 control far more acreage than PetroQuest) have virtually ceased  
7 new drilling activity in the Woodford area.<sup>2</sup> Thus, FPL’s claim  
8 that the market price of gas will be higher than its subsidiary’s  
9 costs of production plus FPL’s return on investment bears no  
10 relationship to recent past experience or current reality as  
11 evidenced by the actions of competitive oil and gas exploration  
12 and drilling firms.

13 3. FPL’s gas industry partner/ project operator, PetroQuest, says it  
14 does not know what will happen to the market price of gas over  
15 time.<sup>3</sup> Yet, in support of its Petition FPL purports to project  
16 the market price of gas over a 50-year period. In the face of  
17 historical data of an unfavorable relationship between the cost  
18 of Woodford gas and the market price of gas, in its projections  
19 FPL predicts that the project will generate savings for  
20 customers over the entire 50-year time horizon of the  
21 Woodford Project. Critical to the Company’s conclusion is  
22 FPL’s assumption that the market price of gas will increase

---

<sup>1</sup> See FPL’s Response to Staff’s Second Set of Interrogatories No. 75.

<sup>2</sup> “NGI’S North American Shale & Resource Plays Factbook” (2014), at pages 30-31. Also See Natural Gas Intelligence, [www.natgasintel.com/shaledaily](http://www.natgasintel.com/shaledaily)

<sup>3</sup> PetroQuest Energy, Inc. 2013 Annual Report, 10K at 20.

1           markedly in the near term—including an increase in the first  
2           five years of 50% and a year-over-year increase of over 22% in  
3           the 2017 to 2018 period alone.<sup>4</sup> Through such assumed  
4           increases in early years, in its 50-year exercise FPL builds  
5           substantial early year savings and a long-term trajectory of  
6           market prices higher than Woodford gas. These projected  
7           increases in the market price of gas naturally favor the  
8           economics of the Woodford project; however, they are  
9           inconsistent with recent history, current drilling activity, and  
10          much of what we know about the current supply and demand  
11          situation. In my view, FPL’s assumptions of early increases in  
12          the market price of gas relative to Woodford gas are  
13          unreasonable, bias the analysis in favor of the Woodford  
14          project, and render FPL’s conclusions unreliable.

- 15
- 16           4. FPL’s conclusions of benefits to customers also remain highly  
17           vulnerable to sensitivity analyses. Under reasonable and even  
18           conservative changes in assumptions of Woodford production  
19           and the rate of change of market prices, customers could  
20           realize a loss of the majority of FPL’s estimated savings, or  
21           even negative project savings (in the form of higher fuel cost  
22           recovery charges) relative to the market price of gas, or net  
23           benefits that would not be realized for decades.

---

<sup>4</sup> See Direct Testimony of FPL witness Sam Forrest at Exhibit SF-8, Column H, the natural gas market price for 2017 is \$4.70 which increases to \$5.74 in 2018 this is a 22.13% increase. Also see Table 2.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

5. While the conclusion of net savings is built on speculative and unsupported assumptions regarding the market price of gas, under its Petition FPL would be assured recovery of all of its costs, plus a handsome profit. FPL would bear zero risk; all risks of FPL's participation in the gas exploration and production business would be shifted to its customers. FPL's customers would effectively be required to become investors in a risky, unregulated industry.

6. If approved, FPL would earn approximately [REDACTED] of nominal after tax profits on the Woodford project while bearing zero risk.<sup>5</sup> However, the severely skewed nature of the risk/reward aspects of the Petition come into focus only when FPL's proposed guidelines are taken into account. FPL proposes to spend as much as \$750 million annually on similar ventures in future years.<sup>6</sup> Importantly, this is an annual spending limit, not a total cap: each year, under its proposed guidelines FPL could layer another \$750 million of capital investments in the gas industry on top of previous years.<sup>7</sup> Each such annual outlay of \$750 million would yield approximately \$47 million of after-tax profits annually.<sup>8</sup> In as little as ten

---

<sup>5</sup> See FPL's Response to OPC's 4<sup>th</sup> Request for POD's No. 12, Attachment 1.

<sup>6</sup> Direct Testimony of FPL witness Forrest at Exhibit SF-9, Guideline I:D.

<sup>7</sup> *Id.*

<sup>8</sup> Calculated employing 10.5% equity return, 59.6% equity ratio or  $(10.5\% * 59.6\%) = 6.258\%$  weighted cost of equity times \$750 million annual investment cap per Guidelines.

1                   years, FPL could earn hundreds of millions of dollars in profits  
2                   from its gas exploration joint ventures while requiring its  
3                   customers to shoulder 100% of the risk of those ventures—and  
4                   FPL’s excursions into the gas exploration industry would be  
5                   preapproved.

6  
7                   For all the above reasons I recommend that FPL’s Petition be denied.

8  
9                   **II: SUMMARY OF ISSUES ADDRESSED**

10                   **Q.    WHAT ISSUES DO YOU ADDRESS WITH REGARD TO THE**  
11                   **COMPANY’S PROPOSAL TO INVEST IN GAS EXPLORATION**  
12                   **AND PRODUCTION JOINT VENTURES AND TO PASS THE**  
13                   **INVESTMENT, EXPENSES, AND RETURN THROUGH THE**  
14                   **FUEL CLAUSE?**

15                   A.    I address first, whether FPL’s proposed transactions are inconsistent with  
16                   the ratemaking paradigm in Florida and second (assuming the proposal  
17                   survives this threshold determination) whether the proposal is reasonable  
18                   in light of the customer/shareholder equities.

19                   **Q.    HOW IS YOUR TESTIMONY ORGANIZED?**

20                   A.    In Section III of my testimony I provide an overview or summary of  
21                   FPL’s proposed Woodford Project.

22  
23                   Section IV addresses the regulatory and policy impacts and implications of

1 the proposed Woodford Project. I discuss that the Petition is inconsistent  
2 with the Commission's mandate to permit the collection of only  
3 reasonable costs and that the transactions contemplated by the Petition are  
4 inconsistent with the fuel cost recovery clause under the Commission's  
5 criteria. These are very important considerations that extend well beyond  
6 this docket: as I discuss below, it is not unrealistic to expect that an  
7 approval of the Woodford Project and FPL's proposed guidelines may  
8 lead most or every utility in Florida regulated by this Commission to seek  
9 similar riskless fuel investments with a guaranteed equity return.

10

11 In Section V, I specifically address FPL's economic valuation  
12 quantification. In this part of the testimony I demonstrate that FPL's  
13 forecast of long-term market natural gas prices, which is key to any  
14 economic evaluation of the proposed project, is skewed in favor of the  
15 project and its claim of over \$100 million of net benefits to customers is  
16 speculative and suspect.

17

18 In Section VI, I address specific company risk and risk-shifting issues  
19 surrounding the Woodford Project partner PetroQuest. I discuss and show  
20 how PetroQuest would be able to benefit under the terms of the  
21 agreements under the Woodford Project by shifting risks to FPL and how  
22 FPL in turn wishes to shift those same risks to its customers. Also, I  
23 address how PetroQuest's inability to forecast future natural gas prices,  
24 something PetroQuest candidly acknowledges, is a key risk factor facing

1 any drilling and exploration participant.

2

3 In Section VII of the testimony, I compare and contrast examples of past  
4 diversification efforts by electric utilities outside the core electric  
5 generation, transmission, and distribution services. I discuss how these  
6 efforts have been failures in many instances and in some cases caused  
7 financial harm to consumers. This is important because the proposed  
8 Woodford Project is an FPL diversification effort outside its core  
9 monopoly service business.

10

11 Section VIII addresses issues associated with FPL's proposed guidelines  
12 for future projects similar to the Woodford Project. Obviously, if the  
13 Commission denies the FPL proposal these guidelines become moot.  
14 However, if the Commission approves the proposed Woodford Project,  
15 then there are a number of issues that need to be addressed in FPL's  
16 guideline proposals.

17

18 Lastly, in Section IX I outline my conclusions and recommendations  
19 regarding FPL's Petition for approval of the Woodford Project. Each of  
20 the conclusions and or recommendations comes from the various  
21 testimony Sections outlined in the paragraphs above.

22

23 These issues and topics are addressed in the following testimony to arrive  
24 at a recommendation in this case.

1

2 **III: FPL WOODFORD PROJECT PROPOSAL OVERVIEW**3 **Q. PLEASE DESCRIBE AND SUMMARIZE FPL'S PETITION.**

4 A. The Company's primary request in this proceeding is a determination by  
5 the Commission that FPL's investment in a joint development agreement  
6 or venture with PetroQuest to develop gas reserves in Oklahoma would be  
7 a prudent investment venture for acquiring a portion of FPL's future  
8 natural gas supplies. Specifically, the Company requests the Commission  
9 to assure it that all venture-related costs, including the investment to  
10 develop these Oklahoma properties, plus a profit or shareholder return on  
11 this investment, and all ongoing operating expenses associated with  
12 developing and recovering these gas reserves may be recovered through  
13 the Company's Fuel Cost Recovery Clause ("Fuel Clause").<sup>9</sup>

14

15 Another element of FPL's Petition is a request that the Commission  
16 approve a set of guidelines for investing in additional gas reserve projects  
17 in the future, such that FPL would be presumptively eligible to recover the  
18 investment and associated revenue requirements through the Fuel Clause,  
19 so long as the future projects meet the guidelines.<sup>10</sup>

20

21 As administered by this Commission, the Fuel Clause is a rate mechanism  
22 that authorizes periodic adjustments to a factor designed to collect costs of  
23 purchasing fuel. The fuel mechanism or factor is subject to periodic

---

<sup>9</sup> Direct Testimony of FPL witness Forrest at 5:10-15.

<sup>10</sup> *Id.* at 5:22-23 through 6:1-4.

1 reconciliation of prior estimates through refunds or surcharges. Utilities  
2 do not make a profit on fuel costs passed through the clause. Only base  
3 rate-related capital expenditures are eligible for the fuel clause  
4 mechanism, and only upon meeting this Commission's established  
5 recovery criteria relating to fossil fuel savings projects.<sup>11</sup>

6

7 In this proceeding, through its Petition, the Company requests the  
8 Commission to expand the traditional Fuel Clause so that FPL can import  
9 investments in the gas exploration industry and require customers to bear  
10 not only the risk of market price volatility, but also all the investment risk  
11 associated with gas exploration and production. Under FPL's proposal,  
12 the Company would remain shielded from market related fuel price and  
13 fuel exploration risk; the traditional fuel clause mechanism could become  
14 an additional vehicle for all Florida utility companies to safely expand  
15 opportunities for future shareholder earnings. This is not the purpose of  
16 the fuel clause recovery mechanism in Florida.

17

18 **Q. PLEASE PROVIDE AN OVERVIEW OF THE PROPOSED FPL**  
19 **WOODFORD PROJECT.**

20 A. The proposed Woodford Project transaction entails the following:

21

---

<sup>11</sup> See generally Docket No. 100404-EI, Order No. PSC-11-0080-PAA-EI (January 31, 2011), pages 6-10 and Attachment A.

- 1           i. PetroQuest is a publicly traded independent oil and gas  
2           company engaged in the acquisition, exploration, development,  
3           and operation of oil and gas properties in Oklahoma, Texas,  
4           and offshore Gulf Coast Basin.<sup>12</sup> FPL's affiliate, USG  
5           Properties Woodford I, LLC, ("USG"), entered into a joint  
6           venture with PetroQuest (the June 18, 2014 PetroQuest  
7           Agreement). FPL proposes to acquire USG's interest and to  
8           recover all the purchase investment, other capital expenditures,  
9           and operating costs through the Fuel Clause.<sup>13</sup> FPL's initial  
10          buy in cost is estimated at \$68.4 million<sup>14</sup>;
- 11
- 12          ii. Under FPL's proposal, FPL would be a working interest  
13          partner with PetroQuest. Thus, under the Woodford Project  
14          FPL would pay a share of the cost for developing, drilling, and  
15          operating natural gas wells in the Oklahoma Woodford Shale  
16          Gas region. In return, FPL would receive a portion of the  
17          PetroQuest interest in the gas produced by the wells<sup>15</sup>;
- 18
- 19          iii. FPL's obligations under the PetroQuest Agreement would be to  
20          pay PetroQuest a carry or premium for its working interest.  
21          Per the Agreement, FPL would be obligated to pay [REDACTED] and  
22          PetroQuest would pay the remaining [REDACTED] of the capital

---

<sup>12</sup> Yahoo Finance at [www.finance.yahoo.com](http://www.finance.yahoo.com)

<sup>13</sup> *Id.* at 5.

<sup>14</sup> See FPL's Response To Staff's Second Set of Interrogatories No. 14.

<sup>15</sup> Petition at 5.

1 expenditures for development and drilling costs for each well.<sup>16</sup>  
2 FPL would be entitled to [REDACTED] of the PetroQuest output  
3 entitlement and PetroQuest would be entitled to [REDACTED] of the  
4 well output<sup>17</sup>;

5  
6 iv. FPL would be obligated to participate in a minimum of 15  
7 wells by the end of 2015 and up to 38 wells under the  
8 Agreement<sup>18</sup>;

9  
10 v. FPL estimates its initial capital cost for USG's current interest  
11 at net book value would be \$68.4 million, assuming  
12 Commission approval and transfer of interest from USG to  
13 FPL on January 1, 2015<sup>19</sup>;

14  
15 vi. The total project capital expenditures for FPL under the Project  
16 Agreements are estimated to be approximately \$191 million<sup>20</sup>;

17  
18 vii. FPL would have to provide PetroQuest notice of consent or  
19 non-consent for each proposed well<sup>21</sup>;

20

---

<sup>16</sup> Direct Testimony S. Forrest at Exhibit SF-6, page 3, Confidential.

<sup>17</sup> Direct Testimony S. Forrest at Exhibit SF-6, page 3, Confidential.

<sup>18</sup> FPL's Response to Staff Request 2-79.

<sup>19</sup> See FPL Petition at 17.

<sup>20</sup> *Id.*

<sup>21</sup> FPL's Response to Staff Request 2-79.

1           viii. FPL would have to pay both its working interest share of  
2           capital expenditures plus the agreed upon carry amount of  
3           capital expenditures for each well in which FPL participates<sup>22</sup>;

4  
5           ix. FPL would have to pay its working interest share of the  
6           PetroQuest operating expenses for each well in which FPL  
7           participates<sup>23</sup>; and

8  
9           x. FPL would have to pay PetroQuest for FPL's portion of royalty  
10          payments.<sup>24</sup>

11  
12          In support of its Petition, FPL claims that the project holds "potential"  
13          benefits for customers of \$106.9 million over the assumed 50-year project  
14          life.<sup>25</sup>

15  
16          **Q. IN PLEADINGS IN THIS CASE, FPL DISPUTES THAT IT**  
17          **WOULD BE EARNING A PROFIT ON THE PROJECTS UNDER**  
18          **ITS PROPOSAL. PLEASE COMMENT.**

19          **A.** FPL asserts it "... is seeking to recover only its actual costs for the  
20          projects (including its Commission-authorized rate of return on  
21          investment), no different than any other project or investment made in

---

<sup>22</sup> *Id.*

<sup>23</sup> *Id.*

<sup>24</sup> *Id.*

<sup>25</sup> Direct testimony Sam Forrest Exhibit SF-8, Page 1 of 1.

1 furtherance of providing electric service.”<sup>26</sup> FPL, like other corporations,  
2 is in the business of making money for its shareholders. The “cost” of  
3 acquiring equity capital means simply that investors expect a certain level  
4 of profitability to inure to them when they buy shares of a corporation; the  
5 “rate of return on investment” is a metric that measures profitability by  
6 relating the earnings (profit) to the amount of capital invested. However,  
7 the Commission prohibits utilities from making a profit on fuel costs that  
8 flow through the Fuel Clause.<sup>27</sup>

9

10 **Q. IN ITS PETITION AND PROPOSED GUIDELINES, FPL CLAIMS**  
11 **THAT THE WOODFORD PROJECT PROPOSAL IS A FORM OF**  
12 **A LONG-TERM PHYSICAL HEDGING FOR NATURAL GAS.**  
13 **PLEASE COMMENT.**

14 **A.** I disagree with FPL’s characterization. It would be more correct to  
15 conclude that the Woodford Project puts the typical FPL customer in the  
16 risk position of an oil and gas exploration and drilling speculator.  
17 Hedging, like FPL’s financial hedging program, involves locking in a  
18 future price to avoid the adverse effects of price fluctuations. Hedging  
19 does not lower costs or create savings but rather stabilizes prices over  
20 time. FPL’s portrayal of the Petition as a hedging mechanism is at odds  
21 with its representation that customers will likely see a lower cost of gas if  
22 its Petition is granted.

---

<sup>26</sup> See FPL’s Response In Opposition To Office Of Public Counsel’s Motion To Dismiss FPL’s June 25, 2014 Petition For Lack Of Subject Matter Jurisdiction (Filed August 29, 2014) at 10.

<sup>27</sup> Order No. PSC-11-0579-FOF-EI, issued in Docket No. 110001-EI on December 16, 2011, at page 6.

1

2 A physical hedge would be a bilateral contract for gas at a fixed price.

3 The Woodford investment has been presented not as a hedging vehicle,

4 but rather as an investment in potential gas reserves that may result in

5 savings if numerous assumptions turn out correct over the next 50 years.

6 Under the proposed Woodford venture, FPL consumers are getting no

7 protection against future market swings that one would find in a hedging

8 instrument. Instead, consumers will bear whatever costs and risks that the

9 market and circumstances bring to the Woodford venture. For these

10 reasons I do not agree with FPL's physical hedge characterization for the

11 Woodford project.

12

13 **IV: REGULATORY POLICY IMPLICATIONS OF THE PROPOSED**14 **WOODFORD PROJECT**15 **Q. PLEASE DESCRIBE THE FUEL CLAUSE MECHANISM.**16 **A.** The Commission in Order No. PSC-11-0080-PAA-EI outlines the history of

17 the Fuel Clause and current fuel mechanism. As in most regulatory

18 jurisdictions around the country, the purpose of the fuel clause mechanism

19 in Florida is:

20 ... a regulatory tool designed to pass to utility  
21 customers the costs associated with fuel  
22 purchases. The purpose is to prevent regulatory  
23 lag, ... [r]egulatory lag has historically been a  
24 problem for utilities because of the volatility of  
25 fuel costs. It is not as much of a problem,  
26 however, when expenses, such as capital  
27 improvements, and operations and management

1 costs, can be planned for and included in base rate  
2 calculations.<sup>28</sup>

3

4 Over the years, the fuel clause has been adjusted a number of times  
5 addressing both frequency of fuel filings, use of historical or projected  
6 data, and identification of costs and exceptions that are allowable under  
7 the fuel clause.<sup>29</sup> Fuel filings are now annual and based on projected data  
8 that is ultimately reconciled to actual costs.<sup>30</sup>

9

10 In terms of the types of costs that are exceptions or would normally be  
11 recovered through base rates the Commission's fuel mechanism policy is  
12 flexible enough to recognize:

13 ... recovery through the fuel adjustment clauses  
14 of expenses normally recovered through base  
15 rates when utilities are in a position to take  
16 advantage of a cost-effective transaction, the  
17 costs of which were not recognized or  
18 anticipated in the level of costs used to establish  
19 the utility's base rates.<sup>31</sup>

20

21 Thus, there is a threshold requirement that costs must first be eligible for  
22 base rates in order to be considered for the fuel cost recovery clause. The  
23 proposed capital investments described by FPL would be made in  
24 conjunction with FPL's decision to diversify into a separate, unregulated  
25 industry. The proposed investments are not related to FPL's regulated

---

<sup>28</sup> In re: Petition by Florida Power & Light Company to recover Scherer Unit 4 Turbine Upgrade costs through environmental cost recovery clause or fuel cost recovery clause, Docket No. 100404-EI, Order No. 11-0080-PAA-EI (January 31, 2011) at 6.

<sup>29</sup> *Id.*

<sup>30</sup> *Id.*

<sup>31</sup> *Id.* at 7. Citing the Stipulation of the Parties adopted by the Commission in Order No. 14546.

1 monopoly utility business that is supported by customers through the base  
2 rates that they pay; therefore, these proposed investments do not appear to  
3 qualify for base rates.

4

5 **Q. DO PAST REGULATORY DECISIONS BY THE COMMISSION—**  
6 **FOR EXAMPLE, ALLOWING FPL TO PURCHASE RAIL CARS**  
7 **AND FLOW THEM THROUGH THE FUEL COST RECOVERY**  
8 **CLAUSE—SUPPORT FPL’S REQUEST IN THIS CASE?**

9 **A.** No. The purchase of rail cars for coal transportation was evaluated as a  
10 lower cost alternative to leasing the same equipment. Thus, like many  
11 corporate decisions made by FPL, the lower cost alternative between  
12 owning and leasing, ultimately the lowest cost or most beneficial route  
13 was selected and ultimately approved by this Commission.<sup>32</sup> But, this own  
14 or lease alternative of rail cars is a very different choice compared to  
15 choosing between leasing rail cars or *manufacturing* rail cars.  
16 Theoretically, if given certain regulatory guarantees, FPL may in fact be  
17 able to manufacture rail cars at a lower cost than leasing or purchasing in  
18 the open market. Nevertheless, allowing FPL to manufacture rail cars and  
19 guaranteeing FPL a return on investment for a rail car manufacturing  
20 facility would go well beyond the essential electric utility functions of  
21 generation, transmission, and distribution of electricity. Moreover, an  
22 unregulated and competitive market for the manufacturing of rail cars  
23 exists, but if the Commission were to authorize FPL a regulatory return

---

<sup>32</sup> See Docket No. 100404-EI, Order No. PSC-11-0080-PAA-EI, (January 31, 2011) at 9, citing Order No. PSC-95-1089-FOF-EI (September 5, 1995).

1 and cost recovery, FPL's customers would be guaranteeing FPL's profits  
2 and insulating it from the necessity of competing in that market.

3 FPL's Woodford Project proposal in this case is analogous to the rail car  
4 *manufacturing* example above. In other words, regulatory authority would  
5 be employed outside the core area of the natural monopoly and the result  
6 would be to insulate FPL from the risks of competing with non-regulated  
7 firms in non-regulated competitive markets, through the use of the powers  
8 of the Commission and the wallets of FPL's customers.

9

10 **Q. EARLIER, YOU SAID THAT APPROVING FPL'S PETITION**  
11 **WOULD HAVE IMPLICATIONS FOR THE FUTURE**  
12 **OPERATION OF THE FUEL CLAUSE IN FLORIDA. PLEASE**  
13 **EXPLAIN WHAT YOU MEAN.**

14 A. If the Commission shields an electric utility from risks in the competitive  
15 oil and gas exploration and drilling business by transferring the risks to the  
16 utility's customers through the operation of the Fuel Clause, the decision  
17 could create incentives that would negatively impact customers' costs.  
18 Other participants in the competitive market must factor market conditions  
19 into a decision to produce or not to produce. However, a utility that has  
20 received "preapproval" of its project and assured recovery of its  
21 investment and operating costs would have an incentive to disregard those  
22 market signals. Such incentives could turn the Fuel Clause from a  
23 mechanism designed to filter out unreasonable costs to one that

1 encourages a utility to disregard cost levels. I illustrate this point further,  
2 using the Woodford Project as an example, later in this testimony.

3

4 **V: FPL'S WOODFORD PROJECT COST/BENEFIT ANALYSIS**

5 **Q. A SECOND REQUIREMENT UNDER THE ORDER NO. 14546**  
6 **FUEL EXCEPTION IS A REQUIREMENT THAT THE**  
7 **INVESTMENT, (IN THIS CASE THE WOODFORD PROJECT) "IF**  
8 **EXPENDED WILL RESULT IN FUEL SAVINGS TO**  
9 **CUSTOMERS." ON WHAT ECONOMIC BASIS DOES FPL SEEK**  
10 **TO JUSTIFY ITS REQUEST FOR AUTHORITY TO COLLECT**  
11 **WOODFORD PROJECT COSTS THROUGH THE FUEL**  
12 **CLAUSE?**

13 **A.** In support of its Petition FPL relies principally on a "base case" analysis  
14 in which it claims that the project holds "potential" benefits for customers  
15 of \$106.9 million over the assumed 50-year project life.<sup>33</sup>

16

17 **Q. WHAT IS THE BREAKDOWN OF THE OPERATING COSTS**  
18 **RETURN ON CAPITAL AND PROFIT THAT FPL ESTIMATES**  
19 **FOR THIS PROJECT?**

20 **A.** The Company's specific economic analysis can be found in Confidential  
21 Exhibit SF-8 of Mr. Forrest's direct testimony. Some of Exhibit SF-8 is  
22 not designated Confidential and I discuss these non-confidential items  
23 below. This 50-year economic analysis or project life-cycle analysis

---

<sup>33</sup> Direct testimony Sam Forrest Exhibit SF-8, Page 1 of 1.

1 (covering the period 2015 through 2065) develops the expected annual gas  
2 production output (Exhibit SF-8 at Column “B”), and the expected annual  
3 revenue requirement (including all operating costs and requested  
4 shareholder profits in Column “F”), and computes an annual unit cost of  
5 gas from the participation in the Woodford Project in Column (“G”).<sup>34</sup>  
6 These forecasts of gas costs from participation in the Woodford Project  
7 are compared to FPL’s forecast of market prices of gas for the next 50  
8 years shown in Column (“H”).<sup>35</sup> FPL then compares the annual  
9 projections of the Woodford Project gas acquisition costs and requested  
10 return on investment with the Company’s forecast of the annual market  
11 price of the natural gas alternative. The difference between the Woodford  
12 Project annual unit cost and the annual forecasted market unit cost of gas  
13 is the claimed annual nominal savings to customers. These annual  
14 nominal cost differences are then multiplied by the expected annual  
15 Woodford Project gas output to arrive at a total annual forecasted cost  
16 difference between the Woodford Project and market purchases. These  
17 estimated annual cost differences are shown in Mr. Forrest’s testimony at  
18 Confidential Exhibit SF-8, Column (“I”). The nominal annual cost  
19 differences of the Woodford Project are then discounted to a net present  
20 value using a 7.5% discount rate to arrive at the claimed \$106.9 million of  
21 projected Project savings for customers. This net present value estimate is  
22 shown in Mr. Forrest’s testimony at Confidential Exhibit 8, Column

---

<sup>34</sup> The forecasted annual cost of gas over the 50-year time horizon measure in (\$/MMBtu) is shown in the Direct Testimony of Sam Forrest Confidential Exhibit SF-8, at Column G. These annual amounts are estimated by dividing annual estimated revenue requirements (Column F) by annual estimated gas production (Column B).

<sup>35</sup> Direct testimony Sam Forrest Exhibit SF-8, Page 1 of 1

1 (“K”).

2 To illustrate how the analysis is constructed, I have summarized the non-  
3 confidential project totals in the Table 1 below.

4 **TABLE 1**

5 **FPL’S ESTIMATED WOODFORD PROJECT LIFE CYCLE**

6 **SAVINGS**

YEARS	WOODFORD PROJECT OUTPUT (BCF)	WOODFORD PROJECT REVENUE REQUIREMENT	WOODFORD AVERAGE UNIT COST	FPL MARKET PRICE FORECAST	FPL CLAIMED NOMINAL SAVINGS	NPV SAVING
2015- 2065	137.8	\$709.4 (\$MM)	\$5.148 (\$/MMBTU)	\$8.01 (\$/MMBTU)	\$394.7 (\$MM)	\$106.9 (\$MM)

7

8 As shown in Table 1, FPL estimates that this project will produce 137.8  
9 Bcf of gas over the 50-year projected project life. FPL estimates that the  
10 50-year Project life operating expenses will be \$323.2 million,  
11 depreciation expense will be \$190.8 million, and the investment return  
12 requirements consisting of debt cost, shareholder profit, and associated  
13 income taxes will total \$195.5 million for a total forecasted Woodford  
14 Project revenue requirement cost of \$709.4 million.<sup>36</sup> The average unit  
15 cost of gas from the Woodford Project is the result of the ratio of projected  
16 Woodford Project revenue requirement of \$709.4 million to projected  
17 Woodford Project output of 137.8 Bcf of gas, resulting in an average price

<sup>36</sup> *Id.* The operating expenses, depreciation expenses, and return on investment are combined to the \$709.4 mm in Column 3 of Table 1 Revenue Requirement.

1 of \$5.148 per MMBtu over the expected project life. FPL's analysis  
2 compares these annual Woodford Project forecasts of gas costs resulting  
3 from the Woodford Project revenue requirements to the Company's  
4 forecast of annual future natural gas market prices to estimate annual  
5 Woodford Project net savings. I have provided in Table 1 the average  
6 natural gas market price and resulting nominal savings FPL claims will  
7 result if these 50-year forecasts and all Woodford Project assumptions  
8 hold true over the 50-year time horizon of the forecast. Under FPL's  
9 estimates and assumptions the Woodford Project will result in \$394.7  
10 million of forecasted gas cost savings versus the 50-year gas market price  
11 forecast. This \$394.7 million of nominal project savings implies an FPL  
12 average forecast natural gas price of \$8.01 (( $\$394.7 \text{ nominal savings} +$   
13  $\$709.4 \text{ Revenue Requirement}$ )/137.8 Bcf output). Lastly, these \$394.7  
14 million of projected nominal savings is discounted to a net present value  
15 of \$106.9 million employing the 7.5% discount rate.

16

17 **Q. DOES FPL GUARANTEE FUEL SAVINGS FROM THE**  
18 **WOODFORD PROJECT?**

19 **A.** No, it does not. The \$106.9 million of Woodford Project net present value  
20 savings are a projection by FPL, not a guarantee.<sup>37</sup> If natural gas market  
21 prices or Woodford Project projections are different and more negative  
22 than the levels projected by FPL, customers will have lower than the

---

<sup>37</sup> See FPL's Response to Staff's 2<sup>nd</sup> Set of Interrogatories No. 93.

1 estimated savings and potentially negative savings.<sup>38</sup> The only guarantee  
2 under FPL's Woodford Project proposal is that no matter how the cost  
3 projections or forecasts of natural gas prices turn out, FPL will collect its  
4 investment, operating costs, and profits. In the current Woodford Project  
5 proposal FPL will earn approximately [REDACTED]<sup>39</sup> in additional  
6 nominal profits whether this project produces a dime of consumer savings,  
7 over the 50-year life of the project.

8

9 FPL obviously has an economic incentive to get this proposed project  
10 approved, up, and running. Further, FPL stands to gain additional annual  
11 earnings or profits of approximately \$47 million per year if the maximum  
12 investment level for each year is met under the proposed Guidelines for  
13 future projects.<sup>40</sup> The \$47 million is not a total, cumulative figure; each  
14 year, through additional joint ventures with gas production companies, this  
15 level of profits could be added to prior profit levels. Because of the "true  
16 up" feature of the fuel cost recovery clause, these project investment  
17 amounts would be guaranteed recovery for FPL. The potential over the  
18 next number of years for future guaranteed profits in the many hundreds of  
19 millions of dollars is additional incentive for FPL to support this proposal.

20

---

<sup>38</sup> *Id.*

<sup>39</sup> See FPL Confidential Response to OPC 3<sup>rd</sup> Request, No. 37(c). Also, see Confidential Response to OPC 4<sup>th</sup> Request for POD's, Request No. 12, Attachment 1.

<sup>40</sup> Calculated as weighted equity return of (10.5% ROE \* 59.6% Equity level) \* \$750,000,000 Guideline maximum annual investment level.

1 **Q. WILL THERE BE A NEGATIVE IMPACT ON AVAILABILITY**  
2 **OR PRICE OF GAS TO FPL CUSTOMERS THROUGH THE FUEL**  
3 **CLAUSE IF THE WOODFORD PROJECT IS REJECTED?**

4 **A.** No. The Woodford Project has no impact on natural gas supplies  
5 available to FPL for generation of electricity. The proposed Woodford  
6 Project has nothing to do with risks to supply. Instead, FPL claims  
7 ownership of gas reserves can benefit customers by lowering gas prices.  
8 But customers would bear all the risks of FPL ownership initiative. Thus,  
9 FPL's proposal would require Florida electric customers to become  
10 speculators in the risky natural gas reserve, exploration, and drilling  
11 industry. If the investment guess is correct FPL will profit and customer  
12 savings will occur; if not, FPL will profit to the same extent, but  
13 customers may pay more than the market cost of gas.

14

15 The true beneficiaries under FPL's Petition are FPL's shareholders. The  
16 Company would be able to expand capital expenditures and earnings  
17 growth through the fuel clause mechanism and be guaranteed a profit at no  
18 risk. Under its proposed criteria over time FPL's shareholders would have  
19 the potential to gain many hundreds of millions of dollars in additional  
20 earnings at zero risk.

21

22 **Q. IN YOUR OPINION, WHAT ARE THE KEY COMPONENTS OF**

1           **THE FPL PROPOSED PROJECT LIFE CYCLE ANALYSIS YOU**  
2           **DESCRIBED ABOVE?**

3    **A.**    First, it must be remembered that this is a 50-year estimate. Obviously,  
4           actual results will be different from these forecasts. The key drivers in the  
5           economic evaluation of the Woodford project proposal are the  
6           reasonableness of the projections of gas output from the Woodford  
7           project, the reasonableness of costs and revenue requirement estimates for  
8           FPL's proportionate share of ownership in the Woodford project, and the  
9           reasonableness of the forecasts of the market price alternative for natural  
10          gas. With respect to the project's output of gas over time, FPL employs a  
11          ten percent sensitivity factor, asserting that a ten percent up or down factor  
12          of estimated output is a value commonly employed in the industry. I have  
13          no reason to doubt FPL's claim regarding what the industry uses to modify  
14          estimates of the ability to extract identified resources in gas reserves. I  
15          would note, however, that this ten percent factor does not take into  
16          account structural changes that may occur over the 50-year project life  
17          regarding such contingencies as new legislation and regulatory changes. In  
18          any event, a review of the underlying sensitivity analyses discussed at  
19          page 38 of Mr. Forrest's testimony indicates that the output sensitivity  
20          factor has a smaller impact than market price forecast on the economics of  
21          the Woodford project.

22          The second economic driver is the costs of producing the Woodford  
23          Project gas. FPL's proposed subsidiary will simply provide capital to

1 PetroQuest; PetroQuest will operate the venture and incur the production  
2 costs. Just as legislative, regulatory, or other structural changes can affect  
3 the output of the Woodford Project during its expected 50 years of  
4 operation, they can affect PetroQuest's production costs. Unlike the  
5 assumptions as to output, FPL has not accounted for the risk of greater-  
6 than-projected production costs in any sensitivity analysis. Moreover, as  
7 OPC witness Donna Ramas observes in her testimony, the Commission  
8 has no authority to audit PetroQuest's production costs for reasonableness.

9 The third and probably key economic variable—the future prices of  
10 natural gas—is a wild card. FPL and PetroQuest cannot predict future  
11 market prices for natural gas—a fact that PetroQuest readily  
12 acknowledges.<sup>41</sup> The unknowable nature of future prices of natural gas  
13 and oil is one of the reasons natural gas and oil exploration and drilling is  
14 a risky business. For this proceeding, FPL forecasts annual future natural  
15 gas prices over a 50-year period. FPL concludes that its estimates of  
16 annual future gas prices are higher than the Company's estimates of the  
17 annual gas costs from the Woodford Project; thus FPL concludes  
18 customers benefit under the Woodford Project.

19

20 **Q. HAVE YOU REVIEWED THE FPL FORECAST OF FUTURE**  
21 **MARKET PRICES?**

22 **A.** I have reviewed the FPL market price forecasts of natural gas presented in

---

<sup>41</sup> PetroQuest Energy, Inc., Annual Report at 20, (2013)

1 Mr. Forrest's Exhibit SF-8 and evaluated the annual increases embodied in  
2 these estimates. The following table shows FPL's proposed annual  
3 Woodford Project output gas production, Woodford estimated cost per  
4 unit of gas in \$/MMBtu, FPL's market price forecasts, along with the  
5 annual percentage changes in these FPL estimates. I have also included  
6 the compound annual growth rate ("CAGR") for FPL's Woodford Project  
7 cost estimate and the Company's forecast of natural gas market prices.

8

9

10

11

12

13

14

15

16 (intentionally left blank)

17

18

19

20

1  
2  
3  
4**TABLE 2**

**FPL FORECAST ESTIMATES OF WOODFORD PROJECT  
OUTPUT, UNIT COSTS, AND FUTURE NATURAL GAS MARKET  
PRICES 2015 THROUGH 2024**

YEAR	WOODFORD OUTPUT (Bcf) <sup>42</sup>	CUMULATIVE PERCENT OUTPUT	FORECAST WOODFORD COST PER \$/MMBtu <sup>43</sup>	ANNUAL PERCENT CHANGE	FPL FORECAST MARKET PRICE <sup>44</sup>	ANNUAL PERCENT CHANGE
2015	15.6	11.32%	\$3.48	—	\$4.02	—
2016	16.8	23.51%	\$3.56	2.30%	\$4.30	6.97%
2017	11.3	31.71%	\$4.00	12.36%	\$4.70	9.30%
2018	8.7	38.03%	\$4.40	10.00%	\$5.74	22.12%
2019	7.1	43.18%	\$4.96	12.73%	\$6.03	5.05%
2020	6.1	47.61%	\$4.79	-3.43%	\$6.13	1.66%
2021	5.3	51.45%	\$4.94	3.13%	\$6.33	3.26%
2022	4.7	54.86%	\$5.08	2.83%	\$6.63	4.74%
2023	4.3	57.98%	\$5.21	2.56%	\$6.73	1.51%
2024	3.9	60.81%	\$5.34	2.50%	\$7.03	4.46%
TOTAL AT 2064- 65	137.8	100%	\$12.8145	2.70% CAGR	\$31.5146	4.29% CAGR

5

<sup>42</sup> Direct Testimony Sam Forrest at Exhibit SF-8, Column B.

<sup>43</sup> *Id.* at Column G

<sup>44</sup> *Id.* at Column H

<sup>45</sup> OPC's 4<sup>th</sup> Request for POD's, Request No. 12, Attachment 1.

<sup>46</sup> *Id.*

1 The Woodford Project output is substantial in the early years. For  
2 example, by 2018, during which FPL projects the market price will  
3 increase by about 22% over the prior year, over a third of total output has  
4 been recovered. When asked in discovery to support the 22% projected  
5 increase for the period 2017 to 2018, other than the statement that the  
6 Company transitioned to a different market price forecasting method  
7 during this period, FPL failed to provide a credible economic basis or  
8 explanation for the substantial market forecast increase.<sup>47</sup> I do not regard  
9 that answer as credible support for such an assumption.

10

11 By 2024, the tenth year of the 50-year project, over 60% of the projected  
12 output is recovered. Thus, early year forecasts will have a larger impact  
13 on project economics. Early year higher output levels also lowers the  
14 Woodford Project per unit cost as well. In year 2015 the projected  
15 Woodford Project per unit cost of gas is \$3.48. Between 2016 and 2017  
16 when annual output declines from 16.8 Bcf to 11.3 Bcf or (about a 33%  
17 decline) Woodford unit cost goes from \$3.56 in 2016 to \$4.00 in 2017  
18 which is a 12.4% increase in Woodford cost. I have included the  
19 Woodford per unit cost and percentage changes in Table 2. I also  
20 estimated FPL's claimed Woodford Project cost CAGR to be 2.70%.

21

22 FPL's forecast of alternative market natural gas prices starts out at \$4.02  
23 for 2015 and increases substantially through 2020. Significantly, during

---

<sup>47</sup> OPC's 4<sup>th</sup> Set of Interrogatories Question No. 61.

1 the early stages of the Woodford Project (2015 through 2020), a period in  
2 which *FPL projects substantial market price increases* (about 52.5%  
3 increase in the price of natural gas in this period \$4.02 to \$6.13) almost  
4 half of the expected total gas recovery from the Woodford Project is  
5 accomplished. The remaining 50% of gas expected from the Woodford  
6 Project will be recovered over the remaining life of the project. I am aware  
7 of no reason or factor impacting gas markets that supports such substantial  
8 price changes during the 2015 to 2020 period.

9

10 The bottom line is that FPL starts out with a low cost for the Woodford  
11 Project compared to FPL's forecast of alternative market prices for natural  
12 gas. FPL then estimates that future natural gas market prices will increase  
13 at a much faster rate than Woodford Project costs. Under FPL's  
14 assumptions the end result of FPL's exercise is a mathematical certainty,  
15 Woodford will always cost less in FPL's model. The question that needs  
16 to be addressed is whether FPL's assumptions are reasonable and reliable.

17

18 **Q. HOW SENSITIVE TO CHANGES IN THE PROJECTED MARKET**  
19 **PRICES IS FPL'S CLAIM OF NET BENEFITS TO CUSTOMERS?**

20 A. The amount of benefits is very sensitive to changes in market price  
21 assumptions. FPL includes low and high sensitivity analyses for its natural  
22 gas market price forecast.<sup>48</sup> When the FPL low natural gas price

---

<sup>48</sup> Direct Testimony S. Forrest at 37- 38.

1 sensitivity analysis is combined with a 10% reduction in projected  
2 Woodford output, the economics of the entire Woodford Project become  
3 negative for consumers during all years of the project.<sup>49</sup> Alternatively,  
4 when only future gas prices are lowered and all other FPL assumptions  
5 remain the same as FPL has presented, customer net present value savings  
6 amount to only \$10.3 million over the 50-year life of the project.<sup>50</sup> This  
7 low price sensitivity case represents a 90.4% reduction to FPL's base case  
8 estimate of \$106.9 million of savings. Under this scenario of lower  
9 market prices and all other FPL assumptions being correct, customers do  
10 not receive cumulative positive net present value benefits from the project  
11 until 2037.<sup>51</sup> In other words, all benefits come from the back end of the 50-  
12 year project. I have included in Confidential Schedule (DJL-2) a summary  
13 of the annual benefits showing that the first year of cumulative customer  
14 benefits occur in 2037. This amount of forecast benefit is not worth all the  
15 risks being imposed on customers over the 50-year life of the Woodford  
16 Project.

17

18 **Q. WOULD FPL LOSE MONEY IF THE FORECAST OF NATURAL**  
19 **GAS RECOVERY, REVENUE REQUIREMENTS, OR**  
20 **FORECASTS OF FUTURE MARKET NATURAL GAS PRICES IS**  
21 **DIFFERENT FROM THOSE PROJECTED?**

22 **A.** No. FPL would recover all its operating costs, investment, taxes, and earn

---

<sup>49</sup> *Id.* at 38.

<sup>50</sup> *Id.*

<sup>51</sup> See Confidential Schedule (DJL-2)

1 a guaranteed profit no matter how these estimates turn out. As I discuss  
2 above, in the scenario where one assumes all of FPL's assumptions are  
3 correct except the low natural gas market price forecast assumption is  
4 employed, customers would receive a net present value benefit of \$10.3  
5 million. FPL will receive added nominal profits of about [REDACTED]  
6 over the project 50-year life. No matter what happens regarding FPL's  
7 assumptions, FPL would earn the guaranteed profit through the fuel  
8 mechanism.

9

10 **Q. HAVE YOU REVIEWED OTHER FPL SENSITIVITY CASES?**

11 **A.** Yes, I have. Another example is the sensitivity case where FPL employs  
12 its low market price forecast and its high estimate of Woodford natural gas  
13 output. All other FPL assumptions remain as assumed in the Company's  
14 projections. FPL concluded that customer net present value benefits from  
15 the 50-year project would be \$34.1 million.<sup>52</sup> This sensitivity case  
16 demonstrates that the projected net benefits for customers would be about  
17 68% lower than FPL's \$106.9 million base case projection under these  
18 assumptions. What FPL and Mr. Forrest do not say is that consumers  
19 must wait until 2020 before net benefits turn positive for customers. I  
20 have included Schedule (DJL-3) showing these calculations. Under this  
21 sensitivity scenario FPL will earn its guaranteed [REDACTED] equity  
22 return.

23

---

<sup>52</sup> Direct Testimony S. Forrest at 38:8-12.

1 Of course, all of FPL's projections and scenarios depend on the validity of  
 2 its initial, underlying assumption regarding a favorable relationship  
 3 between Woodford Project production costs and the market price. That  
 4 assumption is itself not supported by available data.

5

6 **Q. WHAT DOES HISTORICAL EVIDENCE SHOW REGARDING**  
 7 **THE RELATIONSHIP BETWEEN THE WOODFORD SHALE**  
 8 **NATURAL GAS PRODUCTION COST AND ACTUAL MARKET**  
 9 **PRICES FOR NATURAL GAS?**

10 **A.** In response to Staff's 2<sup>nd</sup> Set of Interrogatories, No. 75, FPL provided  
 11 historical information showing historical cost of production from the  
 12 Woodford Shale area of Oklahoma versus the historical natural gas market  
 13 price as measured by the NYMEX Henry Hub. I have included in Table 3  
 14 below the historical Woodford costs and actual market gas prices.

15

**TABLE 3<sup>53</sup>**

16 **ACTUAL PRODUCTION COST VERSUS ACTUAL MARKET PRICE**

	<b>2010</b>	<b>2011 1H</b>	<b>2011 2H</b>	<b>2012 1H</b>	<b>2012 2H</b>	<b>2013 1H</b>	<b>2013 2H</b>
<b>Production Cost</b>	\$4.75	\$4.96	\$4.40	\$4.11	\$3.87	\$4.04	\$3.89
<b>NYMEX Henry Hub</b>	\$4.39	\$4.21	\$3.87	\$2.48	\$3.10	\$3.71	\$3.59

17

<sup>53</sup> See Response To Staff 2<sup>nd</sup> Set of Interrogatories, No. 75.

1 Table 3 above shows what actually happened in the Woodford Arkoma  
2 natural gas region of Oklahoma (the area of interest for FPL's Woodford  
3 Project). Based on the above information customers would have paid  
4 higher than market costs in 2010 through 2013 if FPL's Woodford Project  
5 proposals had been in place during this period. Yet, in the face of this  
6 recent negative data FPL projects that its Woodford Project will generate a  
7 substantial portion of the benefits to customers from the outset, and asks  
8 the Commission to accept its projections as a reason to authorize FPL to  
9 recover all its operating costs, investment, taxes, and guaranteed profit no  
10 matter how these estimates turn out. Only customers are at risk under the  
11 Woodford Project proposal.

12

13 **Q. HAVE YOU COMPARED FPL'S PROJECTIONS OF**  
14 **SIGNIFICANT NEAR TERM INCREASES IN THE MARKET**  
15 **PRICE OF GAS WITH ANOTHER ESTIMATE OF MARKET**  
16 **SUPPLY AND MARKET PRICES?**

17 **A.** Yes, I have. The federal Energy Information Agency (EIA) is an objective  
18 source of such information. It projects no such significant increases in the  
19 market price of gas during 2015-2018. Instead, it forecasts a continuation  
20 of the current trajectory of gas supply and no abrupt year over year  
21 increases in natural gas prices in the natural gas markets. Based on the  
22 EIA's Annual Energy Outlook 2014 ("AEO2014") there is an expected

1 56% increase in total natural gas production between 2012 and 2040.<sup>54</sup>  
2 The largest contributor of this growth in natural gas production comes  
3 through increased production of shale gas, which, increases by more than  
4 10 Trillion cubic feet between 2012 and 2040.<sup>55</sup> Natural gas demand by  
5 the U.S. electric power industry is expected to grow at about 0.7%  
6 annually from 2012-2040.<sup>56</sup>

7  
8 In terms of forecasts of prices for natural gas, current EIA forecasts  
9 indicate a reference case forecast of 3.7% annual price increase through  
10 2040, bounded by a low and high estimate of 3.5% to 4.0%.<sup>57</sup> There are  
11 no EIA forecasts supporting the assumption of year-over-year increases as  
12 high as 22% by 2018.

13

14 **Q. IF THE CURRENT EIA REFERENCE CASE NATURAL GAS**  
15 **PRICE FORECAST OF 3.7% ANNUAL INCREASE IS**  
16 **EMPLOYED IN FPL'S WOODFORD PROJECT ECONOMIC**  
17 **EVALUATION, WHAT ARE THE RESULTS?**

18 **A.** Employing a natural gas price increase rate of 3.7% and applying that  
19 price growth rate to FPL's \$4.02/ Mcf 2015 estimate starting point,  
20 indicates proposed consumer benefits decrease from FPL's claimed  
21 \$106.9 million (net present value) to about \$43.8 million. (See  
22 Confidential Schedule DJL-4) Thus, employing the EAI's most current

---

<sup>54</sup> EIA's Annual Energy Outlook 2014 ("AEO2014") at MT-23

<sup>55</sup> *Id.* Where Tcf equals trillion cubic feet.

<sup>56</sup> *Id.* Reference Case Forecast MT-26

<sup>57</sup> *Id.* At MT-22

1 reference case analysis for future gas prices, results in reducing FPL's  
2 Woodford Project projected economic benefits by approximately 59%,  
3 before consideration of any alternative risks and also assuming all of  
4 FPL's remaining assumptions and projections regarding the initial  
5 relationship of Woodford production costs to market price and projected  
6 output are valid.

7 **Q. WHAT IS YOUR CONCLUSION AFTER CONSIDERATION OF**  
8 **EIA'S MOST CURRENT ESTIMATES FOR NATURAL GAS**  
9 **PRODUCTION AND NATURAL GAS PRICE FORECASTS?**

10 **A.** There appears to be ample evidence of an abundant supply of natural gas  
11 in the U.S. projected to supply domestic energy needs well beyond EIA's  
12 current forecast horizon of 2040. Moreover, in contrast to FPL's  
13 projections of significant increases in market price in the near term, price  
14 forecasts of domestic natural gas are below 4% annually in most scenarios.  
15 Application of EIA's reference case price forecast of 3.7% annual price  
16 increases to FPL's base case proposal results in minimal annual benefits  
17 over the expected 50-year project life. Moreover, moreover neither the  
18 EIA forecast nor FPL's base case incorporates contingencies to reflect  
19 risks and unknowns over the 50-year time horizon.

20 **Q. PLEASE ELABORATE ON WHAT YOU MEAN BY**  
21 **CONTINGENCIES AND THEIR IMPACT ON PROJECT RISK.**

1 A. With any investment comes risk, including known risk and unknown or  
2 unforeseeable risk. Certainly, things can happen that we do not expect or  
3 predict. That is why contingencies are often built into forecasts and  
4 economic projections of the future in order to carefully evaluate certain  
5 investments. In this case I have found no contingencies built into FPL's  
6 estimates in the current case to reflect possible structural or external  
7 changes. Instead, we find the two basic sensitivity analyses regarding gas  
8 volume output and market forecast prices discussed earlier. Moreover, no  
9 contingency considerations are built into the proposed guidelines that will  
10 guide future gas reserve investments. To ignore alternative contingency  
11 scenarios would be shortsighted.

12

13 Examples of contingencies can be found in basic budgeting and planning  
14 for projects where there are a great many unknowns. We often see  
15 contingencies included in construction and demolition budgets. For  
16 example, nuclear decommissioning expense estimates is a classic example  
17 of where regulatory authorities employ contingencies in the estimates for  
18 estimating costs and setting rates.

19

20 The bottom line is that a reasonable contingency factor can help evaluate  
21 whether the base project economics produce sufficient benefits to even  
22 consider moving forward, considering the remaining risks and unknowns.

1 **Q. GIVEN THAT THERE IS A GREAT DEAL OF DATA**  
2 **CONCERNING NATURAL GAS RESERVES DRILLING AND**  
3 **EXPLORATION COSTS, IS IT NECESSARY TO EMPLOY**  
4 **CONTINGENCY CONSIDERATIONS?**

5 **A.** Yes. While it is true that there is substantial historical experience  
6 regarding costs associated with gas reserves drilling and exploration, that  
7 does not mean a contingency for this long-term 50-year projection should  
8 not be employed.

9

10 An example of a reason to employ a contingency is the consideration of  
11 technology change impacts on future electric demand not only at FPL, but  
12 also around the country. This would have an impact on both the utilities'  
13 demand and need for natural gas and the future price of natural gas.  
14 Innovations and efficiencies built into electric and gas consuming devices  
15 have certainly impacted consumer demand over the years. In the natural  
16 gas utility distribution business, local gas distribution companies have  
17 seen small consumer use per customer decline for a number of years, due  
18 in part to improved and more efficient appliances and recognition of  
19 conservation efforts.

20

21 A forecasted change in the electric utility industry is the cost  
22 competitiveness of solar and battery storage distributed generation that  
23 would cut into grid consumption and overall utility demand and generation  
24 needs. A recent article in Barron's magazine reports that Barclay's Bank

1 announced a downgrade for all electric utility bonds due to viable solar  
2 alternatives gaining a cost competitive advantage.<sup>58</sup> Barclays downgraded  
3 the entire U.S. utility bond market based on the increasing opportunities to  
4 cut "... grid electricity consumption with solar and battery storage."<sup>59</sup>  
5 Barclays further recommended that investors move out of utility bonds  
6 "... whenever solar-plus-storage is becoming cost competitive, including  
7 in Hawaii now, California by 2017, New York and Arizona by 2018, and  
8 many other states soon after."<sup>60</sup>

9

10 While such technology advances, changes, and large scale severing of ties  
11 from the local electric company may be difficult to imagine today, all one  
12 need consider is that it wasn't that long ago when most customers were  
13 hard wired into the facilities of the rate regulated local telephone provider.  
14 But the telephone service has changed dramatically in the past 25 years.  
15 One must keep in mind that 25 years is only half the life of the proposed  
16 Woodford Project.

17

18 **Q. IN THE ABSENCE OF SCENARIOS INCORPORATING SUCH**  
19 **EXPLICIT CONTINGENCIES, WHICH ECONOMIC ANALYSIS**  
20 **DO YOU BELIEVE COMES CLOSEST TO MIRRORING THAT**  
21 **PRACTICE?**

---

<sup>58</sup> "Barclays Downgrades Electric Utility Bonds, Sees Viable Solar Competition", Barron's (May 23, 2014)

<sup>59</sup> *Id.*

<sup>60</sup> *Id.*

1 A. The sensitivity in which FPL combined its low range forecast of annual  
2 natural gas market price growth with FPL's lower Woodford Project  
3 output assumption would be the best proxy for an analysis that adequately  
4 incorporates a provision for decreases in demand from electric providers  
5 and the resulting demand decreases in natural gas demand contingencies.  
6 Employing FPL's low range market price growth rate in the economic  
7 evaluation model with its low output case results in negative net present  
8 value savings of (\$14.4) million for the Woodford Project. Said  
9 differently, this analysis indicates that customers would pay more, not  
10 less, than market price for gas obtained from the Woodford Project under  
11 these assumptions.

12

13 **Q. WHAT DO YOU CONCLUDE REGARDING FPL'S ECONOMIC**  
14 **EVALUATION OF THE PROPOSED WOODFORD PROJECT?**

15 A. First, all forecasts will be wrong. The question is whether the forecasts  
16 are reliable and reasonable estimates with which to bet customers' future  
17 rates, as FPL has proposed. This is because no matter how the forecasts  
18 turn out, under the proposal FPL recovers all costs, investments, and  
19 profits. Only customers are at risk.

20 Thus, while actual future values will be different, so long as the relative  
21 relationships of these variables remain as estimated the overall  
22 conclusions should also hold. But, if one variable — whether costs,  
23 output, or market price estimates — should change from the projected  
24 relationship assumption then all the conclusions could collapse. The one

1 variable that this Commission should be most concerned about is FPL's or  
2 any entity's claim of being able to reasonably forecast a long run estimate  
3 of future market natural gas prices. In 1979, the U.S. government  
4 proclaimed a natural gas shortage and banned construction of new natural  
5 gas generating facilities. Now, in the 2014 forecast the U.S. government  
6 estimates an abundant supply of natural gas at historically low prices that  
7 is expected to be a primary fuel source for many industries, including the  
8 electric generation sector. As I have described, FPL predicts that the  
9 market price of gas will increase significantly during the early years of the  
10 Woodford Project, including a 22% increase projection for 2018 alone.  
11 Given the historical relationship between Woodford production costs and  
12 the market price, the economics of the project would look very different  
13 without such assumed increases. It is easy for FPL to make such  
14 predictions and to ignore contingencies when the Company has zero risk if  
15 the predictions fail. FPL actually gains a mechanism to earn a guaranteed  
16 profit, no matter how these projections turn out. But the customers have a  
17 great deal to lose, with very little upside given the current state of natural  
18 gas markets. The bottom line is that FPL's underlying economic analysis  
19 of the proposed Woodford Project is unreasonably biased in favor of its  
20 proposal. As I have demonstrated, FPL's claim of net benefits dissipates  
21 with adjustments to moderate the unrealistic market price increases it  
22 projects for the early years of the Woodford Project and to incorporate  
23 some recognition of contingencies.

24

1 **Q. IS THERE A RECENT PRECEDENT THAT YOU REGARD AS A**  
2 **PARALLEL TO THE COMMISSION’S APPRAISAL OF FPL’S**  
3 **SUPPORT FOR THE WOODFORD PROJECT?**

4 A. Yes. FPL’s Woodford Project proposal is in many ways analogous to  
5 FPL’s EnergySecure Pipeline request that the Commission denied in  
6 Docket No. 090172-EI.<sup>61</sup> In FPL’s EnergySecure transaction proposal, the  
7 Company requested Commission approval of need for a 280-mile natural  
8 gas transmission pipeline that would be owned and operated by FPL and  
9 included in FPL’s electric plant rate base, with the costs collected through  
10 base rates.<sup>62</sup> In that proceeding, FPL alleged present value savings of  
11 \$115 million to \$400 million which savings, FPL claimed, were  
12 “confirmed” by a third party expert.<sup>63</sup>

13  
14 The Commission ultimately rejected the FPL pipeline proposal. In its  
15 Order, the Commission noted that the evidence demonstrated the  
16 sensitivity of the analyses when certain assumptions are replaced with  
17 reasonable alternatives.<sup>64</sup> It also observed that the risk of overstated  
18 demand would be borne, not by FPL, but by its customers.<sup>65</sup> The  
19 economic evaluation presented in the present case suffers many of the  
20 same infirmities outlined by the Commission in FPL’s pipeline case.

21

---

<sup>61</sup> In re: Petition to determine need for Florida EnergySecure Pipeline by Florida Power & Light Company, Docket No. 090172-EI, Order No. PSC-09-0715-FOF-EI (October 28, 2009).

<sup>62</sup> *Id.* at 2

<sup>63</sup> *Id.* at 3.

<sup>64</sup> *Id.* at 4-5.

<sup>65</sup> *Id.* at 4.

1 **VI: OVERVIEW OF FPL'S PARTNER IN THE WOODFORD**  
2 **PROJECT PETROQUEST ENERGY, INC.**

3 **Q. WHAT ISSUE DO YOU ADDRESS IN THIS SECTION OF YOUR**  
4 **TESTIMONY?**

5 **A.** In this section I address the business operations and risks of PetroQuest  
6 the proposed FPL partner in the Woodford Project. I discuss the  
7 PetroQuest natural gas and oil exploration and drilling business and risks,  
8 and also show how PetroQuest operations are very different from the  
9 utility business. As will be discussed below the PetroQuest exploration  
10 and drilling operation is riskier than any FPL electric utility function.  
11 Further, PetroQuest's smaller size and scale make PetroQuest riskier than  
12 its gas and oil exploration and drilling industry peers. Another important  
13 part of this Section is that much of the PetroQuest risk is associated with  
14 the unknown of future commodity prices for natural gas and oil.  
15 PetroQuest readily acknowledges to its investors its own inability to  
16 forecast future market prices and the attendant risk associated with  
17 depressed future prices. Thus, unlike FPL, PetroQuest acknowledges that  
18 it is not able to forecast future gas prices.

19  
20 Another important point addressed in this Section is that PetroQuest  
21 reduces its risk in a couple of ways by having FPL as a partner in the  
22 Woodford Project. PetroQuest shifts a portion of its Project risk to FPL  
23 (which FPL proposes to put squarely and entirely on the backs of FPL  
24 customers) and PetroQuest receives through the transaction with FPL

1 capital to expand operations and develop reserves. I discuss each of these  
2 issues in the following pages.

3

4 **Q. DESCRIBE THE BUSINESS OPERATIONS AND FINANCIAL**  
5 **RISKS OF FPL'S PROPOSED PROJECT PARTNER**  
6 **PETROQUEST.**

7 **A.** PetroQuest is not a regulated monopoly, but rather operates in the  
8 competitive and more risky oil and gas exploration industry. The  
9 business and financial risks faced by PetroQuest are the competitive  
10 market risks one finds in the gas and oil exploration, development, and  
11 production business.

12 The corporate profile of PetroQuest is best summarized as an;

13 “ ... independent Energy Company engaged in the  
14 exploration, development, acquisition and production of  
15 oil and natural gas reserves in Texas, the Arkoma  
16 Basin, South Louisiana and the shallow waters of the  
17 Gulf of Mexico.”<sup>66</sup>

18 Thus, the PetroQuest business is dependent on the success of gas and oil  
19 exploration and production, and the successful sale of gas, gas liquids,  
20 and/or oil into the markets at sufficient price and quantity levels to cover  
21 its costs and generate a profit.

22

---

<sup>66</sup> PetroQuest Energy, Inc., Annual Report at 2, (2013)

1 In terms of market risks, PetroQuest explicitly recognizes that oil and gas  
 2 markets are beyond the control of PetroQuest and that it has no ability to  
 3 assure investors or business partners (such as FPL in this proposed  
 4 transaction) that PetroQuest will be able to market all of the oil and/or  
 5 natural gas production, or that favorable market prices can be obtained for  
 6 the oil and/or natural gas produced.<sup>67</sup>

7

8 **Q. GIVEN THAT PETROQUEST’S RISKS ARE DETERMINED IN**  
 9 **LARGE PART BY FUTURE MARKET PRICES, DOES**  
 10 **PETROQUEST PREDICT FUTURE MARKET PRICES?**

11 **A.** No, it does not. To the contrary PetroQuest cautions investors of its  
 12 inability to make such estimates and states:

13 In view of the many uncertainties affecting the supply  
 14 and demand for oil, natural gas and refined petroleum  
 15 products, *we are unable to predict future oil and*  
 16 *natural gas prices* and demand or the overall effect  
 17 such prices and demand will have on [PetroQuest]<sup>68</sup>  
 18 (emphasis added)

19

20 As discussed earlier, the economic viability of FPL’s proposed Woodford  
 21 Project depends largely that FPL’s forecasted 50-year market price will be  
 22 substantially higher than the expected cost of producing the natural gas  
 23 from the Woodford Project. FPL’s partner, PetroQuest, experienced in the  
 24 industry and dependent on the natural gas and oil markets, is unable to  
 25 make such forecasts of the natural gas market. Instead, PetroQuest is  
 26 willing to say the following about the future of natural gas markets:

---

<sup>67</sup> *Id.* Attached 10K at 9.

<sup>68</sup> *Id.* at 9.

1 Natural gas continues to supply a significant portion of  
2 North America's energy needs and we believe the  
3 importance of natural gas in meeting this energy need  
4 will continue. The impact of the ongoing economic  
5 downturn on natural gas supply and demand  
6 fundamentals has resulted in extremely volatile natural  
7 gas prices, which is expected to continue.<sup>69</sup>

8 Thus, PetroQuest, despite its expertise in the exploration, production, and  
9 sale of natural gas, is unable to estimate the price levels or even the future  
10 direction of such prices.

11  
12 **Q. DOES PETROQUEST IDENTIFY THE RISKS RELATED TO THE**  
13 **GAS AND OIL EXPLORATION AND PRODUCTION BUSINESS**  
14 **AND INDUSTRY?**

15 **A.** Yes. Again PetroQuest points out that the success or failures of  
16 investments in natural gas and oil exploration such as the Woodford  
17 Project in this case are dependent "primarily on the prices we receive for  
18 our oil and natural gas production."<sup>70</sup> Risk factors identified by  
19 PetroQuest include:

20 (i) Minor changes in the supply or demand for oil and natural gas;

21 (ii) Condition of the United States and worldwide economies;

22 (iii) Market uncertainty;

23 (iv) Level of consumer product demand;

---

<sup>69</sup> *Id.* at 13.

<sup>70</sup> *Id.* at 19.

1 (v) Weather conditions in the United States;

2 (vi) Domestic governmental regulations and taxes; and

3 (vii) Price and availability of alternate fuels.<sup>71</sup>

4 The bottom line according to PetroQuest is “[w]e cannot predict future  
5 oil and natural gas prices and such prices may decline.”<sup>72</sup>(emphasis  
6 added)

7

8 **Q. HOW DOES PETROQUEST REDUCE ITS RISK?**

9 **A.** One approach is to enter joint development agreements (“JDA’s”) by  
10 selling off an interest in various projects- such as the Woodford Project  
11 FPL has presented to the Commission in this case. On this strategy  
12 PetroQuest states the following:

13 As a result of the impact of low natural gas prices on  
14 our revenues and cash flow, we have focused on  
15 growing our reserves and production through a  
16 balanced drilling budget *with an increased emphasis on*  
17 *growing our oil and natural gas liquids production.* In  
18 May 2010, we entered into the Woodford joint  
19 development Agreement (“JDA”)<sup>73</sup> **which provided us**  
20 **with \$85 million in cash during 2010 and 2011, along**  
21 **with a drilling carry that we have utilized since May**  
22 **2010 to enhance economic returns by reducing our**  
23 **share of capital expenditures in the Woodford**  
24 **Shale--- During February 2012 we amended the**  
25 **JDA---** Under the amended JDA, the Phase 2 drilling

---

<sup>71</sup> *Id.*

<sup>72</sup> *Id.* at 20.

<sup>73</sup> The JDA mentioned in this quotation is between PetroQuest and another NextEra affiliate. It is not the contract between USG and PetroQuest which is confidential and which I identify as “DDA” in later paragraphs.

1 carry was expanded to provide **for development in**  
 2 **both the** Mississippian Lime and **Woodford Shale**  
 3 **plays** whereby **we will pay 25% of the cost to drill**  
 4 **and complete wells and receive a 50% ownership**  
 5 interest.<sup>74</sup> (emphasis added)

6 Thus, risk shifting agreements such as the JDA for the Woodford Shale  
 7 reduce PetroQuest's risk, reduces PetroQuest's investments, and provide it  
 8 with liquidity and capital by limiting its capital outlays relative to overall  
 9 cost, while still providing PetroQuest significant output entitlements.

10 In terms of the impact of the JDA's on its operations, PetroQuest states:

11 As a result of the Woodford JDA and the success of our  
 12 drilling programs, we have grown our estimated proved  
 13 reserves by 18% and production by 10% since 2010,  
 14 while maintaining our long-term debt 28% below 2008  
 15 levels.<sup>75</sup>

16 The bottom-line impact for PetroQuest resulting from entering into JDA's  
 17 with Next Era Energy Resources, LLC subsidiaries such as WSGP Gas  
 18 Producing LLC ("WSGP") is increased liquidity, lower risks, and lower  
 19 exposure to market price declines.

20  
 21 It is important to note that the Drilling and Development Agreement  
 22 ("DDA") that is the subject of FPL's proposal in this proceeding requires  
 23 that PetroQuest pay ██████ of drilling cost in return for ██████ of the  
 24 output entitlements.<sup>76</sup> This limits the PetroQuest investment risks to  
 25 ██████ and fits perfectly with the PetroQuest claimed strategy of pursuing  
 26 with increased emphasis *oil and natural gas liquids production* while

<sup>74</sup> PetroQuest Energy, Inc., Annual Report, (2013) Attached 10K at 5.

<sup>75</sup> PetroQuest Energy, Inc., Annual Report 2012, 10K Attachment at 4.

<sup>76</sup> Direct Testimony S. Forrest at Exhibit SF-6, page 3.

1 growing reserves.<sup>77</sup> As discussed below the Woodford Project area of  
2 interest contains relatively low quantities of oil or natural gas liquids;  
3 therefore, because low natural gas prices are expected to continue, most  
4 gas and oil exploration firms – including PetroQuest – are pursuing more  
5 profitable alternative ventures containing higher ratios of oil and natural  
6 gas liquids.

7

8 **Q. IS THERE MARKET EVIDENCE THAT GAS AND OIL**  
9 **EXPLORATION AND DRILLING FIRMS ARE REDUCING**  
10 **ACTIVITIES IN THE WOODFORD SHALE DUE TO LOW**  
11 **NATURAL GAS PRICES AND PURSUING MORE PROFITABLE**  
12 **EXPLORATION AND DRILLING OPPORTUNITIES?**

13 **A.** Yes. To my knowledge other large and small gas and oil firms engaged in  
14 exploration and drilling activities in the area do not have a group of utility  
15 customers to whom they have shifted the drilling and exploration risk, and  
16 so must bear the market risk. The current natural gas market drilling  
17 evaluation of the Arkoma-Woodford area is as follows:

18 At one point in 2008, there were more than 50  
19 drilling rigs working the Arkoma-Woodford, but low  
20 prices, especially relative to crude oil and NGL prices,  
21 have all but choked off investment in the region. Most  
22 publicly traded companies barely even mention the play  
23 in their investor relation presentations anymore, and rig  
24 activity in the Arkoma-Woodford has slowed to a near  
25 standstill.<sup>78</sup>

---

<sup>77</sup> PetroQuest Energy, Inc., Annual Report 2013, Attached 10K at 5.

<sup>78</sup> North American Shale and Resource Plays Fact Book, Natural Gas Intelligence 2014 .

1 I have included in my Exhibit (Schedule DJL-5) a summary from the  
2 North American Shale 2014 Fact Book that addresses the Woodford  
3 Project area.

4 The other firms involved in the drilling and gas exploration business that  
5 likely do not have the regulatory guarantees like FPL, or regulatory related  
6 risk shifting contracts like the FPL/PetroQuest Agreement, view the  
7 Arkoma-Woodford natural gas drilling opportunities as less profitable than  
8 other drilling ventures. Continued low natural gas prices could well  
9 explain why other competitive market firms in the Arkoma-Woodford area  
10 are at a basic drilling *standstill* at the present time.

11  
12 Thus, the market information suggests that drilling should be delayed, as  
13 more profitable opportunities can be found elsewhere. But, FPL's  
14 proposed Woodford Project with all its regulatory guarantees, ignores the  
15 competitive market price signals and FPL never explains why customers  
16 should bear the risk that competitive firms are avoiding.

17

18 **Q. ARE THE OTHER FIRMS IN THE ARKOMA-WOODFORD**  
19 **REGION POTENTIALLY LARGE PLAYERS IN TERMS OF**  
20 **DRILLING ACREAGE?**

21 **A.** Yes. The following table summarizes net acreage holdings for the Arkoma-  
22 Woodford shale area.

TABLE 4<sup>79</sup>

## Arkoma-Woodford Shale

ExxonMobile	385,000
BP	160,000
Newfield Exploration	90,000
Vanguard Natural Resources	66,000
PetroQuest	60,000
Cinco Resources	40,000
Continental Resources	33,000
Panhandle Oil & Gas	26,291

As can be seen in the above table there are a number of large participants in the Arkoma-Woodford region that are not as optimistic as FPL given current market conditions.

**Q. DOES PETROQUEST RECOGNIZE THE RISK INHERENT IN THE DRILLING OPERATIONS ASSOCIATED WITH THE IMPACT OF FUTURE MARKET PRICES FOR NATURAL GAS?**

**A.** Yes. PetroQuest identifies market prices for natural gas and oil as a determinant of profitability and risk that impacts PetroQuest as an investment.<sup>80</sup> In terms of oil and natural gas market price risk on the PetroQuest operations, the 2013 PetroQuest Annual Report states the following:

**Oil and natural gas prices are volatile, and an extended decline in the prices of oil and natural gas would likely have a material adverse effect on our**

<sup>79</sup> Natural Gas Intelligence, NGI's North American Shale & Resources Plays Factbook at 31 (2014)

<sup>80</sup> PetroQuest Energy, Inc. 2013 Annual Report, Attached 10K at 9.

1           **financial condition, liquidity, ability to meet our**  
 2           **financial obligations and results of operations.**<sup>81</sup>  
 3           (Emphasis in original.)

4           PetroQuest goes on to state more specific risk impacts:

5           Our future financial condition, revenues, results of  
 6           operations, profitability and future growth, and the  
 7           carrying value of our oil and natural gas properties  
 8           depend primarily on the prices we receive for our oil  
 9           and natural gas production. Our ability to maintain or  
 10          increase our borrowing capacity and to obtain  
 11          additional capital on attractive terms also substantially  
 12          depends upon oil and natural gas prices. ... **The prices**  
 13          **we will receive for our production, and the levels of**  
 14          **our production, will depend on numerous factors**  
 15          **beyond our control.**<sup>82</sup>(emphasis added)

16          Some of the factors influencing oil and natural gas market prices  
 17          enumerated by PetroQuest include the following:

18                 ... relatively minor changes in the supply of or the  
 19                 demand for oil and natural gas; the condition of the  
 20                 United States and worldwide economies; and market  
 21                 uncertainty.<sup>83</sup>

22          The bottom line is that market price of oil and natural gas is the key driver  
 23          in terms of success for oil and natural gas exploration and production  
 24          companies like PetroQuest. Market forces and influences whose  
 25          predictability is commonly wrought with error determine these market  
 26          prices.

27  
 28          PetroQuest recognizes the inability to predict future market natural gas  
 29          and/or oil prices when it states:

30                 **We cannot predict future oil and natural gas prices**  
 31                 **and such prices may decline.** An extended decline in

---

<sup>81</sup> *Id.* at 19.

<sup>82</sup> *Id.*

<sup>83</sup> *Id.*

1 oil and natural gas prices may adversely affect our  
 2 financial condition, liquidity, ability to meet our  
 3 financial obligations and results of operations. Lower  
 4 prices have reduced and may further reduce the amount  
 5 of oil and natural gas that we can produce economically  
 6 and has required and may require additional ceiling test  
 7 write-downs and may cause our estimated proved  
 8 reserves at December 31, 2014 to decline compared to  
 9 our estimated proved reserves at December 31,  
 10 2013.<sup>84</sup>(emphasis added)

11 PetroQuest makes clear to its investors that PetroQuest is not able to  
 12 predict future market prices. This inability to predict future market prices  
 13 is a significant risk factor in the oil and natural gas and exploration  
 14 industry.

15 **Q. HOW DOES THE JOINT VENTURE WITH FPL AFFECT**  
 16 **PETROQUEST'S RISK PROFILE?**

17 **A.** The deal that PetroQuest struck with FPL would allow PetroQuest to make  
 18 █████ of the investment, but retain █████ of the gas output.<sup>85</sup> PetroQuest  
 19 has made clear to its investors that 50% of the entire CAPEX budget will  
 20 be allocated to the Woodford Shale targeting liquids rich gas.<sup>86</sup> Further,  
 21 PetroQuest tells its investors it has managed risk exposure in the following  
 22 manner:

23 We plan to continue several strategies designed to  
 24 mitigate our operating risks. We have adjusted the  
 25 working interest we are willing to hold based on the  
 26 risk level and cost exposure of each project. For  
 27 example, *we typically reduce our working interests in*  
 28 *higher risk exploration projects* while retaining greater  
 29 working interests in lower risk development projects.  
 30 **Our partners often agree to pay a disproportionate**

---

<sup>84</sup> *Id.* at 20.

<sup>85</sup> Direct Testimony Sam Forrest at Confidential Exhibit SF-6.

<sup>86</sup> PetroQuest Energy, Inc. 2013 Annual Report, Attached 10K at 8.

1           **share of drilling costs relative to their interests,**  
 2           **allowing us to allocate our capital spending to**  
 3           **maximize our return and reduce the inherent risk in**  
 4           **exploration and development activities.**<sup>87</sup> (emphasis  
 5           added)

6           PetroQuest benefits by shifting the investment risk relative to its  
 7           entitlements and freeing up capital for other investments, which provides  
 8           an opportunity to maximize its return while reducing the inherent risk in  
 9           exploration and development activities. The risk PetroQuest avoids is  
 10          shifted through FPL down to FPL customers.

11

12 **Q.       PLEASE SUMMARIZE YOUR APPRAISAL OF PETROQUEST**  
 13           **AND THE RISKS OF THE PROPOSED WOODFORD PROJECT.**

14 **A.**       PetroQuest is a small firm involved in the risky and competitive natural  
 15           gas and oil exploration and drilling business. PetroQuest's bond rating is  
 16           below investment grade at single B relative to FPL's current investment  
 17           grade bond rating of single A.<sup>88</sup> PetroQuest's most recent borrowing cost  
 18           was at 10%, while FPL's current debt interest cost would be less than half  
 19           of the recent PetroQuest cost.<sup>89</sup>

20

21           PetroQuest's current strategy and business plan for the Woodford shale  
 22           area is to shift the risk of drilling to FPL (and ultimately FPL customers)  
 23           through the DDA which require PetroQuest to pay ██████ of drilling  
 24           expenditures but retain the right to ██████ of output entitlements.

---

<sup>87</sup> *Id.* at 6.

<sup>88</sup> See AUS Utility Reports (August 2014) also see FPL Response to Staff 2<sup>nd</sup> Request for POD's, No. 4.

<sup>89</sup> PetroQuest Energy, Inc. 2013 Annual Report, Attached 10K at 6.

1 PetroQuest claims it will focus one half of its capital budget to the strategy  
2 of seeking liquid rich natural gas. PetroQuest's short-run strategy is to  
3 capitalize on this risk shifting to FPL. While PetroQuest readily  
4 acknowledges it cannot predict future market prices, the cost and risk  
5 shifting through the JDA's and in this case the DDA provides PetroQuest  
6 the necessary protections and incentives to allocate 50% of its capital  
7 budget to areas of liquid rich natural gas.

8

9 **Q. UNDER THE WOODFORD PROPOSAL IN THIS CASE, WILL**  
10 **FPL BEAR THE MARKET RISK, PRICE RISK,**  
11 **ENVIRONMENTAL RISK, OR ANY OTHER RISK ASSOCIATED**  
12 **WITH AN OWNERSHIP INTEREST IN THE WOODFORD**  
13 **SHALE GAS PROJECT?**

14 **A.** No, it will not. Under FPL's Woodford Project proposal all costs and  
15 risks associated the Woodford Project are shifted to FPL customers. FPL  
16 customers are expected to incur the following risks:

- 17 • Future market prices are less than projected by FPL;
- 18 • Future natural gas demand changes;
- 19 • Future environmental costs not factored into the Woodford Project  
20 costs;
- 21 • Future operating and maintenance costs are different than estimated by  
22 FPL;

- 1 • Future output and reserve levels are different than forecasted by FPL;
- 2 • Future capital cost requirements are different than projected by FPL;
- 3 and
- 4 • Future federal and state regulatory requirements and obligations are
- 5 different that forecasted by FPL.

6

7 All of these risk factors can significantly alter the economics of the  
8 proposed project are risks that the customers not FPL will bear under the  
9 Company's Proposal.

10

11 The end result of this proposal would that the risk of natural gas  
12 exploration, drilling, and recovery that is typically incurred by market  
13 participants such as PetroQuest, is now being shifted by PetroQuest  
14 through FPL and/or its affiliate, directly to FPL's customers. All capital  
15 cost for drilling or exploration at or over budget is shifted to customers.  
16 All operating costs risks at or above budget are shifted to customers. All  
17 risk associated with maximizing gas recovery is shifted to customer. Free  
18 markets will no longer dictate customer obligation through the fuel clause.  
19 Instead, the customer-borne costs would be a function of the specific risks  
20 faced by PetroQuest at each well and drilling site included in the project.

21

1 **Q. EARLIER, YOU INDICATED FPL'S PETITION COULD HAVE**  
2 **NEGATIVE POLICY IMPLICATIONS THAT WOULD PROVIDE**  
3 **INCENTIVES TO FPL TO DISREGARD THE DISCIPLINE OF**  
4 **THE COMPETITIVE MARKET IN A WAY THAT COULD**  
5 **NEGATIVELY AFFECT CUSTOMERS. DOES YOUR**  
6 **DISCUSSION OF THE RISKS FACED BY FPL, PETROQUEST,**  
7 **AND OTHER DRILLERS IN THE WOODFORD AREA**  
8 **ILLUSTRATE YOUR POINT?**

9 A. Yes. FPL in its Petition asks the Commission to guarantee full cost  
10 recovery and fully guarantee profits no matter the market price for which  
11 the natural gas products can be sold in the market place, or the amount of  
12 gas ultimately produced. By having the Florida Commission authorize  
13 FPL to direct all Woodford Project entitlements to its Florida generation  
14 and requiring FPL customers to pay all Woodford Project operating cost,  
15 investment cost, and profits on investment no matter the amount of gas or  
16 the alternative market price, FPL would have a risk free investment  
17 opportunity. For example, under FPL's Woodford Project proposal and  
18 assumptions (if correct) the Company is guaranteed about [REDACTED] of  
19 additional profit for shareholders.<sup>90</sup> Other investors in the competitive gas  
20 exploration business that do not have a regulatory guarantee or risk free  
21 opportunity to extract natural gas and oil products from the Woodford  
22 Shale area would have to factor market data into a decision to produce or  
23 not to produce.

---

<sup>90</sup> See FPL Confidential Response to OPC 3<sup>rd</sup> Question 37(c). Also see Confidential Response to OPC 4<sup>th</sup> Request for POD's, Request No. 12, Attachment 1.

1  
2 Reports discussed earlier indicate that natural gas drilling in the Arkoma-  
3 Woodford area is at a standstill. The other firms involved in the drilling  
4 and gas exploration business have responded to low market natural gas  
5 prices relative to oil or natural gas liquids alternatives by slowing or  
6 ceasing drilling in the Arkoma-Woodford natural gas area. PetroQuest  
7 reports that it will target natural gas rich in liquids. The market  
8 information suggests that drilling should be delayed as more profitable  
9 opportunities can be found elsewhere. However, when FPL looks at the  
10 risks of gas drilling in the Arkoma-Woodford region it sees no corporate  
11 risk, as it would be guaranteed full cost recovery and a 10.5% return on  
12 investment. FPL says that if its Petition is granted drilling should  
13 commence immediately in January 2015. The sooner drilling starts and  
14 investment is made by FPL, the sooner the Company can begin earning a  
15 no risk, guaranteed 10.5% equity return on investment. I believe this is  
16 evidence of how the ability to shift risk to customers through the granting  
17 of FPL's Petition and the operation of the Fuel Clause could affect FPL's  
18 (or any utility's) approach to entering the risky gas production business  
19 and ultimately increase the costs borne by customers.

20

21 **VII: UTILITY DIVERSIFICATION STRATEGIES AND FAILURES**

22 **Q. WHAT ISSUES WILL YOU ADDRESS IN THIS SECTION OF**  
23 **YOUR TESTIMONY?**

1 A. In this Section of my testimony I discuss electric utility diversification  
2 strategies and failures. Given that FPL's proposed Woodford Project is a  
3 business diversification outside the monopoly core business of electric  
4 generation, transmission and distribution, it is important to visit some  
5 historical lessons learned regarding electric utility diversification and  
6 potential impacts on customers.

7

8 **Q. PLEASE GENERALLY DESCRIBE PAST DIVERSIFICATION**  
9 **EFFORTS BY UTILITIES.**

10 A. There is a long history of utility diversification efforts in the utility  
11 industry. A number of these ventures outside the core utility generation  
12 and delivery business led to disastrous financial results, a number of which  
13 negatively impacted customers.

14

15 One period in which utility diversification efforts accelerated was the early  
16 and mid-1980's following large construction programs and the inclusion  
17 of expensive nuclear facilities in rates. Utilities had new and higher cash  
18 flows through higher rates, but lower capital expansion needs. Some  
19 utilities saw opportunities to enter alternative utility and non-core utility  
20 business ventures as a means of increasing shareholder earnings. These  
21 diversification ventures ranged from purchasing foreign utility operations,  
22 to domestic real estate, banking, and insurance operations. Many of these  
23 ventures did not end well for the utility or its customers.

24

1 One example of a failed diversification strategy is El Paso Electric  
2 Company (“El Paso”). In the mid-1980’s, El Paso employed a portion of  
3 the proceeds from the sale and leaseback of its ownership share of Palo  
4 Verde Nuclear Units 2 and 3 to invest in a range of non-utility businesses.  
5 The initiative failed miserably. The Value Line Investment Survey  
6 assessment of El Paso’s tragic diversification effort stated:

7 El Paso Electric has completed the sale of its non-  
8 utility holdings. The company’s diversified ventures  
9 included the purchase of a hotel and two office  
10 buildings in downtown El Paso as well as investments  
11 in specialty steel products manufacturing unit and in a  
12 savings and loan association. None of these  
13 enterprises ever contributed to corporate net. In fact,  
14 losses from these pursuits drained much needed capital  
15 from the utility operations. With the sale and the  
16 writeoffs of these investments behind the company,  
17 management can now focus its attention on shoring up  
18 its core electric business.<sup>91</sup>

19 El Paso Electric ultimately ended up filing for bankruptcy protection in  
20 January 1992. While the diversification investments (real estate and  
21 banking) seemed reasonably safe at the time they were made all  
22 investments entail risk and sometimes that risk impacts customers.

23

24 A similar example of diversification gone badly is FPL’s purchase of  
25 Colonial Penn Life Insurance Company in 1985. In “Billion Dollar  
26 Lessons,” a book about what you can learn from the most inexcusable  
27 business failures, the authors describe how in 1985 FPL paid \$565 million  
28 for Colonial Penn Life Insurance Company, which price represented a

---

<sup>91</sup> Value Line Investment Survey of April 20, 1990.

1 50% premium over Colonial Penn's book value.<sup>92</sup> While Wall Street  
2 initially applauded the diversification, FPL ended up selling Colonial Penn  
3 in "1991 for \$128 million" taking "a \$629 million write-off."<sup>93</sup> The  
4 authors quote then FPL chairman James L. Broadhead as stating; "[n]ow  
5 it's time to focus efforts on the utility."<sup>94</sup>

6

7 **Q. HOW DOES FPL'S PETITION DIFFER FROM THE PAST**  
8 **EXAMPLES OF DIVERSIFICATION EFFORTS THAT YOU**  
9 **HAVE MENTIONED?**

10 **A.** In the above examples, the utilities simply used the cash flow of the utility  
11 operation to springboard their way into nonutility ventures. If these  
12 nonutility ventures failed, the losses were reflected on their financial  
13 statements and absorbed by their shareholders. In this case, FPL's  
14 diversification strategy is an opportunity for the Company to guarantee  
15 recovery of all the diversification investment, operating costs, and return.  
16 FPL's diversification strategy also creates new capital investment  
17 opportunities for the future with guaranteed profit levels. On the other  
18 hand, all the diversification risks bearing on the success or failure of these  
19 gas exploration and drilling investments are placed solely on customers.  
20 Thus, if the Woodford Project is approved as proposed all the risk  
21 associated with diversification failure falls on consumers. FPL's

---

<sup>92</sup> Carroll, Paul & Mui, Chunka, "*Billion Dollar Lessons*" (2008) at 136-137.

<sup>93</sup> Id at 137.

<sup>94</sup> Id.

1 shareholders would have zero diversification risk under the Woodford  
2 Project proposal.

3 It would appear historical lessons regarding the risk of diversification to  
4 its shareholders have been learned by FPL, as the Woodford Project  
5 proposal guarantees cost recovery, investment recovery, and profits. FPL  
6 cannot lose under this diversification effort. Only FPL customers can lose  
7 under FPL's risk shifting proposal.

8

9 The key lesson that should have been learned from the history of  
10 diversification is that when utilities venture outside their core business  
11 areas bad results can happen that should not be allowed to affect  
12 customers. This is true in areas presumed to be of conservative or low risk  
13 such as real estate, banking, and even life insurance whose primary market  
14 was the elderly. It certainly should be true of diversification into risky oil  
15 and gas exploration, which has the potential to have very negative results.

16

17 **Q. FPL'S WOODFORD PROJECT PROPOSAL DIVERSIFIES**  
18 **ACTIVITIES TO THE NATURAL GAS FUEL AREA. GIVEN**  
19 **THAT NATURAL GAS IS ESSENTIAL TO FPL'S PRODUCTION**  
20 **OF ELECTRICITY, DOES THIS LEAD TO A LESS RISKY**  
21 **DIVERSIFICATION?**

22 **A.** No. While it is true gas and oil reserve ownership, exploration, and  
23 drilling operations are quite different from investments in real estate,

1 banking, or insurance, FPL is not in the gas exploration, drilling, and  
2 production business and risks – some of them currently unknown – could  
3 impact these operations. FPL acknowledges that even the accounting  
4 requirements in this new business are so specialized and different from  
5 utility accounting that the Company must retain a third party that  
6 specializes in this accounting area to keep the books.<sup>95</sup> Thus, the fact that  
7 natural gas fuel is used in the utility business and purchased in large  
8 quantities by FPL does not mean the Company is prepared or qualified to  
9 be in the natural gas exploration and drilling business. I am sure FPL, like  
10 many corporations, purchased property insurance and life insurance for  
11 many years prior to the purchase of Colonial Penn Life Insurance, but  
12 those past insurance purchases didn't help mitigate FPL's problems of  
13 owning Colonial Penn. The end result is that being a purchaser of  
14 services, even a large purchaser, does not mitigate the risks associated  
15 with owning the business, or mean it is prudent to take on the risks of a  
16 new business.

17

18 **Q. WHAT ARE THE POTENTIAL FINANCIAL IMPACTS AND**  
19 **CONSEQUENCES OF THE WOODFORD PROJECT**  
20 **DIVERSIFICATION ON FPL'S BASE RATES?**

21 **A.** FPL's diversification into gas reserve ownership requires that the  
22 Company finance these purchases. Thus, FPL will be required to employ  
23 debt and equity capital to make these investments. Such investments in

---

<sup>95</sup> Direct Testimony Kim Ousdahl at 6:7-13.

1 gas reserve projects require that debt and equity capital beyond FPL's  
2 typical levels and amounts of capital expenditures be employed;  
3 increasing annual debt and equity return requirements. If the Commission  
4 were to approve the guaranteed recovery through the fuel clause  
5 mechanism such debt and equity obligations, if recovered immediately,  
6 should not result in harm or a strain to FPL's financial metrics, but might  
7 strain FPL's customers' budgets. Also, capital available to FPL is not  
8 infinite. Capital that goes to fund oil and gas ventures would not be  
9 available to fund FPL's utility business generation, transmission, and  
10 distribution requirements.

11

12 **VIII: FPL'S PROPOSED WOODFORD PROJECT GUIDELINES**

13 **Q. WHAT ISSUE(S) ARE YOU ADDRESSING IN THIS SECTION OF**  
14 **YOUR TESTIMONY?**

15 **A.** In this section I address FPL's proposed Woodford Project Guidelines for  
16 future natural gas and/or oil exploration and drilling. The Company has  
17 presented a set of Guidelines, which if approved, would form the basis,  
18 and circumstances for future Woodford Project-like transactions. FPL  
19 claims a need for such guidelines because such future transaction  
20 opportunities must be acted upon quickly without time for a rate filing  
21 Commission consideration and decision. FPL further asserts that such  
22 Guidelines are necessary because it is "... essential that a process be

1 established so that FPL will be able to make decisions on the projects with  
2 confidence regarding their recoverability.”<sup>96</sup>

3 Through its proposed Guidelines FPL seeks assurance that future gas  
4 exploration joint ventures will be deemed eligible for recovery through the  
5 Fuel Clause.<sup>97</sup>

6

7 **Q. PLEASE COMMENT ON FPL’S PROPOSED GUIDELINES FOR**  
8 **FUTURE GAS RESERVE TRANSACTIONS.**

9 **A.** Guideline I. entitled “Scope of Gas Reserve Project Participation.” addresses  
10 the maximum portion of FPL’s average daily natural gas burn that can come  
11 from gas reserve projects. This Guideline generally serves as a limit on gas  
12 investment in Woodford type projects in an effort to maintain diversity  
13 between gas market purchases from third parties and gas reserve  
14 investments. The problem is that it does not serve as much of a limitation.  
15 For example, applying this “limitation” guideline the 2017 gas reserve  
16 projects limit of a maximum 25%<sup>98</sup> of FPL’s average daily burn is a huge  
17 number – about seven times the Woodford Project level. These are  
18 significant investments whose economic viability relies entirely on the  
19 relative accuracy of the forecast of the future market price alternative. One  
20 only needs to look at Guideline 1.D and find that FPL’s proposed gas

---

<sup>96</sup> FPL Application at 8.

<sup>97</sup> Id at 25, paragraph 55.

<sup>98</sup> Direct Testimony S. Forrest Exhibit-SF-9.

1 reserve project investment limit is an astounding \$750 million per year.<sup>99</sup>  
 2 After a few years of active participation in the exploration and drilling  
 3 business FPL could easily find an added \$2 billion investment and earn an  
 4 additional \$125 million per year of profit.<sup>100</sup> Given that FPL has no risks,  
 5 the Company has every incentive to maximize investment and guaranteed  
 6 profits. Investing the maximum of \$750 million per year results in an  
 7 additional \$47 million per year of guaranteed profit for FPL.<sup>101</sup> The only  
 8 consumer protection this guideline provides is to limit how much in  
 9 guaranteed profits FPL can earn in a given year, consumers` bear all project  
 10 risks and all market risks.

11  
 12 **Q. DESCRIBE FPL’S SECOND PROPOSED GUIDELINE “CUSTOMER**  
 13 **SAVINGS”.**

14 **A.** FPL’s second guideline limits project prudence challenges on future  
 15 investments to whether a project showed net present value savings “...  
 16 relying solely on information ... available to FPL at the time the transaction  
 17 was entered, including the use of an independent third party reserve  
 18 engineering report and FPL’s standard fuel price forecasting  
 19 methodology.”<sup>102</sup> Based on this guideline, so long as FPL files testimony  
 20 consistent with the approaches and general findings in this case, so long as  
 21 there is just one dollar of consumer net present value savings (no matter

<sup>99</sup> Direct Testimony S. Forrest Exhibit-SF-9.

<sup>100</sup> \$2 billion times equity return of (59.6% \* 10.5%)

<sup>101</sup> [\$750] million times equity return of (59.6% \* 10.5%)

<sup>102</sup> Direct Testimony S. Forrest Exhibit-SF-9.

1 when such savings occur in the project) the Commission must find the  
2 investment prudent.

3 There is no balancing of the equities in these gas reserve investment  
4 proposals. FPL's no risk investments can produce hundreds of millions of  
5 dollars of added shareholder profits, but so long as FPL projects that  
6 consumers receive a single dollar of projected net present value savings the  
7 project would be deemed prudent and pass the guideline test. Such an  
8 approach or guideline is not fair, or equitable, or a consumer protection.

9

10 **Q. DESCRIBE GUIDELINE IV "CHARACTERISTICS OF GAS**  
11 **RESERVES".**

12 **A.** This guideline addresses projects where there are opportunities for oil and  
13 natural gas liquids ("NGL's") extraction. FPL proposes to sell off at market  
14 NGL's and oil produced and credit project revenue requirements with these  
15 revenues. The economic value of these NGL's and oil products will be  
16 taken into consideration when evaluating the economic viability of the  
17 project. Under this guideline customers must take on the additional risk that  
18 oil markets and NGL markets perform as projected by FPL. While FPL  
19 again has no risk in the added oil and NGL market and FPL will be  
20 guaranteed cost recovery and profit, a project's net present value savings  
21 may come down to future market performance of oil or NGL's. This  
22 Guideline adds more, not less, risk to customers by expanding the risk free

1 investments FPL may make. This again is not a consumer protection. It  
2 actually adds risks to consumers.

3 **Q. PLEASE SUMMARIZE YOUR TESTIMONY ON FPL'S PROPOSED**  
4 **GUIDELINES.**

5 **A.** If the Commission declines to accept FPL's proposal then the Guideline  
6 issue is moot. With respect to FPL's proposed Guidelines, as I discuss  
7 above they essentially add more risk to consumers and guarantee profit  
8 opportunities to FPL. The Guideline proposals are one-sided, favoring FPL  
9 at every opportunity with no real equity for customers. FPL can only  
10 promise not guarantee savings based on projections that may or may not  
11 materialize. However, approval of FPL's Guidelines would assure full cost  
12 recovery and locked-in shareholder profits.

13

14 **Q. DO YOU BELIEVE GUIDELINES ARE NECESSARY?**

15 **A.** No, I do not. To the contrary, the Commission has stated that proposals to  
16 pass capital investments through the fuel clause must be brought on a  
17 case-by-case basis.<sup>103</sup> If the Commission were to decide to accept the  
18 Woodford Project, I recommend that all future gas reserve opportunities  
19 be addressed on a case-by-case basis.

20

21 FPL claims Guidelines are necessary because counterparties in the gas  
22 reserve market are unwilling to wait for standard regulatory approvals to

---

<sup>103</sup> Docket No. 100404-EI, Order No. PSC-11-0080-PAA-EI, at 7-8 (January 2011).

1 execute an agreement. FPL further claims counterparties are looking for  
2 definitive start dates to begin or continue drilling "... and cannot wait  
3 more than a month or two as market prices fluctuate."<sup>104</sup> This Commission  
4 should take caution from FPL's claim. If gas reserve market participants  
5 must act within a month or two month window **as market prices**  
6 **fluctuate**, why would this Commission or any regulator consider the  
7 Woodford Project or any future gas reserve investment where the  
8 economic viability rests primarily on a 50-year forecast of market prices,  
9 and more than a two-month delay may change the economics of the deal?  
10

11 For all the above reasons, I recommend rejection of FPL's proposed  
12 Guidelines.  
13

14 **IX: CONCLUSIONS AND RECOMMENDATIONS**

15 **Q. PLEASE SUMMARIZE YOUR CONCLUSIONS AND**  
16 **RECOMMENDATIONS REGARDING FPL'S REQUESTED**  
17 **APPLICATION FOR COST RECOVERY OF THE WOODFORD**  
18 **PROJECT GAS RESERVES OWNERSHIP PROPOSAL.**

19 **A.** I recommend that the Commission deny FPL's requested Woodford  
20 Project proposal for the reasons outlined below.

- 21 1. FPL's proposed gas exploration, drilling, production joint  
22 ventures are not regulated utility services. Rather, they constitute

---

<sup>104</sup> FPL Petition at 24, paragraph 53.

1 an effort to participate in an unregulated, nonutility industry that is  
2 characterized by a high degree of competition and the risks that  
3 accompany that competition. The Commission has no oversight  
4 authority to regulate the currently proposed Woodford Project gas  
5 exploration venture in Oklahoma or the potential numerous future  
6 unknown ventures subject to the FPL proposed Guidelines. The  
7 FPL Woodford Project proposal is merely a corporate  
8 diversification proposal in which all the risks of entering a  
9 competitive business are transferred to FPL's customers and FPL's  
10 shareholders are guaranteed rewards with no risk.

11  
12 2. The FPL Woodford Project joint venture proposal does not  
13 satisfy the basic criteria established in past Commission fuel clause  
14 decisions and precedents that govern the limited circumstances in  
15 which a utility may flow base rate costs and capital investment  
16 through the Fuel Clause.

17  
18 3. The assumptions and projections underlying FPL's  
19 prediction of net benefits to customers are unreasonable and/or  
20 unrealistic. When risks are identified and accounted for, it is clear  
21 that imposing those risks on customers for the purpose of assuring  
22 FPL's profitable venture into the unregulated gas exploration  
23 business would be grossly inequitable to customers.

1

2

4. FPL's proposed guidelines for future ventures are designed to provide profits, not protect customers. They are not consistent with sound ratemaking or Commission precedent.

5

6

5. If the Commission were to grant FPL's Petition, the Commission would be guaranteeing FPL's shareholders risk-free profits on the Woodford Project for the next 50 years, as well as risk free profits on other gas exploration, drilling, and possibly including fracking projects under FPL's proposed guidelines. At the same time, as a result of such a decision FPL's customers would be required to become involuntary investors in risky gas exploration, drilling, and fracking projects.

7

8

9

10

11

12

13

14

15 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

16 **A.** Yes, it does.

1 BY MR. SAYLER:

2 Q Mr. Lawton, would you please summarize your  
3 testimony for the commissioners?

4 A Sure. Thank you and good morning,  
5 Mr. Chairman and Commissioners. My name is Daniel  
6 Lawton, I'm here on behalf of the Office of Public  
7 Counsel, and I thank you to start with for giving me  
8 the opportunity to speak on this issue this morning on  
9 behalf of my client.

10 My testimony in this case addresses three  
11 primary issues. First I talk about regulatory policy  
12 issues involved in the Woodford Project. Second I  
13 talk about risk issues among the players in the risk  
14 or stakeholders in the Woodford Project, the risk to  
15 PetroQuest, to FPL, and ultimately to customers. And  
16 in addition to that, I talk about the economic  
17 evaluation of the Woodford Project and where some  
18 problems may possibly be found in that economic  
19 evaluation.

20 In terms of the regulatory issues, I  
21 primarily focus on the Fuel Clause that this  
22 Commission has implemented over the years, including  
23 the exceptions to the Fuel Clause that were talked  
24 about by a number of witnesses, and what I point out  
25 is particularly at page 18 of my testimony, that it

1 appears that the Woodford Project does not comport  
2 with the Fuel Clause in the exceptions in terms of the  
3 precedent that's laid out by this Commission in  
4 numerous cases under the Order 14456.

5 In addition, I also talk about that the  
6 Woodford Project, in terms of a Fuel Clause exception,  
7 appears to be quite different in terms of scope and  
8 size than other kinds of Fuel Clause exceptions, and I  
9 talk about that in my testimony when I discuss the  
10 Scherer rail car kind of exception.

11 Now, this Commission as guardian of all costs  
12 that consumers pay is the guardian of the Fuel Clause  
13 and I point out that if the Commission adopts the  
14 Woodford proposal and changes the approach to the Fuel  
15 Clause, I point out in my testimony that the first  
16 thing that's going to happen is every utility in  
17 Florida is going to knock on your door and say we want  
18 this as well.

19 And the reason is because my analysis  
20 indicates what we're setting up here through the Fuel  
21 Clause and the Woodford Project is more of a new  
22 earnings platform for utilities and shareholders.

23 Now, the second part of my testimony, I  
24 address the risk to the stakeholders, and who are the  
25 stakeholders. Well, every transaction many times has

1 winners and losers and we can look through the  
2 evidence in this case -- and I have done it in my  
3 testimony -- find out who are the winners, who are the  
4 losers.

5           The first party or stakeholder is PetroQuest.  
6 They own and operate gas exploration business. They  
7 are the Woodford Shale original investors. And what  
8 they have done is they have passed 100 percent of the  
9 risk on to FPL. They told their shareholders -- they  
10 being PetroQuest -- we have risky projects, what we do  
11 is we pass those risks on to other counter-parties  
12 through joint development agreements, and in this case  
13 it's FPL, and then they pursue -- they being  
14 PetroQuest -- other ventures.

15           FPL takes 100 percent of the risk and passes  
16 it on to customers. They now have an opportunity to  
17 earn a profit on their fuel costs, so they are  
18 winners.

19           Customers will bear the risk, they get all  
20 the risk, and the bottom line is they have to rely  
21 upon FPL's bet that they can beat the market. They  
22 being we forecast that the market price will always  
23 for the next 50 years be higher than the cost of  
24 production at Woodford.

25           Many people have tried to beat the market

1 over the years and they have failed. You just don't  
2 beat the market in the long run. You can do it in the  
3 short run, but in the long run, it just doesn't seem  
4 to work out.

5 Lastly I talk about economic analysis. I  
6 think the company's forecast is flawed. I point that  
7 out in my testimony. The historical data from  
8 Woodford provided by the company in discovery in this  
9 case shows Woodford is more expensive than the market.

10 And it looks like my time is -- oh, 30  
11 seconds, I'll wrap it up.

12 And the forecasted materials presented by FPL  
13 also appear to be flawed and they are not consistent  
14 with other good market forecasts and if you use  
15 reasonable estimates, you'll find that the savings  
16 either go away or become negative for a number of  
17 years.

18 For all those reasons, I ask that the  
19 Commission deny FPL's proposals. And my light's out.

20 MR. SAYLER: Mr. Chairman, the Office of  
21 Public Counsel tenders Mr. Lawton for cross.

22 CHAIRMAN GRAHAM: Okay. Retail Federation  
23 and FIPUG, any non-friendly cross?

24 MR. MOYLE: FIPUG doesn't have any questions.

25 CHAIRMAN GRAHAM: Okay, Florida Power &

1 Light.

2 MR. GUYTON: Thank you, Mr. Chairman.

3 CROSS EXAMINATION

4 BY MR. GUYTON:

5 Q Mr. Lawton, my name is Charlie Guyton, I do  
6 have a few questions for you this morning.

7 Good morning.

8 A Good morning, Mr. Guyton. I think I remember  
9 you from last time I was here.

10 Q I seem to recall that as well. Welcome back  
11 to Tallahassee.

12 Mr. Lawton, let's -- before we start butting  
13 heads, let's see if we can agree on a few things.

14 A Sure.

15 Q Can we agree that FPL relies heavily on  
16 natural gas to fuel its electric generation?

17 A Yes.

18 Q And can we agree that FPL projects that it  
19 will generate approximately 65 percent of its  
20 electricity from natural gas in the future?

21 A I haven't done the analysis, but I have seen  
22 FPL's presentation and I have no reason to dispute  
23 that number so, yes, I could agree with that.

24 Q And can we agree that in 2013, FPL used 550  
25 billion cubic feet of natural gas to generate

1 **electricity, substantially more than any other**  
2 **investor owned utility in the country?**

3 A More in absolute volume or as a percentage of  
4 fuels? I'm not -- your question is somewhat vague and  
5 I want to be clear.

6 Q **A greater volume.**

7 A In terms of volumes, that may be and probably  
8 is so. As a matter of fact, I think the volumes are  
9 going to go up to 600 billion cubic feet.

10 Q **And can we agree that in 2015, FPL projects**  
11 **it will use 567 billion cubic feet of natural gas to**  
12 **generate electricity?**

13 A I believe I saw that number. I asked for, in  
14 a discovery request, I think I asked for a few years  
15 going forward and it sounds about right.

16 Q **Can we agree that that 567 billion cubic feet**  
17 **of natural gas that's projected to be used in 2015**  
18 **would cost just over \$2.9 billion, all of which would**  
19 **be passed on to FPL's customers?**

20 A Well, I don't know what the costs will be.  
21 You have estimated \$2.9 billion. If you give me a  
22 moment.

23 The cost seems a little bit high. I'm  
24 estimating roughly \$5.11 in MCF, based on the numbers  
25 you have just gave me, and that certainly seems a

1 little high.

2 Q Would you accept, subject to check, that the  
3 Commission approved a stipulation that not only FPL,  
4 but OPC entered into, that 567 billion cubic feet of  
5 natural gas in 2015 would cost just over \$2.9 million?

6 A 2.9 billion.

7 Q Billion, thank you.

8 A Yes, sir. The Commission -- you know, the  
9 stipulation certainly speaks for itself. I mean, if  
10 the Commission accepts it, I can accept that.

11 Q Okay. Can we also agree that the price  
12 volatility of natural gas is a significant risk to  
13 FPL's customers?

14 A Today?

15 Q Yes.

16 A Is there a time frame? Today I would say no  
17 relative to past.

18 Q And can we agree that the price volatility of  
19 natural gas is a significant risk to FPL's customers  
20 in the future?

21 A Based on the latest forecasts and production  
22 estimates, the answer to that would also be no  
23 relative to the past. The volatility is less of a  
24 problem. That's why many utility commissions around  
25 the country are eliminating financial hedging from

1 utilities, because the volatility is not as much of a  
2 problem.

3 Q Well, let's look at it in this perspective.  
4 Let's look at the \$2.9 billion that's forecasted to be  
5 spent by FPL in 2015.

6 A Okay.

7 Q If the price of natural gas were to increase  
8 by 10 percent, that would be a cost increase to FPL's  
9 customers of \$290 million, would it not?

10 A Yes, a 10 percent increase. And a 10 percent  
11 decrease would be a \$290 million decrease to  
12 consumers.

13 Q Would you agree that that's a significant  
14 risk to FPL's customers, \$290 million?

15 A 290 million is a risk to anybody.

16 Q Can we agree that long term fixed price  
17 physical supply contracts for natural gas are not  
18 readily available to FPL?

19 A They are not readily available to FPL or  
20 anybody else in terms of long term fixed prices. That  
21 kind of process ended in the seventies and early  
22 eighties.

23 Q And can we also agree that a gas supplier  
24 that attempted to sell gas at a fixed price over a  
25 long term would have significant credit exposure?

1           A       I would think so. I would agree with that.

2           **Q       Can we agree that the price of natural gas is**  
3 **a large part of FPL's customer's bills for**  
4 **electricity?**

5           A       Yes.

6           **Q       And can we agree that FPL buys most of its**  
7 **gas at market prices?**

8           A       Yes, like most utilities, they buy it at  
9 market.

10          **Q       And can we agree that given that most of**  
11 **FPL's gas is bought at market prices, its customers**  
12 **are exposed to market price volatility?**

13          A       Its customers are exposed to market price  
14 volatility, market price risks, just as these  
15 customers have been exposed to those risks for the  
16 past 80 years or so that we've had the gas generators  
17 and gas purchases. Nothing has changed.

18          **Q       And will be in the future as well?**

19          A       Excuse me?

20          **Q       And will be exposed to the same types of**  
21 **market price volatility into the future?**

22          A       They will be exposed to the same market risks  
23 in the future, yes, as all customers are, no  
24 different.

25          **Q       Now, are we in agreement that the Woodford**

1 **Project is a fossil fuel related project?**

2 A We are. Natural gas is fossil fuel.

3 Q Now, I noticed in your testimony that you're  
4 an attorney. Are you a practicing attorney or are you  
5 a recovering attorney?

6 A Well, I don't know what recovering attorney  
7 means, I'm still too young for that, but I do have an  
8 active practice. I represent cities throughout Texas  
9 where I practice, in utility rate proceedings like  
10 this.

11 Q In your testimony, you mentioned several  
12 prior Commission decisions, correct?

13 A Excuse me?

14 Q In your testimony, you mentioned several  
15 prior Commission decisions, correct?

16 A Commission decisions referring to the FPL  
17 Commission, yes.

18 Q Yes.

19 A I mean, Florida Commission, excuse me.

20 Q I would like to ask you to focus on one in  
21 particular, that being order number 11-0080, that you  
22 quote at the bottom of page 17 and the top of page 18.

23 A Do you have a copy of that order or --

24 Q I do. I'm going to give -- in fact, let me  
25 just go ahead and pass it out now for ease of

1 **reference.**

2 A Thank you.

3 MR. GUYTON: Mr. Chairman, I'm not going to  
4 ask that this be marked. I'm simply passing it  
5 out for ease of the Commission's and the witness's  
6 reference.

7 A I have the order, sir.

8 BY MR. GUYTON:

9 Q All right. And you quote from that order at  
10 the bottom of page 17 and the top of page 18 of your  
11 testimony, do you not?

12 A Yes. And the footnote reference indicates  
13 it's from page 6 of that order that you just handed  
14 me.

15 Q Okay. Let's look at the paragraph that you  
16 quoted at least in part at the bottom of page 17 and  
17 page 18. That's not the entire quote of that  
18 paragraph at page 6 of the order, is it?

19 A Well, yes, that's obvious it's not a quote of  
20 the entire paragraph. It starts with the ellipse.

21 Q Well, let's look at the ellipse and what you  
22 left out of the quote.

23 A Okay.

24 Q Would you read for the Commission the entire  
25 sentence that you only quoted the first part of, "The

1 **purpose is to prevent regulatory lag?"**

2 A And I'm at the top of page 6, starting at the  
3 second sentence. Is that where you want me to read  
4 from, sir?

5 **Q Yes, sir, if you would just read that entire**  
6 **sentence.**

7 A Sure. This is the second sentence at the top  
8 of page 6. "The purpose is to prevent regulatory lag,  
9 which occurs when a utility incurs expenses but is not  
10 allowed to collect offsetting revenues until the  
11 regulatory body approves cost recovery."

12 **Q So in your quote, you left out the**  
13 **explanation of what regulatory lag is, correct?**

14 A No. I think in the next ellipse, the  
15 regulatory lag has historically been a problem. In  
16 terms of the first sentence, yes.

17 **Q Now, in this case, FPL is seeking recovery of**  
18 **revenues to offset costs for gas reserves that are not**  
19 **being currently recovered in FPL's base rates,**  
20 **correct?**

21 A Right, fuel costs generally are not recovered  
22 in base rates. The Commission has a Fuel Clause where  
23 the company projects fuel costs and they are  
24 periodically updated and reconciled so that you fully  
25 recover your costs. That's the basic fuel mechanism

1 in Florida and around the country.

2 **Q If FPL made its investment in the Woodford**  
3 **Project, it wouldn't be covered in FPL's current base**  
4 **rates, would it?**

5 A Well, I don't know what all is included in  
6 the current base rates. In listening to the -- I  
7 participated in the last case, it's my understanding  
8 it was a settlement and typically in settlements,  
9 parties don't agree on issues, so it's a black box  
10 settlement. In other words, we don't specify what's  
11 in there, here's the total dollar amount and here's  
12 why it's reasonable. So I can't sit here today and  
13 tell you what is or is not in those rates. Certainly  
14 this project was being considered during that time  
15 frame.

16 **Q If FPL made its investment in the Woodford**  
17 **Project and it was not allowed to recover it through**  
18 **the Fuel Clause, would FPL be experiencing costs that**  
19 **were not allowed for recovery?**

20 A It would depend on how the Commission handled  
21 that sort of transaction. For example, if FPL were to  
22 time the transaction with a base rate proceeding, it  
23 could easily include the Woodford costs in its base  
24 rates and not avoid non-recovery of costs.

25 We found similar transactions like that when

1 nuclear power plants came on line before the rate case  
2 was completed. There's concepts called deferred  
3 accounting. There's all types of regulatory  
4 mechanisms that have been employed over the years to  
5 address these types of regulatory lag problems.

6 **Q So absent a new base rate case that you just**  
7 **postulated that would allow cost recovery, if FPL made**  
8 **its investment in the Woodford Project and was not**  
9 **allowed Fuel Clause recovery, FPL would be**  
10 **experiencing regulatory lag, the very thing that order**  
11 **11-0080 says the purpose of the Fuel Clause is to**  
12 **prevent?**

13 A It would experience regulatory lag, just like  
14 FPL experiences regulatory lag when it goes out  
15 tomorrow and replaces transmission facilities or  
16 anything else on the system that breaks, until it can  
17 get those items in rates. That does not mean we put  
18 light poles in the Fuel Clause.

19 **Q Let's go to the -- back to your quote at the**  
20 **bottom of page 17 and the top of page 18?**

21 A I'm there, sir.

22 **Q Let's look at the rest of the order, that**  
23 **paragraph on page 6 that you quote, would you read for**  
24 **the Commission the last two sentences in that quote**  
25 **that you didn't put in your testimony?**

1           A       I don't understand your question.  Read what,  
2  sir?

3           Q       **Yes, sir.  You see the reference on page 6**  
4 **where we have -- of order 11-0080 that you pulled this**  
5 **quote out of?**

6           A       Yes, sir.

7           Q       **All right.  And you didn't, in quoting it,**  
8 **you didn't quote the last two sentences of that**  
9 **paragraph in your testimony, did you?**

10          A       Correct.

11          Q       **Would you read those last two sentences to**  
12 **the Commission?**

13          A       Yes.  Reading from page 6, the last two  
14 sentences of the first paragraph.  "Different states  
15 have addressed volatile fuel costs and the problem of  
16 regulatory lag in differing ways.  Several  
17 jurisdictions, like Florida, have allowed recovery of  
18 fuel costs in a Fuel Adjustment Clause, and in  
19 Florida, the implementation of the Fuel Clause has  
20 changed and developed over the years."

21          Q       **And you agree that the Fuel Clause**  
22 **implementation in Florida has changed over the years?**

23          A       Yes.  And I think the next full paragraph  
24 discusses the changes from, for example, I think  
25 1925 to 51 monthly filings and then the Commission

1 started and they had different requirements and now  
2 it's based on a projected estimate that's reconciled.

3 Q And one of the changes that's referred to in  
4 this order is the adoption of Order Number 14546,  
5 correct?

6 A Yes.

7 Q And, indeed, a good part of the remainder of  
8 this order discusses the Commission's Order 14546 and  
9 its implementation, does it not?

10 A It does.

11 Q Okay. And Order 14546 is the same order that  
12 FPL is relying upon in this case, correct?

13 A I think FPL witnesses have said they are  
14 relying upon it, yes, other than it's their proposal  
15 is inconsistent with the order.

16 Q Now, if you turn to page 9 of the order  
17 11-0080?

18 A I am there, sir.

19 Q And there the Commission quotes from Order  
20 Number 14546, does it not?

21 A At the top of the page, sir.

22 Q And then immediately after that quotation, in  
23 the first sentence of the following paragraph, the  
24 Commission interprets that provision, does it not?

25 A Yes, it says, "We find the appropriate

1 interpretation of this section."

2 **Q Go ahead and finish that sentence, would you?**

3 A You want me to read it into the record, sir?

4 **Q Yes, sir.**

5 A Okay. "We find that the appropriate  
6 interpretation of this section of Order 14546 is that  
7 capital projects eligible for recovery" -- "eligible  
8 for cost recovery through the Fuel Clause should  
9 produce fuel savings based on lowering the delivered  
10 price of fossil fuel or otherwise result in burning  
11 lower price fuel at the plant."

12 **Q Now, you didn't share that interpretation of**  
13 **Order 14546 in your testimony with the Commission, did**  
14 **you?**

15 A No. I shared with them their prior order,  
16 the statement of what 14456 is -- or 546, excuse me,  
17 I'm suffering from reversing the letters or numbers.

18 **Q I understand, I transpose them sometimes**  
19 **myself.**

20 **Would you go down to the topic sentence, the**  
21 **next paragraph.**

22 A Do you want me to read "As Order Number?"

23 **Q Yes, sir, if you would just read that**  
24 **sentence.**

25 A "As Order Number 14546 states, projects that

1 request recovery of costs through the Fuel Clause  
2 should be fossil fuel related." And fossil fuel  
3 related is in quotes.

4 **Q And that's another provision of 14546 that**  
5 **you didn't share with the Commission, correct?**

6 A No, I shared their order. I didn't share the  
7 whole order. It's the Commission's order, they know  
8 what their order is.

9 **Q Okay. If you would look at the next**  
10 **paragraph and if you would just read the topic**  
11 **sentence to the next paragraph in Attachment A?**

12 A Yes, sir. You want me to read it into the  
13 record again?

14 **Q Yes, please.**

15 A All right. "In Attachment A to this order,  
16 we have included a complete review of the capital  
17 costs that have been recovered through the Fuel Clause  
18 pursuant to Order 14546."

19 **Q So you knew from reading this order that**  
20 **Attachment A was a complete review of Commission**  
21 **decisions implementing this provision of 14546 as of**  
22 **the date of this order?**

23 A As of the date of this order, I did. And,  
24 for example, I discussed the Scherer plant rail car  
25 issue, which is one of the items on this list, in the

1 testimony, and I thought I discussed one other issue.

2 Q Let's turn to Attachment A.

3 A I'm there.

4 Q Okay. If you would look at the reasons for  
5 approval for Docket Number 95001, FPL's recovery of  
6 rail cars?

7 A I'm there.

8 Q Okay. Now, the Commission acknowledged in  
9 its summary of that order that there were  
10 unanticipated fuel related costs not included in the  
11 computation of base rates, correct?

12 A That's what the order states, yes, sir.

13 Q And we also know from the Commission's  
14 summary of that order that the savings were  
15 "projected," correct?

16 A Yes.

17 Q Let's look at the next entry, FPC's  
18 conversion of the Intercession City. Would you read  
19 the first full sentence in the reasons for approval  
20 box?

21 A "Order Number 14546 allows a utility to  
22 recover fossil fuel related costs that result in fuel  
23 savings, even if those savings were not previously  
24 addressed in the determination of base rates."

25 Q Now, you don't take issue with the

1 Commission's characterization of Order 14546 here that  
2 you just read, do you?

3 A No.

4 Q Okay. Now, if you would you look, I'm not  
5 going to take you through each one, but I do want to  
6 give you a minute to take a look at it.

7 A Sure.

8 Q The sentence that you just read, "Order 14546  
9 allows the utility to recover fossil fuel related  
10 costs that result in fuel savings even if those costs  
11 were not previously addressed in base rates," would  
12 you agree with me that the Commission repeated that  
13 summary when it summarized in Appendix A or Attachment  
14 A, Order PSC 960353, PSC Order 971045 and PSC 970359?

15 A If you could point me to those other PFD's,  
16 I'm missing something here.

17 Q Sure. The first one that I gave you, 0353,  
18 was the FPC conversion of Intercession City P-8 and  
19 P-10?

20 A I'm there.

21 Q That sentence appears in that summary of that  
22 order as well, doesn't it?

23 A Right.

24 Q And if you look down to the next item in that  
25 table, PSC 971045, FPC's conversion of the Debary Unit

1 9, that sentence appears in that summary as well, does  
2 it not?

3 A It does.

4 Q And then if you would turn over -- or if you  
5 would turn to -- I'm sorry, don't turn over, go to the  
6 next --

7 A It's the last one on the page.

8 Q Yes, sir, thank you.

9 A Okay.

10 Q It appears there as well?

11 A Yes.

12 Q Now if would you turn over?

13 A Okay.

14 Q And if you would look at Order 981715, FPC's  
15 conversion of Debary 8 to burn natural gas?

16 A I'm there.

17 Q And that sentence appears in that summary of  
18 that order as well?

19 A It does.

20 Q And you don't take issue with that  
21 characterization of the Commission's holding in any of  
22 those orders, do you?

23 A No, I mean, the order speaks for itself,  
24 that's exactly what it says.

25 Q When you were looking at Order 11080, did you

1 **find any statement of a going forward policy by the**  
2 **Commission?**

3 A I guess I'm vague on your question. What do  
4 you mean?

5 Q **In your review of Order 11-0080, did the**  
6 **Commission make a statement as to what is appropriate**  
7 **policy as regards Order 14546 should be on a going**  
8 **forward basis?**

9 A I don't recall.

10 Q **Would you turn to page 10, please?**

11 A Okay. I'm there.

12 Q **Would you read for the Commission the second**  
13 **full sentence in the paragraph at the top of page 10?**

14 A Sure. "While it is true that we granted  
15 recovery of non-fossil fuel related costs through the  
16 Fuel Clause, in those two discreet instances, we  
17 believe that the appropriate policy going forward is  
18 to restrict capital project costs recovery through the  
19 Fuel Clause to projects that are fossil fuel related  
20 and that lower the delivered price or input price of  
21 fossil fuel."

22 Q **And we have already agreed that the Woodford**  
23 **Project is fossil fuel related, correct?**

24 A We have.

25 Q **Okay. In addition to being an attorney, you**

1     **are also an economist?**

2           A     I am.

3           Q     **Now, economists don't have rules of conduct**  
4     **like lawyers do, do they?**

5           A     We're good people.

6           Q     **I'm sorry, were you speaking as an economist**  
7     **or as an attorney?**

8           A     I am a combination attorney/economist and  
9     we're good people.

10          Q     **Now there are principles that economists**  
11     **follow, are there not?**

12          A     Sometimes.

13          Q     **Fair enough. Would one of those generally**  
14     **accepted practices or principles be that it would be**  
15     **inappropriate to compare nominal costs or savings with**  
16     **net present value costs or savings?**

17          A     Well, I don't know if that's an economic  
18     principle, but that's something that mathematically  
19     you generally would not do and I have not done here.

20          Q     **And such a comparison wouldn't be appropriate**  
21     **because one would be comparing a nominal or an**  
22     **undiscounted value with a net present value or**  
23     **discounted value?**

24          A     Yeah, the classic example is you're comparing  
25     an apple to an orange.

1 Q Or as a friend of mine says, apples to tuna  
2 fish?

3 A To what?

4 Q I'll skip that. I'll withdraw that.

5 And you wouldn't want to do that, because it  
6 would be potentially misleading to whoever is reading  
7 the comparison?

8 A Well, I -- you do not compare nominal values  
9 to present values directly.

10 Q Would you turn to page 34 of your testimony,  
11 please?

12 A I'm there, I think. Hold on. I'm there.

13 Q Would you look at lines 11 through 15? Now,  
14 on line 15, you report a net present value of benefits  
15 for customers shown in one of FPL's sensitivity  
16 analyses, correct?

17 A Yes, the 34.1 million.

18 Q And then at line 22 -- or 20 through 22, you  
19 presented a nominal equity return from the same  
20 sensitivity analysis, instead of using a net present  
21 value quantification, correct? And I want to caution  
22 you about not revealing the number.

23 A Oh, yeah, okay, thanks for the hand wave on  
24 that one.

25 Yes, and I won't reveal the number. But I

1 don't compare it directly to the 34.1. I was careful  
2 throughout this entire testimony to note, when I note  
3 that number that you see down there, that secret  
4 number, that it is a nominal value.

5 **Q I'm sorry, where did you indicate that it was**  
6 **nominal?**

7 A I thought throughout the testimony that I  
8 said 99 million was nominal and it appears to be  
9 missing there.

10 **Q So, in this paragraph, you did contrast a net**  
11 **present value number with a nominal value?**

12 A I did not. All I said was that the number on  
13 line 21 is what the return will be and I think you  
14 will find throughout the testimony I was careful to  
15 say that that was always a nominal value.

16 **Q But you certainly didn't indicate it here at**  
17 **line 20 through 22?**

18 A Right, and if the reader was misled, I  
19 apologize for that, but the word was left out and you  
20 saw it and everybody I think saw it in every other  
21 location.

22 **Q If you would turn to page 27 of your**  
23 **testimony, please?**

24 A I'm there.

25 **Q At lines 4 through 10, you talk about three**

1 **key drivers in the Woodford Project economic**  
2 **evaluation, the reasonableness of the projected gas**  
3 **production, the reasonableness of costs and revenue**  
4 **requirements, and the forecasted market price of gas,**  
5 **correct?**

6 A Yes.

7 Q I want to take a look at each of those  
8 drivers briefly. Let's look at what you call the  
9 first key driver in FPL's economic analysis, the  
10 projected natural gas production. Now, FPL's  
11 projected natural gas production from the Woodford  
12 Project was performed by Dr. Taylor, correct?

13 A It was.

14 Excuse me, sir, what page are you reading  
15 from again?

16 Q I was at page 27, lines 4 through 10.

17 A Okay, I lost my spot, thank you.

18 But, yes, it was performed by Dr. Taylor and  
19 I think I said in my testimony I don't dispute the  
20 output projections of Dr. Taylor, nor do I dispute the  
21 10 or 20 percent variation in output that can occur.

22 Q And Dr. Taylor is a petroleum engineer,  
23 correct?

24 A I was here yesterday, I think he is, yes.

25 Q And you are not a petroleum engineer are you?

1           A       I am not a petroleum engineer. I'm a lawyer/  
2 economist.

3           Q       And Dr. Taylor has not only a B.S., but also  
4 a master's and Ph.D. in petroleum engineering,  
5 correct?

6           A       Yes.

7           Q       And, in contrast, you have no degree in  
8 petroleum engineering?

9           A       That is correct.

10          Q       And Dr. Taylor has taught oil and gas reserve  
11 determination at the University of Texas, correct?

12          A       I believe he taught at some university, I  
13 don't recall if it was Texas or another location. It  
14 may be.

15          Q       You have not taught oil and gas reserve  
16 determination anywhere, have you?

17          A       No. I taught economics and statistics and  
18 econometrics.

19          Q       And you wouldn't -- well -- and you have  
20 never performed an estimate of future volume of  
21 natural gas at any site, including the Woodford  
22 Project, have you?

23          A       That is correct, nor do I dispute it in this  
24 case.

25          Q       And you have never performed a natural gas

1     **reserve assessment, have you?**

2           A     That is correct.

3           Q     **Now, neither you nor any other intervenor**  
4     **witness have performed a natural gas reserve**  
5     **assessment for the Woodford Project, correct?**

6           A     Correct.

7           Q     **So the only natural gas estimate, reserve**  
8     **estimate, before the Commission in this case is Dr.**  
9     **Taylor's reserve estimate and the reserve estimate**  
10    **that is a part of Dr. Taylor's testimony of Forrest**  
11    **Garb & Associates?**

12          A     We have Dr. Taylor's estimate, which I  
13    believe he gave the data to Forrest Garb and they  
14    checked his arithmetic is what I recall.

15          Q     **And -- I'm sorry.**

16          A     Hold on, I'm not done.

17                All I know is I'm not challenging the  
18    estimate. All I know is that an estimate for the next  
19    50 years is wrong, it's not going to be exactly that  
20    number, it's going to vary, and I think Dr. Taylor  
21    admitted that yesterday on the witness stand.

22          Q     **And those are the only two estimates of**  
23    **natural gas reserves in this proceeding, correct?**

24          A     I believe so.

25          Q     **Okay. Let's look at the second driver of the**

1 economic analysis, what you considered to be the  
2 projected level of costs and revenue requirements. We  
3 have already established you're not a petroleum  
4 engineer. Typically the estimation of production  
5 costs associated with natural gas production is  
6 performed by a qualified petroleum engineer, is it  
7 not?

8 A Well, they may be estimating the production  
9 costs, but it's typically based on costs that have  
10 occurred at similar type wells over the years, some  
11 history in that area.

12 Q And typically is performed by a petroleum  
13 engineer, correct?

14 A I can't say that. I don't know that it would  
15 typically be performed by a petroleum engineer. I  
16 would think an accountant or anybody versed in the  
17 types of costs with the historical data in a similar  
18 field could estimate it as well.

19 Q However, you have never performed an estimate  
20 of future gas production costs for any natural gas  
21 reserve, have you?

22 A No.

23 Q And neither you nor your firm have been  
24 retained to analyze shale gas production in the  
25 Woodford Shale Project?

1           A       That is correct, we don't do --

2           **Q       Or anywhere else?**

3           A       That is correct.

4           **Q       And you have never filed testimony before an**  
5 **agency addressing natural gas production costs in the**  
6 **Woodford Shale area or anywhere else?**

7           A       I was -- I recently filed testimony in Alaska  
8 regarding the municipality of Anchorage and they are  
9 involved in -- its not a shale facility, but it's a  
10 gas reserve, and they are involved with other parties  
11 and I did file testimony on that issue in Alaska.

12          **Q       And did that testimony address the natural**  
13 **gas production costs and the estimates for that?**

14          A       At that addressed natural gas production  
15 costs, because the issue was in Anchorage, Alaska, the  
16 municipality, it's a municipal electric utility, they  
17 own an ownership share of a gas reserve in Beluga Bay  
18 outside of Anchorage, and I recommended that the third  
19 party sales, the profits, be used as an offset to a  
20 rate increase proposal. So it involved both the  
21 expenses and the revenues associated with those gas  
22 reserves.

23          **Q       And was that testimony filed subsequent to**  
24 **your answering interrogatory 57 that FPL sent to the**  
25 **Office of Public Counsel?**

1 A No, I think I filed that in April.

2 Q Okay.

3 A I filed that testimony prior to issues in  
4 this case.

5 Q Okay. I'm going to --

6 MR. GUYTON: May I approach the witness?

7 A I have it, sir.

8 BY MR. GUYTON:

9 Q All right. Mr. Lawton, would you read for  
10 the Commission -- first off, are you familiar with the  
11 document that I've handed you?

12 A Yes. It's the interrogatories that were sent  
13 to me by your client, FPL, regarding my testimony.

14 Q And would you read for the Commission  
15 interrogatory 57 and your answer to 57?

16 A Sure. "Has witness Lawton ever testified  
17 regarding natural gas production costs associated with  
18 shale gas in the Woodford Shale region or elsewhere?"

19 Answer, "No. Mr. Lawton would generally  
20 address actual or expected natural gas market costs  
21 and not the production of costs of a specific  
22 designated location."

23 And part B is answered, "With regard to  
24 elsewhere, see A above."

25 And that's perfectly consistent, because the

1 Beluga gas that I spoke to you about earlier is not a  
2 shell formation. It is a different type of reserve.

3 **Q Okay. Am I correct that the only forecast of**  
4 **future production costs at the Woodford Shale Project**  
5 **before the Commission is the forecast provided by Dr.**  
6 **Taylor and Forrest Garb?**

7 A I don't know the answer to that. You may  
8 have other production estimates, but the ones before  
9 this Commission would be the ones that are in the  
10 record. Who came up with them, I don't recall.

11 **Q You're not aware of any other than those two?**

12 A That's all I know of.

13 **Q Okay.**

14 A Those are the numbers I've been using and  
15 I've pointed out that I don't challenge the production  
16 costs either.

17 **Q So we talked about the first two key drivers**  
18 **in the economic analysis, let's look at the third one**  
19 **that you characterized as the forecasted market price**  
20 **of gas?**

21 A Yes.

22 **Q You have an alternative natural gas price**  
23 **forecast in your testimony, correct?**

24 A Yes, I think in schedule DJL-4, which is  
25 attached to my testimony, I used an alternative

1 estimate.

2 Q And would you turn to that, please?

3 A I'm there.

4 Q Once again, it's a confidential exhibit, I'm  
5 going to give you one value off of it which is  
6 cumulative and doesn't show -- I'm going to give you  
7 one value off of it, it is cumulative, it doesn't show  
8 the calculations.

9 A Gotcha.

10 Q Okay. If you would look at that exhibit,  
11 using your alternative market price forecast --

12 A Yes.

13 Q -- FPL's customers would achieve a net  
14 present value savings of \$43.8 million for the  
15 Woodford Project, correct?

16 A Yes, if only a more reasonable forecast were  
17 used before you considered other sensitivity analyses,  
18 the savings under the project would be \$43.76 million.

19 MR. GUYTON: If I may have a minute just to  
20 summarize.

21 (Record paused briefly.)

22 MR. GUYTON: That's all I have. Thank you,  
23 Mr. Lawton.

24 THE WITNESS: Thank you, sir, I appreciate  
25 it.

1 CHAIRMAN GRAHAM: Staff?

2 MS. BARRERA: Good morning, Mr. Lawton.

3 THE WITNESS: I'm great. I'm just going to  
4 ask you to speak up, because I'm not only  
5 optically challenged, I have got some audio  
6 challenges as well.

7 MS. BARRERA: Okay, can you hear me now?

8 THE WITNESS: I do.

9 MS. BARRERA: Good morning.

10 THE WITNESS: Good morning.

11 CROSS EXAMINATION

12 BY MS. BARRERA:

13 Q If FPL and its customers were to share 50/50  
14 the Woodford Project gains and losses between the  
15 production costs and the market price of gas, and  
16 share 50/50 the cost of the return on the investment  
17 above the line, in your opinion, would that provide  
18 FPL with an incentive to minimize costs to be shared  
19 with customers?

20 A Any time you employ a sharing mechanism, you  
21 incent immediately one of the parties, the party in  
22 control, in this case FPL, to minimize costs, because  
23 they are only going to get half the amount, and the  
24 way to maximize the amount of recovery you're going to  
25 get under your hypothetical is to truly minimize costs

1 to get that margin up higher and higher, because half  
2 of 50 is better than half of 25.

3 **Q If FPL and its customers were to share 50/50**  
4 **the Woodford Project gains and losses between the**  
5 **production costs and the market price of gas, and**  
6 **share 50/50 the cost of the return on the investment**  
7 **above the line, in your opinion, would that retain for**  
8 **FPL and its customers access to producing wells and**  
9 **the benefits of more stable gas prices?**

10 **A** It could in the following way. If you look  
11 at the Woodford Project as presented by FPL, they have  
12 built in a cost of capital of 10.5 percent for equity.  
13 This entire project could easily be financed with all  
14 debt, for example, and as a result, customer costs  
15 would be way down if you reran these numbers, because  
16 not only would you remove more expensive equity, which  
17 is twice as high as debt, but you remove the entirety  
18 of federal income taxes. That would reduce the cost  
19 to consumers.

20 And I think in your example, you would be  
21 talking about the sharing of the equity costs. My  
22 example goes a step further, it would eliminate the  
23 equity costs because there is no need for it.

24 I gave an example to Mr. Guyton earlier of a  
25 case in Alaska, it's a municipality, they financed the

1 entirety of the gas reserve with debt. They don't  
2 have equity in municipalities.

3 **Q And would that provide appropriate incentives**  
4 **for FPL to minimize costs and maximum gains?**

5 A Absolutely, because FPL has said throughout  
6 this entire proceeding that its goal is to present  
7 lower fuel costs for consumers. If your goal is to  
8 present the lowest fuel costs for consumers, either  
9 splitting on the savings or eliminating the equity  
10 costs will minimize the costs of consumers, which is  
11 FPL's stated goal.

12 **Q Do you think it's a feasible and workable**  
13 **alternative to FPL's proposal, which places all the**  
14 **risk and benefits on its customers, to have FPL and**  
15 **its customers share 50/50 the Woodford Project gains**  
16 **and losses and share 50/50 the cost of the return on**  
17 **the investment above the line?**

18 A Yes, because what it does, and there's an old  
19 economics and lawyer saying, FPL would have skin in  
20 the game. In other words, right now all the risks are  
21 on consumers and FPL is saying don't worry, we have  
22 made a forecast and every year for the next 50 years,  
23 the market prices are going to be higher. But if FPL  
24 has skin in the game, in other words, the consequences  
25 of these decisions will come back to affect them, then

1 I think you might see very different forecasts and  
2 results and proposals. So I think by having a sharing  
3 or a true cost minimization, FPL is incentivized to  
4 come up with the right approach.

5 MS. BARRERA: Thank you. Staff has no more  
6 questions.

7 CHAIRMAN GRAHAM: Commissioners? Commission  
8 Balbis.

9 COMMISSIONER BALBIS: Thank you and thank you  
10 for your testimony.

11 THE WITNESS: Good morning, sir.

12 COMMISSIONER BALBIS: Good morning. I have a  
13 few questions, and since you're from Texas, I  
14 guess I should ask, are you familiar with Florida  
15 Fuels Generation Mix?

16 THE WITNESS: Florida Fuels Generation Mix,  
17 it's primarily gas in FPL service area in terms of  
18 the fuel purchases, but in terms of the actual --  
19 I would suspect it's -- I've looked at it, I don't  
20 remember the numbers at the time. I know there's  
21 nuclear, there used to be a lot more oil in days  
22 back, and now it's more efficient gas.

23 COMMISSIONER BALBIS: Okay. And are you  
24 aware that this Commission, that we have to  
25 consider fuel diversity?

1 THE WITNESS: Sure.

2 COMMISSIONER BALBIS: Okay.

3 THE WITNESS: Most commissions do.

4 COMMISSIONER BALBIS: Aren't some of the  
5 benefits of having a diverse fuel portfolio is  
6 that it mitigates against price fluctuations of  
7 any one of the individual fuels for each  
8 generation source?

9 THE WITNESS: Absolutely.

10 COMMISSIONER BALBIS: One of the things that  
11 I struggle with is what other options we have from  
12 a diversity standpoint, so are you aware of any  
13 other legitimate options for diversifying our fuel  
14 portfolio?

15 THE WITNESS: Well, right now we have had the  
16 fuel portfolio problem and fuel diversity problem  
17 for as long as electric utilities have been  
18 around. And over the years, the commissions, the  
19 way they have handled it is different, depending  
20 upon which was the key fuel.

21 If it's coal, for example, commissions are  
22 struggling with that because of EPA, and so they  
23 are trying to push utilities over to, in some  
24 senses renewables and gas, because -- or purchase  
25 power, because it's many times a cheaper

1 alternative.

2 So I understand every commission faces this  
3 issue and you're facing it now, but I don't think  
4 the alternative is to put 100 percent of the risks  
5 under this proposal on consumers. I don't think  
6 that's --

7 COMMISSIONER BALBIS: And that wasn't my  
8 question. I'll get to that point.

9 THE WITNESS: Okay.

10 COMMISSIONER BALBIS: The first thing is, the  
11 issue is fuel diversity and mitigating price  
12 fluctuations.

13 THE WITNESS: Yes, sir.

14 COMMISSIONER BALBIS: And wouldn't it be  
15 prudent for this Commission to encourage  
16 protection from those price fluctuation,  
17 especially it if results in a savings?

18 THE WITNESS: It is always prudent to  
19 mitigate volatility, but it's also prudent to  
20 consider, for example, you're faced, this  
21 Commission, with a gas diversity issue. Right  
22 now, the gas market over the past number of years  
23 has more gas and low, low prices. The diversity  
24 or the problem with fluctuations is not as  
25 pronounced as it has been in the past and the

1 future looks bright in terms of those availability  
2 of gas supplies.

3 COMMISSIONER BALBIS: Okay. And let's talk a  
4 little bit about the future, because obviously  
5 we're -- these are long terms projections, long  
6 term investments.

7 THE WITNESS: Sure.

8 COMMISSIONER BALBIS: EPA's proposed 111(d)  
9 specifically for Florida, but I'm sure all the  
10 states in one of their building blocks recommended  
11 going to a 70 percent utilization rate or  
12 additional usage of gas, and would you agree that  
13 nationwide states are going to start using more  
14 gas as a result of EPA's regulations?

15 THE WITNESS: I think nationwide you're going  
16 to see use of more gas and/or a buildup of, we're  
17 seeing in other places, some renewables and a  
18 combination.

19 COMMISSIONER BALBIS: Okay. So as an  
20 economist, wouldn't you expect if there is more  
21 demand, that the price is going to go up?

22 THE WITNESS: Ordinarily, but you would see  
23 right now we have an enormous supply and  
24 availability of natural gas. What we have had  
25 over the past few years is more and more

1           discoveries or expansion in the shale deposits and  
2           the gas availability and all you have to do is  
3           read the same report that FPL presented in this  
4           case. Energy Information Administration's most  
5           recent forecast of availability of gas, there is  
6           nothing out there pushing that price up like that.

7           COMMISSIONER BALBIS: Okay. And then from a  
8           producer's standpoint --

9           THE WITNESS: Yes, sir.

10          COMMISSIONER BALBIS: -- when they are out in  
11          the market trying to attract capital, those  
12          capital markets are looking for the highest return  
13          --

14          THE WITNESS: Yes.

15          COMMISSIONER BALBIS: -- in most cases. And  
16          so the producer can either drill oil wells or  
17          liquids or go for gas and historically which has  
18          produced the highest returns?

19          THE WITNESS: It depends on the timing. For  
20          example, in 1986, oil was driven down to \$10 a  
21          barrel by OPEC flooding the market with supply, so  
22          oil didn't produce much. And natural gas, when it  
23          was up at \$12 or \$15, provided great, great  
24          returns. Right now, natural gas in the Woodford  
25          is a very risky venture, because its production

1 costs relative to what you can get, according to  
2 PetroQuest is too risky. They are going to go for  
3 natural gas liquids and that's what we're seeing  
4 right now.

5 COMMISSIONER BALBIS: Okay. And so you have  
6 testified that you expect natural gas prices to  
7 remain low?

8 THE WITNESS: Yes, sir.

9 COMMISSIONER BALBIS: Okay. So now the  
10 competition for investment either in the liquids  
11 drilling, oil drilling, versus gas, there is going  
12 to be the disparity where investors are going to  
13 focus on the oil side because the returns on the  
14 gas may not be as high, or risky, as you say?

15 THE WITNESS: Right.

16 COMMISSIONER BALBIS: So, in this case, with  
17 the Woodford agreement or any future agreements,  
18 it's insuring that additional investment is being  
19 made in the production of gas, regardless of the  
20 returns, because the utilities need gas to operate  
21 their plants. So wouldn't this insure that  
22 additional investment and production is occurring?

23 THE WITNESS: No, I don't think this is  
24 increasing the output of gas. As gas prices and  
25 demands --

1           COMMISSIONER BALBIS:  And that wasn't my  
2           statement.  I said --

3           THE WITNESS:  Okay, I'm trying to --

4           COMMISSIONER BALBIS:  Yeah, doesn't that  
5           insure that the investment in gas production is  
6           occurring, regardless of the competition with oil,  
7           because the utilities do not need oil, they need  
8           gas, so this is one mechanism to make sure that  
9           the drilling operations will continue and move  
10          forward and produce gas?

11          THE WITNESS:  It will in this case, only  
12          because this Commission will be giving a  
13          regulatory subsidy to the utility to drill.  The  
14          market has said we don't want to drill in this  
15          section of the Woodford.

16          PetroQuest, in my testimony, I quote them,  
17          they are telling the Securities and Exchange  
18          Commission, the Woodford is risky for us, what we  
19          do is we pass those risks to FPL and they are  
20          willing to take it and pay a disproportionate  
21          amount while we, PetroQuest, go drill for oil.  
22          And the only way FPL will do this is if this  
23          Commission guarantees the return.  It's not the  
24          market doing it, it would be the commission.

25          COMMISSIONER BALBIS:  Okay.  So let's focus

1 on the guidelines. You testified that the  
2 guidelines of 25 percent maximum percentage is a  
3 "huge number?"

4 THE WITNESS: It is.

5 COMMISSIONER BALBIS: Is there a number that  
6 wouldn't be huge?

7 THE WITNESS: Well, this case --

8 COMMISSIONER BALBIS: That would provide  
9 diversification protections from price  
10 fluctuations?

11 THE WITNESS: This case is roughly 2.7  
12 percent. It is not huge relative to the  
13 25 percent guideline. But what you would do, if  
14 you went to 25 percent, the reason I called it  
15 huge is that it's like I think 11 times or 10  
16 times the value in this case, that's a huge  
17 investment and we're going to count on the next 50  
18 years to be right, and that's a big risk for  
19 customers.

20 COMMISSIONER BALBIS: Okay. So you indicated  
21 that the 2.7 or 2.9 percent isn't huge. Would  
22 5 percent be huge, would 10, would 15?

23 THE WITNESS: I haven't evaluated all the  
24 ranges, but if you take, for example, 5 percent of  
25 your gas supply, that's not a huge amount.

1 COMMISSIONER BALBIS: Okay, that's all I  
2 have.

3 CHAIRMAN GRAHAM: Any redirect?

4 MR. SAYLER: Give me a moment, I have a lot  
5 of notes here.

6 CHAIRMAN GRAHAM: Sure. I didn't mean to  
7 wake you.

8 MR. SAYLER: Sir?

9 CHAIRMAN GRAHAM: Kidding.

10 REDIRECT EXAMINATION

11 BY MR. SAYLER:

12 Q Mr. Lawton, do you remember being asked by  
13 Mr. Guyton about the Commission approving \$2.9 billion  
14 in natural gas fuel costs for recovery in 2015 through  
15 the Fuel Clause mechanism; do you recall questions  
16 about that?

17 A Oh, 2.9 billion is what --

18 Q Yeah, 2.9 billion, sorry.

19 A Yeah, I do.

20 Q And do you recall him stating that OPC  
21 stipulated to that?

22 A I do recall that it was subject to a  
23 stipulation. I don't recall if he said OPC was on the  
24 stipulation or not.

25 Q Okay. If OPC took no position or a type 2 or

1     **3 stipulation, do you know if that would be reflected**  
2     **in the order?**

3           A     I would think that all the parties to the  
4     stipulation would be reflected on the order. They  
5     usually are.

6           Q     **Okay. Now, do you recall being asked about**  
7     **FPL not being allowed to recover the Woodford costs in**  
8     **the Fuel Clause and whether they would be allowed to**  
9     **recover those costs in base rates; do you recall that?**

10          A     Yes, because of the regulatory lag issue,  
11     yes.

12          Q     **Right. Now, if FPL cannot recover Woodford**  
13     **Project costs and base rates because they agreed to a**  
14     **base rate freeze, would that be a management decision**  
15     **by FPL?**

16          A     I didn't hear your question.

17          Q     **If FPL can't recover the Woodford Project**  
18     **through the Fuel Clause and they cannot recover it in**  
19     **base rates because of a settlement, would that --**  
20     **agreeing to that settlement have been a management**  
21     **decision?**

22          A     Yes, I mean, if management agreed to a  
23     settlement earlier and they couldn't agree to or  
24     couldn't collect based on their agreement, I mean,  
25     that's -- management has to live with what they do.

1 Q Okay. Do you have a copy of the order that  
2 Mr. Guyton passed out?

3 A I do.

4 Q All right. Would you turn to page 6 of that  
5 order?

6 A Page 6?

7 Q Yes, sir.

8 A I'm there.

9 Q Do you see where it shows a history of the  
10 Fuel Clause going from monthly adjustments in the  
11 second paragraph to adjustments every six months and  
12 then finally to annual adjustments?

13 A I do.

14 Q Now, in your opinion, does going from monthly  
15 adjustments to annual adjustments mitigate or insulate  
16 customers from fuel price volatility?

17 A It does. I mean, historically, one of the  
18 reasons for Fuel Clauses getting longer is that people  
19 complained month to month their utility bill was  
20 jumping up and down, especially in times when we had  
21 the oil crisis in I guess the early seventies.  
22 Nowadays, it's an annual type of thing so it smooths  
23 out the price impact to consumers, volatility is down.

24 Q Okay. Do you recall some questions about  
25 financial hedging?

1           A       I do.

2           **Q       All right. I believe you testified that some**  
3 **Public Service Commissions around the country are**  
4 **eliminating fuel hedging, is that correct?**

5           A       That is correct.

6           **Q       Which commissions are eliminating or**  
7 **considering to eliminate?**

8           A       I'm trying to recall if it was Kentucky or  
9 Tennessee was looking at a concern or have eliminated  
10 because it's the cost of the hedge. It's basically an  
11 insurance policy and you're insuring against price  
12 changes and utilities don't make money on hedging or  
13 lower costs. What they do is try to remove price  
14 volatility and there is a cost to it and the  
15 commissions are concerned about is this cost  
16 worthwhile.

17                   I know in Texas hedging is -- they just don't  
18 do it in terms of the electric side. On the gas side,  
19 they do, but that's being mitigated as well.

20           **Q       All right. Do you recall being asked about a**  
21 **10 percent swing in the cost of natural gas, that \$2.9**  
22 **billion we were discussing earlier?**

23           A       Yes, I do. It was a \$290 million impact.

24           **Q       Right. Currently in the market, do utilities**  
25 **face a risk of that -- excuse me, let me rephrase.**

1           **Are utilities currently facing a 10 percent**  
2 **risk of that swing currently?**

3           A     You don't see that currently, no.

4           **Q     What's the percentage amount currently?**

5           A     It varies in terms of the time period you  
6 look at, but we're seeing gas prices, natural gas  
7 prices sitting and expected to be in the high 3's and  
8 low 4's, dollars per MMBtu.

9           **Q     Okay. In the same order that Mr. Guyton**  
10 **used, PSC 11-0080, you were asked a number of**  
11 **questions about another commission order, 14546.**  
12 **You're familiar with that order, correct?**

13          A     Yes.

14          **Q     Both orders. In Attachment A to that order,**  
15 **you see it lists a number of projects?**

16          A     I do.

17          **Q     Are you aware of the relative size of those**  
18 **projects as compared to what FPL is proposing through**  
19 **its guidelines?**

20          A     You can see it in the order, you know, for  
21 example, the Scherer project was \$24 million, as I  
22 recall, in costs. There was \$24 million in savings,  
23 which Mr. Guyton said were projected, but as I recall,  
24 looking at that case, the only projection was the  
25 number of rail car deliveries. The price of ownership

1 was known and leasing was known. It's not a real  
2 projection in the context of Woodford. Also, you'll  
3 see most of the cases are smaller dollars than what we  
4 see in Woodford.

5 **Q Okay.**

6 A That's what I talked about in my opening on  
7 size and scope of these types of projects.

8 **Q Okay. So all of these projects are**  
9 **significantly smaller than the Woodford proposal,**  
10 **correct?**

11 A As I recall looking through them, yes.

12 **Q And significantly smaller than 750 million?**

13 A Yes.

14 **Q Are aware if most of these projects**  
15 **eventually went into rate base?**

16 A I know one of them, I think it was the Martin  
17 project, there was a lateral pipeline that FPL built  
18 that was going to create some cost savings, it was put  
19 in the Fuel Clause and I think it was conditioned it  
20 had to go into the next base rate case.

21 **Q Okay.**

22 A Whether that happened, I have not followed  
23 that up.

24 **Q All right. Do you remember a number of**  
25 **questions about various FPC, Florida Power Corp,**

1 conversions of plants to burn natural gas?

2 A I saw those, yes.

3 Q And I believe you were asked to agree that it  
4 said that order number 14546 allowed a utility to  
5 recover fossil fuel related costs that results in fuel  
6 savings?

7 A Yes.

8 Q All right. Now, in a number of those orders,  
9 it used the word resulted, past tense, do you see  
10 that?

11 A Yes.

12 Q All right. So those were not projected  
13 savings, but actual savings, is that correct?

14 A Well, by the language of the order, it looks  
15 like it resulted in savings and so it was allowed to  
16 put in rates.

17 Q All right. Now, is FPL, through its Woodford  
18 Project, projecting a resulted savings or estimated  
19 savings?

20 A All are estimates, there's no results. Fifty  
21 years of estimates.

22 Q Earlier you were asked about if the Woodford  
23 Project were not approved to go through the Fuel Cost  
24 Recovery Clause, do you recall that?

25 A Yes.

1           **Q     Are you familiar with what would happen if**  
2 **the Commission denied FPL's request to recover the**  
3 **Woodford Project in the Fuel Clause?**

4           **A     Nothing would happen on fuel. FPL has**  
5 **already acknowledged the fuel supply they can get in**  
6 **the market. There is no change. All the consumer**  
7 **prices will be based on market, not on these 50 year**  
8 **projections.**

9           **Q     And would FPL continue with the Woodford**  
10 **Project or would they leave it with USG?**

11          **A     The Woodford project, as I recall, would be**  
12 **owned by USG. FPL, if they don't get what they are**  
13 **asking for, their affiliate owns it.**

14          **Q     Okay. Going back to the same order, PSC**  
15 **11-008, would you turn to page 9?**

16          **A     I'm there.**

17          **Q     All right. You see where it has a full quote**  
18 **from Order 14546, correct and then that first**  
19 **paragraph after that, Mr. Guyton asked you to read**  
20 **into the record a sentence or two?**

21          **A     Yes, regarding the interpretation.**

22          **Q     Right. And in the interpretation, I believe**  
23 **you read into the record projects eligible for cost**  
24 **recovery through the Fuel Clause that should produce**  
25 **fuel savings based on lowering the delivered price of**

1 **fuel. Do you see that?**

2 A Yes.

3 **Q Now, as an attorney or an economist, is there**  
4 **a qualitative difference between should and could or**  
5 **should and may?**

6 A There can be a difference, certainly. If it  
7 should produce savings, I mean, I think that's more of  
8 a result oriented approach.

9 If it could produce savings, that's, you  
10 know, anything could happen.

11 **Q But you would agree that this order doesn't**  
12 **use could or may or possibly or projected, it says**  
13 **should, correct?**

14 A Yes.

15 **Q You were asked a few questions about FPL's**  
16 **projected savings, is that correct?**

17 A Yes.

18 **Q Do you have a copy of FPL SF-8 as well as**  
19 **their revision to it that was provided to OPC in**  
20 **discovery?**

21 A I thought I did. I do.

22 **Q Okay.**

23 MR. SAYLER: Commissioners, just for an easy  
24 comparison, Exhibit 64 that Mr. Truitt passed out  
25 yesterday contained a redacted version of the

1 revised SF-8, just if you want to do a comparison.

2 BY MR. SAYLER:

3 Q If you look at column H in the original fuel  
4 forecast -- or the original forecast provided with  
5 testimony and the one that was revised, if you look at  
6 column H, what has changed?

7 MR. GUYTON: Objection. This goes well  
8 beyond the cross, it is not redirect. It is about  
9 an exhibit that was sponsored by another witness.  
10 This is an attempt at supplemental direct. The  
11 only question that I asked him was about his fuel  
12 forecast and the projected savings, not FPL's or  
13 Mr. Forrest.

14 MR. SAYLER: Okay.

15 CHAIRMAN GRAHAM: Mr. Sayler?

16 MR. SAYLER: I will limit my questions to  
17 your questions, Mr. Guyton. Give me a moment.

18 BY MR. SAYLER:

19 Q All right. Do you recall being asked by  
20 Mr. Guyton about projected reserves -- or, excuse me,  
21 projected production amounts or values?

22 A Yes.

23 Q Okay. And using SF-8 as an illustrative  
24 example, you would agree that annual production  
25 amounts that Dr. Taylor forecasted are shown on these

1 **exhibits, is that correct?**

2 A It is, yes.

3 Q All right. And with regard to these  
4 projected production amounts, are you aware that Dr.  
5 Taylor testified that those could vary by plus or  
6 minus 20 percent?

7 MR. GUYTON: Objection. We're beyond the  
8 scope of cross examination. We're recounting now  
9 what other people have testified. It's just  
10 inappropriate redirect.

11 CHAIRMAN GRAHAM: Mr. Sayler?

12 MR. SAYLER: All right. Mr. Chairman,  
13 Mr. Guyton said that -- he was questioning our  
14 witness about his familiarity with production and  
15 things of that nature as far as some of the key  
16 assumptions that go into FPL's savings and what  
17 I'm trying to do is to allow him to testify or to  
18 explain how those assumptions affect the projected  
19 savings, but if you would prefer me to move on, I  
20 will.

21 CHAIRMAN GRAHAM: I would prefer you to move  
22 on.

23 MR. SAYLER: All right.

24 BY MR. SAYLER:

25 Q Do you recall a question about -- being asked

1     **about the net present value versus nominal?**

2           A     I do.

3           **Q     All right.  Would you please turn to page 34**  
4 **of your testimony?**

5           A     I'm there.

6           **Q     All right.**

7           MR. GUYTON:  Excuse me, Erik, I just want to  
8     make sure we don't have an inadvertent blurting of  
9     the confidential information here, just a  
10    reminder.

11          MR. SAYLER:  No, I appreciate it, no  
12    blurting.

13   BY MR. SAYLER:

14          **Q     Now, starting at page 33, you have a**  
15 **Q and A that continues on through page 34, is that**  
16 **correct?**

17          A     I do.

18          **Q     All right.  At the top of page 34, line 5,**  
19 **there's a confidential number there, but prior to that**  
20 **confidential number, you use the term nominal, is that**  
21 **correct?**

22          A     Yes, I refer to nominal profits and then the  
23    number.

24          **Q     And then later on, you continue on and you**  
25 **cite another, the same confidential number, I believe,**

1     **is that right?**

2           A     Yes.

3           Q     **All right. And my last question, do you**  
4     **recall being asked questions by commission staff about**  
5     **a 50/50 sharing?**

6           A     Yes.

7           Q     **All right. In the testimony that you**  
8     **prepared for OPC, is that your recommendation, a**  
9     **sharing or a denial of the project?**

10          A     My recommendation would be denial as  
11     presented. It's risky the way FPL proposes, but if  
12     staff were to propose a sharing or some composite of  
13     adjustment, it would be a different project to examine  
14     and to consider.

15                 I'm not clear exactly what is being proposed,  
16     but I think what's being proposed is FPL would have,  
17     as I used the phrase, skin in the game, and they would  
18     certainly be incentivized to make sure that the costs  
19     were the lowest possible costs for consumers for  
20     purposes of price volatility and fuel diversity as the  
21     Commission is concerned about.

22                 MR. SAYLER: All right, thank you,  
23     Mr. Lawton.

24                 THE WITNESS: Thank you.

25                 MR. SAYLER: No further redirect.

1 CHAIRMAN GRAHAM: Exhibits?

2 MR. SAYLER: I do have several exhibits to  
3 move into the record. Those are Exhibits 36  
4 through 39.

5 CHAIRMAN GRAHAM: 36, 37, 38 and 39.

6 MR. SAYLER: Including 35, sorry. 35, 36,  
7 37, 38 and 39, I misspoke.

8 CHAIRMAN GRAHAM: Any objections to those?

9 MR. GUYTON: No.

10 MR. SAYLER: 35 through 39, I apologize.

11 MR. GUYTON: FPL has none.

12 CHAIRMAN GRAHAM: All right. We will move 35  
13 through 39 into the record.

14 MR. SAYLER: And may this witness be excused?

15 CHAIRMAN GRAHAM: Yes, sir.

16 MR. SAYLER: All right. Thank you very much.

17 CHAIRMAN GRAHAM: Thank you for your time.

18 Florida Power & Light, your first rebuttal  
19 witness.

20 MR. BUTLER: Thank you, Mr. Chairman. We  
21 would call Mr. Ousdahl to the stand.

22 Whereupon,

23 H. KIM OUSDAHL

24 was called as a witness on behalf of Florida Power &  
25 Light, and testified as follows:

1 DIRECT EXAMINATION

2 BY MR. BUTLER:

3 Q Good morning, Ms. Ousdahl, would you please  
4 just state your name for the record?

5 A Kim Ousdahl.

6 Q And you testified yesterday on direct,  
7 correct?

8 A I did.

9 Q Okay. Have you prepared and caused to be  
10 filed 15 pages of rebuttal testimony on October 13,  
11 2014 in this proceeding?

12 A I did.

13 Q Do you have any changes or revisions to your  
14 prefiled rebuttal testimony?

15 A I do not.

16 Q Okay. If I asked you the same questions  
17 contained in your rebuttal testimony today, would your  
18 answers be the same?

19 A They would.

20 MR. BUTLER: Okay. Mr. Chairman, I would  
21 asked that Ms. Ousdahl's prefiled rebuttal  
22 testimony be inserted into the record as though  
23 read.

24 CHAIRMAN GRAHAM: We will insert this  
25 witness's prefiled rebuttal testimony into the

1 record as though read.

2 MR. BUTLER: Thank you.

3 (Whereupon, prefiled testimony was inserted.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



1 potential future gas reserves projects, including the related depletion  
2 accounting;

3 2. Demonstrate the adequacy of the FPL internal controls and audit  
4 capabilities relied on for FPL's current joint venture activities and the  
5 reliance the Florida Public Service Commission ("Commission" or  
6 "FPSC") has placed on those controls and audits along with the  
7 applicability of that approach to gas reserves projects; and

8 3. Clarify the purpose and benefits of outsourcing the transactional  
9 accounting for the gas reserves activity.

10 **Q. Please summarize your rebuttal testimony.**

11 A. The Company's proposed investment in gas reserves for the benefit of  
12 customers can be readily and appropriately accounted for consistent with the  
13 USOA, and the proper accounting for those investments is the responsibility  
14 of FPL management. FPL's books and records form the basis for proper  
15 ratemaking, and I will explain how the Company's internal controls and active  
16 annual audits are relied on by this Commission for ratemaking as it relates to  
17 FPL's current joint venture activities. The Company's decision to outsource  
18 the accounting for these activities was premised upon considerations of both  
19 efficiency and effectiveness. The design and operating effectiveness of the  
20 outsourcer's internal controls, coupled with the complementary controls  
21 provided by FPL, will provide assurance such that the financial information  
22 provided by the outsourcer can be relied on for ratemaking.



1    **Q.    OPC witness Ramas’ testimony on Page 9, Lines 18-20 states in part, that**  
2           **“FPL and its subsidiary *are not* proposing to record the investments in**  
3           **gas exploration, drilling and development ventures in Plant in Service**  
4           **accounts that fall under the FERC USOA.” Is she correct?**

5    **A.**    No. Exhibits KO-5 and KO-6 were prepared to illustrate the financial results  
6           for the first year of the FPL’s subsidiary operations and a sample schedule  
7           which will be provided to the Commission as part of the Fuel Clause filing,  
8           respectively. Exhibit KO-7 bridges the gap between the industry standard  
9           accounts and the FERC natural gas chart of accounts.

10

11           Witness Ramas concludes on lines 1 through 4 of page 10 that because  
12           Exhibit KO-6 identifies the projects as “investments” instead of “plant in  
13           service,” they do not qualify as utility rate base. This underscores her  
14           complete misunderstanding of FPL’s proposed accounting and of this  
15           Commission’s established practice for presentation of clause-recoverable  
16           capital projects. Exhibit KO-6 is patterned after Form 42-4P that is used to  
17           present the calculation of revenue requirements for capital environmental  
18           projects through the Environmental Clause. The format of Form 42-4P is  
19           specified by the Commission Staff. I have attached as Exhibit KO-8 a copy of  
20           the Form 42-4P for FPL’s Commission-approved Clean Air Interstate Rule  
21           (“CAIR”) Compliance Project that was filed in Docket No. 140007-EI on  
22           August 22, 2014. That project relates to emission-control equipment that is

1 installed on power plants that FPL owns or co-owns. As you can see, Form  
2 42-4P refers to the cost of those emission-control assets as “Investments” in  
3 exactly the same way that Exhibit KO-6 refers to the gas reserves project  
4 assets as “Investments.” There obviously would be no merit in the assertion  
5 that the emission-control equipment is not Plant in Service simply because  
6 Form 42-4P uses the term “Investments,” yet that is exactly what witness  
7 Ramas is asserting with respect to the gas reserves assets that appear on  
8 Exhibit KO-6. Please note that Exhibit KO-7 reflects Account 101 Gas Plant  
9 in Service, which is where the “Investments” on Exhibit KO-6 will be  
10 recorded in FPL’s books.

11 **Q. Do you agree with OPC witness Ramas’ assertion on Pages 17 and 18 that**  
12 **the USOA and Generally Accepted Accounting Principles (“GAAP”)**  
13 **accounting are mutually exclusive?**

14 A. No. GAAP contemplates the effects of regulation, as codified in Accounting  
15 Standards Codification (“ASC”) 980 Regulated Operations. As explained  
16 previously, FPL will utilize the USOA to reflect the costs incurred in gas  
17 reserves development and production while concurrently reporting its results  
18 in accordance with GAAP and the Securities and Exchange Commission  
19 (“SEC”) requirements. The successful efforts method of accounting preferred  
20 by the SEC will not change the economic or ratemaking results of the  
21 transaction in any material way. Regulatory ratemaking is strengthened where  
22 GAAP and FERC are consistent. This is evident as the few changes to the

1           USOA that FERC has made over the years are generally in recognition and  
2           adoption of changes in GAAP such as accounting for leases, derivatives, and  
3           asset retirement obligations.

4   **Q.   Is the use of depletion accounting as contemplated by FPL appropriate**  
5   **and consistent with FERC and FPSC rules?**

6   A.   Yes. Subchapter F of the USOA Natural Gas, Part 201, 12A reads:

7                   “12. A. *Depletion*, as applied to natural gas producing land and land  
8                   rights, means the loss in service value incurred in connection with the  
9                   exhaustion of the natural resource in the course of service.”

10

11           FERC account 404.1 - Amortization and Depletion of Producing Natural Gas  
12           Land and Land Rights, reads in part:

13                   “A. This account shall include charges for amortization and depletion  
14                   of producing natural gas land and land rights. (See account 111,  
15                   Accumulated Provision for Amortization and Depletion of Gas Utility  
16                   Plant).

17                   B. The charges to this account shall be made in such manner as to  
18                   distribute the cost of producing natural gas land and land rights over  
19                   the period of their benefit to the utility, based upon the exhaustion of  
20                   the natural gas deposits recoverable from such land and land rights.”

21



1 that service. In addition, other procedures are performed including sampling  
2 of invoices and agreeing those invoices to the general ledger. Likewise, they  
3 will review contracts and purchase orders as evidence of the reasonableness of  
4 the costs invoiced and recorded to the general ledger.

5 **Q. Are there any costs in an adjustment clause today that are incurred**  
6 **through a joint venture agreement between FPL and a third-party**  
7 **owner/operator?**

8 A. Yes. FPL contracted in 1982 with JEA for a 20% ownership interest in its St.  
9 Johns River Power Park (“SJRPP”) and for a 37½% interest in JEA’s 80%  
10 remaining interest through a purchased power agreement (“PPA”).  
11 Additionally, in 1991 FPL purchased a 76.4% interest in the Georgia Power  
12 Company’s Plant Scherer Unit 4. JEA remains the owner/operator of SJRPP  
13 and the same is the case for Georgia Power Company with Scherer Unit 4.  
14 FPL recovers the fuel costs for both plants through the Fuel Clause, the  
15 capacity charges under the SJRPP PPA through the Capacity Clause, and  
16 FPL’s share of environmental costs for both plants through the Environmental  
17 Clause.

18 **Q. Does the Commission staff utilize a different procedure for the audit of**  
19 **FPL’s current joint venture activities?**

20 A. Not to my knowledge. The audit procedures utilized by Staff that we are able  
21 to observe in its report are no different for those costs than for any other  
22 invoiced costs.

1 **Q. Does FPL have any additional controls related to its participation in joint**  
2 **venture agreements?**

3 A. Yes. FPL's joint venture agreements all provide FPL access to the  
4 owner/operator's books and records for periodic on site audit of its billings to  
5 FPL to ensure all charges are appropriately incurred by FPL's customers. In  
6 addition, all of these entities are subject to external audits which provide  
7 assurance that the financial statements are free of material misstatement and  
8 that the entity is maintaining effective internal controls. These are the same  
9 rights that FPL will have under the Drilling and Development Agreement  
10 ("DDA") for the Woodford Project.

11 **Q. Does the Commission Staff audit the books and records of any of FPL's**  
12 **vendors or joint venture partners?**

13 A. Not to my knowledge. Rule 25-6.0151 F.A.C., Audit Access to Records  
14 requires access to books and records of FPL (including its subsidiaries) in  
15 order to perform a staff audit and does not contemplate the audit of  
16 transactions of its vendors or partners or the access to records thereof.

17 **Q. How does FPL's external audit address costs that FPL incurs with its**  
18 **vendors or joint venture partners in order to express an opinion on FPL's**  
19 **financial statements?**

20 A. FPL's external audit would include sampling and agreeing invoices from  
21 vendors and joint venture partners to amounts recorded on FPL's general  
22 ledger and to the contractual agreements themselves. FPL would expect its

1 external auditors to take the same approach to the extent the Woodford Project  
2 and any future gas reserves projects are subject to their audit procedures.

3 **Q. Do you agree with OPC witness Ramas' conclusion on Page 20, lines 12**  
4 **through 15 of her testimony that because the Commission would have no**  
5 **ability to audit PetroQuest, it does not have jurisdiction over the FPL gas**  
6 **reserves activities?**

7 A. No. As explained above, an audit of FPL's books and records involves testing  
8 *FPL's* books and records, not those of its vendors or partners. FPL's rates are  
9 derived from its financial statements and the Commission can be confident of  
10 the reasonableness of those financial results based on the Company's external  
11 audit, the Company's documented internal controls and the audit of those  
12 controls in compliance with Sarbanes Oxley ("SOX") Section 404 and the  
13 Commission's audit of the financial statements as performed today.

14 **Q. Does FPL intend to design and implement new controls and revisions to**  
15 **its existing controls in order to provide appropriate assurance of the**  
16 **reliability of financial reporting for its investment in gas reserves**  
17 **projects?**

18 A. Yes. Upon approval of the Woodford Project by the Commission, FPL will  
19 develop and implement SOX processes designed to ensure gas reserves  
20 transactions are in compliance with GAAP and any unique regulatory  
21 requirements, if any. These processes will likely include controls around:

22 \* Review and approval of Authorizations for Expenditure ("AFE")

- 1 \* Verification of ownership interests
- 2 \* Estimating and recording accruals
- 3 \* Calculating depletion including reserve validation

4 It is also important to note that the controls of any service provider that FPL  
5 ultimately chooses for performing the gas reserves accounting will be  
6 examined by an independent auditor in compliance with the American  
7 Institute of Certified Public Accountants' Statement on Standards for  
8 Attestation Engagements 16. This provides further assurance of the adequacy  
9 of the design and operation of their internal controls around the transactional  
10 accounting for this activity.

11

12 **IV. PURPOSE AND BENEFITS OF OUTSOURCING THE GAS**  
13 **RESERVES SUBSIDIARY LEVEL ACCOUNTING**

14

15 **Q. Why has FPL decided to contract with a third-party provider to perform**  
16 **the accounting, recordkeeping and reporting for the gas reserves**  
17 **transaction accounting?**

18 A. We have carefully evaluated the path forward for gas reserves accounting and  
19 business management to ensure that it is prudently operated and accurately  
20 reported so that customers' rates based on those costs are reasonable. In  
21 making the evaluation as to how to manage this effort, we began by gathering  
22 information that would help us to assess the risks and benefits of managing all

1 the processes including the transactional accounting and reporting. That due  
2 diligence is nearly concluded and we have learned that not only can an  
3 experienced third-party service provider ramp up faster due to its existing  
4 systems and processes, but it can provide an immediate robust internal control  
5 environment which helps ensure the accuracy all parties desire. Additionally,  
6 as we finalize our negotiations with a short list of firms, it is clear that the cost,  
7 at least at the outset, will be lower with the use of a third-party than what FPL  
8 would incur initially; thereby saving customers money.

9  
10 FPL's management is responsible to ensure that it maintains adequate internal  
11 control over financial reporting and that its books and records fairly present its  
12 financial results in accordance with GAAP, FERC and FPSC requirements.  
13 In addition as Chief Accounting Officer, I am committed to ensuring that  
14 FPL's regulators continue to feel confident in our ability to provide accurate  
15 information derived from those financial statements for ratemaking. In this  
16 instance, I have concluded that FPL's and my responsibilities will be most  
17 efficiently and effectively met by engaging a third-party to perform the  
18 accounting, recordkeeping and reporting for the gas reserves transaction  
19 accounting, at least initially.

20

21

1 **Q. Could FPL perform this accounting without the use of the third-party**  
2 **service provider?**

3 A. Yes. Contrary to Witness Ramas' assertion on page 22, lines 5 through 7,  
4 FPL could have managed this effort internally; however, doing so initially  
5 would not have been efficient given the alternative available. The third-party  
6 firms are experienced and efficient, and have working knowledge of the  
7 operators, accounting and industry regulatory requirements. In addition, they  
8 are able to ramp up so quickly that contracting for this support in advance of  
9 the Commission approval was preferred due to the lead times that would have  
10 been required for us to develop and put into place the systems, process and  
11 people necessary to handle the accounting by the end of the year. FPL will  
12 continue to evaluate the relative merits of performing those functions in-house  
13 versus outsourcing them as our experience and portfolio of gas reserves  
14 projects evolve.

15 **Q. Does this conclude your rebuttal testimony?**

16 A. Yes.

1 BY MR. BUTLER:

2 Q Ms. Ousdahl, you have one attached exhibit,  
3 KO-8, is that correct, to your rebuttal testimony?

4 A Correct.

5 Q And do you have any changes or corrections to  
6 that exhibit?

7 A No, I do not.

8 Q Okay. Is it true and correct to the best of  
9 your knowledge and belief?

10 A Yes, it is.

11 MR. BUTLER: Mr. Chairman, I would note that  
12 her Exhibit KO-8 is identified as Exhibit 20 on  
13 the staff comprehensive exhibit list.

14 CHAIRMAN GRAHAM: Duly noted.

15 BY MR. BUTLER:

16 Q Ms. Ousdahl, would you please provide a  
17 summary of your rebuttal testimony?

18 A Yes, thank you.

19 Commissioners, Chairman, good morning. My  
20 rebuttal testimony will address the errors and  
21 misstatements of the Office of Public Counsel Ramas  
22 concerning accounting and auditing. I will discuss  
23 how the FERC Uniform System of Accounts is properly  
24 used for gas reserve projects.

25 I'll demonstrate the adequacy of the internal

1 controls and audit activities for FPL's current joint  
2 venture activities and the reliance the Commission has  
3 placed on those controls and audits and I'll  
4 demonstrate the applicability of the current approach  
5 to the gas reserves projects.

6 Lastly, I clarify the purpose and benefits of  
7 outsourcing the transactional accounting for gas  
8 reserves.

9 Witness Ramas concludes that FPL should not  
10 be allowed to recover its investment in gas reserves  
11 through the Fuel Clause, because the FERC electric  
12 chart of accounts would be incompatible with this  
13 activity. This is simply not a valid concern. FPL  
14 has demonstrated that a simple mapping from the  
15 industry standard chart of accounts to the FERC  
16 natural gas chart of accounts will satisfy the  
17 compliance reporting and regulatory ratemaking  
18 objectives.

19 Witness Ramas further asserts that gas  
20 reserve investments are not utility rate based, simply  
21 due to the title that is used on my Exhibit KO-6.  
22 Contrary to her argument, the forms used by the  
23 Commission today to recover utility plant investment  
24 through environmental clause use the exhibit titling  
25 found on Exhibit KO-6. Regardless of the label, the

1 investment is used and useful to customers and must be  
2 incurred in order to generate the savings we propose  
3 to pass through to those same customers.

4           Witness Ramas also argues that depletion  
5 cannot be recorded in electric accounts as it is  
6 inconsistent with the Commission's depreciation rule  
7 for recording depreciation on electric plant. She is  
8 correct that a unit of production method would be  
9 inconsistent with the Commission's depreciation rule  
10 for electric plant, but of course that should not and  
11 would not be a reason not to properly record depletion  
12 on gas plant just as the FERC USOA prescribes.

13           Next Ms. Ramas argues that because this  
14 Commission will not have jurisdiction over PetroQuest  
15 and cannot audit its books, therefore "the  
16 transactions fall outside the limit's of the  
17 Commission's regulatory domain." This exact  
18 arrangement exists today in the form of joint venture  
19 undivided interests that FPL holds in two coal  
20 facilities, Scherer and JEA. The cost of those  
21 facilities are recovered by FPL through the clauses.  
22 There's never been a suggestion by the Commission  
23 audit's staff that they are dissatisfied with their  
24 oversight of those arrangements, which relies in part  
25 on our audit of the books and records of the operating

1 partner, just as would be the case with PetroQuest.

2           Finally, Witness Ramas expresses concern  
3 about FPL's collective lack of knowledge of the  
4 specialized accounting. This concern is not well  
5 founded. One reason there are so many third party  
6 accounting service providers is that there are scores  
7 of companies investing in exploration production that  
8 are conducting these activities as non-operators, just  
9 as we intend to do. We have considered very carefully  
10 how to conduct those activities successfully and  
11 concluded that we should take advantage of the cost  
12 savings and expertise that can be afforded to us  
13 through an outside services arrangement. Not only can  
14 an experienced third party service provider ramp up  
15 faster due to its existing systems and processes, but  
16 it can provide an immediate robust internal control  
17 environment which helps insure the accuracy that all  
18 parties desire.

19           In conclusion, OPC raises no valid concerns  
20 about the efficiency and appropriateness of accounting  
21 for gas reserves projects. It's difficult to believe  
22 that the Office of Public Counsel recommends this  
23 Commission forgo substantial benefits for customers  
24 from those projects, simply because of some accounting  
25 concerns that she has raised. The Commission may rest

1 assured that I am and FPL is fully committed to  
2 insuring that this Commission continues to feel  
3 confident in our ability to maintain and provide  
4 accurate regulatory accounting information about the  
5 gas reserves projects.

6 That concludes my summary.

7 **Q Thank you, Ms. Ousdahl.**

8 MR. BUTLER: I tender the witness for cross.

9 CHAIRMAN GRAHAM: Mr. Rehwinkel.

10 MR. REHWINKEL: Thank you, Mr. Chairman.

11 CROSS EXAMINATION

12 BY MR. REHWINKEL:

13 **Q Good morning, Ms. Ousdahl.**

14 A Good morning.

15 **Q Page 10, if you would, please, of your**  
16 **rebuttal testimony, and if I could direct you to the**  
17 **first two lines. Is it your testimony that the**  
18 **Commission staff would, in their initial audit of the**  
19 **PetroQuest/FPL joint venture, do sampling?**

20 A My discussion here in the Q and A that  
21 precedes that page 10 talks about generally in audits  
22 of clause financial records, these are the sorts of  
23 activities that the staff would perform. They design  
24 an audit plan using agreed procedures for each and  
25 every audit that they do and they could vary but, yes,

1 these would be, as I understand it, the typical types  
2 of activities, including sampling.

3 Q Okay. Now, you would agree with me that the  
4 Florida Public Service Commission staff auditors, as  
5 good as they are, have never audited a joint venture  
6 transaction like the one you're proposing?

7 A I don't know, but I would agree with you that  
8 it is probably not likely.

9 Q Okay. Now, would you also agree with me that  
10 in the very first year, if your drilling plan goes as  
11 portrayed, that there would be as many as 38 wells  
12 drilled?

13 A That's correct.

14 Q And you would also agree with me that 38  
15 wells over the 12 to 14 months would generate  
16 transactions numbering into the thousands, on the JIB  
17 or Joint Interest Billing, into the thousands?

18 A Yes, I think --

19 Q Per JIB?

20 A At least hundreds per JIB, yes.

21 Q Okay. This would monthly, how often would  
22 the JIBs come?

23 A Monthly. It's an invoice.

24 Q And you characterize this as a massive amount  
25 of transactions?

1 A It is.

2 Q They are quite voluminous, right?

3 A They are.

4 Q Okay. Do you know whether the JEA, the  
5 Jacksonville Electric Authority, I think, is that what  
6 JEA stands for?

7 A Yes, it is.

8 Q That's part of the City of Jacksonville?

9 A It's a municipal authority.

10 Q Okay. They are subject to auditing by the  
11 standards that the City requires, is that right?

12 A That's what I understand. They certainly do  
13 have an audit performed.

14 Q Is FPL the only joint venture entity with the  
15 St. John's River Power Park?

16 A That FPL has?

17 Q Yes.

18 A Yes.

19 Q Okay. So it's just JEA and FPL?

20 A Oh, are we the only two partners?

21 Q Yes.

22 A Yes, I believe that's correct.

23 Q On page 5 of your rebuttal, please, this is  
24 where you discuss using the FERC USOA natural gas  
25 chart of accounts and mapping from the industry

1     **standard accounts, or this is where you start talking**  
2     **about that, I guess, between pages 5 and 6?**

3           A     Yes, I'm with you.

4           Q     **Okay. You would agree with me, would you**  
5     **not, that the USOA natural gas utility chart of**  
6     **accounts that you would use, you would not fully**  
7     **comply with the detailed accounting instructions that**  
8     **go with those USOA natural gas chart of accounts,**  
9     **right?**

10          A     Yes. What I have testified to, certainly in  
11     the deposition and what we have responded to in  
12     discovery, is to explain that we can be consistent  
13     with the hierarchy and the design of the gas chart of  
14     accounts, which did contemplate investments in gas  
15     reserves.

16                 There are certain detailed instructions that  
17     just simply do not apply and I have been through a few  
18     of those in the record through the deposition. That  
19     does not, in my estimation, at all mean that we can't  
20     be consistent with the way in which the FERC USOA was  
21     designed to report results.

22          Q     **So the FERC natural gas condensed chart of**  
23     **accounts, that's what you describe it as, right?**

24          A     That's correct.

25          Q     **Okay. That's not something that the FERC has**

1 **designated that utilities use, is it?**

2 A Yes, the condensed hierarchy would directly  
3 come from the FERC USOA.

4 Q Okay. But they don't allow any of the gas  
5 utilities to use it only at the condensed level,  
6 right?

7 A No, they're -- to the extent they are still  
8 regulating any LDCs, they would use the full chart of  
9 accounts.

10 Q Okay. The condensed chart of accounts is  
11 something that FPL came up with to try to make this  
12 transaction fit into what the Commission here has  
13 historically and traditionally used for the regulated  
14 provision of utility service, right?

15 A What we tried to do was serve multiple  
16 purposes with financial accounting and reporting,  
17 which we do each and every day. It's not something  
18 that's obvious to most of you, but we report our  
19 results once transactionally in an SAP natural chart  
20 of accounts, which has nothing to do with FERC, and  
21 then our systems translate those transactions into  
22 multiple other reporting views. One being FERC. One  
23 being FPSC, which has a few differences from FERC. We  
24 have a tax basis also. So this is what the  
25 accountants do, they enter transactions in one form

1 and then they use their systems and tools to report in  
2 others.

3 We found it quite logical to be able to  
4 provide a view in each of those formats that hopefully  
5 our audit staff and the Commission will also feel  
6 comfortable relying on.

7 **Q So the answer to my question was yes?**

8 **A Yes.**

9 **Q Okay. The Florida Public Service Commission**  
10 **has never approved the use of the FERC natural gas**  
11 **condensed chart of accounts for any utility that it**  
12 **regulates, right?**

13 **A Not to my knowledge.**

14 **Q Okay.**

15 **MR. REHWINKEL:** Thank you, those are all the  
16 questions I have. Thank you.

17 **THE WITNESS:** Okay.

18 **CHAIRMAN GRAHAM:** Retail Federation?

19 **MR. LAVIA:** No questions.

20 **CHAIRMAN GRAHAM:** FIPUG?

21 **MR. MOYLE:** Thank you.

22 **CROSS EXAMINATION**

23 **BY MR. MOYLE:**

24 **Q Good morning, Ms. Ousdahl.**

25 **A Good morning.**

1           **Q     You described the JIB as having thousands and**  
2 **thousands of pages, is that right?**

3           **A     Well, hundreds of pages, I would estimate,**  
4 **potentially thousands of transactions.**

5           **Q     And what does JIB stand for?**

6           **A     Joint Interest Billing.**

7           **Q     Okay. Is there a document in the record**  
8 **somewhere that shows what that is going to look like**  
9 **that consists of hundreds and hundreds of pages?**

10          **A     No. I provided an example in my direct**  
11 **testimony at the summary level and that's kind of the**  
12 **way the JIB looks. It's -- these transactions are all**  
13 **summarized through the systems and electronic data**  
14 **interchange, so it's not as though we all have to deal**  
15 **with the thousands of transactions. They are posted**  
16 **automatically and then they are summarized. So in my**  
17 **direct testimony I showed the summary. Behind that,**  
18 **in a real JIB, would be each and every transactions.**

19          **Q     Okay. And I had assumed that for the**  
20 **purposes of the Commission getting a good feel as to**  
21 **what the paper flow would look like, there would be**  
22 **something that would show here's what it's like as**  
23 **compared to a summary, but that hasn't been provided,**  
24 **just to be clear?**

25          **A     That's because you don't typically touch each**

1 of those pieces of paper. One of the reasons we like  
2 to use --

3 **Q I wouldn't, but go ahead.**

4 **A** None of us would. The reason we rely on the  
5 electronic data interchange is that the transactions  
6 are very voluminous. So the system served that  
7 purpose, I didn't feel it necessary to provide volumes  
8 of information. However, it's certainly available if  
9 folks are interested.

10 **Q You would agree that the ability of this**  
11 **Commission to look at PetroQuest is limited, I mean,**  
12 **they can't look at PetroQuest and their books and**  
13 **records, they have to do it through FPL or FPL's**  
14 **subsidiary, correct?**

15 **A** They don't need to look at PetroQuest. They  
16 need to look at the transactions FPL incurs through  
17 its joint venture with PetroQuest --

18 **Q Okay. Hypothetically --**

19 **A** -- and that's fully available to the  
20 Commission.

21 **Q -- if there was something that came up where**  
22 **there was a charge for a lawyer, a couple million**  
23 **dollars for a lawyer, it flowed through and they said,**  
24 **hey, this doesn't look right, you know, well, it came**  
25 **from PetroQuest and they wanted to get to the detail**

1 that PetroQuest has, the lawyer's time records, this  
2 Commission could not do that, correct?

3 A This Commission could do that through FPL's  
4 inquiry.

5 Q But they couldn't go direct to PetroQuest and  
6 ask PetroQuest, correct?

7 A They cannot do that today with our  
8 arrangements with JEA. It's exactly the same.

9 Q With respect to FPL and its ability to get  
10 records from PetroQuest, you would agree that that's  
11 governed by the contractual relationship, all those  
12 thick voluminous documents that are attached to  
13 Mr. Forrest's testimony, is that right?

14 A I would. If I could clarify, this is not new  
15 territory that anybody is forging here. The business  
16 has been around forever and parties are very familiar  
17 with the process of reviewing the transactions and  
18 seeking and making inquiries about those transactions  
19 for which they may have questions.

20 Q No, I appreciate that, but this new -- this  
21 is new business for all of us, correct, you don't have  
22 experience in oil and gas accounting, right?

23 A No, I do not.

24 Q Right. And nobody on -- none of these  
25 parties, the Commission, and we're kind of forging new

1 **ground here, correct?**

2 A Right, I was referring to the contractual  
3 arrangements. They have been in place for quite some  
4 time and parties understand how that works and it's  
5 workable.

6 **Q The contractual arrangements in this case**  
7 **you're testifying to?**

8 A That you just referred to --

9 **Q Okay.**

10 A -- that contain the support for the  
11 arrangement by which we will receive information from  
12 our operator.

13 **Q My understanding is that those agreements,**  
14 **some of them were just recently signed, you were here**  
15 **yesterday when they talked about the operating**  
16 **agreement that I think the testimony was it was just**  
17 **recently signed, correct?**

18 A I think it's been -- yes, I think it's been  
19 made clear hopefully on the record that the way this  
20 industry approaches the model form operating  
21 agreements is they have standard agreements that are  
22 in place that everybody party expects to ultimately  
23 execute, so it's not a free form, we're going to  
24 create a new agreement. They use a standard form and  
25 then they just change certain provisions to meet the

1 contractual arrangements that exist in that commercial  
2 transaction, so --

3 **Q And how do you know that?**

4 A I know that from --

5 **Q Talking to somebody?**

6 A From consulting with U.S. Gas, yes. I have  
7 talked to their controller a lot and I have talked to  
8 our commercial attorneys about that.

9 **Q But you don't have any firsthand information**  
10 **about what you testified to, correct?**

11 A Obviously not.

12 **Q I want to see if I can have you agree to**  
13 **amend your testimony, your rebuttal testimony for me.**  
14 **Would you be willing to consider trying to do that?**

15 A Consider amending my rebuttal?

16 **Q Yes, ma'am.**

17 A No. I mean, I'm obviously going to sit and  
18 listen to you, but I don't think I'll ultimately be  
19 amending my rebuttal.

20 **Q But you would be open to a conversation to**  
21 **talk about it, wouldn't you?**

22 A Certainly.

23 **Q You're not close-minded on that?**

24 A Oh, not at all.

25 **Q Good. Let me refer you to page 4.**

1           A       I'm there.

2           **Q       Line 10, you're asked to please summarize**  
3 **your testimony, and then just read into the record**  
4 **your first sentence response?**

5           A       "The company's proposed investment in gas  
6 reserves for the benefit of customers can be readily  
7 and appropriately accounted for consistent with the  
8 USOA and the proper accounting for those investments  
9 is the responsibility of FPL management."

10          **Q       And my proposed amendment to your testimony**  
11 **was after the word customers, to insert "and FPL**  
12 **shareholders," and would ask you would you agree to**  
13 **amend your testimony as I suggest?**

14          A       No, I will not amend my testimony to insert  
15 those words.

16          **Q       And is that just because as a matter of**  
17 **principle you don't want to amend your testimony or**  
18 **you think that's not true?**

19          A       It's because that's not why we're here. I  
20 mean, it's certainly a win-win, nobody is going to  
21 argue that there is not a return of our cost of  
22 capital under this arrangement, but we're here to  
23 lower the cost for customers, that's been the premise  
24 of the strategy. That's all I'm referring to here.

25          **Q       So you would agree that this proposal has**

1 **benefit for FPL shareholders, correct?**

2 A It returns our cost of capital if properly  
3 executed, yes.

4 Q **With a return on that cost of capital?**

5 A Yes, return of and on.

6 Q **Okay. And that's a benefit to the**  
7 **shareholders?**

8 A It's a required return by shareholders.

9 Q **Okay. But you are not comfortable to suggest**  
10 **or even recognize that possibly this proposal is also**  
11 **for the benefit of shareholders --**

12 **CHAIRMAN GRAHAM: Mr. Moore, that's been**  
13 **asked and answered.**

14 **MR. BUTLER: Yeah.**

15 **BY MR. MOYLE:**

16 Q **Well, let me ask you this, so why would you**  
17 **do this for the benefit of the shareholders?**

18 A Pardon me?

19 Q **I mean, I'm sorry, the customers. The**  
20 **customers are saying no, thank you, we don't really**  
21 **want this and, you know, we kind of feel like you're**  
22 **jamming it down our throats. If you're doing it for**  
23 **customers and customers are saying we don't want this,**  
24 **why continue to push so hard?**

25 **MR. BUTLER: I'm going to object. I think**

1           this is well beyond the scope of Ms. Ousdahl's  
2           testimony. She's clearly here to present how FPL  
3           will account for the transaction and Mr. Moyle is  
4           trying to leverage off a comment about benefit of  
5           customers to go into an entirely unrelated theme  
6           of the sort of policy considerations for our  
7           proposal.

8           MR. MOYLE: She brought it up in her rebuttal  
9           testimony and we just had the discussion about  
10          whose benefit, you know, this is for. I think  
11          it's fair game to explore that.

12          CHAIRMAN GRAHAM: I'll allow the question,  
13          but let's move on.

14          THE WITNESS: You'll have to repeat it.

15          MR. MOYLE: Could you read the question back?

16          (Court reporter complies.)

17          MR. MOYLE: I may have asked her about force  
18          feeding, but that may have been --

19          THE WITNESS: I'm uncertain of the question,  
20          if you could just repeat it.

21          MR. MOYLE: Okay, let me come at it this way.

22

23 BY MR. MOYLE:

24           **Q        You have testified that this is for the**  
25           **benefit of the customers. The customers have said no,**

1     thank you, we're opposed to this. My question is why,  
2     I think I use the term force feed, but why continue to  
3     push so hard on imposing this on customers when they  
4     have clearly said they don't want it?

5           A     I think we're sitting here over these last  
6     two days trying to get the evidence in the record so  
7     that the Commission can determine what they feel is in  
8     the best interests of customers. That's why we're  
9     still talking about this and presenting evidence.

10          Q     On line 21, you have used the phrase that the  
11     controls will -- and I'm going to pick up -- "will  
12     provide assurance that the financial information  
13     provided by the outsourcer can be relied upon for  
14     ratemaking."

15                    You want to give this Commission comfort that  
16     the documentation and information provided to them for  
17     ratemaking purposes is accurate and reliable, correct?

18           A     Absolutely.

19          Q     The way that you have the proposal now, with  
20     FPL not having "skin in the game," the financial  
21     incentive really is not to control costs, correct?

22           A     This is no different than anything else we do  
23     in the business of providing electric service to our  
24     customers.

25          Q     Could you --

1           A       I disagree. The answer to your question is  
2 no. This is no different, we have skin in the game  
3 everyday in executing well for our customers, insuring  
4 that their costs are low, which is beneficial for our  
5 investors, no question. I mean, we have talked about  
6 the virtuous cycle at this Commission in many rate  
7 cases, so if we execute well, it's a win-win.

8           Q       Okay. Let me just pose this hypothetical.  
9 If there is one set of invoices in from PetroQuest for  
10 a day and it's \$10,000 and then something changes and  
11 they say, oh, you know, we forgot something here,  
12 here's another set that is for 20,000, so you have a  
13 10,000 set and a 20,000 set, the way I understand this  
14 works is if you put the 20,000 set in -- and I'm not  
15 suggesting you would do anything improper, but the  
16 20,000 set, you would earn more money on those  
17 invoices for 20,000 as compare to 10, right --

18          A       Well, I guess --

19          Q       -- through the Fuel Clause, all other things  
20 being equal?

21          A       If the \$20,000 is capital, not expense, if  
22 it's expense, we don't earn a return --

23          Q       Assume it's capital.

24          A       -- there's no investment.

25                 If it's capital, then we should be recovering

1 our interest costs and our required return on equity.

2 **Q So from just the standpoint of return to FPL**  
3 **shareholders, the 20 is better than the 10, correct?**

4 A If the --

5 **Q Assuming it's all capital.**

6 A If the 20 is our cost, then the return on the  
7 20 is appropriate.

8 **Q I understand, I'm just asking you if you can**  
9 **answer yes or no from a pure economic standpoint --**

10 A No, I don't think it is better and, you know,  
11 you're talking to the controller of the company. My  
12 job is to insure that we don't record a cost that is  
13 not incurred, that the costs on the books and records  
14 are the appropriate costs. My job is not to try to  
15 say to myself, oh, well, if there is a mistake here  
16 and it's higher, that's going to be better for our  
17 investors. So I completely disagree with the premise  
18 of your question.

19 **Q Okay. And I'm not trying to impugn your**  
20 **credibility or integrity. I know you --**

21 A No, it's a fact.

22 **Q -- have that.**

23 A It's a fact.

24 **Q I'm just trying to isolate the financial**  
25 **incentives here, and as OPC's witness just testified,**

1 you know, basically if it's a straight pass-through,  
2 there's not an incentive that would be there if there  
3 was a shared 50/50, we would say wait a minute, you  
4 know, these costs may not be right, because you would  
5 earn the return on whatever is passed through,  
6 correct?

7 A I disagree with the premise. I don't think  
8 it's beneficial for our company to take advantage of  
9 rate payers by allowing rates to be higher than they  
10 would.

11 Q And you have duties to rate payers not to do  
12 that, right?

13 A The company and myself, certainly.

14 Q Right. And you have a special unique  
15 relationship with rate payers, given the regulatory  
16 structure and monopoly relationship?

17 A It's a reg -- we are -- yes, I'm employed by  
18 a regulated utility, yes.

19 Q And that follows along with the relationship  
20 question I just asked, it's a special relationship  
21 with customers?

22 A I'm not sure what you mean by special  
23 relationship. Yes, I do believe we must advocate and  
24 work to insure that our customers are provided  
25 reliable electric service at the lowest possible cost,

1 yes.

2 **Q We talked about fiduciary duty in your**  
3 **deposition, which is now in the record, but if you can**  
4 **just answer a question yes, no. Do you believe in**  
5 **your opinion that you owe a fiduciary duty to the rate**  
6 **payers?**

7 A Yes, I answered the question in the context  
8 of my role as the controller and I think whether it's  
9 a really a regulated utility or any other enterprise,  
10 that my responsibility is to insure that assets are  
11 protected, that controls are in place, and that we are  
12 maximizing the value of those assets and insuring that  
13 there are, you know, no material misstatements and  
14 that folks can rely on investors, in this case  
15 regulators can rely on the books and records of the  
16 company. So, yes, I do believe I have a special role  
17 as a controller.

18 **Q Okay. And included in that yes is you**  
19 **believe you have a fiduciary relationship with your**  
20 **customers?**

21 A As I explained, I think that's true in the  
22 regulated utility, you know, environment or space and  
23 also would be true in any other public enterprise.

24 **Q Okay, well, thank you for that answer.**

25 MR. MOYLE: I have no further questions.

1 CHAIRMAN GRAHAM: Staff?

2 MS. BARRERA: Staff has no questions.

3 CHAIRMAN GRAHAM: Commissioners? Redirect?

4 MR. BUTLER: Thank you, Mr. Chairman.

5 REDIRECT EXAMINATION

6 BY MR. BUTLER:

7 Q Ms. Ousdahl, briefly, you were asked by  
8 Mr. Moyle, I'm sure, and I think also by Mr. Rehwinkel  
9 about the level of control over joint ventures and you  
10 had discussion of the joint venture for the Scherer  
11 Power Plant in Georgia, the JEA joint venture for the  
12 SJRPP project. Would you please address or compare  
13 the degree of access that you would anticipate this  
14 Commission and its auditors would have over the joint  
15 venture with PetroQuest compared to the access that  
16 they have with respect to the Scherer and SJRPP joint  
17 ventures?

18 A Yes, my expectation is that our interaction,  
19 our access to information, that available to the staff  
20 auditors, would work exactly as it does with our other  
21 joint venture relationships. I realize it's a  
22 different activity and we are all at this point  
23 unfamiliar, though, there will be a learning curve,  
24 but in terms of the way in which we will approach our  
25 duties as far as auditing and insuring that we are

1 properly reporting those costs, getting access to the  
2 parties and the parties' information, it will work as  
3 it does today.

4 I think the audit staff, as I have said in my  
5 direct, has been comfortable with our oversight. We  
6 actively audit on site at Scherer and JEA, we would be  
7 doing the same with the operator. Obviously I'm going  
8 to rely early on in the process on experts to conduct  
9 those audits and to teach us along the way, but we are  
10 able to go and audit those activities and those costs,  
11 so I feel like the controls will work exactly as we  
12 are all used to employing them.

13 MR. BUTLER: Thank you, Ms. Ousdahl, that's  
14 the only redirect that I have.

15 CHAIRMAN GRAHAM: I actually have a question.

16 MR. BUTLER: Okay.

17 CHAIRMAN GRAHAM: JEA is a municipality --

18 THE WITNESS: They are.

19 CHAIRMAN GRAHAM: -- so you're going to have  
20 full access to everything, because it's all public  
21 record. How is that going to be the same as  
22 PetroChem -- Petro --

23 THE WITNESS: Quest.

24 MR. BUTLER: Quest.

25 THE WITNESS: Yeah, well, actually the audit

1 rights give us access to information that would be  
2 in more detail than you would have just through  
3 public records so, you know, if you just wanted to  
4 access JEA information through public records, you  
5 couldn't get to the detailed transactional level,  
6 but we're able to do that through our audit  
7 rights.

8 CHAIRMAN GRAHAM: You can actually get to  
9 every level --

10 THE WITNESS: Absolutely.

11 CHAIRMAN GRAHAM: -- because it's a  
12 municipality of JEA.

13 THE WITNESS: Publicly, without any  
14 proprietary relationship, oh, I did not realize.  
15 Well, we -- then I would explain that it would be  
16 the same. I mean, to the extent we have  
17 transactions coming from PetroQuest, just as we do  
18 JEA and Scherer, we will be able to audit what the  
19 support is for those transactions.

20 CHAIRMAN GRAHAM: I'm sorry. Mr. Butler?

21 MR. BUTLER: That's all that I have.

22 CHAIRMAN GRAHAM: Exhibits?

23 MR. BUTLER: I would move into the record  
24 Exhibit 20.

25 CHAIRMAN GRAHAM: I see no objections to

1 entering Number 20.

2 MR. BUTLER: And may Ms. Ousdahl be excused?

3 CHAIRMAN GRAHAM: Yes.

4 MR. BUTLER: For good this time.

5 CHAIRMAN GRAHAM: Thank you very much.

6 MR. BUTLER: Thank you.

7 CHAIRMAN GRAHAM: It looks like a good time  
8 to take a break. I have about 11:22 back there,  
9 let's come back at 11:30, about seven or eight  
10 minutes.

11 (Brief recess taken.)

12 MR. BUTLER: All right. FPL calls as its  
13 next witness Dr. Taylor.

14 Whereupon,

15 DR. TIMOTHY TAYLOR

16 was called as a witness on behalf of Florida Power &  
17 Light, and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. BUTLER:

20 Q Dr. Taylor, would you just please state your  
21 name for the record?

22 A Timothy Dale Taylor.

23 Q Thank you. And you're the same Dr. Taylor  
24 who testified on direct yesterday, is that correct?

25 A Yes.

1 Q Okay. Have you prepared and caused to be  
2 filed 10 pages of prefiled rebuttal testimony on  
3 October 13, 2014 in this proceeding?

4 A Yes.

5 Q Do you have any changes or revisions to your  
6 prefiled testimony?

7 A No.

8 Q If I ask you the same questions contained in  
9 your direct -- I'm sorry, in your rebuttal testimony,  
10 would your answers be the same?

11 A Yes.

12 Q And you have Exhibits TT, is it 10 through 12  
13 that is attached -- I'm sorry, 11 and 12 that are  
14 attached to your rebuttal testimony?

15 A Yes.

16 Q Do you have any changes or corrections to  
17 those?

18 A No.

19 Q Are they accurate and correct to the best of  
20 your knowledge and ability?

21 A That's correct.

22 Q Okay.

23 MR. BUTLER: I'm sorry, Mr. Chairman, I  
24 neglected to ask that Dr. Taylor's rebuttal  
25 testimony be inserted into the testimony as though

1 read.

2 CHAIRMAN GRAHAM: We will insert Dr. Taylor's  
3 prefiled rebuttal testimony into the record as  
4 though read.

5 MR. BUTLER: Thank you.

6 (Whereupon, prefiled testimony was inserted.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **Q. Please state your name and business address.**

2 A. My name is Dr. Tim Taylor. My business address is 601 Travis, Suite 1900,  
3 Houston, Texas, 77002.

4 **Q. Did you previously submit direct testimony in this proceeding?**

5 A. Yes. My direct testimony was submitted on June 25, 2014.

6 **Q. Have your position, duties, or responsibilities changed since you last filed  
7 testimony in this docket?**

8 A. No.

9 **Q. Are you sponsoring any rebuttal exhibits?**

10 A. Yes. I am sponsoring Exhibits TT-11 and TT-12, which are Type Curve 1  
11 (Western): 5.3 Bcf Estimated Ultimate Recovery (“EUR”) and Type Curve 2  
12 (Eastern): 7.4 Bcf EUR, respectively.

13 **Q. What is the purpose of your rebuttal testimony?**

14 A. The purpose of my rebuttal testimony is to address claims made in the direct  
15 testimony of the Office of Public Counsel witness Lawton and the Florida  
16 Industrial Power Users Group witness Pollock. Specifically, my rebuttal  
17 testimony addresses and refutes witness Pollock’s and witness Lawton’s  
18 erroneous assertions regarding production risks of the Woodford Project. I  
19 will discuss the production risk for the Woodford Project’s Area of Mutual  
20 Interest (“AMI”), which I conclude is very low. I also explain why it is  
21 possible to forecast production and operation expenses for the Woodford  
22 Project with a high degree of accuracy. Finally, I review investment in gas

1 reserves throughout the Arkoma-Woodford region generally, and refute  
2 assertions about the quality of PetroQuest.

3

4 **I. WOODFORD PROJECT PRODUCTION RISKS ARE LOW**

5

6 **Q. Mr. Lawton asserts that FPL's customers will be incurring risks of future**  
7 **output and reserve levels being different than forecasted by FPL. How**  
8 **would you characterize the level of that risk?**

9 A. While it is certainly possible that the output and reserve levels will vary to  
10 some degree from the forecasted levels, I do not expect any such variances to  
11 be significant. In order to assist us in forecasting production for the wells in  
12 the Woodford Project, we analyzed the production performance of the 19  
13 existing wells in the AMI and built type curves that represent the average  
14 performance of wells to be drilled in close proximity to the existing wells.  
15 These type curves, based on the 19 wells drilled in the AMI by PetroQuest,  
16 are shown in Exhibits TT-11 and TT-12. The red line on each graph is the  
17 type curve. It represents the average performance of all the wells in the  
18 western (Exhibit TT-11) and eastern (Exhibit TT-12) portions of the AMI.  
19 The grey lines represent the individual existing PetroQuest wells in the AMI  
20 that were averaged in order to create the type curves. The grey lines include  
21 all actual data to date together with updated forecasts of future production  
22 based on the actual data. As explained in my direct testimony, two type  
23 curves were necessary because of the difference in well performance in the

1 eastern and western areas of the AMI. Since the actual start date of  
2 production for the wells in the AMI varies by well, I normalized the curves by  
3 showing all wells as starting at Year 0. There is little deviation in the pattern  
4 of production among individual wells and the type curves (the red lines)  
5 closely follow the pattern for the individual wells

6  
7 The production risk of the Woodford Project with PetroQuest is very low.  
8 Exhibits TT-11 and TT-12 show that production from all 19 wells in the AMI  
9 has been robust and consistent, as well as highly predictable. There is little  
10 deviation in the pattern of production among individual wells, and the average  
11 for the wells (the red line) closely follows the pattern for the individual wells.  
12 This provides a high degree of confidence that the type curves we have used  
13 to forecast production from the Woodford Project accurately model the  
14 performance of wells in the AMI and provide a realistic and reasonable  
15 prediction of actual production from the Woodford Project wells.

16  
17 The use of type curves is an industry standard method of forecasting  
18 production with a proven high level of confidence. In my career, I have built  
19 a large number of type curves in this manner. After new wells were drilled,  
20 their actual production performance was routinely compared to the forecasted  
21 production from the type curves. In my experience, when sufficient,  
22 consistent data was available to build type curves, as is the case in the  
23 Woodford Project, this method has proved to be very accurate. Furthermore,

1 my production estimates were confirmed by an independent third party  
2 consulting firm, Forrest A. Garb & Associates, Inc., a trusted engineering firm  
3 with experience in the Woodford Shale.

4

5 This is not an exploration project where FPL will be “wildcatting” (i.e.  
6 drilling exploration wells). It is a development project in an area that has been  
7 thoroughly defined by the existing wells. Thus, it has been “de-risked” to a  
8 substantial degree by the time the Woodford Project begins.

9 **Q. Mr. Pollock states that the benefits to customers are uncertain in part**  
10 **because of uncertainty about the operating costs incurred to produce the**  
11 **gas. Do you agree with this assertion?**

12 A. No. Mr. Pollock’s assertions evidence his lack of experience and expertise in  
13 the area of natural gas production. Natural gas production is a well  
14 understood technology, and the operating costs associated with gas production  
15 are highly predictable. Furthermore, PetroQuest has a long history of  
16 production in the Arkoma-Woodford region, and it is very familiar with  
17 operations in the region. That is one of the great benefits of selecting  
18 PetroQuest as a partner in this Joint Venture.

19 **Q. Mr. Pollock expresses concern that FPL assumed no escalation of**  
20 **production costs in calculating projected total costs, arguing that it is not**  
21 **reasonable to assume that production costs will not change during the**  
22 **projected life of the Woodford Project. Similarly, Mr. Lawton asserts**  
23 **that FPL customers will be incurring risks of future operating and**

1           **maintenance costs being different than estimated by FPL. Do you agree**  
2           **with these assertions?**

3    A.    No. As discussed above, natural gas production costs are well understood.  
4           For the Woodford Project we examined the actual operating cost for each of  
5           12 prior months from PetroQuest's records. We used the average of that  
6           operating cost in our PHDWin database to represent the future operating cost  
7           for all Proved Developed Producing (PDP), Proved Undeveloped (PUD) and  
8           Probable (PRB) wells. We did not escalate this operating cost because the  
9           continuing evolution of the production technologies is likely to cause those  
10          costs to decline, not increase, over time.

11

12          As discussed in the rebuttal testimony of FPL witness Forrest, the effective  
13          costs for production in the Woodford Shale region have been declining over  
14          the past few years as a result of technological advances. The following are  
15          just a few examples of such advances since 2008:

- 16                 • Efficiencies in horizontal drilling from pads has made it possible to  
17                 better operate multiple wells from a common surface location meaning  
18                 several wells can share production equipment, which lowers the per-  
19                 well operating costs.
- 20                 • Operating multiple wells from a common surface location has also  
21                 allowed those wells to share the same water disposal facilities and thus  
22                 decrease salt water disposal costs.

- 1           • Additional experience in the dry gas portion of the Arkoma Woodford  
2           has allowed operators to refine the types of surface equipment, well  
3           treatments and choke sizes that regulate the surface pressure of the  
4           wells, all of which reduce down-time and the amount of man-time  
5           necessary for operating the wells.

6           These and future technological advances will impact the productions costs for  
7           the Woodford Project. For example, though not forecast in FPL’s models,  
8           drilling in well-established areas such as the AMI is entering into a  
9           “manufacturing” mode where multiple wells can be drilled from one surface  
10          location. In view of this well-established and continuing pattern of  
11          technological progress, FPL’s assumption that the production costs will  
12          remain the same over the life of the Woodford Project is, if anything,  
13          conservative.

14

## 15           **II.     ARKOMA-WOODFORD AREA MEETS FPL’S NEEDS**

16

17   **Q.     Do you agree with Mr. Lawton’s assertion that the market suggests that**  
18   **drilling in the Arkoma-Woodford area is decreasing to a “basic drilling**  
19   **standstill” at this time?**

20   **A.**    No. His assertion is simply not true. While it is true that drilling activity is  
21          less than it was four years ago, that activity is far from coming to a “basic  
22          drilling standstill” and, in fact, is increasing between 2013 and 2014. In 2013,  
23          there were 25 drilling rigs active in the Woodford in the Arkoma Basin. In

1 2014 that number grew to 37 rigs. Further, in 2013 there were 66 Woodford  
2 drilling permits issued by the State of Oklahoma. So far in 2014, 97 such  
3 drilling permits have been issued.

4  
5 Moreover, Mr. Lawton's inaccurate assertion is not relevant to determining  
6 the value of the investment for FPL in the region. Rather, the specific  
7 economics of the project for FPL are what dictate whether the project is a  
8 good investment. As I indicated in my direct testimony, the Woodford Project  
9 is an economically viable and commercially attractive natural gas recovery  
10 project, operated by an industry leader in this region.

11 **Q. Mr. Lawton suggests that FPL is ignoring competitive market price**  
12 **signals by investing in the Arkoma-Woodford region. Do you agree with**  
13 **his suggestion?**

14 A. No. First of all, as I discuss above, it is simply not the case that drilling  
15 activity has dried up in the Arkoma-Woodford region. Second of all, to the  
16 extent that other investors are currently putting more emphasis on drilling in  
17 areas with substantial NGLs and oil rather than dry gas, then this creates an  
18 excellent opportunity for FPL to obtain dry gas on favorable terms from the  
19 Arkoma-Woodford and similar regions. Now is an excellent time for FPL to  
20 invest in dry-gas regions, while the competition for dry gas is lower than it  
21 will be in periods of higher gas prices. So there is no reason for FPL to delay  
22 its investment in the Arkoma-Woodford region; delay could end up costing

1 FPL's customers a substantial premium when general market interest returns  
2 to dry-gas drilling.

3

4 **III. PETROQUEST IS AN APPROPRIATE PARTNER FOR FPL**

5

6 **Q. What is your opinion of Mr. Lawton's suggestion that PetroQuest's**  
7 **relatively small size and scale make it riskier than its peers in the gas and**  
8 **oil exploration and drilling industry?**

9 A. Mr. Lawton does not understand the oil and gas industry. PetroQuest's size  
10 has nothing to do with its ability to drill and produce wells in an efficient and  
11 profitable manner. There are many more small independent companies in this  
12 industry than there are major companies. Because the smaller companies have  
13 fewer employees does not mean they are lacking in technical expertise.  
14 Rather, smaller companies are often substantially better at managing expenses  
15 such as overhead, and can focus their expertise. Because PetroQuest  
16 concentrates in only a few areas, it has become expert in drilling, completing  
17 and operating wells in those areas. PetroQuest has a long history of very  
18 successful operations in the oil and gas industry generally and the Arkoma-  
19 Woodford region in particular, which has made it highly respected within the  
20 industry.

21 **Q. Does this conclude your rebuttal testimony?**

22 A. Yes.

1 BY MR. BUTLER:

2 Q Dr. Taylor, do you have an oral summary of  
3 your rebuttal testimony?

4 A I do.

5 Q Would you please give that at this time?

6 A Yes.

7 Q Yes. Good morning, Mr. Chairman,  
8 Commissioners. My rebuttal testimony addresses  
9 assertions made by intervenor witnesses Pollock and  
10 Lawton as to risks associated with the Woodford  
11 Project.

12 The first assertion is that there would be a  
13 risk of reserve levels and output from the Woodford  
14 Project being significantly different than those  
15 forecasted by FPL. I disagree. I performed a  
16 rigorous analysis of the performance of the existing  
17 wells in the AMI using all the data available to me.  
18 From this analysis I generated two type curves that in  
19 my opinion represent the forecasted performance of the  
20 38 wells to be drilled. While it is certainly  
21 possible that the output and reserve levels can vary  
22 to some degree from the forecasted levels, I do not  
23 expect any such variances to be significant in the  
24 aggregate. This is evidenced by my rebuttal exhibits.

25 Further, my analysis was confirmed by a

1 respected third party independent oil and gas  
2 engineering firm, Forrest A. Garb & Associates. In my  
3 opinion, the production volume risks are low.

4 In this regard, my rebuttal testimony also  
5 points out that the Woodford Project is not an  
6 exploration project where FPL will be drilling  
7 exploration wells, often referred to as wildcatting,  
8 rather it is a development project in an area that has  
9 been thoroughly defined by the existing wells. Thus,  
10 it has been de-risked to a substantial degree by the  
11 time the Woodford Project begins.

12 Mr. Pollock and Mr. Lawton also assert  
13 there's a substantial uncertainty around the operating  
14 costs used in our analyses. Again, I disagree.  
15 Natural gas production is a well understood technology  
16 and the operating costs associated with gas production  
17 are highly predictable.

18 Furthermore, PetroQuest has a long history of  
19 production in the Arkoma Woodford region. That is one  
20 of the great benefits of selecting PetroQuest as a  
21 partner in this joint venture.

22 For the Woodford Project, I examined the  
23 actual operating costs of each of the 12 prior months  
24 from PetroQuest's records. We used that average of  
25 that operating cost in our PHDWin economic database

1 program to represent the future operating costs for  
2 all wells. We did not escalate this operating cost,  
3 because in my experience, the manufacturing mode in  
4 which these wells will be drilled, along with  
5 continuing evolution of production technology, it is  
6 likely to cause those costs to decline, not increase  
7 over time.

8 Mr. Lawton asserts the drilling in the Arkoma  
9 Woodford area is basically at a standstill. This is  
10 simply not true. In reality, drilling activity in  
11 that area is higher in 2014 than it was in 2013. In  
12 any event, Mr. Lawton's assertion is not relevant to  
13 determining the value of the investment for FPL in the  
14 region. Rather, the specific economics of the project  
15 for FPL are what dictate whether the project is a good  
16 investment.

17 The Woodford Project is an economically  
18 viable natural gas recovery project operated by an  
19 experienced operator in this region.

20 Mr. Lawton goes on to argue that FPL is  
21 ignoring competitive market pricing by investing in  
22 the Arkoma Woodford Project, but in my opinion the  
23 opposite is true. To the extent that other investors  
24 are currently putting more emphasis on drilling in  
25 areas with substantial NGLs and oil rather than dry

1 gas, this creates an excellent opportunity for FPL to  
2 obtain dry gas reserves on favorable terms from the  
3 Arkoma Woodford and similar regions, so there is no  
4 reason for FPL to delay its investment in the Arkoma  
5 region.

6 Finally, Mr. Lawton asserts that PetroQuest,  
7 because of its small size, is riskier than its peers.  
8 Again, in my opinion, Mr. Lawton misses the mark.  
9 PetroQuest's size has nothing to do with its ability  
10 to drill and produce wells in an efficient and  
11 profitable manner. There are many more small  
12 companies and independent companies in this country  
13 than there are major companies. Because the smaller  
14 companies have fewer employees does not mean they are  
15 lacking in technical expertise. Rather, smaller  
16 companies are often substantially better at managing  
17 expense, such as overhead, and can focus their  
18 expertise.

19 Because PetroQuest concentrates in only a few  
20 areas, it has become an expert in those areas.  
21 PetroQuest has a long history of very successful  
22 operations in the Arkoma Woodford Basin.

23 And this concludes my summary, thank you.

24 MR. BUTLER: Thank you, Dr. Taylor.

25 I would just note for the record that

1 Exhibits TT-11 and 12 are Hearing Exhibits 31 and  
2 32 respectively. And with that I tender the  
3 witness for cross examination.

4 CHAIRMAN GRAHAM: OPC?

5 MR. TRUITT: Thank you, Mr. Chairman.

6 CROSS EXAMINATION

7 BY MR. TRUITT:

8 Q Good morning, Dr. Taylor.

9 A Good morning.

10 Q Again, I'm going to try and keep this brief.  
11 Now, you had mentioned significant in your opening,  
12 and that's what I'm looking at on page 4 of your  
13 rebuttal, where you said, "I do not expect any such  
14 variances to be significant."

15 Now, isn't it true that your definition of  
16 significant in this context is a variance of 10 to  
17 20 percent per well?

18 A Ten to 20 percent in the aggregate.

19 Q Okay. Now, I'm also wanting to look at your  
20 TT-11 and 12, if we could just generally speaking.  
21 You would agree with me that the earliest well in your  
22 type curve analysis -- and I'm combining the two in  
23 this question -- was drilled in 2010, correct?

24 A Yes.

25 Q Okay. And you would also agree with me that

1 some of the actual production data in this is based on  
2 a well drilled as recently as 2013, correct?

3 A I think the latest one is in 2012.

4 Q 2012, okay.

5 A I think so, yes.

6 Q So it would be accurate for me to say that on  
7 your exhibits you have the lines Labeled Production of  
8 Individual Existing PetroQuest Wells in the AMI, it  
9 would be accurate to say that the qualifier to that is  
10 you have at least 21 years or 22 years of  
11 extrapolation up to -- I'm sorry, 21 years of  
12 extrapolation up to 23 years of extrapolation, that  
13 would be correct?

14 A That would be correct, yes.

15 Q Okay. I noted also in your rebuttal you  
16 mentioned the increase in permits. Are you aware of  
17 any requirement that if you get a permit, you have to  
18 drill the well?

19 A Absolutely.

20 Q If you get a permit, you have to drill a  
21 well, so every --

22 A No, no, I'm sorry, you do not have to drill  
23 the well.

24 Q Okay.

25 A If you get the permit, that is the intent to

1 drill the well.

2 Q Okay. Now, you testified that you based your  
3 estimates of drilling costs on the 12 month history,  
4 correct?

5 A Yes, the operating costs, not the drilling  
6 costs.

7 Q I'm sorry, the operating costs.

8 Now, when you analyze these companies in  
9 looking at this, looking at the history of the  
10 company, you look at the history of the company as it  
11 operated in that area, is that correct, when you're  
12 doing this type of review?

13 A Yes, I wouldn't want to use that same data  
14 from another area to forecast the production costs in  
15 this area.

16 Q Right. And you also look at the ability to  
17 maintain capital costs within a reasonable range of  
18 expectation, isn't that correct?

19 A That's correct.

20 Q Now, we discussed this in the deposition,  
21 isn't it true that for you, operating costs at 20 to  
22 30 percent range is after that range, that's when your  
23 level of comfort is exceeded?

24 A I thought that question pertained to  
25 production levels and not operating costs.

1 Q Do you have a copy of your --

2 A I do.

3 Q -- deposition in front of you?

4 Okay. If we could turn to page 36, which I  
5 know this has already been admitted into the record as  
6 exhibit --

7 A Of my rebuttal testimony?

8 Q No, no, no, I'm talking about your  
9 deposition, sir.

10 Yeah, it was admitted in as 57. Do you have  
11 a copy of your deposition, sir?

12 A Oh, the deposition?

13 Q Yes.

14 A Yes.

15 Q Will you look at page 36, you would agree  
16 with me the question I asked here, starting on line 2,  
17 I asked, "In terms of variance in production costs,  
18 what percentage of variance, from what you're  
19 anticipating, do you consider to be okay, now we're  
20 outside the range of what I'm comfortable with?"

21 And you would agree with me that your answer,  
22 "If I saw operating costs 20 to 30 percent higher than  
23 I anticipated, I would consider that to be outside my  
24 range of comfort."

25 A Yes, I stand corrected, that is what I said.

1           Q     Okay, I just wanted to make sure we were  
2 clear on the record.

3                     Now, again, on the topic of drilling, you  
4 testified in your rebuttal that PetroQuest was an  
5 industry leader in the region, correct, I think that  
6 was the word you used?

7           A     In my opinion, yes.

8           Q     Okay. Now, isn't it true that you did not do  
9 an analysis to see what other companies' performance  
10 have been in the Arkoma Woodford?

11          A     That's correct, I did not.

12          Q     Okay.

13                     MR. TRUITT: No further questions.

14                     CHAIRMAN GRAHAM: Retail Federation?

15                     MR. LAVIA: No questions, Mr. Chairman.

16                     CHAIRMAN GRAHAM: FIPUG?

17                     MR. MOYLE: Thank you, Mr. Chairman.

18                                     CROSS EXAMINATION

19          BY MR. MOYLE:

20           Q     I have a few questions of you, Dr. Taylor.  
21 Good morning.

22          A     Good morning.

23           Q     If this Commission does not approve this deal  
24 and it stays with USG, you're okay with that, right,  
25 as a company?

1           A       It meets our investment requirements, so if  
2 the Commission does not approve this project, USG will  
3 continue with the joint venture.

4           Q       Okay. On page 6, line 7, you use the phrase  
5 **de-risked?**

6           A       Of which document?

7           Q       I'm sorry, this is on your rebuttal  
8 **testimony. It's toward the -- it's the end of an**  
9 **answer, but you say, "Thus, it has been de-risked to a**  
10 **substantial degree by the time the Woodford Project**  
11 **begins," and I just want to be clear that when you use**  
12 **the term de- risked, what you're referencing there is**  
13 **the risk of whether there is going to be natural gas**  
14 **in the area, correct?**

15          A       I'm actually referring to the risks  
16 associated with the volumes of production that I have  
17 forecasted and that can be pointed out very easily on  
18 the map over here, because if you look at all these  
19 dark lines in here, those are existing wells, seven to  
20 19 wells have been drilled in 19 sections. So it  
21 would be highly unlikely that the performance of a  
22 well drilled in between two of these wells could have  
23 a different outcome from what I have forecasted.

24          Q       Okay. Well, I'm still learning the  
25 **nomenclature on this, so I may not have asked the**

1 right question. But the de-risked phrase doesn't --  
2 you know, is not referencing the risks that we talked  
3 about last night when I provided you that PetroQuest  
4 annual report, that excerpt that had all those risks,  
5 correct?

6 A No, and I stated that that document had no  
7 bearing on my analysis. When I refer to de-risk here,  
8 I'm talking about the risk of reserves.

9 Q I just want to make sure that the record was  
10 clear and we were communicating clearly on the  
11 de-risked phrase.

12 You take issue with FIPUG's witness Pollock  
13 on page 6 and page 7. Mr. Pollock, I think,  
14 criticizes you for assuming no escalation of  
15 production costs in calculating your projected total  
16 costs, is that right?

17 A Yes.

18 Q And how long did you have a projection for,  
19 how many years, how many years out did you project  
20 with no escalation?

21 A Until the economic limit was reached, and in  
22 some cases, I think that went out as far as 50 years.

23 Q Okay. And do you have familiarity with the  
24 Consumer Price Index?

25 A Vaguely, but I don't use it.

1 Q Do you know what it is?

2 A I do.

3 Q What is it?

4 A It's a consumer price index escalation  
5 factor.

6 Q And in commercial transactions, a lot of  
7 times people, to cover possible escalation in price,  
8 they use CPI, Consumer Price Index, correct?

9 A They certainly could, yes.

10 Q And your belief is is that even over 50  
11 years, that the production costs of extracting natural  
12 gas is going to essentially remain the same?

13 A Yes, and there are reasons for that. So,  
14 one, you know, as I described earlier in my opening  
15 statement, this is not an exploration project, it's a  
16 development project. And the fact that we are going  
17 to start developing these undrilled locations in a  
18 manufacturing mode, meaning that we're going to drill  
19 multiple wells from a common surface location, and  
20 when that happens, your operating costs are going to  
21 go down because you have got less personnel -- fewer  
22 personnel dealing with a larger number of wells. When  
23 you get service work done on the wells as far as  
24 treatments or whatever, it's cheaper, because you have  
25 got a concentrated surface area.

1 Q And I asked you, I think it was yesterday,  
2 you didn't have familiarity with the guidelines, so to  
3 the extent that the guidelines are approved, you don't  
4 know whether they would contemplate exploration as  
5 well, correct?

6 A I do not, because as I said, I'm not familiar  
7 with the guidelines, I didn't use those in my  
8 analysis. They had no bearing on my analysis.

9 Q Okay.

10 A This certainly is not an exploration project,  
11 it's a development project.

12 Q I understand. But you, in your answer to my  
13 previous question, you kind of were careful to say  
14 this is not an exploration project. To the extent  
15 that future projects involved exploration, would your  
16 opinion change with respect to the production costs?

17 A There would certainly be less -- you would  
18 have less assurance, because you wouldn't have a  
19 history of production costs in an exploration project.

20 Q Likewise, that chart I tried to show you last  
21 night that had production costs for the region, you  
22 didn't have familiarity with that chart and the  
23 production costs for the region?

24 A I have the same answer as I did last night.  
25 I have no familiarity with that document.

1           **Q     Okay. All right. Well, I will ask**  
2           **Mr. Forrest questions about that. Thank you and safe**  
3           **travels.**

4           A     Thank you.

5                   CHAIRMAN GRAHAM: Staff?

6                   MS. BARRERA: Staff has no questions for this  
7           witness.

8                   CHAIRMAN GRAHAM: Commissioners?

9           Commissioner Edgar.

10                   COMMISSIONER EDGAR: Thank you, Mr. Chairman.

11                   Very briefly, welcome back. You had a  
12           discussion with Mr. Moyle briefly about some of  
13           the difference with nomenclature between an  
14           exploration site and also a production site. With  
15           that in mind, are the terms production and  
16           development synonymous, or for the nomenclature  
17           for this type of activity, do those different  
18           terms denote some different level of activity?

19                   THE WITNESS: I think it depends on the  
20           project you're looking at. So production  
21           generally refers to the volumes of oil that are --  
22           or gas that are being produced from a well and how  
23           they are handled once they get to the surface.

24                   Operating costs are the costs of getting  
25           those to the market.

1           COMMISSION EDGAR: So for the site that we  
2           are discussing for this proposed project, do you  
3           believe that it is an exploration site?

4           THE WITNESS: I believe it is not an  
5           exploration site, it's definitely not, because  
6           this 19 sections have 19 wells, all of which are  
7           currently producing and all of which have been  
8           producing for some period of time. In fact, a  
9           long enough time for me to project what their  
10          future performance will be.

11          And, in fact, if you look at the graph and  
12          you did the math on those two exhibits, you would  
13          see that over 40 percent of the reserves in these  
14          wells are recovered in the first four years of  
15          production.

16          COMMISSION EDGAR: And how long has this site  
17          been in production?

18          THE WITNESS: The earliest well in the AMI  
19          was drilled in 2010.

20          COMMISSION EDGAR: Okay, thank you.

21          CHAIRMAN GRAHAM: Commissioner Balbis.

22          COMMISSIONER BALBIS: Thank you, just a quick  
23          question. You had some discussion with Mr. Truitt  
24          about permits or approvals and I assume from the  
25          Oklahoma Corporation Commission?

1 THE WITNESS: Yes.

2 COMMISSIONER BALBIS: When a company receives  
3 authorization to drill, is there a timeframe where  
4 that approval or permit expires, and if so, how  
5 long it that?

6 THE WITNESS: Yes. In Oklahoma that permit  
7 is good for six months. So, in other words, if  
8 you get a permit to drill a well, from the date  
9 the permit is issued, if you do not start the  
10 drilling operations or some operation related to  
11 drilling within six months, the permit will  
12 expire.

13 COMMISSIONER BALBIS: Okay. And would that  
14 be one of the reasons why FPL's petition has not  
15 been replicated, in that the regulatory lag  
16 normally is longer than six months?

17 THE WITNESS: I'm sorry, I'm not sure I see  
18 the connection.

19 COMMISSIONER BALBIS: Well, here this  
20 petition was filed I think in June and we're in  
21 December and we're still deliberating over this  
22 and if the permits are only good for six months,  
23 wouldn't it be important to have a quick process  
24 for companies to engage in this activity?

25 THE WITNESS: Yeah, so the way it works with

1 us in PetroQuest, and we are currently partners  
2 with PetroQuest in this area, is that we get  
3 involved in the planning of the wells to be  
4 drilled and PetroQuest does the actual permitting  
5 in enough lead time that we have the rigs  
6 available at the time those wells need to be  
7 drilled.

8 COMMISSIONER BALBIS: Okay, thank you.

9 CHAIRMAN GRAHAM: Redirect?

10 MR. BUTLER: Thank you, Mr. Chairman.

11 REDIRECT EXAMINATION

12 BY MR. BUTLER:

13 Q Dr. Taylor, would you turn to your Exhibits  
14 TT-11 and TT-12, the curve showing the expected  
15 recovery?

16 A Yes.

17 Q I just want to confirm something that you had  
18 discussed with Mr. Truitt. Basically the first four  
19 years from the left are the periods in which there is  
20 actual data, is that right?

21 A That's correct. And after that they are  
22 forecasts.

23 Q Would you -- well, how would you characterize  
24 the fit of the red line, the type curve, within the  
25 actual data for the four years where we have actual

1 **data?**

2 A I would say it's extremely good. You don't  
3 see large variations in the performance of the wells  
4 relative to the type curve.

5 Q Okay. Mr. Truitt asked you a question out of  
6 your deposition or confirmed something out of your  
7 deposition where you had said that it wouldn't be  
8 surprising, I think, or it wouldn't be significant for  
9 operating costs to be higher by a range of 20 to  
10 30 percent. Do you remember that?

11 A Yes.

12 Q Okay. Do you expect that sort of upward  
13 variation in the operating costs for the Woodford  
14 Project?

15 A I do not expect that operating cost to go up  
16 within that range. In fact, I looked back at the  
17 historical operating costs very recently and for the  
18 last two years it's been flat.

19 Q Okay.

20 A And I expect that to go down when we enter  
21 the manufacturing mode that I mentioned earlier.

22 Q Okay. And from the experience you have seen  
23 so far in the Woodford region, the area of mutual  
24 interest where the Woodford Project would be  
25 conducted, what is your expectation as to the

1     **variability percentage terms on aggregate for the**  
2     **project on the volume of production?**

3           A     I think I stated in my testimony that plus or  
4     minus 10 percent, although if you look at the type  
5     curves that I have developed here and the actual  
6     performance relative to those type curves, we're  
7     currently within 1 percent of that forecast.

8           MR. BUTLER: Thank you. That's all the  
9     redirect that I have.

10           I would move Exhibits 31 and 32, if I have  
11     the numbers right.

12           CHAIRMAN GRAHAM: Any objections? We will  
13     enter 31 and 32 into the record.

14           MR. BUTLER: And may Dr. Taylor be excused?

15           CHAIRMAN GRAHAM: Yes, he can.

16           THE WITNESS: Thank you.

17           CHAIRMAN GRAHAM: Sir, travel safe.

18           MR. BUTLER: Our next witness is Mr. Deason.

19           (Transcript continues in sequence with  
20     Volume 7.)

21                                   \* \* \* \* \*

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE OF REPORTER

STATE OF FLORIDA:

COUNTY OF LEON:

I, TERRY WILHELMI, Certified Court Reporter do hereby certify that the foregoing proceedings were taken before me at the time and place therein designated; that my shorthand notes were thereafter translated under my supervision; and the foregoing pages numbered 663 through 870 are a true and correct record of the aforesaid proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor relative or employee of such attorney or counsel, or financially interested in the foregoing action.

DATED THIS 3rd day of December, 2014.

  
TERRY WILHELMI, CCR  
Certified Court Reporter