

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

DOCKET NO. 150001-EI

FUEL AND PURCHASED POWER COST  
RECOVERY CLAUSE WITH  
GENERATING PERFORMANCE  
INCENTIVE FACTOR.

\_\_\_\_\_ /

VOLUME 2

(Pages 221 through 433)

PROCEEDINGS: HEARING

COMMISSIONERS  
PARTICIPATING: CHAIRMAN ART GRAHAM  
COMMISSIONER LISA POLAK EDGAR  
COMMISSIONER RONALD A. BRISÉ  
COMMISSIONER JULIE I. BROWN  
COMMISSIONER JIMMY PATRONIS

DATE: Monday, November 2, 2015

TIME: Commenced at 1:38 p.m.  
Concluded at 3:32 p.m.

PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY: LINDA BOLES, CRR, RPR  
Official FPSC Reporter  
(850) 413-6734

APPEARANCES: (As heretofore noted.)

## I N D E X

## WITNESSES

	NAME:	PAGE NO.
4	PENELOPE A. RUSK Prefiled Testimony Inserted	224
5	BRIAN S. BUCKLEY Prefiled Testimony Inserted	255
7	BENJAMIN F. SMITH Prefiled Testimony Inserted	282
8	SIMON O. OJADA Prefiled Testimony Inserted	295
10	INTESAR TERKAWI Prefiled Testimony Inserted	298
11	GEORGE SIMMONS Prefiled Testimony Inserted	301
13	GERARD J. YUPP Examination by Mr. Butler	334
14	Voir Dire Examination by Mr. Moyle Examination by Mr. Butler	337
15	Prefiled Testimony Inserted Examination by Mr. Sayler	344
16	Examination by Mr. Moyle	370
16	Examination by Mr. Moyle	414
16	Examination by Mr. Moyle	420

17

18

19

20

21

22

23

24

25

EXHIBITS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

NUMBER:		ID.	ADMTD.
1 through 114 - (As identified on the Comprehensive Exhibit List)		304	
1, 7 through 24, 28 through 31, 40 through 49, 68, 70, 71, 73, 75 through 104			305
115	- FPL Response to OPC Rogs	413	
116	- DEF Response to OPC Rogs	413	
117	- Gulf Response to OPC Rogs	414	
118	- TECO Response to OPC Rogs	414	
119	- E&Y "The Pros and Cons of Hedging"	420	

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**2                   **PREPARED DIRECT TESTIMONY**3                   **OF**4                   **PENELOPE A. RUSK**

5  
6   **Q.**   Please state your name, address, occupation and  
7       employer.

8  
9   **A.**   My name is Penelope A. Rusk. My business address is 702  
10       North Franklin Street, Tampa, Florida 33602. I am  
11       employed by Tampa Electric Company ("Tampa Electric" or  
12       "company") in the position of Manager, Rates in the  
13       Regulatory Affairs Department.

14  
15   **Q.**   Please provide a brief outline of your educational  
16       background and business experience.

17  
18   **A.**   I received a Bachelor of Arts degree in Economics from  
19       the University of New Orleans in 1995, and I received a  
20       Master of Arts degree in Economics from the University  
21       of South Florida in Tampa in 1997. I joined Tampa  
22       Electric in 1997, as an Economist in the Load  
23       Forecasting Department. In 2000, I joined the Regulatory  
24       Affairs Department, where I have assumed positions of  
25       increasing responsibility in the areas of fuel and

1 capacity cost recovery. I have accumulated 18 years of  
2 electric utility experience working in the areas of load  
3 forecasting, cost recovery clauses, as well as project  
4 management and rate setting activities for wholesale and  
5 retail rate cases. My duties include managing cost  
6 recovery for fuel and purchased power, interchange  
7 sales, capacity payments, and FPSC-approved  
8 environmental projects.

9  
10 **Q.** What is the purpose of your testimony?

11  
12 **A.** The purpose of my testimony is to present, for the  
13 Commission's review and approval, the final true-up  
14 amounts for the period January 2014 through December  
15 2014 for the Fuel and Purchased Power Cost Recovery  
16 Clause ("Fuel Clause"), the Capacity Cost Recovery  
17 Clause ("Capacity Clause") as well as the wholesale  
18 incentive benchmark for January 2015 through December  
19 2015.

20  
21 **Q.** What is the source of the data which you will present by  
22 way of testimony or exhibit in this process?

23  
24 **A.** Unless otherwise indicated, the actual data is taken  
25 from the books and records of Tampa Electric. The books

1 and records are kept in the regular course of business  
2 in accordance with generally accepted accounting  
3 principles and practices and provisions of the Uniform  
4 System of Accounts as prescribed by the Florida Public  
5 Service Commission ("Commission").  
6

7 **Q.** Have you prepared an exhibit in this proceeding?  
8

9 **A.** Yes. Exhibit No.\_\_\_\_ (PAR-1), consisting of five  
10 documents which are described later in my testimony, was  
11 prepared under my direction and supervision.  
12

13 **Capacity Cost Recovery Clause**

14 **Q.** What is the final true-up amount for the Capacity Clause  
15 for the period January 2014 through December 2014?  
16

17 **A.** The final true-up amount for the Capacity Clause for the  
18 period January 2014 through December 2014 is an over-  
19 recovery of \$140,386.  
20

21 **Q.** Please describe Document No. 1 of your exhibit.  
22

23 **A.** Document No. 1, page 1 of 4, entitled "Tampa Electric  
24 Company Capacity Cost Recovery Clause Calculation of  
25 Final True-up Variances for the Period January 2014

1 Through December 2014", provides the calculation for the  
2 final over-recovery of \$140,386. The actual capacity  
3 cost over-recovery, including interest, was \$106,860 for  
4 the period January 2014 through December 2014 as  
5 identified in Document No. 1, pages 1 and 2 of 4. This  
6 amount, less the \$33,526 actual/estimated under-recovery  
7 approved in Order No. PSC-14-0701-FOF-EI issued December  
8 19, 2014 in Docket No. 140001-EI, results in a final  
9 over-recovery of \$140,386 for the period, as identified  
10 in Document No. 1, page 4 of 4. This over-recovery  
11 amount will be applied in the calculation of the  
12 capacity cost recovery factors for the period January  
13 2016 through December 2016.

14  
15 **Q.** What is the estimated effect of this \$140,836 over-  
16 recovery for the January 2014 through December 2014  
17 period on residential bills during January 2016 through  
18 December 2016?

19  
20 **A.** The \$140,386 over-recovery will decrease a 1,000 kWh  
21 residential bill by approximately \$0.01.

22  
23 **Fuel and Purchased Power Cost Recovery Clause**

24 **Q.** What is the final true-up amount for the Fuel Clause for  
25 the period January 2014 through December 2014?

1     **A.**    The final Fuel Clause true-up for the period January  
2            2014 through December 2014 is an under-recovery of  
3            \$2,919,025. The actual fuel cost over-recovery,  
4            including interest, was \$10,467,182 for the period  
5            January 2014 through December 2014. This \$10,467,182  
6            amount, less the \$13,386,207 actual/estimated over-  
7            recovery amount approved in Order No. PSC-14-0701-FOF-  
8            EI, issued December 19, 2014 in Docket No. 140001-EI,  
9            results in a net under-recovery amount for the period of  
10           \$2,919,025.

11

12     **Q.**    What is the estimated effect of the \$2,919,025 under-  
13            recovery for the January 2014 through December 2014  
14            period on residential bills during January 2016 through  
15            December 2016?

16

17     **A.**    The \$2,919,025 under-recovery will increase a 1,000 kWh  
18            residential bill by approximately \$0.16.

19

20     **Q.**    Please describe Document No. 2 of your exhibit.

21

22     **A.**    Document No. 2 is entitled "Tampa Electric Company Final  
23            Fuel and Purchased Power Over/(Under) Recovery for the  
24            Period January 2014 Through December 2014". It shows the  
25            calculation of the final fuel under-recovery of

1           \$2,919,025.

2

3           Line 1 shows the total company fuel costs of  
4           \$752,417,226 for the period January 2014 through  
5           December 2014. The jurisdictional amount of total fuel  
6           costs is \$752,417,226, as shown on line 2. This amount  
7           is compared to the jurisdictional fuel revenues  
8           applicable to the period on line 3 to obtain the actual  
9           under-recovered fuel costs for the period, shown on line  
10          4. The resulting \$13,100,095 under-recovered fuel costs  
11          for the period, interest, true-up collected and the  
12          prior period true-up shown on lines 5 through 8  
13          respectively, constitute the actual over-recovery of  
14          \$10,467,182 shown on line 9. The \$10,467,182 actual  
15          over-recovery amount less the \$13,386,207 actual/  
16          estimated over-recovery amount shown on line 10, results  
17          in a final \$2,919,025 under-recovery amount for the  
18          period January 2014 through December 2014 as shown on  
19          line 11.

20

21       **Q.** Please describe Document No. 3 of your exhibit.

22

23       **A.** Document No. 3 is entitled "Tampa Electric Company  
24          Calculation of True-up Amount Actual vs. Original  
25          Estimates for the Period January 2014 Through December

1           2014." It shows the calculation of the actual over-  
2           recovery compared to the estimate for the same period.

3

4           **Q.**    What was the total fuel and net power transaction cost  
5           variance for the period January 2014 through December  
6           2014?

7

8           **A.**    As shown on line A7 of Document No. 3, the fuel and net  
9           power transaction cost is \$19,629,289 more than the  
10          amount originally estimated.

11

12          **Q.**    What was the variance in jurisdictional fuel revenues  
13          for the period January 2014 through December 2014?

14

15          **A.**    As shown on line C3 of Document No. 3, the company  
16          collected \$7,040,709, or 1.0 percent greater  
17          jurisdictional fuel revenues than originally estimated.

18

19          **Q.**    Please describe Document No. 4 of your exhibit.

20

21          **A.**    Document No. 4 contains Commission Schedules A1 and A2  
22          for the month of December and the year-end period-to-  
23          date summary of transactions for each of Commission  
24          Schedules A6, A7, A8, A9, as well as capacity  
25          information on Schedule A12.

1 Q. Please describe Document No. 5 of your exhibit.

2

3 A. Document No. 5 provides the Polk Unit 1 ignition oil  
4 conversion project capital costs and fuel savings for  
5 the period January 2014 through December 2014. This  
6 document also contains the capital structure components  
7 and cost rates relied upon to calculate the revenue  
8 requirements rate of return on capital projects  
9 recovered through the fuel clause.

10

11 The Polk Unit 1 ignition oil conversion project capital  
12 costs, including depreciation and return, for the period  
13 are \$4,429,920. The project fuel savings are  
14 \$38,000,021, which exceeds the capital costs by  
15 \$33,570,101, as shown on Document No. 5, page 1, line  
16 33. Therefore, the Polk Unit 1 ignition oil conversion  
17 project capital costs should be recovered through the  
18 fuel clause in accordance with FPSC Order No. PSC-12-  
19 0498-PAA-EI, issued in Docket No. 120153-EI on September  
20 27, 2012.

21

22 **Wholesale Incentive Benchmark**

23 Q. What is Tampa Electric's wholesale incentive benchmark  
24 for 2015, as derived in accordance with Order No. PSC-  
25 01-2371-FOF-EI, Docket No. 010283-EI?

1     **A.**    The company's 2015 benchmark is \$1,479,981, which is the  
2            three-year average of \$246,931, \$894,045 and \$3,298,966  
3            actual gains on non-separated wholesale sales, excluding  
4            emergency sales, for 2012, 2013 and 2014, respectively.

5

6     **Q.**    Does this conclude your testimony?

7

8     **A.**    Yes.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**2                                   **PREPARED DIRECT TESTIMONY**3   **OF**4   **PENELOPE A. RUSK**5  
6       **Q.**     Please state your name, address, occupation and employer.  
78       **A.**     My name is Penelope A. Rusk. My business address is 702  
9             North Franklin Street, Tampa, Florida 33602. I am  
10            employed by Tampa Electric Company ("Tampa Electric" or  
11            "company") in the position of Manager, Rates in the  
12            Regulatory Affairs Department.  
1314       **Q.**     Please provide a brief outline of your educational  
15            background and business experience.  
1617       **A.**     I received a Bachelor of Arts degree in Economics from  
18            the University of New Orleans in 1995, and I received a  
19            Master of Arts degree in Economics from the University of  
20            South Florida in Tampa in 1997. I joined Tampa Electric  
21            in 1997, as an Economist in the Load Forecasting  
22            Department. In 2000, I joined the Regulatory Affairs  
23            Department, where I have assumed positions of increasing  
24            responsibility. I have accumulated 18 years of electric  
25            utility experience working in the areas of load

1 forecasting, cost recovery clauses, as well as project  
2 management and rate setting activities for wholesale and  
3 retail rate cases. My duties include managing cost  
4 recovery for fuel and purchased power, interchange sales,  
5 capacity payments, and FPSC-approved environmental  
6 projects.

7  
8 **Q.** What is the purpose of your testimony?

9  
10 **A.** The purpose of my testimony is to present, for Commission  
11 review and approval, the calculation of the January 2015  
12 through December 2015 fuel and purchased power and  
13 capacity actual/estimated true-up amounts to be recovered  
14 in the January 2016 through December 2016 projection  
15 period. My testimony addresses the recovery of fuel and  
16 purchased power costs as well as capacity costs for the  
17 year 2015, based on six months of actual data and six  
18 months of estimated data. This information will be used  
19 in the determination of the 2016 fuel and purchased power  
20 costs and capacity cost recovery factors.

21  
22 **Q.** Have you prepared any exhibits to support your testimony?

23  
24 **A.** Yes. I have prepared Exhibit No. \_\_\_\_ (PAR-2), which  
25 consists of three documents. Document No. 1 includes

1 Schedules E1-B, E-2, E-3, E-4, E-5, E-6, E-7, E-8, and  
2 E-9, which provide the actual/estimated fuel and  
3 purchased power cost recovery true-up amount for the  
4 period January 2015 through December 2015. Document No. 2  
5 provides the actual/estimated capacity cost recovery  
6 true-up amount for the period of January 2015 through  
7 December 2015. Document No. 3 provides the actual/  
8 estimated capital costs and fuel savings during the  
9 period of January 2015 through December 2015 for capital  
10 projects authorized for cost recovery through the fuel  
11 clause. Document No. 3 also provides the capital  
12 structure components and cost rates relied upon to  
13 calculate the revenue requirement rate of return for the  
14 project. These documents are furnished as support for the  
15 projected true-up amount for this period.

16  
17 **Fuel and Purchased Power Cost Recovery Factors**

18 **Q.** What has Tampa Electric calculated as the estimated net  
19 true-up amount for the current period to be applied in  
20 the January 2016 through December 2016 fuel and purchased  
21 power cost recovery factors?

22  
23 **A.** The estimated net true-up amount applicable for the  
24 period January 2016 through December 2016 is an over-  
25 recovery of \$27,590,550.

1 Q. How did Tampa Electric calculate the estimated net true-  
2 up amount to be applied in the January 2016 through  
3 December 2016 fuel and purchased power cost recovery  
4 factors?

5

6 A. The net true-up amount to be recovered in 2016 is the sum  
7 of the final true-up amount for the period January 2014  
8 through December 2014 and the actual/estimated true-up  
9 amount for the period January 2015 through December 2015.

10

11 Q. What did Tampa Electric calculate as the final fuel and  
12 purchased power cost recovery true-up amount for 2014?

13

14 A. The final true-up was an under-recovery of \$2,919,025.  
15 The actual fuel cost over-recovery, including interest  
16 was \$10,467,182 for the period January 2014 through  
17 December 2014. The \$10,467,182 amount, less the actual/  
18 estimated over-recovery amount of \$13,386,207 approved in  
19 Order No. PSC-14-0701-FOF-EI, issued December 19, 2014 in  
20 Docket No. 140001-EI resulted in a net under-recovery  
21 amount for the period of \$2,919,025.

22

23 Q. What did Tampa Electric calculate as the actual/estimated  
24 fuel and purchased power cost recovery true-up amount for  
25 the period January 2015 through December 2015?

1   **A.**   The actual/estimated fuel and purchased power cost  
2       recovery true-up is an over-recovery amount of  
3       \$30,509,575 for the January 2015 through December 2015  
4       period. The detailed calculation supporting the actual/  
5       estimated current period true-up is shown in Exhibit  
6       No. \_\_\_\_ (PAR-2), Document No. 1 on Schedule E1-B.

7

8   **Capacity Cost Recovery Clause**

9   **Q.**   What has Tampa Electric calculated as the estimated net  
10       true-up amount to be applied in the January 2016 through  
11       December 2016 capacity cost recovery factors?

12

13   **A.**   The estimated net true-up amount applicable for January  
14       2016 through December 2016 is an over-recovery of  
15       \$2,203,769 as shown in Exhibit No. \_\_\_\_ (PAR-2), Document  
16       No. 2, page 2 of 5.

17

18   **Q.**   How did Tampa Electric calculate the estimated net true-  
19       up amount to be applied in the January 2016 through  
20       December 2016 capacity cost recovery factors?

21

22   **A.**   The net true-up amount to be recovered in the 2016  
23       capacity cost recovery factors is the sum of the final  
24       true-up amount for 2014 and the actual/estimated true-up  
25       amount for January 2015 through December 2015.

1 Q. What did Tampa Electric calculate as the final capacity  
2 cost recovery true-up amount for 2014?

3

4 A. The final 2014 true-up is an over-recovery of \$140,386.  
5 The actual capacity cost over-recovery including interest  
6 was \$106,860 for the period January 2014 through December  
7 2014. This amount, less the \$33,526 actual/estimated  
8 under-recovery amount approved in Docket No. 140001-EI,  
9 Order No. PSC-14-0701-FOF-EI, issued December 19, 2014  
10 results in a net over-recovery amount for the period of  
11 \$140,386 as identified in Exhibit No. \_\_\_\_ (PAR-2),  
12 Document No. 2, page 1 of 5.

13

14 Q. What did Tampa Electric calculate as the actual/estimated  
15 capacity cost recovery true-up amount for the period  
16 January 2015 through December 2015?

17

18 A. The actual/estimated true-up amount is an over-recovery  
19 of \$2,063,383 as shown on Exhibit No. \_\_\_\_ (PAR-2),  
20 Document No. 2, page 1 of 5.

21

22 **Capital Projects Approved for Fuel Clause Recovery**

23 Q. What did Tampa Electric calculate as the actual/estimated  
24 Polk Unit 1 ignition oil conversion project costs for the  
25 period January 2015 through December 2015?

1     **A.**    The actual/estimated Polk Unit 1 ignition oil conversion  
2            project capital costs, including depreciation and return,  
3            for the period of January 2015 through December 2015 are  
4            \$4,109,281. This is shown in Exhibit No. \_\_\_\_ (PAR-2),  
5            Document No. 3.

6  
7     **Q.**    Did Tampa Electric's actual/estimated Polk Unit 1  
8            ignition oil conversion project fuel savings exceed  
9            actual/estimated costs for the period January 2015  
10           through December 2015?

11  
12    **A.**    Yes, as reflected in Exhibit No. \_\_\_\_ (PAR-2), Document  
13            No. 3, fuel savings exceeded costs for the period January  
14            2015 through December 2015.

15  
16    **Q.**    Should Tampa Electric's Polk Unit 1 ignition oil  
17            conversion project capital costs be recovered through the  
18            fuel clause?

19  
20    **A.**    Yes. The January 2015 through December 2015 actual/  
21            estimated fuel savings are greater than the project  
22            capital costs, providing an expected net benefit to  
23            customers, and the costs are eligible for recovery  
24            through the fuel clause in accordance with FPSC Order No.  
25            PSC-12-0498-PAA-EI, issued in Docket No. 120153-EI on

1           September 27, 2012.

2  
3   **Q.**   What did Tampa Electric calculate as the actual/estimated  
4           Big Bend ignition oil conversion project costs for the  
5           period January 2015 through December 2015?

6  
7   **A.**   The actual/estimated Big Bend ignition oil conversion  
8           project capital costs, including depreciation and return,  
9           for the period of January 2015 through December 2015 are  
10          \$3,744,426. This is shown in Exhibit No. \_\_\_\_ (PAR-2),  
11          Document No. 3.

12  
13   **Q.**   Did Tampa Electric's actual/estimated Big Bend ignition  
14          oil conversion project fuel savings exceed actual/  
15          estimated cost for the period of January 2015 through  
16          December 2015.

17  
18   **A.**   Yes, as reflected in Exhibit No. \_\_\_\_ (PAR-2), Document  
19          No. 3, fuel savings exceeded costs for the period January  
20          2015 through December 2015.

21  
22   **Q.**   Should Tampa Electric's Big Bend ignition oil conversion  
23          project capital costs be recovered through the fuel  
24          clause?

25

1   **A.**   Yes. The January 2015 through December 2015 actual/  
2       estimated fuel savings are greater than the project  
3       capital costs, providing an expected net benefit to  
4       customers, and the costs are eligible for recovery  
5       through the fuel clause in accordance with FPSC Order No.  
6       PSC-14-0309-PAA-EI, issued in Docket No. 140032-EI on  
7       June 12, 2014.

8  
9   **Q.**   Please describe the capital structure components and cost  
10      rates used to calculate the revenue requirement rate of  
11      return for these two projects.

12  
13   **A.**   The capital structure components and cost rates relied  
14      upon to calculate the revenue requirement rate of return  
15      for the company's projects that are approved for recovery  
16      through the fuel clause are shown in Document No. 3.

17  
18   **Q.**   Does this conclude your testimony?

19  
20   **A.**   Yes, it does.

21  
22  
23  
24  
25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**2                   **PREPARED DIRECT TESTIMONY**3                   **OF**4                   **PENELOPE A. RUSK**

5  
6   **Q.**   Please state your name, address, occupation and employer.

7  
8   **A.**   My name is Penelope A. Rusk. My business address is 702  
9           North Franklin Street, Tampa, Florida 33602. I am  
10          employed by Tampa Electric Company ("Tampa Electric" or  
11          "company") in the position of Manager, Rates in the  
12          Regulatory Affairs Department.

13  
14   **Q.**   Please provide a brief outline of your educational  
15          background and business experience.

16  
17   **A.**   I received a Bachelor of Arts degree in Economics from  
18          the University of New Orleans in 1995, and I received a  
19          Master of Arts degree in Economics from the University  
20          of South Florida in Tampa in 1997. I joined Tampa  
21          Electric in 1997, as an Economist in the Load  
22          Forecasting Department. In 2000, I joined the  
23          Regulatory Affairs Department, where I have assumed  
24          positions of increasing responsibility in the areas of  
25          fuel and capacity cost recovery. I have accumulated 18

1 years of electric utility experience working in the  
2 areas of load forecasting, cost recovery clauses, as  
3 well as project management and rate setting activities  
4 for wholesale and retail rate cases. My duties include  
5 managing cost recovery for fuel and purchased power,  
6 interchange sales, capacity payments, and FPSC-approved  
7 environmental projects.

8  
9 **Q.** What is the purpose of your testimony?

10  
11 **A.** The purpose of my testimony is to present, for Commission  
12 review and approval, the proposed annual capacity cost  
13 recovery factors, the proposed annual levelized fuel and  
14 purchased power cost recovery factors including an  
15 inverted or two-tiered residential fuel charge to  
16 encourage energy efficiency and conservation and the  
17 projected wholesale incentive benchmark for January 2016  
18 through December 2016. I will also describe significant  
19 events that affect the factors and provide an overview of  
20 the composite effect on the residential bill of changes  
21 in the various cost recovery factors for 2016.

22  
23 **Q.** Have you prepared an exhibit to support your testimony?

24  
25 **A.** Yes. Exhibit No. \_\_\_\_\_ (PAR-3), consisting of four

1 documents, was prepared under my direction and  
2 supervision. Document No. 1, consisting of four pages, is  
3 furnished as support for the projected capacity cost  
4 recovery factors. Document No. 2, which is furnished as  
5 support for the proposed levelized fuel and purchased  
6 power cost recovery factors, includes Schedules E1  
7 through E10 for January 2016 through December 2016 as  
8 well as Schedule H1 for January through December, 2013  
9 through 2016. Document No. 3 provides a comparison of  
10 retail residential fuel revenues under the inverted or  
11 tiered fuel rate and a levelized fuel rate, which  
12 demonstrates that the tiered rate is revenue neutral.  
13 Document No. 4 presents the capital costs and fuel  
14 savings for the company's projects that have been  
15 approved for recovery through the fuel clause, as well as  
16 the capital structure components and cost rates relied  
17 upon to calculate the revenue requirement rate of return  
18 for the projects.

19  
20 **Capacity Cost Recovery**

21 **Q.** Are you requesting Commission approval of the projected  
22 capacity cost recovery factors for the company's various  
23 rate schedules?

24  
25 **A.** Yes. The capacity cost recovery factors, prepared under

1 my direction and supervision, are provided in Exhibit No.  
 2 \_\_\_\_ (PAR-3), Document No. 1, page 3 of 4.

3  
 4 **Q.** What payments are included in Tampa Electric's capacity  
 5 cost recovery factors?

6  
 7 **A.** Tampa Electric is requesting recovery of capacity  
 8 payments for power purchased for retail customers,  
 9 excluding optional provision purchases for interruptible  
 10 customers, through the capacity cost recovery factors. As  
 11 shown in Exhibit No. \_\_\_\_ (PAR-3), Document No. 1, Tampa  
 12 Electric requests recovery of \$28,290,255 after  
 13 jurisdictional separation and prior year true-up, for  
 14 estimated expenses in 2016.

15  
 16 **Q.** Please summarize the proposed capacity cost recovery  
 17 factors by metering voltage level for January 2016  
 18 through December 2016.

19  
 20 **A.**

<b>Rate Class and</b>	<b>Capacity Cost</b>	<b>Recovery Factor</b>
<b><u>Metering Voltage</u></b>	<b><u>Cents per kWh</u></b>	<b><u>\$ per kW</u></b>
RS Secondary	0.178	
GS and TS Secondary	0.166	
GSD, SBF Standard		
Secondary		0.53

1	Primary	0.52
2	Transmission	0.52
3	IS, IST, SBI	
4	Primary	0.43
5	Transmission	0.42
6	GSD Optional	
7	Secondary	0.123
8	Primary	0.122
9	LS1 Secondary	0.021

10

11 These factors are shown in Exhibit No. \_\_\_\_ (PAR-3),  
 12 Document No. 1, page 3 of 4.

13

14 **Q.** How does Tampa Electric's proposed average capacity cost  
 15 recovery factor of 0.151 cents per kWh compare to the  
 16 factor for January 2015 through December 2015?

17

18 **A.** The proposed capacity cost recovery factor is 0.021 cents  
 19 per kWh (or \$0.21 per 1,000 kWh) lower than the average  
 20 capacity cost recovery factor of 0.172 cents per kWh for  
 21 the January 2015 through December 2015 period.

22

23 **Fuel and Purchased Power Cost Recovery Factor**

24 **Q.** What is the appropriate amount of the levelized fuel and  
 25 purchased power cost recovery factor for the year 2016?

1     **A.**    The appropriate amount for the 2016 period is 3.676 cents  
2           per kWh before the application of time of use multipliers  
3           for on-peak or off-peak usage. Schedule E1-E of Exhibit  
4           No. \_\_\_\_ (PAR-3), Document No. 2, shows the appropriate  
5           value for the total fuel and purchased power cost  
6           recovery factor for each metering voltage level as  
7           projected for the period January 2016 through December  
8           2016.

9

10    **Q.**    Please describe the information provided on Schedule E1-C.

11

12    **A.**    The Generating Performance Incentive Factor ("GPIF") and  
13           true-up factors are provided on Schedule E1-C. Tampa  
14           Electric has calculated a GPIF reward of \$1,258,600,  
15           which is included in the calculation of the total fuel  
16           and purchased power cost recovery factors. In addition,  
17           Schedule E1-C indicates the net true-up amount for the  
18           January 2015 through December 2015 period. The net true-  
19           up amount for this period is an over-recovery of  
20           \$27,590,550.

21

22    **Q.**    Please describe the information provided on Schedule E1-D.

23

24    **A.**    Schedule E1-D presents Tampa Electric's on-peak and off-  
25           peak fuel adjustment factors for January 2016 through

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

December 2016. The schedule also presents Tampa Electric's levelized fuel cost factors at each metering voltage level.

**Q.** Please describe the information provided on Schedule E1-E.

**A.** Schedule E1-E presents the standard, tiered, on-peak and off-peak fuel adjustment factors at each metering voltage to be applied to customer bills.

**Q.** Please describe the information provided in Document No. 3.

**A.** Exhibit No. \_\_\_\_ (PAR-3), Document No. 3 demonstrates that the tiered rate structure is designed to be revenue neutral so that the company will recover the same fuel costs as it would under the traditional levelized fuel approach.

**Q.** Please summarize the proposed fuel and purchased power cost recovery factors by metering voltage level for January 2016 through December 2016.

1	<b>A.</b>	<b>Fuel Charge</b>	
2	<u>Metering Voltage Level</u>	<u>Factor (cents per kWh)</u>	
3	Secondary	3.676	
4	Tier I (Up to 1,000 kWh)	3.361	
5	Tier II (Over 1,000 kWh)	4.361	
6	Distribution Primary	3.639	
7	Transmission	3.602	
8	Lighting Service	3.627	
9	Distribution Secondary	3.937	(on-peak)
10		3.564	(off-peak)
11	Distribution Primary	3.898	(on-peak)
12		3.528	(off-peak)
13	Transmission	3.858	(on-peak)
14		3.493	(off-peak)

16

**Q.** How does Tampa Electric's proposed levelized fuel adjustment factor of 3.676 cents per kWh compare to the levelized fuel adjustment factor for the January 2015 through December 2015 period?

21

**A.** The proposed fuel charge factor is 0.198 cents per kWh (or \$1.98 per 1,000 kWh) lower than the average fuel charge factor of 3.874 cents per kWh for the January 2015 through December 2015 period.

25

1 **Events Affecting the Projection Filing**

2 **Q.** Are there any significant events reflected in the  
3 calculation of the 2016 fuel and purchased power and  
4 capacity cost recovery projections?

5  
6 **A.** Yes. There is one significant event reflected in the  
7 2016 projections: the purchase of additional natural gas  
8 for use at Big Bend Station. This is described in the  
9 testimony of witness J. Brent Caldwell.

10  
11 **Capital Projects Approved for Fuel Clause Recovery**

12 **Q.** What did Tampa Electric calculate as the estimated Polk  
13 Unit 1 ignition oil conversion project costs for the  
14 period January 2016 through December 2016?

15  
16 **A.** The estimated Polk Unit 1 ignition oil conversion project  
17 capital costs, including depreciation and return, for the  
18 period of January 2016 through December 2016 are  
19 \$3,812,311. This is shown in Exhibit No. \_\_\_\_\_ (PAR-3),  
20 Document No. 4.

21  
22 **Q.** Does Tampa Electric's estimated Polk Unit 1 ignition oil  
23 conversion project fuel savings exceed estimated costs  
24 for the period January 2016 through December 2016?

25

1     **A.**    Yes, as reflected in Exhibit No. \_\_\_\_\_ (PAR-3), Document  
2            No. 4, fuel savings exceed costs for the period January  
3            2016 through December 2016.

4  
5     **Q.**    Should Tampa Electric's Polk Unit 1 ignition oil  
6            conversion project capital costs be recovered through the  
7            fuel clause?

8  
9     **A.**    Yes. The January 2016 through December 2016 estimated  
10           fuel savings are greater than the project capital costs,  
11           providing an expected net benefit to customers, and the  
12           costs are eligible for recovery through the fuel clause  
13           in accordance with FPSC Order No. PSC-12-0498-PAA-EI,  
14           issued in Docket No. 120153-EI on September 27, 2012.

15  
16    **Q.**    What did Tampa Electric calculate as the estimated Big  
17            Bend Units 1-4 ignition oil conversion project costs for  
18            the period January 2016 through December 2016?

19  
20    **A.**    The estimated Big Bend Units 1-4 ignition oil conversion  
21            project capital costs, including depreciation and return,  
22            for the period of January 2016 through December 2016 are  
23            \$4,894,041. This is shown in Document No. 4 of my  
24            exhibit.

25

1    **Q.**    Does Tampa Electric's estimated Big Bend ignition oil  
2           conversion project fuel savings exceed estimated costs  
3           for the period of January 2016 through December 2016?  
4

5    **A.**    Yes, fuel savings exceed costs for the period January  
6           2016 through December 2016. This information is also  
7           presented in Document No. 4 of my exhibit.  
8

9    **Q.**    Should Tampa Electric's Big Bend Units 1-4 ignition oil  
10           conversion project capital costs be recovered through the  
11           fuel clause?  
12

13   **A.**    Yes. The January 2016 through December 2016 estimated  
14           fuel savings are greater than the project capital costs,  
15           providing an expected net benefit to customers, and the  
16           costs are eligible for recovery through the fuel clause  
17           in accordance with FPSC Order No. PSC-14-0309-PAA-EI,  
18           issued in Docket No. 140032-EI on June 12, 2014.  
19

20   **Q.**    Please describe the capital structure components and cost  
21           rates used to calculate the revenue requirement rate of  
22           return for these two projects.  
23

24   **A.**    The capital structure components and cost rates relied  
25           upon to calculate the revenue requirement rate of return

1 for the company's projects that are approved for recovery  
2 through the fuel clause are shown in Document No. 4.

3  
4 **Wholesale Incentive Benchmark Mechanism**

5 **Q.** What is Tampa Electric's projected wholesale incentive  
6 benchmark for 2016?

7  
8 **A.** The company's projected 2016 benchmark is \$1,532,270,  
9 which is the three-year average of \$894,045, \$3,298,966  
10 and \$403,800 in gains on the company's non-separated  
11 wholesale sales, excluding emergency sales, for 2013,  
12 2014 and 2015 (actual/estimated), respectively.

13  
14 **Q.** Does Tampa Electric expect gains in 2016 from non-  
15 separated wholesale sales to exceed its 2016 wholesale  
16 incentive benchmark?

17  
18 **A.** No. Tampa Electric anticipates that sales will not exceed  
19 the projected benchmark for 2016. Therefore, all sales  
20 margins are expected to flow back to customers.

21  
22 **Cost Recovery Factors**

23 **Q.** What is the composite effect of Tampa Electric's proposed  
24 changes in its base, capacity, fuel and purchased power,  
25 environmental and energy conservation cost recovery

1 factors on a 1,000 kWh residential customer's bill?

2

3 **A.** The composite effect on a residential bill for 1,000 kWh  
4 is a decrease of \$2.25 beginning January 2016, when  
5 compared to the January 2015 through October 2015  
6 charges. These charges are shown in Exhibit No. \_\_\_\_  
7 (PAR-3), Document No. 2, on Schedule E10.

8

9 **Q.** When should the new rates go into effect?

10

11 **A.** The new rates should go into effect concurrent with meter  
12 reads for the first billing cycle for January 2016.

13

14 **Q.** Does this conclude your testimony?

15

16 **A.** Yes, it does.

17

18

19

20

21

22

23

24

25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**2                                   **PREPARED DIRECT TESTIMONY**3   **OF**4   **BRIAN S. BUCKLEY**

5  
6   **Q.**   Please state your name, business address, occupation and  
7           employer.

8  
9   **A.**   My name is Brian S. Buckley. My business address is 702  
10           North Franklin Street, Tampa, Florida 33602. I am employed  
11           by Tampa Electric Company ("Tampa Electric" or "company") in  
12           the position of Manager, Compliance and Performance.

13  
14   **Q.**   Please provide a brief outline of your educational  
15           background and business experience.

16  
17   **A.**   I received a Bachelor of Science degree in Mechanical  
18           Engineering in 1997 from the Georgia Institute of  
19           Technology and a Master of Business Administration from the  
20           University of South Florida in 2003. I began my career  
21           with Tampa Electric in 1999 as an Engineer in Plant  
22           Technical Services. I have held a number of different  
23           engineering positions at Tampa Electric's power generating  
24           stations including Operations Engineer at Gannon Station,  
25           Instrumentation and Controls Engineer at Big Bend Station,

1 and Senior Engineer in Operations Planning. In 2008, I was  
2 promoted to Manager, Operations Planning. Currently, I am  
3 the Manager of Compliance and Performance responsible for  
4 unit performance analysis and reporting of generation  
5 statistics.

6  
7 **Q.** What is the purpose of your testimony?

8  
9 **A.** The purpose of my testimony is to present Tampa Electric's  
10 actual performance results from unit equivalent availability  
11 and heat rate used to determine the Generating Performance  
12 Incentive Factor ("GPIF") for the period January 2014  
13 through December 2014. I will also compare these results to  
14 the targets established prior to the beginning of the  
15 period.

16  
17 **Q.** Have you prepared an exhibit to support your testimony?

18  
19 **A.** Yes, I prepared Exhibit No. \_\_\_\_\_ (BSB-1), consisting of two  
20 documents. Document No. 1, entitled "Tampa Electric Company,  
21 Generating Performance Incentive Factor, January 2014 -  
22 December 2014 True-up" is consistent with the GPIF  
23 Implementation Manual previously approved by the Commission.  
24 Document No. 2 provides the company's Actual Unit  
25 Performance Data for the 2014 period.

- 1 **Q.** Which generating units on Tampa Electric's system are  
2 included in the determination of the GPIF?  
3
- 4 **A.** Four of the company's coal-fired units, one integrated  
5 gasification combined cycle unit and two natural gas  
6 combined cycle units are included. These are Big Bend Units  
7 1 through 4, Polk Unit 1 and Bayside Units 1 and 2,  
8 respectively.  
9
- 10 **Q.** Have you calculated the results of Tampa Electric's  
11 performance under the GPIF during the January 2014 through  
12 December 2014 period?  
13
- 14 **A.** Yes, I have. This is shown on Document No. 1, page 4 of 32.  
15 Based upon 1.682 Generating Performance Incentive Points  
16 ("GPIP"), the result is a reward amount of \$1,258,600 for  
17 the period.  
18
- 19 **Q.** Please proceed with your review of the actual results for  
20 the January 2014 through December 2014 period.  
21
- 22 **A.** On Document No. 1, page 3 of 32, the actual average common  
23 equity for the period is shown on line 14 as \$2,044,549,944.  
24 This produces the maximum penalty or reward amount of  
25 \$7,480,950 as shown on line 23.

1 Q. Will you please explain how you arrived at the actual  
2 equivalent availability results for the seven units included  
3 within the GPIF?  
4

5 A. Yes. Operating data for each of the units is filed monthly  
6 with the Commission on the Actual Unit Performance Data  
7 form. Additionally, outage information is reported to the  
8 Commission on a monthly basis. A summary of this data for  
9 the 12 months provides the basis for the GPIF.  
10

11 Q. Are the actual equivalent availability results shown on  
12 Document No. 1, page 6 of 32, column 2, directly applicable  
13 to the GPIF table?  
14

15 A. No. Adjustments to actual equivalent availability may be  
16 required as noted in section 4.3.3 of the GPIF Manual. The  
17 actual equivalent availability including the required  
18 adjustment is shown on Document No. 1, page 6 of 32, column  
19 4. The necessary adjustments as prescribed in the GPIF  
20 Manual are further defined by a letter dated October 23,  
21 1981, from Mr. J. H. Hoffsis of the Commission's Staff. The  
22 adjustments for each unit are as follows:  
23

24 **Big Bend Unit No. 1**

25 On this unit, 2,017.0 planned outage hours were originally

1 scheduled for 2014. Actual outage activities required 493.9  
 2 planned outage hours. Consequently, the actual equivalent  
 3 availability of 83.5 percent is adjusted to 68.2 percent as  
 4 shown on Document No. 1, page 7 of 32.

5

6 **Big Bend Unit No. 2**

7 On this unit, 577.0 planned outage hours were originally  
 8 scheduled for 2014. Actual outage activities required 735.9  
 9 planned outage hours. Consequently, the actual equivalent  
 10 availability of 81.0 percent is adjusted to 82.6 percent as  
 11 shown on Document No. 1, page 8 of 32.

12

13 **Big Bend Unit No. 3**

14 On this unit, 575.0 planned outage hours were originally  
 15 scheduled for 2014. Actual outage activities required 449.0  
 16 planned outage hours. Consequently, the actual equivalent  
 17 availability of 79.0 percent is adjusted to 77.8 percent as  
 18 shown on Document No. 1, page 9 of 32.

19

20 **Big Bend Unit No. 4**

21 On this unit, 1,584.0 planned outage hours were originally  
 22 scheduled for 2014. Actual outage activities required  
 23 1,813.2 planned outage hours. Consequently, the actual  
 24 equivalent availability of 68.1 percent is adjusted to 70.3  
 25 percent as shown on Document No. 1, page 10 of 32.

1           **Polk Unit No. 1**

2           On this unit, 455.0 planned outage hours were originally  
3           scheduled for 2014. Actual outage activities required 437.7  
4           planned outage hours. Consequently, the actual equivalent  
5           availability of 91.7 percent is adjusted to 91.5 percent, as  
6           shown on Document No. 1, page 11 of 32.

7  
8           **Bayside Unit No. 1**

9           On this unit, 432.0 planned outage hours were originally  
10          scheduled for 2014. Actual outage activities required 539.7  
11          planned outage hours. Consequently, the actual equivalent  
12          availability of 82.3 percent is adjusted to 83.5 percent, as  
13          shown on Document No. 1, page 12 of 32.

14  
15          **Bayside Unit No. 2**

16          On this unit, 432.0 planned outage hours were originally  
17          scheduled for 2014. Actual outage activities required 436.3  
18          planned outage hours. Consequently, the actual equivalent  
19          availability of 89.6 percent is adjusted to 89.7 percent, as  
20          shown on Document No. 1, page 13 of 32.

21  
22   **Q.**   How did you arrive at the applicable equivalent availability  
23          points for each unit?

24  
25   **A.**   The final adjusted equivalent availabilities for each unit

1 are shown on Document No. 1, page 6 of 32, column 4. This  
2 number is entered into the respective GPIF table for each  
3 particular unit, shown on pages 7 of 32 through 13 of 32.  
4 Page 4 of 32 summarizes the weighted equivalent availability  
5 points to be awarded or penalized.

6  
7 **Q.** Will you please explain the heat rate results relative to  
8 the GPIF?

9  
10 **A.** The actual heat rate and adjusted actual heat rate for Tampa  
11 Electric's seven GPIF units are shown on Document No. 1,  
12 page 6 of 32. The adjustment was developed based on the  
13 guidelines of section 4.3.16 of the GPIF Manual. This  
14 procedure is further defined by a letter dated October 23,  
15 1981, from Mr. J. H. Hoffsis of the FPSC Staff. The final  
16 adjusted actual heat rates are also shown on page 5 of 32,  
17 column 9. The heat rate value is entered into the  
18 respective GPIF table for the particular unit, shown on  
19 pages 14 through 20 of 32. Page 4 of 32 summarizes the  
20 weighted heat rate points to be awarded or penalized.

21  
22 **Q.** What is the overall GPIF for Tampa Electric for the January  
23 2014 through December 2014 period?

24  
25 **A.** This is shown on Document No. 1, page 2 of 32. Essentially,

1 the weighting factors shown on page 4 of 32, column 3, plus  
2 the equivalent availability points and the heat rate points  
3 shown on page 4 of 32, column 4, are substituted within the  
4 equation found on page 32 of 32. The resulting value,  
5 1.682, is then entered into the GPIF table on page 2 of 32.  
6 Using linear interpolation, the reward amount is \$1,258,600.  
7

8 **Q.** Does this conclude your testimony?  
9

10 **A.** Yes, it does.  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**2                                   **PREPARED DIRECT TESTIMONY**3   **OF**4   **BRIAN S. BUCKLEY**

5  
6   **Q.**   Please state your name, business address, occupation and  
7           employer.

8  
9   **A.**   My name is Brian S. Buckley. My business address is 702  
10           North Franklin Street, Tampa, Florida 33602. I am  
11           employed by Tampa Electric Company ("Tampa Electric" or  
12           "company") in the position of Manager, Compliance and  
13           Performance.

14  
15   **Q.**   Please provide a brief outline of your educational  
16           background and business experience.

17  
18   **A.**   I received a Bachelor of Science degree in Mechanical  
19           Engineering in 1997 from the Georgia Institute of  
20           Technology and a Master of Business Administration from  
21           the University of South Florida in 2003. I began my  
22           career with Tampa Electric in 1999 as an Engineer in  
23           Plant Technical Services. I have held a number of  
24           different engineering positions at Tampa Electric's  
25           power generating stations including Operations Engineer

1 at Gannon Station, Instrumentation and Controls Engineer  
2 at Big Bend Station, and Senior Engineer in Operations  
3 Planning. In August 2008, I was promoted to Manager,  
4 Operations Planning. Currently, I am the Manager of  
5 Compliance and Performance responsible for unit  
6 performance analysis and reporting of generation  
7 statistics.

8  
9 **Q.** What is the purpose of your testimony?

10  
11 **A.** My testimony describes Tampa Electric's methodology for  
12 determining the various factors required to compute the  
13 Generating Performance Incentive Factor ("GPIF") as  
14 ordered by the Commission.

15  
16 **Q.** Have you prepared any exhibits to support your  
17 testimony?

18  
19 **A.** Yes, Exhibit No. \_\_\_\_ (BSB-2), consisting of two  
20 documents, was prepared under my direction and  
21 supervision. Document No. 1 contains the GPIF schedules.  
22 Document No. 2 is a summary of the GPIF targets for the  
23 2016 period.

24  
25

1     **Q.** Which generating units on Tampa Electric's system are  
2     included in the determination of the GPIF?

3

4     **A.** Four of the company's coal-fired units, one integrated  
5     gasification combined cycle unit and two natural gas  
6     combined cycle units are included. These are Big Bend  
7     Units 1 through 4, Polk Unit 1 and Bayside Units 1 and  
8     2.

9

10    **Q.** Do the exhibits you prepared comply with Commission-  
11    approved GPIF methodology?

12

13    **A.** Yes, the documents are consistent with the GPIF  
14    Implementation Manual previously approved by the  
15    Commission. To account for the concerns presented in the  
16    testimony of Commission Staff witness Sidney W. Matlock  
17    during the 2005 fuel hearing, Tampa Electric removes  
18    outliers from the calculation of the GPIF targets. The  
19    methodology was approved by the Commission in Order No.  
20    PSC-06-1057-FOF-EI issued in Docket No. 060001-EI on  
21    December 22, 2006.

22

23    **Q.** Did Tampa Electric identify any outages as outliers?

24

25    **A.** Yes. Big Bend Unit 2, Big Bend Unit 3, and Polk Unit 1

1 outages were identified as outlying outages; therefore,  
2 the associated forced outage hours were removed from the  
3 study.

4  
5 **Q.** Did Tampa Electric make any other adjustments?

6  
7 **A.** Yes. As allowed per Section 4.3 of the GPIF  
8 Implementation Manual, the Forced Outage and Maintenance  
9 Outage Factors were adjusted to reflect recent unit  
10 performance and known unit modifications or equipment  
11 changes. Big Bend Units 1-4 and Polk Unit 1 heat rates  
12 were adjusted to reflect natural gas and coal co-firing.

13  
14 **Q.** Please describe how Tampa Electric developed the various  
15 factors associated with the GPIF.

16  
17 **A.** Targets were established for equivalent availability and  
18 heat rate for each unit considered for the 2016 period.  
19 A range of potential improvements and degradations were  
20 determined for each of these metrics.

21  
22 **Q.** How were the target values for unit availability  
23 determined?

24  
25 **A.** The Planned Outage Factor ("POF") and the Equivalent

1 Unplanned Outage Factor ("EUOF") were subtracted from  
 2 100 percent to determine the target Equivalent  
 3 Availability Factor ("EAF"). The factors for each of the  
 4 seven units included within the GPIF are shown on page 5  
 5 of Document No. 1.

6  
 7 To give an example for the 2016 period, the projected  
 8 EUOF for Bayside Unit 1 is 6.2 percent, and the POF is  
 9 17.8 percent. Therefore, the target EAF for Bayside Unit  
 10 1 equals 76.1 percent or:

$$11 \qquad \qquad \qquad 100\% - (6.2\% + 17.8\%) = 76.1\%$$

12  
 13  
 14 This is shown on page 4, column 3 of Document No. 1.

15  
 16 **Q.** How was the potential for unit availability improvement  
 17 determined?

18  
 19 **A.** Maximum equivalent availability is derived by using the  
 20 following formula:

$$21 \qquad \qquad \qquad 22 \qquad \qquad \qquad \text{EAF}_{\text{MAX}} = 1 - [0.80 (\text{EUOF}_T) + 0.95 (\text{POF}_T)]$$

23  
 24 The factors included in the above equations are the same  
 25 factors that determine the target equivalent

1           availability. To determine the maximum incentive points,  
 2           a 20 percent reduction in EUOF, plus a five percent  
 3           reduction in the POF are necessary. Continuing with the  
 4           Bayside Unit 1 example:

$$5 \qquad \text{EAF}_{\text{MAX}} = 1 - [0.80 (6.2\%) + 0.95 (17.8\%)] = 78.2\%$$

7  
 8           This is shown on page 4, column 4 of Document No. 1.

9  
 10       **Q.** How was the potential for unit availability degradation  
 11       determined?

12  
 13       **A.** The potential for unit availability degradation is  
 14       significantly greater than the potential for unit  
 15       availability improvement. This concept was discussed  
 16       extensively during the development of the incentive. To  
 17       incorporate this biased effect into the unit  
 18       availability tables, Tampa Electric uses a potential  
 19       degradation range equal to twice the potential  
 20       improvement. Consequently, minimum equivalent  
 21       availability is calculated using the following formula:

$$22 \qquad \text{EAF}_{\text{MIN}} = 1 - [1.40 (\text{EUOF}_T) + 1.10 (\text{POF}_T)]$$

23  
 24  
 25       Again, continuing with the Bayside Unit 1 example,

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

$$\text{EAF}_{\text{MIN}} = 1 - [1.40 (6.2\%) + 1.10 (17.8\%)] = 71.8\%$$

The equivalent availability maximum and minimum for the other six units are computed in a similar manner.

**Q.** How did Tampa Electric determine the Planned Outage, Maintenance Outage, and Forced Outage Factors?

**A.** The company's planned outages for January through December 2016 are shown on page 21 of Document No. 1. Five GPIF units have a major outage of 28 days or greater in 2016; therefore, five Critical Path Method diagrams are provided. Planned Outage Factors are calculated for each unit. For example, Bayside Unit 1 is scheduled for a planned outage from January 30, 2016 to February 7, 2016 and September 24, 2016 to November 18, 2016. There are 1,561 planned outage hours scheduled for the 2016 period, and a total of 8,784 hours during this 12-month period. Consequently, the POF for Bayside Unit 1 is 17.8 percent or:

$$\frac{1,561}{8,784} \times 100\% = 17.8\%$$

1 The factor for each unit is shown on pages 5 and 14  
2 through 20 of Document No. 1. Big Bend Unit 1 has a POF  
3 of 6.6 percent. Big Bend Unit 2 has a POF of 18.0  
4 percent. Big Bend Unit 3 has a POF of 12.3 percent. Big  
5 Bend Unit 4 has a POF of 6.6 percent. Polk Unit 1 has a  
6 POF of 10.4 percent. Bayside Unit 1 has a POF of 17.8  
7 percent, and Bayside Unit 2 has a POF of 10.6 percent.

8  
9 **Q.** How did you determine the Forced Outage and Maintenance  
10 Outage Factors for each unit?

11  
12 **A.** Projected factors are based upon historical unit  
13 performance. For each unit the three most recent July  
14 through June annual periods formed the basis of the  
15 target development. Historical data and target values  
16 are analyzed to assure applicability to current  
17 conditions of operation. This provides assurance that  
18 any periods of abnormal operations or recent trends  
19 having material effect can be taken into consideration.  
20 These target factors are additive and result in a EUOF  
21 of 6.2 percent for Bayside Unit 1. The EUOF for Bayside  
22 Unit 1 is verified by the data shown on page 19, lines  
23 3, 5, 10 and 11 of Document No. 1 and calculated using  
24 the following formula:  
25

$$\text{EUOF} = \frac{(\text{EFOH} + \text{EMOH})}{\text{PH}} \times 100\%$$

or

$$\text{EUOF} = \frac{(219 + 322)}{8,784} \times 100\% = 6.2\%$$

Relative to Bayside Unit 1, the EUOF of 6.2 percent forms the basis of the equivalent availability target development as shown on pages 4 and 5 of Document No. 1.

#### 11 **Big Bend Unit 1**

12 The projected EUOF for this unit is 14.7 percent. The  
 13 unit will have two planned outages in 2016, and the POF  
 14 is 6.6 percent. Therefore, the target equivalent  
 15 availability for this unit is 78.7 percent.

#### 17 **Big Bend Unit 2**

18 The projected EUOF for this unit is 13.2 percent. The  
 19 unit will have two planned outages in 2016, and the POF  
 20 is 18.0 percent. Therefore, the target equivalent  
 21 availability for this unit is 68.7 percent.

#### 23 **Big Bend Unit 3**

24 The projected EUOF for this unit is 11.1 percent. The  
 25 unit will have two planned outages in 2016, and the POF

1 is 12.3 percent. Therefore, the target equivalent  
2 availability for this unit is 76.6 percent.

3

4 **Big Bend Unit 4**

5 The projected EUOF for this unit is 16.5 percent. The  
6 unit will have two planned outages in 2016, and the POF  
7 is 6.6 percent. Therefore, the target equivalent  
8 availability for this unit is 76.9 percent.

9

10 **Polk Unit 1**

11 The projected EUOF for this unit is 8.1 percent. The  
12 unit will have two planned outages in 2016, and the POF  
13 is 10.4 percent. Therefore, the target equivalent  
14 availability for this unit is 81.5 percent.

15

16 **Bayside Unit 1**

17 The projected EUOF for this unit is 6.2 percent. The  
18 unit will have two planned outages in 2016, and the POF  
19 is 17.8 percent. Therefore, the target equivalent  
20 availability for this unit is 76.1 percent.

21

22 **Bayside Unit 2**

23 The projected EUOF for this unit is 6.3 percent. The  
24 unit will have two planned outages in 2016, and the POF  
25 is 10.6 percent. Therefore, the target equivalent

1           availability for this unit is 83.1 percent.

2

3       **Q.** Please summarize your testimony regarding EAF.

4

5       **A.** The GPIF system weighted EAF of 77.6 percent is shown on  
6       Page 5 of Document No. 1. This target is similar to the  
7       last three years' January through December actual  
8       performance.

9

10      **Q.** Why are Forced and Maintenance Outage Factors adjusted  
11      for planned outage hours?

12

13      **A.** The adjustment makes the factors more accurate and  
14      comparable. A unit in a planned outage stage or reserve  
15      shutdown stage cannot incur a forced or maintenance  
16      outage. To demonstrate the effects of a planned outage,  
17      note the Equivalent Unplanned Outage Rate and Equivalent  
18      Unplanned Outage Factor for Bayside Unit 1 on page 19 of  
19      Document No. 1. Except for the months of January,  
20      February, September, and November, the Equivalent  
21      Unplanned Outage Rate and the Equivalent Unplanned  
22      Outage Factor are equal. This is because no planned  
23      outages are scheduled during these months. During the  
24      months of January, February, September, and November,  
25      the Equivalent Unplanned Outage Rate exceeds the

1 Equivalent Unplanned Outage Factor due to scheduled  
2 planned outages. Therefore, the adjusted factors apply  
3 to the period hours after the planned outage hours have  
4 been extracted.

5  
6 **Q.** Does this mean that both rate and factor data are used  
7 in calculated data?

8  
9 **A.** Yes. Rates provide a proper and accurate method of  
10 determining the unit metrics, which are subsequently  
11 converted to factors. Therefore,

$$12 \qquad \qquad \qquad \text{EFOF} + \text{EMOF} + \text{POF} + \text{EAF} = 100\%$$

13  
14  
15 Since factors are additive, they are easier to work with  
16 and to understand.

17  
18 **Q.** Has Tampa Electric prepared the necessary heat rate data  
19 required for the determination of the GPIF?

20  
21 **A.** Yes. Target heat rates and ranges of potential operation  
22 have been developed as required and have been adjusted  
23 to reflect the aforementioned agreed upon GPIF  
24 methodology.

25

1     **Q.** How were these targets determined?

2

3     **A.** Net heat rate data for the three most recent July  
4     through June annual periods formed the basis of the  
5     target development. The historical data and the target  
6     values are analyzed to assure applicability to current  
7     conditions of operation. This provides assurance that  
8     any periods of abnormal operations or equipment  
9     modifications having material effect on heat rate can be  
10    taken into consideration.

11

12    **Q.** How were the ranges of heat rate improvement and heat  
13    rate degradation determined?

14

15    **A.** The ranges were determined through analysis of  
16    historical net heat rate and net output factor data.  
17    This is the same data from which the net heat rate  
18    versus net output factor curves have been developed for  
19    each unit. This information is shown on pages 31 through  
20    37 of Document No. 1.

21

22    **Q.** Please elaborate on the analysis used in the  
23    determination of the ranges.

24

25    **A.** The net heat rate versus net output factor curves are

1 the result of a first order curve fit to historical  
2 data. The standard error of the estimate of this data  
3 was determined, and a factor was applied to produce a  
4 band of potential improvement and degradation. Both the  
5 curve fit and the standard error of the estimate were  
6 performed by computer program for each unit. These  
7 curves are also used in post-period adjustments to  
8 actual heat rates to account for unanticipated changes  
9 in unit dispatch and fuel.

10  
11 **Q.** Please summarize your heat rate projection (Btu/Net kWh)  
12 and the range about each target to allow for potential  
13 improvement or degradation for the 2016 period.

14  
15 **A.** The heat rate target for Big Bend Unit 1 is 10,683  
16 Btu/Net kWh. The range about this value, to allow for  
17 potential improvement or degradation, is  $\pm 210$  Btu/Net  
18 kWh. The heat rate target for Big Bend Unit 2 is 10,460  
19 Btu/Net kWh with a range of  $\pm 435$  Btu/Net kWh. The heat  
20 rate target for Big Bend Unit 3 is 10,654 Btu/Net kWh,  
21 with a range of  $\pm 213$  Btu/Net kWh. The heat rate target  
22 for Big Bend Unit 4 is 10,458 Btu/Net kWh with a range  
23 of  $\pm 383$  Btu/Net kWh. The heat rate target for Polk Unit  
24 1 is 10,191 Btu/Net kWh with a range of  $\pm 354$  Btu/Net  
25 kWh. The heat rate target for Bayside Unit 1 is 7,232

1 Btu/Net kWh with a range of  $\pm 265$  Btu/Net kWh. The  
2 heat rate target for Bayside Unit 2 is 7,484 Btu/Net kWh  
3 with a range of  $\pm 217$  Btu/Net kWh. A zone of tolerance  
4 of  $\pm 75$  Btu/Net kWh is included within the range for  
5 each target. This is shown on page 4, and pages 7  
6 through 13 of Document No. 1.

7  
8 **Q.** Do the heat rate targets and ranges in Tampa Electric's  
9 projection meet the criteria of the GPIF and the  
10 philosophy of the Commission?

11  
12 **A.** Yes.

13  
14 **Q.** After determining the target values and ranges for  
15 average net operating heat rate and equivalent  
16 availability, what is the next step in the GPIF?

17  
18 **A.** The next step is to calculate the savings and weighting  
19 factor to be used for both average net operating heat  
20 rate and equivalent availability. This is shown on pages  
21 7 through 13. The baseline production costing analysis  
22 was performed to calculate the total system fuel cost if  
23 all units operated at target heat rate and target  
24 availability for the period. This total system fuel cost  
25 of \$679,116,440 is shown on page 6, column 2. Multiple

1 production cost simulations were performed to calculate  
2 total system fuel cost with each unit individually  
3 operating at maximum improvement in equivalent  
4 availability and each station operating at maximum  
5 improvement in average net operating heat rate. The  
6 respective savings are shown on page 6, column 4 of  
7 Document No. 1.

8  
9 After all of the individual savings are calculated,  
10 column 4 totals \$20,269,972 which reflects the savings  
11 if all of the units operated at maximum improvement. A  
12 weighting factor for each metric is then calculated by  
13 dividing individual savings by the total. For Bayside  
14 Unit 1, the weighting factor for average net operating  
15 heat rate is 14.36 percent as shown in the right-hand  
16 column on page 6. Pages 7 through 13 of Document No. 1  
17 show the point table, the Fuel Savings/(Loss) and the  
18 equivalent availability or heat rate value. The  
19 individual weighting factor is also shown. For example,  
20 on Bayside Unit 1, page 12, if the unit operates at  
21 6,967 average net operating heat rate, fuel savings  
22 would equal \$2,911,564 and +10 average net operating  
23 heat rate points would be awarded.

24  
25 The GPIF Reward/Penalty table on page 2 is a summary of

1 the tables on pages 7 through 13. The left-hand column  
2 of this document shows the incentive points for Tampa  
3 Electric. The center column shows the total fuel savings  
4 and is the same amount as shown on page 6, column 4, or  
5 \$20,269,972. The right hand column of page 2 is the  
6 estimated reward or penalty based upon performance.  
7

8 **Q.** How was the maximum allowed incentive determined?  
9

10 **A.** Referring to page 3, line 14, the estimated average  
11 common equity for the period January through December  
12 2016 is \$2,300,227,560. This produces the maximum  
13 allowed jurisdictional incentive of \$9,386,068 shown on  
14 line 21.  
15

16 **Q.** Are there any other constraints set forth by the  
17 Commission regarding the magnitude of incentive dollars?  
18

19 **A.** Yes. As Order No. PSC-13-0665-FOF-EI issued in Docket  
20 No. 130001-EI on December 18, 2013 states, incentive  
21 dollars are not to exceed 50 percent of fuel savings.  
22 Page 2 of Document No. 1 demonstrates that this  
23 constraint is met, limiting total potential reward and  
24 penalty incentive dollars to \$9,386,068.  
25

1 Q. Please summarize your testimony.

2

3 A. Tampa Electric has complied with the Commission's  
4 directions, philosophy, and methodology in its  
5 determination of the GPIF. The GPIF is determined by  
6 the following formula for calculating Generating  
7 Performance Incentive Points (GPIP):

8

$$\begin{aligned}
 \text{GPIP} = & (0.0189 \text{ EAP}_{\text{BB1}} + 0.0441 \text{ EAP}_{\text{BB2}} \\
 & + 0.0320 \text{ EAP}_{\text{BB3}} + 0.0332 \text{ EAP}_{\text{BB4}} \\
 & + 0.0076 \text{ EAP}_{\text{PK1}} + 0.0412 \text{ EAP}_{\text{BAY1}} \\
 & + 0.0844 \text{ EAP}_{\text{BAY2}} + 0.0690 \text{ HRP}_{\text{BB1}} \\
 & + 0.1247 \text{ HRP}_{\text{BB2}} + 0.0659 \text{ HRP}_{\text{BB3}} \\
 & + 0.1312 \text{ HRP}_{\text{BB4}} + 0.0651 \text{ HRP}_{\text{PK1}} \\
 & + 0.1436 \text{ HRP}_{\text{BAY1}} + 0.1389 \text{ HRP}_{\text{BAY2}})
 \end{aligned}$$

16

17 Where:

18 GPIF = Generating Performance Incentive Points.

19 EAP = Equivalent Availability Points awarded/  
20 deducted for Big Bend Units 1, 2, 3, and 4,  
21 Polk Unit 1 and Bayside Units 1 and 2.

22 HRP = Average Net Heat Rate Points awarded/deducted  
23 for Big Bend Units 1, 2, 3, and 4, Polk Unit 1  
24 and Bayside Units 1 and 2.

25

1     **Q.** Have you prepared a document summarizing the GPIF  
2     targets for the January through December 2016 period?

3

4     **A.** Yes. Document No. 2 entitled "Summary of GPIF Targets"  
5     provides the availability and heat rate targets for each  
6     unit.

7

8     **Q.** Does this conclude your testimony?

9

10    **A.** Yes.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**2                                   **PREPARED DIRECT TESTIMONY**3   **OF**4                                   **BENJAMIN F. SMITH II**5  
6   **Q.**   Please state your name, address, occupation and employer.7  
8   **A.**   My name is Benjamin F. Smith II. My business address is  
9           702 North Franklin Street, Tampa, Florida 33602. I am  
10          employed by Tampa Electric Company ("Tampa Electric" or  
11          "company") in the Wholesale Marketing group within the  
12          Fuels Management Department.13  
14   **Q.**   Please provide a brief outline of your educational  
15          background and business experience.16  
17   **A.**   I received a Bachelor of Science degree in Electric  
18          Engineering in 1991 from the University of South Florida  
19          in Tampa, Florida and a Master of Business Administration  
20          degree in 2015 from Saint Leo University in Saint Leo,  
21          Florida. I am also a registered Professional Engineer  
22          within the State of Florida and a Certified Energy  
23          Manager through the Association of Energy Engineers. I  
24          joined Tampa Electric in 1990 as a cooperative education  
25          student. During my years with the company, I have worked

1 in the areas of transmission engineering, distribution  
2 engineering, resource planning, retail marketing, and  
3 wholesale power marketing. I am currently the Manager of  
4 Wholesale Business Development in Tampa Electric's Fuels  
5 Management department. My responsibilities are to  
6 evaluate short- and long-term purchase and sale  
7 opportunities within the wholesale power market, assist  
8 in wholesale origination and contract structure, and help  
9 evaluate the processes used to value potential wholesale  
10 power transactions. In this capacity, I interact with  
11 wholesale power market participants such as utilities,  
12 municipalities, electric cooperatives, power marketers,  
13 and other wholesale developers and independent power  
14 producers.

15  
16 **Q.** Have you previously testified before the Florida Public  
17 Service Commission ("Commission")?

18  
19 **A.** Yes. I have submitted written testimony in the annual  
20 fuel docket since 2003, and I testified before this  
21 Commission in Docket Nos. 030001-EI, 040001-EI, and  
22 080001-EI regarding the appropriateness and prudence of  
23 Tampa Electric's wholesale purchases and sales.

24  
25 **Q.** What is the purpose of your direct testimony in this

1 proceeding?

2

3 **A.** The purpose of my testimony is to provide a description  
4 of Tampa Electric's purchased power agreements that the  
5 company has entered into and for which it is seeking cost  
6 recovery through the Fuel and Purchased Power Cost  
7 Recovery Clause ("fuel clause") and the Capacity Cost  
8 Recovery Clause. I also describe Tampa Electric's  
9 purchased power strategy for mitigating price and supply-  
10 side risk, while providing customers with a reliable  
11 supply of economically priced purchased power.

12

13 **Q.** Please describe the efforts Tampa Electric makes to  
14 ensure that its wholesale purchases and sales activities  
15 are conducted in a reasonable and prudent manner.

16

17 **A.** Tampa Electric evaluates potential purchase and sale  
18 opportunities by analyzing the expected available amounts  
19 of generation and the power required to meet the  
20 projected demand and energy of its customers. Purchases  
21 are made to achieve reserve margin requirements, meet  
22 customers' demand and energy needs, supplement generation  
23 during unit outages, and for economical purposes. When  
24 Tampa Electric considers making a power purchase, the  
25 company aggressively searches for available supplies of

1       wholesale capacity or energy from creditworthy  
2       counterparties. The objective is to secure reliable  
3       quantities of purchased power for customers at the best  
4       possible price.

5  
6       Conversely, when there is a sales opportunity, the  
7       company offers profitable wholesale capacity or energy  
8       products to creditworthy counterparties. The company has  
9       wholesale power purchase and sale transaction enabling  
10      agreements with numerous counterparties. This process  
11      helps to ensure that the company's wholesale purchase and  
12      sale activities are conducted in a reasonable and prudent  
13      manner.

14  
15   **Q.** Has Tampa Electric reasonably managed its wholesale power  
16    purchases and sales for the benefit of its retail  
17    customers?

18  
19   **A.** Yes, it has. Tampa Electric has fully complied with, and  
20    continues to fully comply with, the Commission's March  
21    11, 1997 Order, No. PSC-97-0262-FOF-EI, issued in Docket  
22    No. 970001-EI, which governs the treatment of separated  
23    and non-separated wholesale sales. The company's  
24    wholesale purchase and sale activities and transactions  
25    are also reviewed and audited on a recurring basis by the

1 Commission.

2

3 In addition, Tampa Electric actively manages its  
4 wholesale purchases and sales with the goal of  
5 capitalizing on opportunities to reduce customer costs.  
6 The company monitors its contractual rights with  
7 purchased power suppliers as well as with entities to  
8 which wholesale power is sold to detect and prevent any  
9 breach of the company's contractual rights. Also, Tampa  
10 Electric continually strives to improve its knowledge of  
11 wholesale power markets and the available opportunities  
12 within the marketplace. The company uses this knowledge  
13 to minimize the costs of purchased power and to maximize  
14 the savings the company provides retail customers by  
15 making wholesale sales when excess power is available on  
16 Tampa Electric's system and market conditions allow.

17

18 **Q.** Please describe Tampa Electric's 2015 wholesale energy  
19 purchases.

20

21 **A.** Tampa Electric assessed the wholesale power market and  
22 entered into short- and long-term purchases based on  
23 price and availability of supply. Approximately five  
24 percent of the expected energy needs for 2015 will be met  
25 using purchased power. This purchased power energy

1 includes economy purchases, qualifying facilities, and  
2 existing firm purchased power agreements with Pasco  
3 Cogen, Calpine, and Southern Power Company. The testimony  
4 in previous years describes each existing firm purchased  
5 power agreement. However, in summary, all three  
6 purchases are call options with dual-fuel (*i.e.*, natural  
7 gas or oil) capability. The Pasco Cogen purchase is 121  
8 MW of intermediate capacity and continues through 2018.  
9 Both Calpine and Southern Power Company are peaking  
10 purchases with capacities of 117 MW and 160 MW,  
11 respectively. The Southern Power Company purchase  
12 continues through this year, while the Calpine purchase  
13 continues through 2016. All of the aforementioned  
14 purchases provide supply reliability, help reduce fuel  
15 price volatility, and were previously approved by the  
16 Commission as being cost-effective for Tampa Electric  
17 customers.

18  
19 In addition to these purchases, Tampa Electric will  
20 continue to evaluate economic combinations of forward and  
21 spot market energy purchases during the company's peak  
22 periods and spring and fall generation maintenance  
23 periods. This purchasing strategy provides a reasonable  
24 and diversified approach to serving customers.

25

1    **Q.**    Has Tampa Electric entered into any other wholesale  
2           energy purchases beyond 2015?

3  
4    **A.**    No, besides the previously mentioned purchases, the  
5           company has not entered into any other purchases beyond  
6           2015.

7  
8    **Q.**    Does Tampa Electric anticipate entering into any  
9           wholesale energy purchases for 2016 as a result of the  
10          Polk Unit 2-5 combined cycle conversion?

11  
12   **A.**    Yes. In Order No. PSC-13-0014-FOF-EI, issued on January  
13          8, 2013, in Docket 120234-EI, the Commission approved  
14          Tampa Electric's determination of need for the Polk Unit  
15          2-5 combined cycle ("CC") conversion, which is to be  
16          called Polk Unit 2 CC. The anticipated Polk Unit 2 CC  
17          in-service date is January 1, 2017, and its construction  
18          timeline requires the Polk combustion turbines ("CT") to  
19          be taken off-line from May through November for combined  
20          cycle tie-in and testing. This creates a projected need  
21          for capacity and energy to meet system reserve margin  
22          requirements and ensure operational flexibility.  
23          Therefore, Tampa Electric included a 300 MW purchase in  
24          the 2016 projection. On August 31, 2015, Tampa Electric  
25          issued a market solicitation for proposals to provide the

1 needed firm power. Tampa Electric's objective is to  
2 secure the necessary purchased power for customers at the  
3 best possible price.

4  
5 **Q.** Does Tampa Electric anticipate entering into any other  
6 new wholesale energy purchases for 2016 and beyond?

7  
8 **A.** No. At this time, Tampa Electric expects purchased power  
9 to meet approximately three percent of its 2016 energy  
10 needs. This energy includes contributions from the  
11 previously mentioned firm purchases. Tampa Electric will  
12 continue to evaluate the short-term purchased power  
13 market as part of its purchasing strategy for 2016 and  
14 beyond.

15  
16 **Q.** Does Tampa Electric engage in physical or financial  
17 hedging of its wholesale energy transactions to mitigate  
18 wholesale energy price volatility?

19  
20 **A.** Physical and financial hedges can provide measurable  
21 market price volatility protection. Tampa Electric  
22 purchases physical wholesale power products. The company  
23 has not engaged in financial hedging for wholesale  
24 transactions because the availability of financial  
25 instruments within the Florida market is limited. The

1 Florida wholesale power market currently operates through  
2 bilateral contracts between various counterparties, and  
3 no Florida trading hub exists where standard financial  
4 transactions can occur with enough volume to create a  
5 liquid market. Due to this lack of liquidity and  
6 standard financial instruments, Tampa Electric has not  
7 purchased any financial wholesale power hedges. However,  
8 the company employs a diversified physical power supply  
9 strategy, which includes self-generation and short- and  
10 long-term capacity and energy purchases. This strategy  
11 provides the company the opportunity to take advantage of  
12 favorable spot market pricing while maintaining reliable  
13 service to its customers.

14  
15 **Q.** Does Tampa Electric's risk management strategy for power  
16 transactions adequately mitigate price risk for purchased  
17 power in 2015?

18  
19 **A.** Yes, Tampa Electric expects its physical wholesale  
20 purchases to continue to reduce its customers' purchased  
21 power price risk. The 121 MW purchased from Pasco Cogen,  
22 117 MW from Calpine, and 160 MW purchased from Southern  
23 Power Company are reliable, cost-based call options for  
24 power. These purchases serve as both a physical hedge  
25 and reliable source of economic power. The availability

1 of these purchases is high, and their price structures  
2 provide some protection from rising market prices, which  
3 are largely influenced by supply and the volatility of  
4 natural gas prices.

5  
6 Mitigating price risk is a dynamic process, and Tampa  
7 Electric continues to evaluate its options in light of  
8 changing circumstances and new opportunities. Tampa  
9 Electric also maintains a mix of short- and long-term  
10 capacity and energy purchases to augment the company's  
11 own generation for the year 2015 and beyond.

12  
13 **Q.** How does Tampa Electric mitigate the risk of disruptions  
14 to its purchased power supplies during major weather-  
15 related events such as hurricanes?

16  
17 **A.** During hurricane season, Tampa Electric continues to  
18 utilize a purchased power risk management strategy to  
19 minimize potential power supply disruptions. The  
20 strategy includes monitoring storm activity; evaluating  
21 the impact of storms on the wholesale power market;  
22 purchasing power on the forward market for reliability  
23 and economics; evaluating transmission availability and  
24 the geographic location of electric resources; reviewing  
25 sellers' fuel sources and dual-fuel capabilities; and

1 focusing on fuel-diversified purchases. Notably, the  
2 company's three existing firm purchased power agreements  
3 are from dual-fuel resources. This allows these  
4 resources to run on either natural gas or oil, which  
5 enhances supply reliability during a potential hurricane-  
6 related disruption in natural gas supply. Absent the  
7 threat of a hurricane, and for all other months of the  
8 year, the company evaluates economic combinations of  
9 short- and long-term purchase opportunities in the  
10 marketplace.

11  
12 **Q.** Please describe Tampa Electric's wholesale energy sales  
13 for 2015 and 2016.

14  
15 **A.** Tampa Electric entered into various non-separated  
16 wholesale sales in 2015, and the company anticipates  
17 making additional non-separated sales during the balance  
18 of 2015 and in 2016. In accordance with Order No. PSC-  
19 01-2371-FOF-EI, issued on December 7, 2001 in Docket No.  
20 010283-EI, all gains from non-separated sales are  
21 returned to customers through the fuel clause, up to the  
22 three-year rolling average threshold. For all gains  
23 above the three-year rolling average threshold, customers  
24 receive 80 percent and the company retains the remaining  
25 20 percent.

1 In 2015, Tampa Electric projects the company's gains from  
2 non-separated wholesale sales to be \$403,800, which is  
3 less than the 2015 threshold of \$1,479,981. Therefore,  
4 Tampa Electric expects customers to receive 100 percent  
5 of the 2015 non-separated sales gains. Likewise, in  
6 2016, the company projects gains to be \$59,601, of which  
7 customers would receive 100 percent, since the amount is  
8 less than the 2016 projected three-year rolling average  
9 threshold of \$1,532,270.

10  
11 **Q.** Please summarize your testimony.

12  
13 **A.** Tampa Electric monitors and assesses the wholesale power  
14 market to identify and take advantage of opportunities in  
15 the marketplace, and these efforts benefit the company's  
16 customers. Tampa Electric's energy supply strategy  
17 includes self-generation and short- and long-term power  
18 purchases. The company purchases in both the physical  
19 forward and spot wholesale power markets to provide  
20 customers with a reliable supply at the lowest possible  
21 cost. It also enters into wholesale sales that benefit  
22 customers. Tampa Electric does not purchase wholesale  
23 energy derivatives in the Florida wholesale power market  
24 due to a lack of financial instruments appropriate for  
25 the company's operations. However, Tampa Electric does

1           employ a diversified physical power supply strategy to  
2           mitigate price and supply risks.

3

4   **Q.**   Does this conclude your testimony?

5

6   **A.**   Yes.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
**COMMISSION STAFF**  
**DIRECT TESTIMONY OF SIMON O. OJADA**  
**DOCKET NO. 150001-EI**  
**September 29, 2015**

**Q. Please state your name and business address.**

A. My name is Simon O. Ojada. My business address is 1313 N. Tampa Street, Suite 220, Tampa, Florida 33602.

**Q. By whom are you presently employed and in what capacity?**

A. I am employed by the Florida Public Service Commission (FPSC or Commission) as a Public Utility Analyst in the Office of Auditing and Performance Analysis. I have been employed by the Commission since April 1997.

**Q. Briefly review your educational and professional background.**

A. I received a Bachelor of Science degree from the University of South Florida with a major in Finance in 1991, a Bachelor of Science Degree from Florida Metropolitan University with a major in Accounting in 1994, and a Master of Business Administration with a concentration in Accounting in 1997.

**Q. Please describe your current responsibilities.**

A. My responsibilities consist of planning and conducting utility audits of manual and automated accounting systems for historical and forecasted data.

**Q. Have you previously presented testimony before this Commission?**

A. Yes. I filed testimony in the Fuel and Purchased Power Recovery Clause, Docket Nos. 130001-EI and 140001-EI.

**Q. What is the purpose of your testimony today?**

1 A. The purpose of my testimony is to sponsor the staff audit report of Duke Energy  
2 Florida, Inc. (DEF or Utility) which addresses the Utility's filing in Docket No. 150001-EI,  
3 Fuel and purchased power cost recovery clause, for costs associated with its hedging activities.  
4 We issued an audit report in this docket for the hedging activities on September 19, 2015.  
5 This audit report is filed with my testimony and is identified as Exhibit (SO-1).

6 **Q. Was this audit prepared by you or under your direction?**

7 A. Yes, it was prepared under my direction.

8 **Q. Please describe the work performed in this audit.**

9 A. I have separated the audit work into several categories.

10 Accounting Treatment

11 I reviewed DEF's supporting detail of the hedging settlements for the twelve months  
12 ended July 31, 2015. I verified the monthly balances of hedging transactions from DEF's  
13 Hedging Details Report for the period August 1, 2014 to July 31, 2015 to its Hedging  
14 Summary by Commodity Reports for 2014 and 2015 to the general ledger. No exceptions  
15 were noted.

16 Gains and Losses

17 I selected 22 natural gas hedging transactions from August 2014 through July 2015 as  
18 a sample. I reconciled the selected samples from the Hedging Details Reports to the third-  
19 party confirmation notices and contracts. I reconciled the gains and losses to the Utility's  
20 journal entries. I compared the price on the confirmation notice to the price published by the  
21 NYMEX Henry Hub gas futures contract rates. No exceptions were noted.

22 Hedged Volume and Limits

23 I obtained and reviewed DEF's Risk Management Plan. I reviewed the quantity limits  
24 and authorizations for all hedged fuel types. No exceptions were noted.

25 Separation of Duties

1 I reviewed DEF's written procedures for separation of duties related to hedging  
2 activities. There were no internal or external audits related to hedging activities. No exceptions  
3 were noted.

4 **Q. Please review the audit findings in this audit report.**

5 A. There were no findings in this audit related to hedging activities.

6 **Q. Does this conclude your testimony?**

7 A. Yes.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
**COMMISSION STAFF**  
**DIRECT TESTIMONY OF INTESAR TERKAWI**  
**DOCKET NO. 150001-EI**  
**September 29, 2015**

**Q. Please state your name and business address.**

A. My name is Intesar Terkawi. My business address is 1313 N. Tampa Street, Suite 220, Tampa, Florida 33602.

**Q. By whom are you presently employed and in what capacity?**

A. I am employed by the Florida Public Service Commission (FPSC or Commission) as a Public Utility Analyst in the Office of Auditing and Performance Analysis. I have been employed by the Commission since October 2001.

**Q. Briefly review your educational and professional background.**

A. In 1995, I received a Master Degree of Arts with a major in Communications from the University of Central Florida. In 2001, I received a Bachelor of Science Degree from the University of Central Florida with a major in accounting. I am also a Certified Public Accountant and an Enrolled Tax Agent.

**Q. Please describe your current responsibilities.**

A. My responsibilities consist of planning and conducting utility audits of manual and automated accounting systems for historical and forecasted data.

**Q. Have you previously presented testimony before this Commission?**

A. Yes. I filed testimony in the Fuel and Purchased Power Recovery Clause, Docket No. 140001-EI.

**Q. What is the purpose of your testimony today?**

1 A. The purpose of my testimony is to sponsor the staff audit report of Tampa Electric  
2 Company (TECO or Utility) which addresses the Utility's filing in Docket No. 150001-EI,  
3 Fuel and Purchased Power Cost Recovery Clause, for costs associated with its hedging  
4 activities. We issued an audit report in this docket for the hedging activities on September 17,  
5 2015. This audit report is filed with my testimony and is identified as Exhibit (IT-1).

6 **Q. Was this audit prepared by you or under your direction?**

7 A. Yes, it was prepared under my direction.

8 **Q. Please describe the work performed in this audit.**

9 A. I have separated the audit work into several categories.

10 Accounting Treatment

11 I reviewed TECO's supporting detail of the hedging settlements for the twelve months  
12 ended July 31, 2015. I traced the transactions to the general ledger and trade confirmation  
13 documents. I verified that the hedging settlements were in compliance with the Risk  
14 Management Plan and verified that the accounting treatment for hedging transactions and  
15 transactions costs are consistent with Commission orders relating to hedging activities. No  
16 exceptions were noted.

17 Gains and Losses

18 I traced the monthly balances of hedging transactions from TECO's Hedging  
19 Information Report to its Mark to Market Position Report for the period August 1, 2014, to  
20 July 31, 2015. I selected all gas hedging transactions for September and October 2014 and  
21 traced them from the Mark to Market Position Report to the third-party confirmation notices  
22 and contracts. I traced a sample of the purchase prices to the Gas Daily – NYMEX Henry  
23 Hub gas futures contract rates. I traced the related settlements prices to the Gas Daily –  
24 NYMEX Henry Hub gas futures contract rate. I recalculated the gains and losses and traced  
25 them to the Utility's journal entries for realized gains and losses. I reviewed existing

1 tolling agreements whereby the Utility's natural gas is provided to generators under purchased  
2 power agreements. No exceptions were noted.

3 Hedged Volume and Limits

4 I reviewed the quantity limits and authorizations. I also obtained TECO's analysis of  
5 the monthly percent of fuel hedged in relation to fuel burned for the twelve months ended July  
6 31, 2015, and compared them with the Utility's Risk Management Plan. There were variances  
7 for 11 of the 12 months between the percentages of actual and projected natural gas burned  
8 that were hedged. All variances were a result of inaccurate forecasting. No further work was  
9 done.

10 Separation of Duties

11 I reviewed TECO's written procedures for separation of duties related to hedging  
12 activities. There were no internal or external audits related to hedging activities. No  
13 exceptions were noted.

14 **Q. Please review the audit findings in this audit report.**

15 **A.** There were no findings in this audit related to hedging activities.

16 **Q. Does this conclude your testimony?**

17 **A.** Yes.

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

**COMMISSION STAFF**

**DIRECT TESTIMONY OF GEORGE SIMMONS**

**DOCKET NO. 150001-EI**

**SEPTEMBER 29, 2015**

**Q. Please state your name and business address.**

A. My name is George Simmons. My business address is 2540 Shumard Oak Boulevard, Tallahassee, Florida, 32399.

**Q. By whom are you presently employed and in what capacity?**

A. I am employed by the Florida Public Service Commission (FPSC or Commission) as a Public Utility Analyst I in the Office of Auditing and Performance Analysis. I have been employed by the Commission since November 2013.

**Q. Briefly review your educational and professional background.**

A. I graduated from Florida A&M University in 2013 and have a Bachelor of Arts degree in accounting.

**Q. Please describe your current responsibilities.**

A. My responsibilities consist of planning and conducting utility audits of manual and automated accounting systems for historical and forecasted data.

**Q. Have you previously presented testimony before this Commission?**

A. No, I have never testified before the Commission.

**Q. What is the purpose of your testimony today?**

A. The purpose of my testimony is to sponsor the staff audit report of Gulf Power Company (Gulf or Utility) which addresses the Utility's filing in Docket No. 150001-EI, Fuel and purchased power cost recovery clause, for costs associated with its hedging activities. We

1 issued an audit report in this docket for the hedging activities on September 15, 2015. This  
2 audit report is filed with my testimony and is identified as Exhibit (GS-1).

3 **Q. Was this audit prepared by you or under your direction?**

4 A. Yes, it was prepared under my direction.

5 **Q. Please describe the work you performed in this audit.**

6 A. I have separated the audit work into several categories.

7 Accounting Treatment

8 We obtained Gulf's supporting detail of the hedging settlements for the twelve months  
9 ended July 31, 2015. The support documentation was traced to the general ledger transaction  
10 detail. We verified that the hedging settlements are in compliance with the Risk Management  
11 Plan and verified that the accounting treatment for hedging transactions and transactions costs  
12 is consistent with Commission orders relating to hedging activities. No exceptions were  
13 noted.

14 Gains and Losses

15 We traced the monthly balances of all hedging transactions from Gulf's Hedging  
16 Information Reports to its settlement report and its general ledger for the period August 1,  
17 2014 to July 31, 2015. We reviewed existing tolling agreements whereby the Utility's natural  
18 gas is provided to generators under purchased power agreements. We recalculated the gains  
19 and losses, traced the price to the settlement statement details, and compared the price to the  
20 gas futures rates published by the New York Mercantile Exchange (NYMEX) Henry Hub Gas  
21 futures contract rates. We compared these recalculated gains and losses with Gulf's journal  
22 entries for realized gains and losses. No exceptions were noted.

23 Hedged Volume and Limits

24 We reviewed the quantity limits and authorizations. We also obtained Gulf's analysis  
25 of the monthly percent of natural gas hedged in relation to natural gas burned for the twelve

1 months ended July 31, 2015, and compared them with the Utility's Risk Management Plan.  
2 No exceptions were noted.

3 Separation of Duties

4 We reviewed the Utility's procedures for separating duties related to hedging  
5 activities. There were no internal or external audits related to hedging activities. No  
6 exceptions were noted.

7 **Q. Please review the audit findings in this audit report.**

8 A. There were no findings in this audit related to hedging activities.

9 **Q. Does that conclude your testimony?**

10 A. Yes.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1                   **MS. BROWNLESS:** Based upon the previously  
2 approved stipulations of the parties for Issue 3J, which  
3 is the issue concerning 2014 St. Lucie No. 2 outage,  
4 FPL's witnesses Terry J. Jones and John R. Reed and  
5 OPC's witness William Jacobs will not be appearing  
6 today. Due to the fact that this issue has been  
7 deferred, their prefiled testimony and exhibits will not  
8 be part of this record.

9                   **CHAIRMAN GRAHAM:** Okay. Exhibits.

10                   **MS. BROWNLESS:** Yes, sir. The exhibits listed  
11 on the Comprehensive Exhibit List as Exhibits 1,  
12 7 through 18, 19 through 24, 28 through 21 -- oh, I'm  
13 sorry -- 28 through 31, 40 through 44, 45 through 49,  
14 68, 70, 71, and 73 have been stipulated by the parties.  
15 Staff's exhibits are Exhibits 1, 73, and 75 through 104.  
16 We believe that with regard to staff exhibits there are  
17 no objections.

18                   **CHAIRMAN GRAHAM:** Do we have any objections to  
19 the staff exhibits, which are 1, 73, 75 through 104? I  
20 see no objections. So staff, we will enter those into  
21 the record.

22                   (Exhibits 1 through 114 marked for  
23 identification.)

1           **MS. BROWNLESS:** Thank you. And would also the  
2 previous exhibits listed that are party exhibits be  
3 entered into the record as well?

4           **CHAIRMAN GRAHAM:** So we're going to enter 1,  
5 7 through 18, 19 through 24, 28 through 31, 40 through  
6 44, 45 through 49, 68, 70, 71 and 73 all into the  
7 record?

8           **MS. BROWNLESS:** Yes, sir.

9           **CHAIRMAN GRAHAM:** No objections? We will  
10 enter into the record.

11           (Exhibits 1, 7 through 24, 28 through 31,  
12 40 through 49, 68, 70, 71, 73, and 75 through 104  
13 admitted into the record.)

14           Additional preliminary matters.

15           **MS. BROWNLESS:** Yes, sir. The Office of  
16 Public Counsel has filed a motion for reconsideration by  
17 the full Commission of Order No. PSC-15-0461 issued on  
18 October 23rd. Order No. PSC-15-0461 grants  
19 confidentiality to FPUC's responses to staff's second  
20 set of interrogatories No. 2A, 2B, 7, 8B, and 9C.  
21 That's contained in Document No. 06240-15.

22           OPC has also filed an objection to FPUC's  
23 request for confidentiality for its responses to  
24 OPC's first set of interrogatories No. 1 which  
25 contain information identical to interrogatories

1 Nos. 2A and 2B. Subsequent to the filing of OPC's  
2 motion, Order No. PSC-15-0504 was issued on  
3 October 27th also granting confidentiality to OPC's  
4 first set of interrogatories.

5 Because orders have now been issued  
6 covering both FPUC's responses to staff's second set  
7 of interrogatories and its responses to OPC's first  
8 set of interrogatories and because the material  
9 covered is the same, I recommend that these orders  
10 be considered together as motions for  
11 reconsideration of Order Nos. PSC-15-0461 and  
12 PSC-15-0504 by the full panel, and that the parties  
13 be allowed to address the Commissioners.

14 **MS. CHRISTENSEN:** Mr. Chairman?

15 **CHAIRMAN GRAHAM:** Yes.

16 **MS. CHRISTENSEN:** At this time OPC is in a  
17 position to withdraw our motion for reconsideration of  
18 both orders with the agreement of FPUC that the  
19 aggregate total for 2015 for legal and consulting fees  
20 and the aggregate total for the legal and consulting fee  
21 contracts are not confidential, and we're prepared to  
22 treat the remainder of the discovery responses as they  
23 requested as confidential in this hearing.

24 **CHAIRMAN GRAHAM:** Ms. Keating.

25 **MS. KEATING:** FPUC is in agreement with what

1 Ms. Christensen said. We're fine with -- as long as the  
2 numbers are treated in the aggregate as opposed to  
3 vendor specific, the aggregate number can be used on a  
4 nonconfidential basis.

5 **CHAIRMAN GRAHAM:** That works for me. Staff?

6 **MS. BROWNLESS:** Yes, sir.

7 **CHAIRMAN GRAHAM:** So we're moving on to  
8 swearing of the witnesses.

9 **MS. BROWNLESS:** Yes.

10 **CHAIRMAN GRAHAM:** All right. So if you are  
11 scheduled to testify in this hearing either today or  
12 tomorrow or Wednesday, if I can get you to stand and  
13 raise your right hand, please.

14 Do you hereby swear or affirm that the  
15 testimony in this hearing is true? Yes? Thank you.

16 (Witnesses collectively sworn.)

17 Okay. Commissioners, I know this is an  
18 absolute rarity for me, but I was browbeaten to  
19 giving them ten minutes of opening statements rather  
20 than five. So since they played so very well  
21 together for the first four dockets, I agreed to the  
22 ten minutes opening statements. So let's start with  
23 Mr. Butler.

24 **MR. BUTLER:** Thank you, Mr. Chairman, and I'll  
25 try to not use all of my ten minutes.

1           Good afternoon. I'd like to start by  
2 complimenting your staff and the parties for working  
3 together well to narrow the scope of issues to be  
4 addressed in this hearing. This cooperative effort  
5 has resulted in stipulations on most issues, thereby  
6 facilitating a much more efficient hearing process.

7           The remaining issue in dispute for this  
8 hearing for FPL is the proposal by Public Counsel  
9 that the Commission reverse its established policy  
10 on fuel hedging.

11           In 2002, the Commission approved the  
12 stipulation among the IOUs, Public Counsel, and  
13 FIPUG which recognized the importance of managing  
14 price volatility, directed each IOU to submit a plan  
15 annually on how it intended to hedge against that  
16 volatility, and establish a framework for utilities  
17 to file information that would allow the Commission  
18 to review and approve hedging costs for fuel cost --  
19 or fuel clause recovery.

20           In 2008, FPL asked the Commission to  
21 expand and refine the guidelines under which IOU  
22 hedging programs would be reviewed and approved.  
23 The Commission agreed, stating in its order that,  
24 quote, by approving FPL's guidelines, we demonstrate  
25 our support for hedging, unquote.

1           It is those 2008 guidelines under which  
2 FPL and other IOUs have been hedging effectively and  
3 efficiently for the past eight years. In 2011, the  
4 Commission held a workshop to review the  
5 2008 guidelines but concluded that no changes were  
6 warranted. FPL's hedging program is designed with  
7 one goal, to control the volatility of the fuel  
8 costs that our customers pay. FPL's goal is fully  
9 consistent with the Commission's hedging policy, and  
10 FPL has consistently achieved that goal.

11           As just one measure of its success, FPL  
12 witness Gerry Yupp's Exhibit GJY-7 which I passed  
13 out to you shows that the end of year fuel clause  
14 over- and under-recoveries have exceeded the  
15 Commission's 10 percent midcourse correction  
16 threshold just once in the 13 years that FPL's  
17 hedging program has been in effect.

18           In contrast, had FPL not hedged, the  
19 10 percent threshold would have been exceeded nine  
20 times during that same 13-year period. You can see  
21 the numbers that are shaded in kind of a salmon  
22 color on the exhibit.

23           Against this backdrop of consistent  
24 Commission support for an effective IOU  
25 implementation of hedging, OPC and other intervenors

1 are now asking the Commission to abruptly reverse  
2 course and discontinue its hedging policy. Their  
3 stated reasons simply don't justify this about-face.

4 First, Public Counsel points to what they  
5 call hedging losses and suggests that hedging must  
6 not be working properly, but this fundamentally  
7 mischaracterizes the purpose of hedging.

8 As the Commission has consistently stated,  
9 hedging is done to reduce the impact of market  
10 volatility so that the actual cost of fuel does not  
11 go up or down as much as market prices. When prices  
12 turn out to be higher than expected, this results in  
13 paper gains, and when prices turn out to be lower  
14 than expected, it results in paper losses. The 2008  
15 hedging guidelines specifically recognize that  
16 hedging losses will occur and that they are a  
17 reasonable tradeoff for reducing customer exposure  
18 to fuel cost increases.

19 Seeking to game the timing of hedges in an  
20 effort to generate gains while avoiding losses would  
21 require speculation about future market prices.  
22 This would directly violate the Commission's hedging  
23 policy, which from the very outset in 2002 said that  
24 hedging should be non-speculative.

25 In the 2008 guidelines, the Commission

1 stressed that IOUs should not try to, quote, out  
2 guess the market in choosing the specific timing for  
3 affecting hedges, unquote.

4 Second, Public Counsel asserts that  
5 natural gas prices are low and stable today so that  
6 there isn't as much need for volatility control.  
7 This assertion simply does not withstand scrutiny.

8 Mr. Yupp's Exhibit GJY-8 -- and we've got  
9 a big copy of it on the board there, I've handed out  
10 also a copy that you have before you -- shows that  
11 there is simply no consistent pattern in the  
12 volatility of fuel price over the past 19 years.  
13 Volatility in 2013 was low, but then in 2014 it  
14 jumped up to the third highest level over that  
15 entire period.

16 Similarly, volatility was low in 2008 and  
17 again in 2010, but was extremely high in 2009.  
18 There is no way to look at the volatility in one  
19 year and confidently predict what it would be in the  
20 following year or years, and certainly there's no  
21 neat trend of declining volatility as OPC's Witness  
22 Lawton blithely asserts.

23 Finally, Public Counsel's suggestion that  
24 hedging be discontinued because prices are currently  
25 low runs directly counter to both intuition and

1 mathematical analysis of price trends. When prices  
2 are as low as they currently are, there's not much  
3 room for prices to fall farther. Locking in the  
4 current low prices offers an opportunity to benefit  
5 from an asymmetric probability distribution in which  
6 the likelihood of prices rising and thus creating  
7 hedging gains exceeds the likelihood of prices  
8 falling and producing hedging losses. Therefore, a  
9 period of low prices such as we are currently  
10 experiencing is certainly not the time to stop  
11 hedging.

12 For these reasons, the Commission should  
13 reject the Intervenors' proposal to discontinue its  
14 hedging policy. Hedging has and will continue to  
15 serve customers well by increasing the stability of  
16 their bills, which provides them with greater -- I'm  
17 sorry -- greater certainty in budgeting and  
18 planning.

19 That concludes my opening statement, and  
20 thank you.

21 **CHAIRMAN GRAHAM:** Thank you. Duke.

22 **MR. BERNIER:** Thank you, Mr. Chairman. Good  
23 afternoon, Commissioners. We would also like to voice  
24 our appreciation for the hard work of staff in narrowing  
25 these issues and getting us down to a more controlled

1 hearing, but otherwise we would waive opening  
2 statements. Thank you.

3 **MR. BEASLEY:** Thank you, Mr. Chairman,  
4 Commissioners. I echo the comments of counsel regarding  
5 the diligence of your staff and the parties to get  
6 together and resolve as many differences as they could.  
7 As a result, Tampa Electric only has three issues  
8 remaining to be resolved in this docket.

9 First is whether the Commission's  
10 supervised program of natural gas financial hedging  
11 is in our customers' best interests, the second is  
12 whether any changes should be made to that program,  
13 and third is whether the company's 2006 risk  
14 management plan should be approved.

15 As our witness on these three issues will  
16 testify, Tampa Electric believes that its current  
17 hedging program is in its customers' best interest  
18 and needs no modification. We also urge that you  
19 approve our 2016 hedging risk management plan, and  
20 with that we're ready to proceed. And thank you for  
21 your time.

22 **CHAIRMAN GRAHAM:** Thank you.

23 **MR. BADDERS:** Good afternoon, Commissioners.  
24 Russell Badders on behalf of Gulf Power. I agree with  
25 the statements made by Mr. Beasley and Mr. Butler with

1 regard to hedging, and we also appreciate staff and the  
2 parties' efforts to get us down to really that one issue  
3 in this docket. But with that, we'll save ourselves  
4 eight or nine minutes and we'll waive the rest of our  
5 opening.

6 **CHAIRMAN GRAHAM:** Thank you.

7 **MS. KEATING:** Good afternoon, Commissioners.  
8 Beth Keating with the Gunster firm here for FPUC.  
9 Unfortunately we do have a few additional issues on the  
10 table, but that's certainly no reflection on the  
11 diligence of your staff in preparing this case.

12 As it relates to FPUC, the question that's  
13 really before you today comes down to one thing,  
14 will FPUC be allowed to continue its proactive  
15 approach to pursuing savings for its customers?

16 FPUC is different. You've recognized  
17 that. They're smaller, and you've recognized that  
18 too. But in spite of some of the challenges that  
19 might come with their somewhat unique circumstances,  
20 they've pursued every prudent opportunity available  
21 to them to create savings for their customers, and  
22 they've done that time and again, created savings  
23 for their customers.

24 The company's witnesses will offer  
25 testimony about the specific projects that FPUC has

1 already embarked on that will, in fact, create fuel  
2 savings for their customers. Mr. Cutshaw will  
3 testify about the value in particular of a proposed  
4 interconnect with FPL and what that will mean for  
5 FPUC customers after 2017.

6 You'll also hear about the necessity and  
7 value add of the consultants that they've added to  
8 their team for these projects. Mr. Young will also  
9 provide testimony that the expense associated with  
10 these consultants is not being recovered in base  
11 rates. As such, you'll hear how without these  
12 additional resources, FPUC would not be able to  
13 pursue any of these cost saving opportunities.

14 With regard to the FPL interconnect cost,  
15 FPUC's request is not inconsistent with your fuel  
16 policy. The Commission's recognized that in certain  
17 instances capital projects are recoverable if  
18 they're designed to produce fuel savings.

19 Moreover, consistent with your review of  
20 such projects on a case-by-case basis, Commission  
21 fuel policy recognizes that there will be occasions  
22 where certain similar types of expenses should be  
23 treated in a dissimilar fashion.

24 If ever there were a situation that  
25 warranted recovery through the fuel clause, this

1 would be it.

2 As for the legal and consulting fees, the  
3 company's request is consistent with recovery that  
4 you've allowed this company in the past and that  
5 they've come to rely upon. Moreover, there's no  
6 aspect of the company's request that would conflict  
7 with the plain language of the settlement approved  
8 in the company's last rate case.

9 In conclusion, you've recognized before  
10 that FPUC is smaller and doesn't have the internal  
11 resources to handle certain functions without some  
12 outside assistance. In this proceeding, FPUC is  
13 just asking that you continue to acknowledge FPUC's  
14 size limitations and allow recovery for these  
15 external resources through the clause. Without  
16 recovery, Commissioners, the only ones that will  
17 really suffer are FPUC's customers. Thank you.

18 **CHAIRMAN GRAHAM:** Thank you very much.

19 FIPUG.

20 **MR. MOYLE:** Thank you, Mr. Chairman. We do  
21 have some opening comments that we would like to make,  
22 but as others have done, I'd like to start by thanking  
23 the other parties and staff for working cooperatively to  
24 try to narrow the issues. I'd also like to thank you  
25 and your staff for looking at how expert testimony is

1 handled. The Commission previously handled expert  
2 testimony in a particular way where there was some  
3 qualification, and I understand today we're going to go  
4 back to that a little bit, but we'll work diligently to  
5 try to make it efficient and effective, but I wanted to  
6 preface my remarks with expressing appreciation for  
7 that.

8 The real issue here today for FIPUG and  
9 the other consumer parties is to ask you  
10 respectfully to discontinue hedging. I think you'll  
11 hear from the witnesses who will say hedging is for  
12 the customers, we're doing it for the customers'  
13 benefit, but you will not hear any customer witness  
14 take the stand and say, yeah, this is great, let's  
15 continue this, because they won't. The customers  
16 are unified in their position, which is it should be  
17 discontinued.

18 And you'll hear some testimony about, oh,  
19 we're reducing price volatility. I've said before  
20 FIPUG members would rather pay at the pump. You  
21 know, there's a lot of things in life that consumers  
22 buy, milk, meat, transportation tickets, they pay  
23 whatever the price is. Now if it goes up, they  
24 don't pay it as willingly and they may make some  
25 changes. But, you know, we're in this construct of

1 this hedging that, quite frankly, is not working  
2 well when you look at it over the life that it has  
3 been put in place. And when I say that, I think  
4 there's a couple of important facts.

5 My understanding is that in 2015, you'll  
6 hear from the utility witnesses, that cumulatively  
7 over \$600 million have been lost as a result of  
8 hedging. And some people will say, well, you know  
9 what, that's just one year. You've got to take a  
10 long-term view of hedging. You can't just kind of  
11 look at one year. You've got to look at it over a  
12 period of time.

13 This Commission, in Order No. 07-001 at  
14 page 4 that was issued on January 8th, 2008, said,  
15 and let me quote, "Hedging programs are designed to  
16 assist in managing the impacts of fuel price  
17 volatility. Within any given calendar period  
18 hedging can result in gains or losses." And this is  
19 the next sentence that I really wanted to  
20 underscore. "Over time, gains and losses are  
21 expected to offset one another." That has not  
22 happened with the hedging programs that are before  
23 this Commission. And specifically I think you'll  
24 hear testimony that since 2002 ratepayers, consumers  
25 have lost more than \$5 billion as a result of the

1 hedging program, \$5 billion.

2 I know that there's a petition in front of  
3 you to build a new power plant, one of the utility  
4 has before you. I think the number there is  
5 1.5 billion that they're saying it's going to cost.  
6 1,600 megawatts, 1.5 billion. Quick math, you could  
7 do three power plants for the dollars that have been  
8 lost since this hedging program got started.

9 The simple message that we're saying is  
10 the consumers have tried hedging. It's not worked  
11 to our liking. We would respectfully ask as  
12 consumers that you discontinue it. Now somebody may  
13 say, well, yeah, you know, you're going to be back  
14 if the market prices go up and say what about the  
15 hedging program? FIPUG understands that there may  
16 be price fluctuations. It may go up. We're okay on  
17 paying at the pump, paying those prices, and we  
18 would respectfully ask that you not move forward  
19 with the hedging program.

20 There's a couple of other issues that we  
21 will have. I'm going to ask as we go through this  
22 expert witness process, assuming I'm able to, some  
23 questions about a NARUC document. NARUC is an  
24 organization; I think, Commissioner Edgar, you are  
25 chairing that organization or have chaired it. I

1 know the Commission has participated. I think it's  
2 a well-respected group, and I've located a document  
3 that discusses hedging that they have put together.  
4 And they put together a number of issues and  
5 recommendations, and one recommendation that they  
6 have that I'll point out is, quote, when activities  
7 constantly or consistently produce large losses,  
8 they should raise a red flag.

9 I would venture to say that the hedging  
10 activities that have taken place since 2002, which  
11 is when this program was kicked off by the  
12 Commission, have definitely raised a red flag. And  
13 in keeping with Florida, I think it's probably more  
14 akin to the double red flag that is put out during  
15 hurricanes. The losses are significant. They  
16 should be discontinued, and we will pay at the --  
17 pay at the pump.

18 I'm going to also have a few questions  
19 about the Woodford project. That, as you will  
20 recall, is a type of hedging that FPL has brought  
21 before the Commission. This is the docket where  
22 questions related to that are supposed to be asked.  
23 And so just because now is the only time I can talk  
24 to you and tell you that, I wanted to give you a  
25 little heads up that while most of our attention

1 will be focused on hedging and questions related to  
2 that, we will have a few questions for Mr. Yupp  
3 about Woodford. And we're also going to ask your  
4 staff, your Commission staff, your auditor some  
5 questions about what's being done to look at  
6 Woodford costs or other costs related to these  
7 physical hedges in Oklahoma and Louisiana and other  
8 places that may be taking place.

9 So that's a quick preview of FIPUG's  
10 questions. And, again, at the end of the day we  
11 would suggest that you set in place a plan to  
12 discontinue hedging, order the utilities to unwind  
13 their hedges. We'll take whatever value we can,  
14 credit it to us, and we won't be back saying, oh, we  
15 want hedging. I think we're trying to send a real  
16 clear message, thank you, we've tried it, it doesn't  
17 work, and we don't want it anymore. Thank you.

18 **CHAIRMAN GRAHAM:** Thank you, Mr. Moyle.

19 Mr. Brew.

20 **MR. BREW:** Mr. Chairman, as much as I like to  
21 have the green light on, I think the plan was to pass  
22 the baton down to OPC and then come back.

23 **CHAIRMAN GRAHAM:** Okay.

24 **MS. CHRISTENSEN:** Good afternoon,  
25 Commissioners. Patty Christensen with the Office of

1 Public Counsel. My comments today are related to the  
2 FPUC issues. Mr. Sayler will address the hedging issues  
3 upon my conclusion.

4 First, I would agree with Ms. Keating's  
5 comments that FPUC is the smallest of the electric  
6 companies that we have; however, I would note it's  
7 my belief FPUC is an electric division of a much  
8 larger company, Chesapeake.

9 The issues that we're here to talk about  
10 today are Issue 4A related to whether or not the  
11 interconnection should be recovered through the fuel  
12 clause, and Issue 4B, whether the consulting and  
13 legal fees should be recovered through the fuel  
14 clause. These issues are not about whether or not  
15 these costs should be recovered but rather how these  
16 costs should be recovered.

17 Order No. 14-546 sets forth the types of  
18 costs that are eligible or not eligible for fuel  
19 cost recovery clause recovery. The order provides a  
20 case-by-case exception for fossil fuel-related costs  
21 normally recovered through base rates but which are  
22 not recognized or anticipated in the cost levels  
23 used to determine current base rates and which, if  
24 expended, would result in fuel savings to customers.

25 First, the interconnection. That's

1 clearly a transmission project. And while  
2 ultimately it may provide opportunities to obtain  
3 cheaper power, the project is not fossil fuel  
4 related. It's transmission. Moreover, the project  
5 will not come into service until late 2017, and FPUC  
6 cannot buy wholesale power other than from qualified  
7 facilities from anyone other than JEA, which is  
8 Jacksonville Electric Authority in its northeast  
9 division, until the current PPA expires at the end  
10 of 2017. So there can be no fossil fuel-related  
11 savings for the interconnection in 2016, the year  
12 for which they're asking for projected savings.

13 As you will hear today, some of the  
14 requested legal and consulting activities are  
15 essentially for exploring new generation  
16 opportunities, which is not fossil fuel-related  
17 activities and thus are not eligible for clause  
18 recovery. Some of the other legal and consulting  
19 costs are related to exploring new PPA  
20 opportunities, but the company hasn't put forth any  
21 evidence that fuel savings are attached to these  
22 individual activities.

23 Order No. 14-546 also states that fuel  
24 procurement, administrative functions, even though  
25 they are fossil fuel-related costs, are more

1 appropriately recovered through base rates. Most,  
2 if not all, of FPUC's requested legal and consulting  
3 costs are essentially procurement administrative  
4 functions and thus would not be eligible for clause  
5 recovery.

6 And while specific legal and consulting  
7 fees have been allowed to be passed through the fuel  
8 clause for specific PPAs when fuel savings were  
9 readily determinable in the past for this company,  
10 that's not the case here. These fees are related to  
11 generic fuel procurement and administrative type  
12 activities and are not specific projects, and FPUC  
13 has not made the case that specific fuel-related  
14 savings will be achieved.

15 So we are only asking that these costs be  
16 disallowed for fuel cost recovery. We believe these  
17 are the types of costs that are appropriately  
18 recovered through base rates. Thank you.

19 **CHAIRMAN GRAHAM:** Mr. Sayler.

20 **MR. SAYLER:** Good afternoon, Commissioners.  
21 Erik Sayler with the Office of Public Counsel on behalf  
22 of the citizens of the State of Florida. OPC would like  
23 to echo the working with all the parties, staff to  
24 streamline this process. I'd also like to thank the  
25 utilities and the parties for agreeing to stipulate to a

1 number of OPC discovery responses into the record, which  
2 greatly streamlined my cross-examination today.

3 And I would like to start out by saying  
4 the financial hedging of natural gas should be  
5 discontinued or suspended for the time being. It  
6 only serves to add unnecessary costs to the price  
7 customers pay for fuel on their utility bills.

8 When this Commission modified the hedging  
9 programs in 2008, it was the expectation that  
10 hedging gains or losses would offset over time. It  
11 is now 2015, and hedging losses have continued to  
12 mount in a significant way.

13 According to the testimony and exhibits of  
14 OPC witness Mr. Lawton, natural gas prices and price  
15 volatility have been decreasing, and that trend is  
16 expected to continue for the foreseeable future.

17 Thus, the reasons and the market conditions  
18 justifying natural gas financial hedging in 2002 and  
19 2008 have fundamentally changed and no longer  
20 justify the continuation of these programs.

21 Utility regulatory commissions in Nevada  
22 and Kentucky have also recognized these changes in  
23 the natural gas markets and have ended the financial  
24 hedging of natural gas within their borders. A  
25 review of the evidence submitted by Witness Lawton

1 and Noriega show that the attendant costs of hedging  
2 outweigh any benefits gained from the mitigated fuel  
3 price volatility.

4           We maintain that it is the utility's  
5 burden of proof to demonstrate that customer  
6 benefits received by continuing natural gas hedging  
7 programs outweighs the billions of dollars of  
8 hedging costs paid by our customers, our clients  
9 since 2002. The evidence in this docket shows that  
10 the utilities have failed to meet this burden.

11           First, the current conditions of natural  
12 gas markets and the outlook for future natural gas  
13 supplies and prices are demonstrably different in  
14 2015 than they were in 2002. These differences  
15 allay the customers' concerns regarding the  
16 potential adverse impact of price volatility and  
17 price spikes caused by weather or supply disruptions  
18 on their bills.

19           Second, while there's no guarantee that  
20 temporary price spikes and volatility will not  
21 recur, the Energy Information Agency's annual energy  
22 outlook forecasts show a plentiful supply and  
23 availability of natural gas along with stable  
24 economic conditions. Since 2011, the last time the  
25 Commission held a workshop, no natural gas reserves

1 alone have increased by 31 trillion cubic or by  
2 10 percent over and above the EIA's 2011 annual  
3 energy outlook.

4 Third, the current natural gas market  
5 forecasts demonstrate that the prior justifications  
6 and reasons for past natural gas hedging efforts --  
7 mitigating price volatility, threats to market  
8 supply, other factors influencing demand -- these  
9 things are no longer available as reasons to support  
10 the need to continue natural gas financial hedging  
11 activities.

12 Fourth, with regard to the fuel price  
13 volatility, volatility is trending down, as  
14 Mr. Lawton demonstrates in his exhibit, Mr. Lawton's  
15 Exhibit 2. Increases in the price of natural gas  
16 are projected to be gradual and steady in the long  
17 run. Moreover, hedging aside, there is a cost-free  
18 way to mitigate customer fuel price volatility. The  
19 Commission's annual fuel adjustment clause  
20 proceeding and midcourse correction rule already  
21 effectively, efficiently, and economically mitigate  
22 against and reduce fuel price volatility experienced  
23 by customers on their monthly bills. The  
24 Commission's annual resetting of the fuel factor as  
25 opposed to the semi-annual or monthly resetting

1 which was done in the past by this Commission has  
2 the effect of smoothing out price volatility within  
3 a 12-month period and adequately allows the  
4 customers -- small homeowners to commercial  
5 customers to the big industrials -- to adequately  
6 budget for their electrical costs.

7           Thus, the price of natural gas can go and  
8 down within that 12-month period, volatility,  
9 without impacting the customers' monthly rates  
10 within that one-year period. Combine the volatility  
11 smoothing effect with the midcourse correction rule,  
12 which requires at least a 10 percent change in the  
13 fuel factor to be triggered, and then you have an  
14 effective, cost-free way to mitigate fuel price  
15 volatility experienced by the end-users, my client,  
16 the customers.

17           Some may call hedging and insurance policy  
18 to protect against fuel price volatility. In that  
19 analogy the premium paid for this hedging insurance  
20 is the cost paid above and beyond the market price  
21 of natural gas. Customers understand that within  
22 any given calendar period hedging can result in  
23 gains and losses; however, customers, the utilities,  
24 and the Commission were all under the expectation  
25 that, and I quote from a prior order, quote, over

1 time hedging gains and losses are expected to offset  
2 one another, end quote.

3 To date the customers have paid  
4 approximately \$6 billion in premiums for this  
5 hedging insurance. As a result, the gains and  
6 losses are nowhere near to offsetting one another,  
7 and there's no expectation that the utility's  
8 hedging programs can dig themselves out of the  
9 \$6 billion hole. Therefore, if hedging is an  
10 insurance policy against fuel price volatility,  
11 we're asking this Commission to cancel this policy.

12 In conclusion, financial hedging no longer  
13 makes dollars and "sense" in the current natural gas  
14 market, not now and not for the foreseeable future.  
15 It is no longer reasonable or prudent to allow  
16 hedging costs to be passed along to Florida  
17 customers through the fuel clause. The opportunity  
18 costs of hedging vastly outweigh the hedging  
19 benefits, and the facts and evidence submitted  
20 during this hearing will demonstrate that hedging  
21 should be ended in Florida. Thank you very much.

22 **CHAIRMAN GRAHAM:** Thank you, Mr. Sayler.

23 Mr. Wright.

24 **MR. WRIGHT:** Thank you, Mr. Chairman,  
25 Commissioners. Good afternoon. I won't take anywhere

1 near ten minutes. I want to start by thanking all the  
2 parties, and particularly the extraordinary diligence of  
3 your staff in bringing in so many stipulations and  
4 excusals of witnesses in for a very effective and smooth  
5 landing. It's a great job all around.

6 I do have a very brief remark about FPUC's  
7 issues 4A and 4B and then also some similarly brief  
8 remarks about hedging.

9 Regarding FPUC's request to recover really  
10 non-fuel transmission project and consulting fees  
11 through the fuel clause, we seriously question the  
12 assertion that it would only be customers who would  
13 be harmed by this. If Florida Public Utilities  
14 Company is suggesting that the company will not do  
15 this project which they facially believe is  
16 appropriate and cost-effective if they don't get  
17 recovery through the fuel clause, that's flat out  
18 imprudent and contrary to customers' best interests.  
19 If it's a prudent investment, the company should  
20 make the investment, put the investment in rate base  
21 where it belongs, recover it through base rates  
22 where it belongs, where the recovery belongs  
23 accordingly and appropriately. If they have to have  
24 a rate case, they have to have a rate case. That's  
25 how this regulatory system works.

1                   With regard to hedging, the Retail  
2 Federation joins with our fellow consumer parties in  
3 agreeing that the Commission should suspend or  
4 terminate natural gas financial hedging by the IOUs.  
5 The Commission's fuel and purchase power cost  
6 recovery proceedings, including true-ups and  
7 midcourse corrections, effectively and economically  
8 mitigate and reduce fuel price volatility.  
9 Accordingly, the Commission should deny the IOUs'  
10 risk management plans, that's the real issue on the  
11 table in this docket, related to natural gas  
12 financing hedging and should suspend or terminate  
13 that hedging.

14                   The Commission should direct the IOUs not to  
15 enter into any new or additional financial hedging  
16 transactions until and unless an IOU can demonstrate  
17 that financial hedging transaction would at least have a  
18 high probability of providing net benefits to customers.  
19 That hasn't been the case over these 13 years. Thank  
20 you very much.

21                   **CHAIRMAN GRAHAM:** Thank you, Mr. Wright.

22                   Mr. Brew.

23                   **MR. BREW:** Thank you, Mr. Commissioner. I'm  
24 going to confine myself just to the hedging issue.  
25 Really to hedge or not to hedge isn't a slam dunk, black

1 and white issue. It's a question of what are the risks,  
2 what are the costs, and what's the value to consumers?  
3 And what you saw in OPC's testimony are -- is a -- it's  
4 a litany of facts that are pretty well accepted now,  
5 which is declining and far more stable oil and gas  
6 prices for the simple reason that we've moved from a  
7 period of relative scarcity of those where we're going  
8 to keep increasing reliance on both both in Florida and  
9 throughout the country to a period of abundance where  
10 Mr. Saylor just mentioned the really astounding amount  
11 of natural gas that's now recoverable. NYMEX today was  
12 under \$2 a million per Btu for the first time that I can  
13 recall in decades.

14 So what we're really talking about is not  
15 crystal ball gazing on whether we think gas is going  
16 to jump or go down but whether or not there's value  
17 to consumers anymore. And what you is the slate of  
18 consumer representatives here collectively saying  
19 that we don't see the value in it anymore.

20 Also what we're really talking about is  
21 effectively regulatory lag, which you talk about all  
22 the time in rate cases, which is how long it takes  
23 to adapt a regulatory policy to change  
24 circumstances. Now in this case the dramatic change  
25 in circumstances with respect to domestic oil and

1 gas supply has happened quickly, far faster than  
2 anybody anticipated, but it is the new reality.

3 What you had is things that have happened  
4 only in the past couple of weeks that you would have  
5 never imagined a short time ago. Last week the  
6 White House did a budget agreement with Congress  
7 that includes selling a significant amount of oil  
8 from the strategic reserve to raise money because it  
9 didn't to maintain that much reserve anymore. You  
10 have a House bill approved in October to end the  
11 longstanding ban on export of crude oil produced in  
12 this county. Again, circumstances have changed.

13 I represent a large consumer that is very  
14 concerned about volatility in their electric bill,  
15 but we do not see the value in continuing the  
16 hedging practice. I think actually Duke's witness  
17 McCallister put it well in his rebuttal where he  
18 said this is not -- it's really a policy call for  
19 the Commission. We agree. But the fact is that the  
20 costs of hedging are not paper costs. They're real  
21 costs to consumers that have been cataloged in OPC's  
22 testimony and they don't provide the value, and for  
23 that reason we join with the other parties in  
24 recommending that you deny the risk management plans  
25 and have the companies move forward in a fashion

1 that reflects the world we're actually in today.

2 Thank you.

3 **CHAIRMAN GRAHAM:** Thank you, sir.

4 All right. So those are all the opening  
5 statements. Staff, are we -- I guess we're to  
6 witnesses.

7 **MS. BROWNLESS:** Yes, sir.

8 **CHAIRMAN GRAHAM:** All right. First witness.

9 **MR. BUTLER:** FPL would call Mr. Yupp.

10 Whereupon,

11 **GERARD YUPP**

12 was called as a witness on behalf of Florida Power &  
13 Light Company and, having first been duly sworn,  
14 testified as follows:

15 **EXAMINATION**

16 **BY MR. BUTLER:**

17 **Q** Mr. Yupp, were you sworn a few minutes ago at  
18 the mass swearing in?

19 **A** Yes, I was.

20 **Q** Okay. Would you please state your name and  
21 business address for the record.

22 **A** Yes. My name is Gerard Yupp. My business  
23 address is 700 Universe Boulevard, Juno Beach, Florida.

24 **Q** Okay. By whom are you employed and in what  
25 capacity?

1           **A**     I'm employed by Florida Power & Light as  
2 Senior Director of Wholesale Operations.

3           **Q**     Okay. Have you prepared and caused to be  
4 filed in this proceeding on March 3, 2015, six pages of  
5 prefiled direct testimony with attached Exhibit GJY-1?

6           **A**     Yes.

7           **Q**     Okay. And have you prepared and caused to be  
8 filed in this proceeding on April 7, 2015, four pages of  
9 prefiled direct testimony with attached Exhibit GJY-2?

10          **A**     Yes.

11          **Q**     Have you prepared and caused to be filed in  
12 this proceeding an Exhibit GJY-3 on August 4, 2015,  
13 which is FPL's 2006 Risk Management Plan?

14          **A**     Yes.

15          **Q**     Okay. Have you caused to be prepared and  
16 filed in this proceeding on August 14th, 2015, Exhibit  
17 GJY-4, FPL's Hedging Activity Report for January through  
18 July 2015?

19          **A**     Yes.

20          **Q**     And finally have you prepared and caused to be  
21 filed on September 21, 2015, 29 pages of supplemental  
22 direct testimony with attached Exhibit GJY-5?

23          **A**     Yes.

24          **Q**     Okay. Do you have any changes or revisions to  
25 your prefiled direct testimonies and exhibits?

1           **A**     No, I do not.

2           **Q**     Okay. With those changes -- I'm sorry. You  
3 don't have any changes. If I asked you those same  
4 questions contained in your direct testimonies today,  
5 would your answers be the same?

6           **A**     Yes, they would.

7           **Q**     Okay. Mr. Yupp, FPL filed a notice on  
8 October 14, 2015, that you will testify as an expert in  
9 this proceeding with respect to several subject matters,  
10 including natural gas financial hedging projections and  
11 calculations associated with gains and losses for asset  
12 optimization activities, projection and calculation of  
13 costs associated with asset optimization activities,  
14 projection of fuel costs, and projection of physical  
15 hedging costs. Is it your intent to testify as an  
16 expert on those topics?

17          **A**     Yes.

18           **MR. BUTLER:** Mr. Chairman, at this time I  
19 tender Mr. Yupp for voir dire by any party that wishes  
20 to inquire as to his expertise on these topics.

21           **CHAIRMAN GRAHAM:** Thank you.

22           All right. Commissioners, this is the  
23 part that we're trying to figure our way through, so  
24 it's going to be -- especially the first time it's  
25 going to be kind of interesting.

1           What we're going to do, there's two of the  
2 parties that are questioning the expertise, which is  
3 FIPUG and Florida Retail, so we are going to allow  
4 them to question the witness, and then we will allow  
5 the utility, in this case Florida Power & Light, to  
6 respond to each one of those -- I'm sorry -- to  
7 redirect on each one of those challenges.

8           And then I guess I will be asked, is that  
9 correct, staff, to make a determination? And if I  
10 agree with the objection, then we'll go through and  
11 figure out which part of the testimony that we would  
12 strike. If I don't agree with the objection, then  
13 we will move on as normal with the witness as far as  
14 with his five-minute summary and then the  
15 cross-examination.

16           Please note as we're going through this,  
17 there's no need to ask the same questions you're  
18 asking during the challenging and then go back and  
19 ask the same questions again during the redirect --  
20 not the redirect but during the cross-examination.

21           Okay. Mr. Moyle, you are up.

22           **MR. MOYLE:** Thank you. Thank you,  
23 Mr. Chairman.

24                           VOIR DIRE EXAMINATION

25           **BY MR. MOYLE:**

1           **Q**     Good afternoon, Mr. Yupp. I just want to  
2 focus in on a couple of the areas that are set forth in  
3 the notice that Florida Power & Light filed with respect  
4 to your areas of expertise. You've seen that notice,  
5 right, or no?

6           **A**     I don't recall if I have or haven't.

7           **Q**     Well, I don't want to put you in an unfair  
8 spot. It says that you have expertise in natural gas,  
9 financial hedging. Is that right?

10          **A**     Yes.

11          **Q**     And it says, it goes on and it says some other  
12 things. It says you have expertise in the projection of  
13 physical hedging costs?

14          **A**     Yes.

15          **Q**     What are -- what's the projection of physical  
16 hedging costs?

17          **A**     You're referring to projections and  
18 calculations associated with the gains and -- or, excuse  
19 me. I'm seeing -- it says natural gas financial hedging  
20 projections and calculations associated with gains and  
21 losses for asset optimization, projection and  
22 calculation of costs associated with asset optimization,  
23 and projection of fuel costs, and projection of physical  
24 hedging costs.

25          **Q**     Right. So what you just read was from the

1 notice that I just asked you about; right?

2 **A** Right.

3 **Q** So you do have a copy of it?

4 **A** Yes, I do.

5 **Q** Okay. And what I asked you about was the last  
6 phrase, "projection of physical hedging costs." Okay.  
7 So tell me what your expertise is in the projection of  
8 physical hedging costs, or just tell me what physical  
9 hedging costs are and then tell me about your expertise  
10 in it.

11 **A** The physical hedging costs in this aspect  
12 would have been related to the Woodford Gas Reserves  
13 Project, which are included in our projection filing for  
14 2016.

15 **Q** Okay. So you're saying that you had  
16 projection of those costs?

17 **A** Yes.

18 **Q** And then what opinions do you have with  
19 respect to those costs --

20 **A** I --

21 **Q** -- that you're going to share with the  
22 Commission?

23 **A** I'm not sure what you mean by "opinion." I  
24 don't -- the costs that we're projecting for 2016 are  
25 what they are. I do have an opinion as to how those

1 costs are, I will say, how those costs are in line with  
2 what we originally projected during the gas reserves  
3 hearing.

4 Q Okay. So did you prepare these projection of  
5 these costs?

6 A I did not.

7 Q Okay. Who did?

8 A That would have been done within our  
9 accounting group, I believe.

10 Q Did you put any inputs into them? Did you  
11 have any inputs into these projections?

12 A The input that I have into the projections  
13 would be related to the transportation cost to deliver  
14 the gas from the Woodford project to the Southeast  
15 Supply Header pipeline. And just going back to when you  
16 asked who would have been involved, I think probably  
17 various groups involved in the projections of those  
18 costs, everybody from accounting to finance and  
19 individuals within the division that I work that are  
20 familiar with the Woodford project.

21 Q Okay. So I'll tell you, my recollection of  
22 some of the testimony in that Woodford was FPL, y'all  
23 said to the Commission essentially, hey, we're at  
24 \$3.50 of the production costs. I may be off a penny or  
25 two on that. But essentially 3.50, and your expert

1 witness from Texas at the time said, I think these are  
2 pretty stable. My sense was, is that you were relying  
3 on PetroQuest because it was their costs that you were  
4 agreeing to pay. Do I have that wrong?

5 **A** I'm not sure I follow what your question is.  
6 We were lying about what?

7 **Q** You were relying. Weren't you relying on  
8 PetroQuest and their production costs for Woodford?  
9 Like, you're paying PetroQuest their production costs.

10 **A** Yes. Correct.

11 **Q** Wasn't that about \$3.50?

12 **A** I think in year one, if I'm not mistaken, on  
13 Exhibit SF-8 the year one effective cost delivered to  
14 Perryville was, I believe, \$3.48.

15 **Q** Okay. And so today you're going to testify to  
16 this Commission, you're going to give them an update on  
17 those projections?

18 **A** If I'm asked to give an update, I certainly  
19 will give an update, yes.

20 **Q** Okay. Well, I'll probably ask you that. But  
21 I guess what I'm trying to explore is that seems to me  
22 like a fact more than expertise. Do you understand --

23 **A** Yes.

24 **Q** -- the distinction between facts and opinion  
25 with respect to expert testimony?

1           **A**     Correct. I agree with you, that is a fact.

2           **Q**     Okay. And so when you are saying, oh, I'm an  
3 expert in projection of physical hedging costs, that  
4 doesn't relate to what the PetroQuest people are  
5 charging; correct?

6           **A**     That's correct.

7           **Q**     So what does it relate to?

8           **A**     I am sponsoring the physical hedging costs  
9 that are included in our 2016 projection. I am  
10 sponsoring the facts of what those estimates are.

11          **Q**     Have you ever given advice to a third party  
12 about hedging positions?

13          **A**     I have not, no.

14          **Q**     And when you say -- this document says  
15 projections and calculations associated with gains or  
16 losses for asset optimization activities, those are  
17 facts more than opinions; correct?

18          **A**     That's tough to answer as far as whether  
19 they're more facts than opinions. From an asset  
20 optimization standpoint there does have to be a certain  
21 level of opinions that go into that based on historical  
22 data, based on market conditions currently in order to  
23 make projections that get included in the projection  
24 filing. So I'm not sure how to answer that. I think  
25 there's both.

1           **Q**     Did you make the projections that you're  
2     referencing?

3           **A**     I did.

4           **Q**     Okay.  So there might be some expertise on  
5     projections, but with respect to calculations, that's  
6     just doing the math; right?

7           **A**     Calculations are math, yes.

8           **Q**     Okay.  And in your rebuttal testimony you get  
9     into a little bit of the back and forth about should  
10    hedging continue or not continue; correct?

11          **A**     Correct.

12          **Q**     Okay.  And if I ask you questions, policy  
13    questions about hedging and why you think it's good or  
14    why you think it's bad, would you be comfortable  
15    answering those questions?

16          **A**     Yes.

17          **Q**     Okay.  And have you ever been asked questions  
18    like that by your company.

19          **A**     Of whether I believe we should continue  
20    hedging or --

21          **Q**     Or not continue hedging?

22          **A**     No, not specifically to continue hedging or  
23    not continue hedging.  No.

24          **Q**     Have you ever been asked by anybody until  
25    today questions about natural gas financial hedging with

1 respect to what your opinion, what your area of -- can  
2 you give me your expert opinion on something related to  
3 natural gas financial hedging?

4 **MR. BUTLER:** Do you mean the general subject  
5 of it?

6 **MR. MOYLE:** Yes.

7 **THE WITNESS:** I guess I can tell you that --  
8 the 2008 guidelines that this Commission approved, I had  
9 a lot to do with writing those guidelines. So I think  
10 by default, yes, I've been asked my opinion about  
11 hedging.

12 **BY MR. MOYLE:**

13 **Q** Did you come up with those guidelines, or was  
14 that Mr. Forest or others?

15 **A** No. I had a large part in creating those  
16 guidelines.

17 **MR. MOYLE:** Okay. That's all I have. Thank  
18 you.

19 **CHAIRMAN GRAHAM:** Mr. Wright.

20 **MR. WRIGHT:** I don't have any voir dire for  
21 Mr. Yupp. Thank you.

22 **CHAIRMAN GRAHAM:** Redirect.

23 **REDIRECT EXAMINATION**

24 **BY MR. BUTLER:**

25 **Q** Mr. Yupp, briefly would you describe your

1 involvement with hedging since the Commission adopted  
2 its first hedging order in 2002 for FPL?

3 **A** Yes. Commissioners, I've been involved in  
4 hedging, as Mr. Butler stated, since inception back in  
5 2001, 2002. I have basically provided or served in the  
6 role of fuel witness for FPL since that time period. I  
7 have been involved with all discovery requests and  
8 interrogatories and audits that take place on hedging.  
9 I have filed testimony in this docket or in the fuel  
10 docket 16 times, direct testimony. I've filed hedging  
11 testimony 13 times. I had a large role in the audit  
12 that was conducted back in 2008, if you'll recall, on  
13 the investor-owned utilities' hedging practices.

14 So I have really been a -- I don't want to use  
15 the word instrumental, but I have been close to the  
16 hedging of Florida Power & Light or involved in the  
17 hedging that Florida Power & Light does since inception  
18 of the program.

19 **Q** Mr. Yupp, do you have regular involvement in  
20 overseeing FPL's hedging program?

21 **A** I do not specifically oversee it. The hedging  
22 transactions are conducted by a group within my  
23 division. But, yes, I am involved in the writing of the  
24 risk management plans in determining hedge levels and  
25 all of the related matters to hedging.

1           **MR. BUTLER:** Thank you.

2           That's all the redirect that I have,  
3 Mr. Chairman.

4           **CHAIRMAN GRAHAM:** Mr. Moyle, what exactly IS  
5 your objection?

6           **MR. MOYLE:** Well, with respect to the areas  
7 for which the notice of filing was made of October 14th,  
8 2015, I think the witness himself acknowledged that he  
9 doesn't have any expertise with respect to the  
10 projection of physical hedge costs as it relates to  
11 extracting natural gas from the ground. I think he  
12 indicated his area of expertise may be limited more to  
13 transmission. So I would seek that if he is going to be  
14 an expert, that it be limited to projection of physical  
15 hedging costs related to transmission. That's one  
16 point. I don't know if you want to kind of take these  
17 one at a time or --

18           **CHAIRMAN GRAHAM:** How many points do you  
19 have?

20           **MR. MOYLE:** Two.

21           **CHAIRMAN GRAHAM:** Let's take the second one.

22           (Laughter.)

23           **MR. MOYLE:** So the category of natural gas  
24 financial hedging, I asked him, you know, have you  
25 talked to people, have you given advice on natural gas

1 financial hedging, and I think he said, no, he's had  
2 some conversations. Mr. Butler asked him, "Do you  
3 oversee hedging?" And he says, "No, I don't oversee  
4 hedging." He developed the guidelines. He said, "Well,  
5 I filed all this testimony," but, you know, candidly the  
6 testimony is factual testimony. It's like how did the  
7 hedging program work out last year? Oh, we made money  
8 or we lost money or, you know. It doesn't really get  
9 into areas of expertise. It's more factual, so I don't  
10 think it's appropriate to accept him as an expert in  
11 natural gas financial hedging.

12 I mean, an expert, respectfully in my  
13 judgment, would be someone who I spent ten years  
14 with Morgan Stanley in charge of their energy  
15 markets, and financial hedging was part and parcel  
16 of that. So those are the two points. One, I think  
17 with respect to the projection of the physical  
18 hedging costs that's limited to transmission and,  
19 secondly, with the broad category of natural gas  
20 financial hedging, I don't think he's established  
21 that he has expertise in that area.

22 **MR. BUTLER:** Mr. Chairman, may I respond?

23 **CHAIRMAN GRAHAM:** I don't think so. Staff?

24 **MS. BROWNLESS:** It's a new process for us.

25 **CHAIRMAN GRAHAM:** Okay.

1           **MR. BUTLER:** Briefly just to Mr. Moyle's two  
2 points. With respect to the physical hedging, you know,  
3 Mr. Yupp's role, as the interchange indicated, is to  
4 present simply the facts of what FPL's projections of  
5 those costs are. I think he's fully qualified to do  
6 that. I also don't think there's really much of an  
7 issue about the admissibility of testimony on those  
8 facts because he's simply testifying to them as facts  
9 and you can characterize it as an expert witness on that  
10 or a lay witness. Either way he's testifying to facts.

11           And as to his expertise in natural gas  
12 financial hedging, you know, Florida's evidence code  
13 recognizes explicitly that one's experience as well  
14 as education and particular professional roles can  
15 be a basis of expertise. Mr. Yupp has testified  
16 that he has, you know, as much experience as anybody  
17 in the state on Florida's hedging, excuse me,  
18 program, not only its implementation but, you know,  
19 the development of the guidelines under which we are  
20 currently operating. So he's currently -- or  
21 clearly qualified in that regard.

22           And finally I would note that, you know,  
23 this is an administrative proceeding. This is not  
24 something that is limited to strict rules of  
25 evidence. You take testimony when it is the type of

1 information that a reasonable person would use in  
2 making decisions for him or herself. I think  
3 Mr. Yupp has clearly demonstrated that he has the  
4 sort of experience that would provide you useful  
5 testimony in reaching your decisions. Thank you.

6 **CHAIRMAN GRAHAM:** Mary Anne, of course, you  
7 knew I was coming this direction.

8 **MR. MOYLE:** Can I just -- I know this is new,  
9 but just -- and I don't think we'll do this on all of  
10 them.

11 **CHAIRMAN GRAHAM:** Sure.

12 **MR. MOYLE:** One point, I think Mr. Butler and  
13 I may actually agree on the first point because he just  
14 said he's going to present facts about the projections.  
15 He didn't say, no, I want his opinion to go in. You  
16 know, it seems that we don't have a real disagreement  
17 about the projections of the physical hedging costs  
18 because his own words are they're facts.

19 So my impression is expert opinion is  
20 opinion, you know, like should hedging continue or  
21 discontinue, and here are the reasons why. That's  
22 kind of a policy call and someone shares their  
23 opinion. So I think that point should be resolved  
24 kind of in FIPUG's favor.

25 And then, you know, and then the second

1 one on the financial hedging and the point about,  
2 well, it's an administrative proceeding. It is an  
3 administrative proceeding and there is a different  
4 evidentiary code, but it's also a proceeding in  
5 which disputed issues of fact are determined, and  
6 the evidence code is a pretty good barometer to help  
7 determine issues of fact. I mean, it's not  
8 discarded out the -- you know, left in the hall when  
9 we have these proceedings. It's something to look  
10 to. And if you're going to make a finding on an  
11 expert opinion testimony, respectfully it should be  
12 someone that has well demonstrated their area of  
13 expertise. So thanks for giving me the chance to  
14 make those two points.

15 **CHAIRMAN GRAHAM:** Mary Anne.

16 **MS. HELTON:** I actually agree with Mr. Butler  
17 that, you know, we are in an administrative proceeding  
18 here. We are not in a civil proceeding or circuit court  
19 where the rules of evidence should be strictly applied.  
20 And Chapter 120 has some guidance for you with respect  
21 to how to look at evidence in an administrative hearing,  
22 and I might add an administrative hearing where you're  
23 performing a ratemaking function. And that is,  
24 "Irrelevant, immaterial, or unduly repetitious evidence  
25 shall be excluded, but all other evidence of a type

1 commonly relied upon by reasonably prudent persons in  
2 the conduct of their affairs shall be admissible,  
3 whether or not such evidence would be admissible in a  
4 trial in the courts of Florida. Any part of the  
5 evidence may be received in written form and all  
6 testimony of parties and witnesses shall be made under  
7 oath."

8 I believe as we're going through the testimony  
9 that you will be able to discern whether you think  
10 there's fact testimony or opinion testimony and give it  
11 the weight that it's due based on the testimony, the  
12 direct testimony that's permitted and the  
13 cross-examination by the witnesses. I don't know that  
14 I've heard anything here today that would make me  
15 recommend to you to not find Mr. Yupp an expert, but  
16 it's within your discretion.

17 **CHAIRMAN GRAHAM:** Well, then I guess the  
18 question I have to you, and this goes right back to what  
19 Mr. Butler was saying, if we're using, quote, the  
20 reasonable man standard, then why are we even voir  
21 diring experts? That was the question.

22 **MS. HELTON:** Because Mr. Moyle has asked us  
23 to.

24 **CHAIRMAN GRAHAM:** Did you feel that bus go  
25 over you?

1           **MR. MOYLE:** Yeah, but I got big shoulders so,  
2 you know. It's not the first bus that I've encountered.

3           I'm happy to -- I'm happy to respond if it  
4 would be helpful.

5           **CHAIRMAN GRAHAM:** Please.

6           **MR. MOYLE:** So I recognize -- I've practiced  
7 here for a long time. My practice is also in other  
8 tribunals, including the Division of Administrative  
9 Hearings, and I think that it is helpful -- you know, if  
10 I were putting myself in a position of a decision-maker,  
11 I think it would be helpful to me to know, you know, who  
12 an expert was and who a fact person was and have it be  
13 clearly articulated and not all kind of mushed together.  
14 And I know I think some, you know, some of y'all, you  
15 know, there's an expert. I'm -- somebody takes the  
16 stand and they say I'm an expert, I'm here today  
17 testifying, and, you know, an expert related to -- I  
18 don't want to start calling out names of people that  
19 you, you know, you regularly see, but I will call out a  
20 FIPUG witness, Jeff Pollock. He appears regularly  
21 before you all. Rarely does he come in and talk about,  
22 you know, the facts. He says here's what I believe as  
23 an expert and shares with you his opinion.

24           And, you know, opinion evidence is  
25 designed to help you all if you are not clear about

1 a matter of policy, as I understand it. I mean, the  
2 facts are the facts and you can -- those are balls  
3 or strike calls that you make, but the opinion  
4 testimony typically is provided on hearings that are  
5 really complex that help the tryer of fact  
6 understand something. So that is the distinction  
7 that I see.

8 But I think as a matter of practice here,  
9 it could be improved if someone were testifying  
10 clearly and they said I'm testifying as an expert in  
11 these areas, one, two, three. Here's the basis for  
12 my expertise. I spent 20 years doing this and now  
13 I'm an expert, and here's my opinion and I'm sharing  
14 it with you. I think you should continue hedging  
15 for all these reasons, and it's just clear.

16 I mean, right now we're in this situation  
17 where it's unclear, and I'm trying to work to try to  
18 make it a little more clear, which I understand is  
19 consistent with how you all did it, you know, years  
20 ago. I don't think I was here. I have voir dired  
21 before a couple of times, but I don't -- my  
22 understanding is many years ago you all had a more  
23 formal process for expert opinion testimony and fact  
24 opinion testimony.

25 So that's sort of the reason for it. I

1 don't know that, you know, we're going to get it all  
2 kind of squared away in this proceeding, and I'm  
3 going to, you know, probably tread easily. This was  
4 the first time we've done it. But my desire is to  
5 try to make it a little more clear because I think  
6 not only will it help parties, I think it'll help  
7 the Commission at the end of the day.

8 **CHAIRMAN GRAHAM:** Mr. Butler.

9 **MR. BUTLER:** Let me just respond briefly,  
10 Mr. Chairman. I've been practicing here a pretty long  
11 time, 36 years now, and frankly the process that we've  
12 used very consistently over that time of simply having  
13 the witnesses appear, identify what their background is,  
14 it's quite common that once the witness's testimony has  
15 been inserted into the record and they are  
16 cross-examined for parties, including FPL, to question  
17 people's, the extent of people's expertise and  
18 experience in particular areas, and we believe that the  
19 Commissioners take that into account when they decide  
20 how much weight to give that testimony. In other words,  
21 essentially the process that Ms. Helton was describing  
22 earlier.

23 I think that the add-on of this, frankly,  
24 artificial process of, you know, voir dire being  
25 incorporated or imported from civil litigation

1 practice here isn't adding anything to your  
2 understanding of what the witnesses do and don't  
3 know on topics. You could get the same thing from  
4 the process that's been used for years.

5 And, you know, with respect to this  
6 particular witness, I mean, obviously what Mr. Moyle  
7 is setting up here is the idea that if you hire  
8 somebody from the outside, they go around the  
9 country testifying all the time, that makes them an  
10 expert and somehow somebody like Mr. Yupp isn't. I  
11 would turn it around. I mean, often the people who  
12 come in from the outside have limited exposure to  
13 the specifics of this jurisdiction and the  
14 particular utilities they're talking about. I think  
15 Mr. Yupp on this issue has demonstrated it's maybe  
16 not quite 20 years, but it's 16 years' worth of  
17 testifying in this area.

18 So to me, that's the sort of thing that  
19 would be very important for you to hear that sort of  
20 person's views as well as their presentation of the  
21 facts. And I think it's very easy to incorporate  
22 that process of exploring the extent of people's  
23 true knowledge and expertise into simply the  
24 cross-examination of the witnesses once they are  
25 tendered for cross. Thank you.

1           **CHAIRMAN GRAHAM:** Well, this is where it  
2 becomes a little difficult for me. The two challenges  
3 that FIPUG had, the first one -- can I get you to  
4 restate that first one?

5           **MR. MOYLE:** Sure. The first one, and, again,  
6 I'm working off what was filed by FPL.

7           **CHAIRMAN GRAHAM:** Sure.

8           **MR. MOYLE:** He professes projection --  
9 expertise in the area of projection of physical hedging  
10 costs. Okay. And all I'm saying there is based on the  
11 questions I think he admitted that he just takes the  
12 PetroQuest production numbers and that that's a factual  
13 number. So he doesn't independently know, he hasn't  
14 gone out and talked to a bunch of wildcatters in  
15 Oklahoma to figure out their production costs. He's  
16 just taking a number from PetroQuest and saying that's  
17 part of my calculation.

18           So I don't think he's even suggesting he  
19 has expertise in physical production costs. He  
20 said, I have some expertise in transmission, how  
21 much it's going to cost to move the power from  
22 Oklahoma to Florida, as I understood it. So on that  
23 point, I'm just saying that his area of expertise be  
24 limited to transmission and not include production  
25 costs as it might relate to extraction and

1 production of the natural gas coming out of the  
2 ground.

3 **CHAIRMAN GRAHAM:** And, Mr. Butler, if I --  
4 unless I heard you incorrectly, and please let me know,  
5 you basically agreed with what he just said. You  
6 restated it and you said that he's just -- he's now  
7 giving facts and that's all he's doing in this part. Is  
8 that correct?

9 **MR. BUTLER:** He is giving facts. You know, we  
10 were asked to identify areas that our witnesses could  
11 testify expertly in. I think Mr. Yupp, if he were asked  
12 his opinions on those subjects, he could provide them.  
13 But what he is testifying to are just what the facts of  
14 the projected numbers are. That's all that's in his  
15 testimony, and it's all that we are presenting to you  
16 for approval. It's simply what the dollars are that  
17 would be included in the 2016 fuel factors on a  
18 projected basis subject later to true-up to the actuals  
19 for the Woodford project production costs.

20 And I struggle here because, frankly, both  
21 experts and lay witnesses are entitled to testify to  
22 facts. You don't have to stop testifying to facts  
23 because you're an expert and you aren't prohibited  
24 from testifying to them if you are a lay expert --  
25 or a lay witness. So I guess in some respects I'm

1 not quite sure what Mr. Moyle's objection to  
2 Mr. Yupp testifying about the facts of the projected  
3 production costs for the Woodford project are. I  
4 think he is clearly eligible to testify to those  
5 either as an expert or a lay witness.

6 **MR. MOYLE:** And I don't object to him  
7 testifying as a fact witness. I do object to him  
8 testifying as an expert witness because he says he  
9 doesn't have expertise in that area.

10 **MS. HELTON:** Maybe this might be one of those  
11 areas where it would be helpful to know specifically are  
12 there areas of the testimony for which you object to  
13 Mr. Yupp testifying, the testimony that's already been  
14 prefilled?

15 **MR. MOYLE:** I have a bunch of stuff marked in  
16 rebuttal, but he didn't file anything in his direct with  
17 respect to, you know, production costs that I've seen  
18 with respect to the Woodford.

19 **MR. BUTLER:** He has a small section of his  
20 testimony that goes to that, but, as you say, it's  
21 facts. It's saying here's what the projection is.

22 **MR. MOYLE:** So respectfully I think no  
23 objection to him testifying as a fact witness. So if we  
24 want to kind of move beyond this, it seems like the easy  
25 solution is he'll be a fact witness with respect to

1 Woodford, not with respect to expertise on production  
2 costs, unless Mr. Butler wants me to ask him what did  
3 you do? Did you go look at other wildcatters and what  
4 their production costs were, and get into areas that I  
5 don't know that the witness is prepared to testify to.

6 **MR. BUTLER:** Not only that, areas that are not  
7 relevant to the issue that's identified in this  
8 proceeding. And I think Mr. Yupp is clearly in a  
9 position to testify to the only issue that is, you know,  
10 active in this proceeding or open for scrutiny in this  
11 proceeding, which is what are the projected costs for  
12 the Woodford project that will be included in the 2016  
13 fuel factors. I think whether you characterize that as  
14 expertise or lay testimony, he is clearly here, he's  
15 prepared to -- he's prefiled testimony and can support  
16 that testimony on what those projected costs are.

17 **CHAIRMAN GRAHAM:** Mr. Moyle, give me one or  
18 two examples of testimony you're talking about that is  
19 expert testimony that you're looking to challenge or  
20 strike.

21 **MR. MOYLE:** So -- and this relates to the  
22 first point with respect to the natural gas, you know,  
23 his expertise in natural gas hedging. I was going to  
24 suggest that on his October 9th, 2015, testimony that  
25 page 6, starting at line 7, through page 7, going to

1 line 11 --

2 **CHAIRMAN GRAHAM:** Wait a minute. I need to  
3 get --

4 **MS. HELTON:** Is that in rebuttal or the  
5 direct?

6 **MR. MOYLE:** That's rebuttal.

7 **MS. HELTON:** Okay. I guess I'm confused.  
8 Isn't Mr. Yupp on the stand right now only for his  
9 direct testimony?

10 **CHAIRMAN GRAHAM:** But I think we're voir  
11 diring him for both. Is that correct?

12 **MR. MOYLE:** That was my understanding.

13 **MS. HELTON:** Okay. I was -- somehow I missed  
14 that part.

15 **CHAIRMAN GRAHAM:** Okay.

16 **MR. SAYLER:** What's the page numbers again?

17 **MR. MOYLE:** This is on his rebuttal, page 6,  
18 starting at line 7, and it goes through page 7, line 11.  
19 And then I also have starting on page 8, line 16 --

20 **CHAIRMAN GRAHAM:** Wait. Let's start with the  
21 first one. Go back. What's the page?

22 **MR. MOYLE:** Page 6, line 7. The question is  
23 "OPC Witness Lawton refers to significant losses from  
24 hedging numerous times in his testimony. Is this a fair  
25 basis to assess the success of FPL's hedging program?"

1 That question calls for an opinion. That is not really  
2 a factual, you know, question. Like, how much did you  
3 lose? That would be factual. This is an opinion. And  
4 he's asked about Mr. Lawton's reference to significant  
5 losses and says is that fair?

6 So, again, to the fairness point, I think  
7 that's an opinion that's inappropriate given his  
8 admitted lack of being asked about hedging by his  
9 company or others.

10 **MR. BUTLER:** I think that is a gross  
11 mischaracterization of Mr. Yupp's testimony on his  
12 expertise. Look, this is asking what would be a fair  
13 basis to assess success of FPL's hedging program. As  
14 Mr. Yupp testified, he was firsthand involved in, you  
15 know, developing and then presenting to this Commission  
16 the very guidelines by which hedging programs are  
17 currently judged in Florida. To me it's hard to imagine  
18 somebody being more directly expert in that topic of  
19 what is the measure of success than what Mr. Yupp has as  
20 a background.

21 **CHAIRMAN GRAHAM:** Mr. Moyle, do you have  
22 another question?

23 **MR. MOYLE:** No. I mean, we've covered that.  
24 I asked him the questions, so the record is, I think,  
25 clear on that point. I do have a couple of other areas

1 I was going to --

2 **CHAIRMAN GRAHAM:** That's what I mean, another  
3 area.

4 **MR. MOYLE:** Yeah.

5 **CHAIRMAN GRAHAM:** Your mike.

6 **MS. BROWNLESS:** Oh, I'm sorry. I'm sorry to  
7 interrupt, but on page 6, it's line 7 through what line  
8 that you object to?

9 **CHAIRMAN GRAHAM:** Nineteen.

10 **MS. BROWNLESS:** Okay. It's that one question  
11 only?

12 **MR. MOYLE:** Right.

13 **MS. BROWNLESS:** Thank you.

14 **MR. MOYLE:** Ready for the next one?

15 **CHAIRMAN GRAHAM:** Yes.

16 **MR. MOYLE:** Page 8, line 6, he's asked, "Do  
17 you believe that it is realistic as Witness Lawton  
18 suggests on page 53 of his testimony to discontinue  
19 hedging now and to revisit the topic if circumstances  
20 change substantially in the future?" And then he gives  
21 again opinion testimony related to that all the way down  
22 through line 22. So I identify that as pure opinion  
23 testimony.

24 **CHAIRMAN GRAHAM:** Mr. Butler.

25 **MR. BUTLER:** And this relates to one's

1 experience in actually having to place hedges and what  
2 is available in the way of hedges, when you can start,  
3 when you can stop with a program, and I think that  
4 Mr. Yupp is eminently qualified to know what is --  
5 realistically can be done or can't be done in terms of  
6 protecting against volatility that suddenly arises as a  
7 result of, you know, changes in the gas prices if you  
8 were to discontinue and then had to restart the program.

9 This goes directly to the issue of how one  
10 actually implements a hedging program, which is  
11 something that Mr. Yupp has considerable experience  
12 in doing.

13 **CHAIRMAN GRAHAM:** Mary Anne.

14 **MS. HELTON:** Yes, sir.

15 **CHAIRMAN GRAHAM:** I guess clearly I disagree  
16 with Mr. Moyle on this first one because it's asking  
17 specifically about your feelings about Florida Power &  
18 Light, which this guy has been the guy for Florida Power  
19 & Light from day one.

20 When it comes down to number two or his  
21 second challenge is where I guess I hit a bit of a  
22 snag, and I guess if any fellow Commissioners have  
23 any questions or comments, I welcome them because  
24 we're trying to feel our way through this as we're  
25 doing this. I'm asking you -- this -- the problem

1 you run into is, and this goes right back to the  
2 same questions of voir diring, if we can accept the  
3 testimony of just a layperson, then why do we have  
4 to determine if it's an expert or a layperson  
5 because we're just going to give it -- or we can  
6 just go ahead and say you're an expert for these  
7 first nine issues, but this last one you're just a  
8 layperson and we'll just give it the weight that it  
9 deserves.

10 I mean from what you're saying and from  
11 what Mr. Butler said earlier, nothing ever gets  
12 struck because you're still taking it as a layperson  
13 and not necessarily an expert, if that's the  
14 determination you make.

15 **MS. HELTON:** Well, there may be some witnesses  
16 who do attempt to testify as an expert in areas for  
17 which it's clear they don't have any expertise. I mean,  
18 that's always a possibility. I'm not sure that I see  
19 that here today with Mr. Yupp, but -- so, you know, I  
20 think the holding the process out there and the ability  
21 to do that is not a bad thing for the Commission. But  
22 here I think maybe -- I'm trying to think of the right  
23 way to say this -- we might be in a little bit of  
24 overkill.

25 **MR. BECK:** Mr. Chairman, can I have a couple

1 of seconds here?

2 **CHAIRMAN GRAHAM:** Sure.

3 **MR. BECK:** We use the evidence code. It's  
4 instructive for us on what to let in and what not, but  
5 it's not determinative. And what determines it is the  
6 section of 120.569 that Mary Anne read earlier, and it's  
7 whether a reasonably prudent person in the conduct of  
8 affairs would rely upon it. So that's the question for  
9 you is given Mr. Yupp's background, does he meet that  
10 test or not? You know, I would think he does, but, you  
11 know, that would be my recommendation.

12 **CHAIRMAN GRAHAM:** I agree with you.  
13 Mr. Moyle, I guess I don't agree with either one of your  
14 challenges.

15 **MR. MOYLE:** Okay. And like I said, I mean,  
16 we'll work our way through this, you know. I will  
17 recollect at one point -- it's a little bit of a war  
18 story, but there was a person who was proffered as a  
19 legal expert in Florida law on the Power Plant Siting  
20 Act, and it was -- voir dire was permitted and the  
21 person was not a member of the Florida Bar, I don't  
22 think had ever given advice on the Power Plant Siting  
23 Act. And when I asked him, "When did you first read  
24 it?" it was very recently. I mean --

25 **CHAIRMAN GRAHAM:** On the plane over.

1           **MR. MOYLE:** I'm sorry?

2           **CHAIRMAN GRAHAM:** On the plane over.

3           (Laughter.)

4           **MR. MOYLE:** It might have been a little  
5 longer. But -- and to be candid, I mean, I made the  
6 objection and it was overruled, so he was permitted to  
7 testify. But, you know, we'll continue to work -- on a  
8 lot of these dockets we've worked with the parties and  
9 staff on things. But I appreciate the discussion, the  
10 chance to ask some questions. And it does make a  
11 difference because, you know, based on your indication,  
12 he, I think, will be an expert. So when asking experts  
13 questions, I'm able to show them expert reports from  
14 other experts and say, well, look here's what NARUC  
15 says, you know. What do you think about that? If it  
16 was a fact witness, he would say, I don't know. I'm  
17 just here testifying about the production costs that  
18 were given to me by PetroQuest. But by your ruling that  
19 he's an expert, that's fair game for me to put a report  
20 in front of him and ask him some questions about it.

21           **CHAIRMAN GRAHAM:** That's true. Okay.

22           Mr. Butler.

23           **MR. BUTLER:** I would move that Mr. Yupp's  
24 prefiled direct testimonies be inserted into the record  
25 as though read.

1           **CHAIRMAN GRAHAM:** We will insert his prefiled  
2 direct testimony into the record as though read.

3           **MR. BUTLER:** Thank you. Mr. Chairman, I would  
4 note that Mr. Yupp's exhibits GJY-1 --

5           **CHAIRMAN GRAHAM:** Hold on a second. Should we  
6 do his direct and rebuttal since we've voir dired both  
7 of them or should we just wait until later to do the  
8 rebuttal?

9           **MR. BUTLER:** We're not -- I'm sorry.

10          **CHAIRMAN GRAHAM:** We're not going to take them  
11 both up today, right now, but I just --

12          **MS. BROWNLESS:** If I may go back to the ruling  
13 on the objection, I think in order that the record is  
14 clear, you should rule that on the specific areas of  
15 expertise that FPL identified in their notice so that we  
16 clearly understand that Mr. Yupp is an expert in the  
17 fields listed on the notice. And if John can read  
18 those, then we have a clear ruling on the record.

19          **MR. MOYLE:** They're already made part of the  
20 record. They've been filed.

21          **MS. BROWNLESS:** Well, I mean, what I'm getting  
22 to is that I think the record needs to be clear the  
23 areas of expertise that were listed were natural gas  
24 financial hedging projections and calculations  
25 associated with gains and losses for asset optimization

1 activities, projection and calculation of costs  
2 associated with asset optimization activities,  
3 projection of fuel costs and projection of physical  
4 hedging costs. Those were the areas tendered, and I  
5 assume Mr. Butler wants him qualified as an expert in  
6 all of those.

7 **MR. BUTLER:** I do, but I had understood  
8 Mr. Moyle only to be challenging two of them  
9 specifically, his expertise in natural gas financial  
10 hedging and production costs estimates -- or projections  
11 for physical hedges, and I understood the ruling to be  
12 that those were overruled, so --

13 **MS. BROWNLESS:** Good. Thank you.

14 **MR. MOYLE:** So I think that takes you to the  
15 place where he's an expert in everything you designated.

16 **CHAIRMAN GRAHAM:** Okay. So we've entered his  
17 direct testimony into the record as though read.

18 **MS. BROWNLESS:** Yes, sir.

19 **MR. BUTLER:** And I was just noting that his  
20 exhibits GJY-1 through GJY-5 have been premarked for  
21 identification as staff's Exhibits 2, 3, 4, 5, and 6.

22 **CHAIRMAN GRAHAM:** Duly noted.

23 **MR. BUTLER:** Thank you. And -- I'm sorry?

24 **MR. MOYLE:** No. I was going to jump in on  
25 other point. I mean, I know that you have a desire to

1 try to move this along, and that's fine by FIPUG. We  
2 voir dired on both direct and rebuttal and we're pleased  
3 to do both at the same time if Mr. Butler wants to do  
4 that.

5 **CHAIRMAN GRAHAM:** Well, no, because he's going  
6 to be back -- we're not taking both together, so he's  
7 going to be back up here.

8 **MR. MOYLE:** If you want to do both together,  
9 no objection.

10 **CHAIRMAN GRAHAM:** Okay.

11 **MR. BUTLER:** I thought we had voir dired on  
12 both.

13 **CHAIRMAN GRAHAM:** We did.

14

15

16

17

18

19

20

21

22

23

24

25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
2                               **FLORIDA POWER & LIGHT COMPANY**  
3                                   **TESTIMONY OF GERARD J. YUPP**  
4   **DOCKET NO. 150001-EI**  
5   **MARCH 3, 2015**

6   **Q.     Please state your name and address.**

7   A.     My name is Gerard J. Yupp. My business address is 700 Universe  
8           Boulevard, Juno Beach, Florida, 33408.

9   **Q.     By whom are you employed and what is your position?**

10  A.     I am employed by Florida Power and Light Company (FPL) as  
11           Senior Director of Wholesale Operations in the Energy Marketing  
12           and Trading Division.

13  **Q.     Have you previously testified in predecessors to this docket?**

14  A.     Yes.

15  **Q.     What is the purpose of your testimony?**

16  A.     The purpose of my testimony is to present the 2014 results of FPL's  
17           activities under the Incentive Mechanism that was approved by  
18           Order No. PSC-13-0023-S-EI, dated January 14, 2013, in Docket  
19           No. 120015-EI.

20

21

22

1 **Q. Have you prepared or caused to be prepared under your**  
2 **supervision, direction and control any exhibits in this**  
3 **proceeding?**

4 A. Yes, I am sponsoring Exhibit GJY-1, consisting of four pages:

- 5 • Page 1 – Total Gains Schedule
- 6 • Page 2 – Wholesale Power Detail
- 7 • Page 3 – Asset Optimization Detail (Confidential)
- 8 • Page 4 – Incremental Optimization Costs

9 **Q. Please provide an overview of the Incentive Mechanism.**

10 A. The Incentive Mechanism is an expanded optimization program that  
11 is designed to create additional value for FPL's customers while also  
12 providing an incentive to FPL if certain customer-value thresholds  
13 are achieved. It was created by the Stipulation and Settlement that  
14 was approved in FPL's 2012 rate case by Order No. PSC-13-0023-  
15 S-EI. The Incentive Mechanism includes gains from wholesale  
16 power sales and savings from wholesale power purchases, as well  
17 as gains from other forms of asset optimization. These other forms  
18 of asset optimization include, but are not limited to, natural gas  
19 storage optimization, natural gas sales, capacity releases of natural  
20 gas transportation, capacity releases of electric transmission and  
21 potentially capturing additional value from a third party in the form of  
22 an Asset Management Agreement (AMA). Under the Incentive  
23 Mechanism, customers receive 100% of the gains up to \$46 million.

1 Incremental gains above \$46 million are to be shared between FPL  
2 and customers as follows: customers receive 40% and FPL  
3 receives 60% of the incremental gains between \$46 million and  
4 \$100 million; and customers receive 50% and FPL receives 50% of  
5 all incremental gains above \$100 million. FPL is allowed to recover  
6 reasonable and prudent incremental O&M costs incurred in  
7 implementing the expanded optimization program under the  
8 Incentive Mechanism, including incremental personnel, software  
9 and associated hardware costs, as well as variable power plant  
10 O&M costs incurred to make wholesale sales above 514,000 MWh  
11 (the level of wholesale sales that were assumed in forecasting FPL's  
12 2013 test year power plant O&M costs in the MFRs filed in FPL's  
13 2012 rate case).

14 **Q. Please summarize the activities and results of the Incentive**  
15 **Mechanism for 2014.**

16 A. FPL's activities under the Incentive Mechanism in 2014 delivered  
17 nearly \$67.63 million in total gains as described in my Exhibit GJY-  
18 1, page 1, Table 1, column 5. Of these total gains, and per the  
19 sharing parameters described above, FPL is allowed to retain  
20 \$12.98 million (see Exhibit GJY-1, page 1, Table 2, column 9). FPL  
21 witness Keith describes how FPL's recovery of this amount will be  
22 handled in the Fuel Cost Recovery schedules. During 2014, FPL's  
23 activities under the Incentive Mechanism included wholesale power

1 purchases and sales, natural gas sales in the market and production  
2 areas, gas storage utilization, and the capacity release of firm  
3 natural gas transportation and firm electric transmission.  
4 Additionally, FPL entered into an Asset Management Agreement  
5 related to a small portion of upstream gas transportation during  
6 2014. The total gains of nearly \$67.63 million exceeded the sharing  
7 threshold of \$46 million. Therefore, the incremental gains above  
8 \$46 million will be shared between customers and FPL, 40% and  
9 60%, respectively. Exhibit GJY-1, Page 1, shows monthly gain  
10 totals, threshold levels and the final gains allocation for 2014.

11 **Q. Please provide the details of FPL's wholesale power activities**  
12 **under the Incentive Mechanism for 2014.**

13 A. The details of FPL's 2014 wholesale power sales and purchases are  
14 shown separately on Page 2 of Exhibit GJY-1. FPL had gains of  
15 \$43,475,917 on wholesale sales and savings of \$10,528,280 on  
16 wholesale purchases for the year.

17 **Q. Please provide the details of FPL's asset optimization activities**  
18 **under the Incentive Mechanism for 2014.**

19 A. The details of FPL's 2014 asset optimization activities are shown on  
20 Page 3 of Exhibit GJY-1. FPL had a total of \$13,622,670 of gains  
21 that were the result of eight different forms of asset optimization.  
22  
23

1 **Q. Did FPL incur incremental O&M expenses related to the**  
2 **operation of the Incentive Mechanism in 2014?**

3 A. Yes. FPL incurred personnel expenses of \$406,314 related to the  
4 costs associated with an additional two and one-half personnel  
5 required to support FPL's expanded activities under the Incentive  
6 Mechanism. FPL also incurred \$54,114 in expenses related to the  
7 first stages of implementation of OATI WebTrader software. The  
8 features of WebTrader will help facilitate streamlined power trade  
9 entry, transmission procurement, power scheduling, and accounting  
10 checkout. FPL expects that the WebTrader software will help FPL  
11 deliver additional value to customers by facilitating speed and  
12 flexibility in power trading. In total, FPL incurred incremental O&M  
13 expenses related to the operation of the Incentive Mechanism of  
14 \$460,428 in 2014.

15  
16 Additionally, FPL's actual wholesale power sales from its own  
17 generation resources in 2014 totaled 2,040,082 MWh, or 1,526,082  
18 MWh above the 514,000 MWh threshold, resulting in variable power  
19 plant O&M expenses of \$2,259,986 (reflects the volume above the  
20 threshold multiplied by \$1.51/MWh; the average variable power  
21 plant O&M cost per MWh reflected in the 2013 test year MFRs  
22 minus a true-up of \$44,399 from 2013). Page 4 of Exhibit GJY-1  
23 provides the details of FPL's Incremental Optimization Costs for

1 2014.

2 **Q. Overall, were FPL's activities under the Incentive Mechanism**  
3 **successful in 2014?**

4 A. Yes. FPL's activities under the Incentive Mechanism were highly  
5 successful in 2014. On the wholesale power side, suitable market  
6 conditions, predominantly related to cold weather in January, helped  
7 drive FPL's wholesale power sales to the highest level since 2004  
8 and the second highest level in the last 14 years. Gains on power  
9 sales reached the highest level since 1999. Asset optimization  
10 activities related to natural gas that had not taken place prior to the  
11 inception of the Incentive Mechanism generated slightly more than  
12 \$11.96 million in gains, and optimization of FPL's firm transmission  
13 service on the Southern Company system added another \$1.66  
14 million in gains. In total, these activities delivered \$67,626,867 of  
15 gains, which contrasts very favorably to the total optimization  
16 expenses (personnel and variable power plant O&M) of \$2,720,415.

17 **Q. Does this conclude your testimony?**

18 A. Yes it does.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

**BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
**FLORIDA POWER & LIGHT COMPANY**  
**TESTIMONY OF GERARD J. YUPP**  
**DOCKET NO. 150001-EI**  
**APRIL 7, 2015**

**Q. Please state your name and address.**

A. My name is Gerard J. Yupp. My business address is 700 Universe Boulevard, Juno Beach, Florida, 33408.

**Q. By whom are you employed and what is your position?**

A. I am employed by Florida Power & Light Company (FPL) as Senior Director of Wholesale Operations in the Energy Marketing and Trading Division.

**Q. Have you previously testified in the predecessors to this docket?**

A. Yes.

**Q. What is the purpose of your testimony?**

A. The purpose of my testimony is to present data on FPL’s hedging activities, by month, for calendar year 2014. This data is required per Item 5 of the Resolution of Issues in Docket 011605-EI that was approved by the Commission per Order No. PSC-02-1484-FOF-EI, which states:

“5. Each investor-owned utility shall provide, as part of its

1 final true-up filing in the fuel and purchased power cost  
2 recovery docket, the following information: (1) the volumes of  
3 each fuel the utility actually hedged using a fixed price  
4 contract or instrument; (2) the types of hedging instruments  
5 the utility used, and the volume and type of fuel associated  
6 with each type of instrument; (3) the average period of each  
7 hedge; and (4) the actual total cost (e.g. fees, commissions,  
8 options premiums, futures gains and losses, swaps  
9 settlements) associated with using each type of hedging  
10 instrument.”

11

12 Section III of the Hedging Order Clarification Guidelines that were  
13 approved by the Commission per Order No. PSC-08-0667-PAA-EI,  
14 issued on October 8, 2008, clarified that this data is to be provided  
15 each April for the prior calendar year.

16 **Q. Are you sponsoring an exhibit for this proceeding?**

17 A. Yes. I am sponsoring Exhibit GJY-2 – August through December  
18 2014 Hedging Activity True-Up.

19 **Q. Please describe FPL’s hedging objectives.**

20 A. Consistent with the guiding principles described in Section IV of the  
21 Hedging Order Clarification Guidelines, the primary objective of  
22 FPL’s hedging program is to reduce the impact of fuel price volatility  
23 in the fuel adjustment charges paid by FPL’s customers. FPL does

1 not execute speculative hedging strategies aimed at “out guessing”  
2 the market. For 2014, FPL implemented a well-disciplined, well-  
3 defined and well-controlled hedging program in compliance with  
4 FPL’s 2013 Risk Management Plan that was approved by the  
5 Commission in Order No. PSC-12-0664-FOF-EI, issued on  
6 December 21, 2012.

7 **Q. Please summarize FPL’s 2014 hedging activities.**

8 A. Consistent with its approved 2013 Risk Management Plan, FPL  
9 hedged a portion of its natural gas fuel portfolio for 2014 utilizing  
10 fixed price transactions. A fixed price transaction allows a buyer to  
11 lock in the price of a commodity for a set volume over a set period of  
12 time. As described in the 2013 Risk Management Plan, FPL did not  
13 hedge heavy fuel oil for 2014, primarily due to the significant drop in  
14 heavy oil consumption projections.

15  
16 Actual 2014 natural gas prices settled, on average, higher than the  
17 forward prices that were in effect when FPL was executing its  
18 natural gas hedges for 2014. As would be expected under the  
19 approved hedging approach, this increase in natural gas prices  
20 resulted in reported natural gas hedging savings for the year, as  
21 shown on Exhibit GJY-2.

22

1 **Q. Does your Exhibit GJY-2 provide the detail on FPL's 2014**  
2 **hedging activities required by Item 5 of the Resolution of**  
3 **Issues?**

4 A. Yes.

5 **Q. Does this conclude your testimony?**

6 A. Yes, it does.

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
2                               **FLORIDA POWER & LIGHT COMPANY**  
3                               **SUPPLEMENTAL TESTIMONY OF GERARD J. YUPP**  
4                                       **DOCKET NO. 150001-EI**  
5                                       **SEPTEMBER 21, 2015**

6   **Q.     Please state your name and address.**

7   A.     My name is Gerard J. Yupp. My business address is 700 Universe  
8           Boulevard, Juno Beach, Florida, 33408.

9   **Q.     By whom are you employed and what is your position?**

10  A.     I am employed by Florida Power and Light Company (FPL) as  
11           Senior Director of Wholesale Operations in the Energy Marketing  
12           and Trading Division.

13  **Q.     Have you previously testified in this docket?**

14  A.     Yes.

15  **Q.     What is the purpose of your supplemental testimony?**

16  A.     The purpose of my testimony is to present and explain FPL's  
17           projections for (1) the dispatch costs of heavy fuel oil, light fuel oil,  
18           coal and natural gas; (2) the availability of natural gas to FPL;  
19           (3) generating unit heat rates and availabilities; and (4) the  
20           quantities and costs of wholesale (off-system) power sales and  
21           purchased power transactions. In addition, I address the gas  
22           reserves projects that are included in the 2016 Projection Filing, as

1 well as O&M expenses associated with gas reserves projects that  
2 FPL has included for recovery in the 2016 fuel factors. I also review  
3 the interim results of FPL's 2015 hedging program and its 2016 Risk  
4 Management Plan. Additionally, my testimony addresses the  
5 Incremental Optimization Costs included in FPL's 2016 Projection  
6 Filing and the 2014 results of the Incentive Mechanism that was  
7 approved in Order No. PSC-13-0023-S-EI dated January 14, 2013.  
8 Lastly, I present the projected fuel savings resulting from the  
9 operation of the Port Everglades Next Generation Clean Energy  
10 Center (PEEC) from June through December 2016.

11 **Q. Does your supplemental testimony incorporate into FPL's 2016**  
12 **Projection Schedules the impact of acquiring the Cedar Bay**  
13 **facility and terminating the existing Cedar Bay power purchase**  
14 **agreement ("PPA") consistent with the terms of the settlement**  
15 **agreement between FPL and the Office of Public Counsel**  
16 **("OPC") that was approved in Docket No. 150075-EI by the**  
17 **Commission at the agenda conference held on August 27,**  
18 **2015?**

19 A. Yes. I have incorporated the requirements of the Cedar Bay  
20 Settlement Agreement into FPL's 2016 Projection Schedules  
21 included with this filing.  
22  
23

1 **Q. Have you prepared or caused to be prepared under your**  
2 **supervision, direction and control any exhibits in this**  
3 **proceeding?**

4 A. Yes, I am sponsoring the following exhibits:

- 5 • GJY-3: 2016 Risk Management Plan
- 6 • GJY-4: Hedging Activity Supplemental Report for 2015  
7 (January through July)
- 8 • GJY-5: Appendix I
- 9 • Schedules E2 through E9 of Appendix II

10

11 **FUEL PRICE FORECAST**

12 **Q. What forecast methodologies has FPL used for the 2016**  
13 **recovery period?**

14 A. For natural gas commodity prices, the forecast methodology relies  
15 upon the NYMEX Natural Gas Futures contract prices (forward  
16 curve). For light and heavy fuel oil prices, FPL utilizes Over-The-  
17 Counter (OTC) forward market prices. Projections for the price of  
18 coal are based on actual coal purchases and price forecasts  
19 developed by J.D. Energy. Forecasts for the availability of natural  
20 gas are developed internally at FPL and are based on contractual  
21 commitments and market experience. The forward curves for both  
22 natural gas and fuel oil represent expected future prices at a given  
23 point in time and are consistent with the prices at which FPL can

1 execute transactions for its hedging program. The basic assumption  
2 made with respect to using the forward curves is that all available  
3 data that could impact the price of natural gas and fuel oil in the  
4 short-term is incorporated into the curves at all times. The  
5 methodology allows FPL to execute hedges consistent with its  
6 forecasting method and to optimize the dispatch of its units in  
7 changing market conditions. FPL utilized forward curve prices from  
8 the close of business on July 27, 2015 for its 2016 projection filing,  
9 which is the most current information that could be incorporated into  
10 FPL's schedule for calculating the 2016 FCR Clause factors.

11 **Q. Has FPL used these same forecasting methodologies**  
12 **previously?**

13 A. Yes. FPL began using the NYMEX Natural Gas Futures contract  
14 prices (forward curve) and OTC forward market prices in 2004 for its  
15 2005 projections and has used this methodology consistently since  
16 that time.

17 **Q. What are the factors that can affect FPL's natural gas prices**  
18 **during the January through December 2016 period?**

19 A. In general, the key physical factors are (1) North American natural  
20 gas demand and domestic production; (2) the level of working gas in  
21 underground storage throughout the period; (3) weather (particularly  
22 in the winter period); (4) the potential for imports and/or exports of  
23 Liquefied Natural Gas (LNG) and Canadian natural gas; and (5) the

1 terms of FPL's natural gas supply and transportation contracts.

2

3 Natural gas prices are not projected to change substantially in  
4 2016. Although working natural gas rigs are down approximately  
5 87% since the peak in August 2008 and 36% year-on-year,  
6 efficiency improvements in the shale regions are leading to record  
7 levels of production. Natural gas production is expected to grow by  
8 an average rate of 5.4% in 2015 and 2.3% in 2016. EIA expects  
9 moderate production growth through 2016, with increases in the  
10 Lower 48 states expected to more than offset long-term production  
11 declines in the Gulf of Mexico. Increases in drilling efficiency will  
12 continue to support growing natural gas production despite relatively  
13 low natural gas prices. Increases in domestic natural gas  
14 production are expected to reduce imports from Canada and  
15 support growth in exports to Mexico. The EIA projects LNG exports  
16 will increase to an average of 0.79 billion cubic feet (BCF) per day in  
17 2016.

18

19 Total natural gas consumption in 2016 is expected to average 76.5  
20 BCF per day, roughly flat to the projected consumption level in  
21 2015. Natural gas consumption in the power sector is projected to  
22 increase by 13.9% in 2015 and then decrease by 3.4% in 2016,  
23 while industrial sector consumption is expected to increase by 2.3%

1 in 2015 and by 5.0% in 2016, as industrial consumers continue to  
2 take advantage of low natural gas prices. Natural gas storage  
3 levels, a key benchmark for the supply/demand balance, were 3.03  
4 trillion cubic feet (TCF) on August 14, 2015, or 0.49 TCF (19%)  
5 above the level at the same time a year ago and 0.08 TCF (2.7%)  
6 above the five-year average from 2010 through 2014. Natural gas  
7 storage is currently projected to reach approximately 3.87 TCF at  
8 the end of October 2015, or 69 BCF (1.8%) above the five-year  
9 average for that time.

10 **Q. What are the factors that FPL expects to affect the availability**  
11 **of natural gas to FPL during the January through December**  
12 **2016 period?**

13 A. The key factors mainly relate to the balance of gas transportation  
14 and demand in Florida, specifically, (1) the capacity of the Florida  
15 Gas Transmission (FGT) pipeline into Florida; (2) the capacity of the  
16 Gulfstream Natural Gas System (Gulfstream) pipeline into Florida;  
17 (3) the portion of FGT and Gulfstream capacity that is contractually  
18 committed to FPL on a firm basis each month; and (4) the natural  
19 gas demand in the State of Florida.

20

21 The current capacity of FGT into the State of Florida is  
22 approximately 3,100,000 MMBtu/day and the current capacity of  
23 Gulfstream is approximately 1,260,000 MMBtu/day. FPL's total firm

1 transportation capacity on FGT ranges from 1,150,000 to 1,374,000  
2 MMBtu/day, depending on the month. FPL has firm transportation  
3 capacity on Gulfstream of 695,000 MMBtu/day.

4  
5 Additionally, FPL has firm transportation capacity on several  
6 upstream pipelines that provide FPL access to on-shore gas supply.  
7 FPL has 580,000 MMBtu/day of firm transport on the Southeast  
8 Supply Header (SESH) pipeline, 121,500 MMBtu/day (May through  
9 December) to 200,000 MMBtu/day (January through April) of firm  
10 transport on the Transcontinental Gas Pipe Line Company, LLC  
11 (Transco) Zone 4A lateral, and 200,000 MMBtu/day (January  
12 through March and November through December) to 345,000  
13 MMBtu/day (April through October) of firm transport on the Gulf  
14 South Pipeline Company, LP (Gulf South) pipeline. The firm  
15 transportation on the SESH, Transco, and Gulf South pipelines does  
16 not increase transportation capacity into the state; however FPL's  
17 firm transportation rights on these pipelines provide access for up to  
18 1,046,500 MMBtu/day during the summer season of on-shore  
19 natural gas supply, which helps diversify FPL's natural gas portfolio  
20 and enhance the reliability of fuel supply. FPL projects that during  
21 the January through December 2016 period, 50,000 MMBtu/day to  
22 150,000 MMBtu/day of non-firm natural gas transportation capacity  
23 will be available into the state, depending on the month. FPL

1 projects that it could acquire some of this capacity, if economic, to  
2 supplement FPL's firm allocation on FGT and Gulfstream.

3 **Q. Please describe FPL's natural gas storage position.**

4 A. FPL currently holds 4.0 BCF of firm natural gas storage capacity in  
5 Bay Gas Storage, located in southwest Alabama. While the  
6 acquisition of upstream transportation capacity (i.e., SESH) has  
7 helped mitigate a large portion of risk associated with off-shore  
8 natural gas supply, natural gas storage capacity remains an  
9 important part of FPL's gas portfolio. Approximately 18% of FPL's  
10 supply continues to be sourced from off-shore sources. Additionally,  
11 as FPL's reliance on natural gas has increased, the importance of  
12 natural gas storage in helping balance consumption "swings" due to  
13 weather and unit availability has also increased. Storage capacity  
14 improves reliability by providing a relatively inexpensive insurance  
15 policy against supply and infrastructure problems while also  
16 increasing FPL's ability to manage supply and demand on a daily  
17 basis.

18 **Q. What are FPL's projections for the dispatch cost and**  
19 **availability of natural gas for the January through December**  
20 **2016 period?**

21 A. FPL's projections of the system average dispatch cost and  
22 availability of natural gas, by transport type, by pipeline and by  
23 month, are provided on page 3 of Appendix I.

1 **Q. What are the key factors that could affect FPL's price for heavy**  
2 **fuel oil during the January through December 2016 period?**

3 A. The key factors that could affect FPL's price for heavy oil are  
4 (1) worldwide demand for crude oil and petroleum products  
5 (including domestic heavy fuel oil); (2) non-OPEC crude oil supply;  
6 (3) the extent to which OPEC adheres to its quotas and reacts to  
7 fluctuating demand for OPEC crude oil; (4) the political and civil  
8 tensions in the major producing areas of the world like the Middle  
9 East and West Africa; (5) the availability of refining capacity; (6) the  
10 price relationship between heavy fuel oil and crude oil; (7) the supply  
11 and demand for heavy oil in the domestic market; (8) the terms of  
12 FPL's supply and fuel transportation contracts; and (9) domestic and  
13 global inventory.

14

15 The recent decline in crude oil prices reflects concerns about lower  
16 economic growth in emerging markets, expectations of higher oil  
17 exports from Iran, and continuing actual and expected growth in  
18 global inventories. Average heavy oil prices are forecasted to be  
19 higher in 2016 compared to the expected average prices in 2015. In  
20 its August 2015 Short-Term Energy Outlook report, the U.S. Energy  
21 Information Administration (EIA) forecasts crude oil prices will  
22 average approximately \$4 per barrel higher in 2016 compared to  
23 2015. The EIA anticipates global crude oil and liquid fuels

1 production to grow by 2.3 million barrels per day (b/d) in 2015 and  
2 0.3 million b/d in 2016. Total U.S. crude oil and liquid fuels  
3 production growth is projected to slow down from an increase of 0.9  
4 million b/d in 2015 to a decline of 0.1 million b/d in 2016. While the  
5 projected global production growth remains roughly flat in 2016,  
6 world demand is still projected to grow by 1.47 million b/d in 2016.  
7 As always, an increase in geopolitical concerns could create  
8 additional upward pressure on oil prices.

9 **Q. Please provide FPL's projection for the dispatch cost of heavy  
10 fuel oil for the January through December 2016 period.**

11 A. FPL's projection for the system average dispatch cost of heavy fuel  
12 oil, by month, is provided on page 3 of Appendix I.

13 **Q. What are the key factors that could affect the price of light fuel  
14 oil?**

15 A. The key factors are similar to those described for heavy fuel oil.

16 **Q. Please provide FPL's projection for the dispatch cost of light  
17 fuel oil for the January through December 2016 period.**

18 A. FPL's projection for the system average dispatch cost of light oil, by  
19 month, is provided on page 3 of Appendix I.

20  
21  
22  
23

1 **Q. What is the basis for FPL's projections of the dispatch cost of**  
2 **coal for St. Johns' River Power Park (SJRPP) and Plant**  
3 **Scherer?**

4 A. FPL's projected dispatch costs for both plants are based on FPL's  
5 price projection for spot coal delivered to the plants.

6 **Q. What is the basis for FPL's projections of the dispatch cost of**  
7 **coal for Cedar Bay?**

8 A. FPL's projected dispatch costs for Cedar Bay are based on the  
9 current cost of inventory at the site.

10 **Q. Please provide FPL's projection for the dispatch cost of coal at**  
11 **SJRPP, Plant Scherer, and Cedar Bay for the January through**  
12 **December 2016 period.**

13 A. FPL's projection for the system average dispatch cost of coal for this  
14 period, by plant and by month, is shown on page 3 of Appendix I.

15 **Q. Do the fuel costs reflected on Schedule E3 for heavy oil, light**  
16 **oil and coal differ from the dispatch costs shown on page 3 of**  
17 **Appendix I?**

18 A. Yes. FPL maintains inventories of those fuels and runs its plants  
19 out of that inventory. Except in the case of Cedar Bay, the dispatch  
20 costs reflect what FPL would pay to replace fuel that is removed  
21 from inventory to run the plants. On the other hand, the "charge out"  
22 costs for heavy oil, light oil and coal that are reflected on Schedule  
23 E3 are based on FPL's weighted average inventory cost, by month,

1 for each fuel type. For Cedar Bay, FPL dispatched the unit at the  
2 current inventory cost based on the assumption that it would most  
3 likely not replace the coal that is consumed due to the anticipated  
4 retirement of the facility at the end of 2016.

5

6 **PLANT HEAT RATES, OUTAGE FACTORS, PLANNED**  
7 **OUTAGES, AND CHANGES IN GENERATING CAPACITY**

8 **Q. Please describe how FPL developed the projected Average Net**  
9 **Heat Rates shown on Schedule E4 of Appendix II.**

10 A. The projected Average Net Heat Rates were calculated by the  
11 GenTrader model. The current heat rate equations and efficiency  
12 factors for FPL's generating units, which present heat rate as a  
13 function of unit power level, were used as inputs to GenTrader for  
14 this calculation. The heat rate equations and efficiency factors are  
15 updated as appropriate based on historical unit performance and  
16 projected changes due to plant upgrades, fuel grade changes,  
17 and/or from the results of performance tests.

18 **Q. Are you providing the outage factors projected for the period**  
19 **January through December 2016?**

20 A. Yes. This data is shown on page 4 of Appendix I.

21 **Q. How were the outage factors for this period developed?**

22 A. The unplanned outage factors were developed using the actual  
23 historical full and partial outage event data for each of the units.

1 The historical unplanned outage factor of each generating unit was  
2 adjusted, as necessary, to eliminate non-recurring events and  
3 recognize the effect of planned outages to arrive at the projected  
4 factor for the period January through December 2016.

5 **Q. Please describe the significant planned outages for the**  
6 **January through December 2016 period.**

7 A. Planned outages at FPL's nuclear units are the most significant in  
8 relation to fuel cost recovery. Turkey Point Unit 4 is scheduled to be  
9 out of service from March 28, 2016 until April 30, 2016, or 33 days,  
10 during the period. St. Lucie Unit 1 is scheduled to be out of service  
11 from September 26, 2016 until October 27, 2016, or 31 days, during  
12 the period.

13 **Q. Please identify any changes to FPL's fossil generation capacity**  
14 **projected to take place during the January through December**  
15 **2016 period.**

16 A. FPL projects to put the PEEC into commercial operation on June 1,  
17 2016. This unit will add approximately 1,240 MW of capacity to  
18 FPL's system.

19  
20  
21  
22  
23

1           **WHOLESALE (OFF-SYSTEM) POWER AND PURCHASED**  
2           **POWER TRANSACTIONS**

3   **Q.    Are you providing the projected wholesale (off-system) power**  
4           **sales and purchased power transactions forecasted for**  
5           **January through December 2016?**

6   A.    Yes. This data is shown on Schedules E6, E7, E8, and E9 of  
7           Appendix II of this filing.

8   **Q.    In what types of wholesale (off-system) power transactions**  
9           **does FPL engage?**

10 A.    FPL purchases power from the wholesale market when it can  
11           displace higher cost generation with lower cost power from the  
12           market. FPL will also sell excess power into the market when its  
13           cost of generation is lower than the market. FPL's customers  
14           benefit from both purchases and sales as savings on purchases and  
15           gains on sales are credited to customers through the Fuel Cost  
16           Recovery Clause. Power purchases and sales are executed under  
17           specific tariffs that allow FPL to transact with a given entity.  
18           Although FPL primarily transacts on a short-term basis (hourly and  
19           daily transactions), FPL continuously searches for all opportunities  
20           to lower fuel costs through purchasing and selling wholesale power,  
21           regardless of the duration of the transaction. Additionally, FPL is a  
22           member of the Florida Cost-Based Broker System (FCBBS). The  
23           FCBBS matches hourly cost-based bids and offers to maximize

1 savings for all participants. For 2016, the FCBBS will be comprised  
2 of 9 members, including FPL. FPL can also purchase and sell  
3 power during emergency conditions under several types of  
4 Emergency Interchange agreements that are in place with other  
5 utilities within Florida.

6 **Q. Please describe the method used to forecast wholesale (off-  
7 system) power purchases and sales.**

8 A. The quantity of wholesale (off-system) power purchases and sales  
9 are projected based upon estimated generation costs, generation  
10 availability, fuel availability, expected market conditions and  
11 historical data.

12 **Q. What are the forecasted amounts and costs of wholesale (off-  
13 system) power sales?**

14 A. FPL has projected 1,506,600 MWh of wholesale (off-system) power  
15 sales for the period of January through December 2016. The  
16 projected fuel cost related to these sales is \$47,836,482. The  
17 projected transaction revenue from these sales is \$65,714,282.  
18 After taking into account the transmission costs for those sales, the  
19 projected gain is \$13,419,650.

20 **Q. In what document are the fuel costs for wholesale (off-system)  
21 power sales transactions reported?**

22 A. Schedule E6 of Appendix II provides the total MWh of energy, total  
23 dollars for fuel adjustment, total cost and total gain for wholesale

1 (off-system) power sales.

2 **Q. What are the forecasted amounts and costs of wholesale (off-**  
3 **system) power purchases for the January to December 2016**  
4 **period?**

5 A. The costs of these economy purchases are shown on Schedule E9  
6 of Appendix II. For the period, FPL projects it will purchase a total of  
7 950,880 MWh at a cost of \$33,524,545. If FPL generated this  
8 energy, FPL estimates that it would cost \$46,493,801. Therefore,  
9 these purchases are projected to result in savings of \$12,969,256.

10 **Q. Does FPL have additional agreements for the purchase of**  
11 **electric power and energy that are included in your**  
12 **projections?**

13 A. Yes. FPL purchases energy under two contracts with the Solid  
14 Waste Authority of Palm Beach County (SWA). FPL also has  
15 contracts to purchase and sell nuclear energy under the St. Lucie  
16 Plant Nuclear Reliability Exchange Agreements with Orlando  
17 Utilities Commission (OUC) and Florida Municipal Power Agency  
18 (FMPPA). Additionally, FPL purchases energy from JEA's portion of  
19 the SJRPP Units. Lastly, FPL purchases energy and capacity from  
20 Qualifying Facilities under existing tariffs and contracts.

21

22

23

1 **Q. Please provide the projected energy costs to be recovered**  
2 **through the Fuel Cost Recovery Clause for the power**  
3 **purchases referred to above during the January through**  
4 **December 2016 period.**

5 A. Energy purchases under the SWA agreements are projected to be  
6 913,536 MWh for the period at an energy cost of \$22,783,691.  
7 Energy purchases from the JEA-owned portion of SJRPP are  
8 projected to be 1,769,451 MWh for the period at an energy cost of  
9 \$66,383,506. FPL's cost for energy purchases under the St. Lucie  
10 Plant Reliability Exchange Agreements is a function of the operation  
11 of St. Lucie Unit 2 and the fuel costs to the owners. For the period,  
12 FPL projects purchases of 540,890 MWh at a cost of \$3,737,770.  
13 These projections are shown on Schedule E7 of Appendix II.

14  
15 In addition, as shown on Schedule E8 of Appendix II, FPL projects  
16 that purchases from Qualifying Facilities for the period will provide  
17 1,093,725 MWh at a cost of \$53,702,765.

18 **Q. How does FPL develop the projected energy costs related to**  
19 **purchases from Qualifying Facilities?**

20 A. For those contracts that entitle FPL to purchase "as-available"  
21 energy, FPL used its fuel price forecasts as inputs to the GenTrader  
22 model to project FPL's avoided energy cost that is used to set the  
23 price of these energy purchases each month. For those contracts

1 that enable FPL to purchase firm capacity and energy, the  
2 applicable Unit Energy Cost mechanisms prescribed in the contracts  
3 are used to project monthly energy costs.

4 **Q. What are the forecasted amounts and cost of energy being  
5 sold under the St. Lucie Plant Reliability Exchange Agreement?**

6 A. FPL projects to sell 578,769 MWh of energy at a cost of \$4,109,711.  
7 These projections are shown on Schedule E6 of Appendix II.

8

9 **GAS RESERVES PROJECTS**

10 **Q. What are the projected costs that FPL has included in its 2016  
11 Projection Schedules for the Woodford Gas Reserves Project  
12 that was approved in Order No. PSC-15-0038-FOF-EI, dated  
13 January 12, 2015?**

14 A. FPL has included approximately \$57.6 million in projected costs,  
15 including natural gas transportation from the outlet of the gathering  
16 system to Perryville (SESH), related to the Woodford Gas Reserves  
17 Project.

18 **Q. Has FPL entered into any additional gas reserves projects  
19 subsequent to the approval of the FPL Gas Reserves  
20 Guidelines in Order No. PSC-15-0284-FOF-EI that was issued  
21 on July 14, 2015?**

22 A. No. However, FPL is actively exploring additional opportunities for  
23 gas reserves projects that will help provide customers with physical

1 gas supply at stable pricing over the production term.

2 **Q. Has FPL included incremental O&M expenses related to**  
3 **the accounting, technical services or business management**  
4 **functions of gas reserves projects in its 2016 FCR Clause**  
5 **factors?**

6 A. Yes. FPL has included projected incremental O&M expenses  
7 associated with gas reserves projects of \$500,000 in its projections  
8 for 2016.

9 **Q. Please describe the types and amounts of costs that are**  
10 **included in FPL's projections of incremental O&M expenses**  
11 **related to gas reserves projects.**

12 A. FPL projects to incur incremental expenses of approximately  
13 \$120,000 related to external accounting and audit services,  
14 approximately \$100,000 for technical services related to reservoir  
15 engineering and production operations, and approximately \$280,000  
16 for additional personnel who will perform functions in the land  
17 management and business management areas.

18

19 **HEDGING/ RISK MANAGEMENT PLAN**

20 **Q. Please describe FPL's hedging objectives.**

21 A. The primary objective of FPL's hedging program has been, and  
22 remains, the reduction of fuel price volatility. Reducing fuel price  
23 volatility helps deliver greater price certainty to FPL's customers.

1 This objective was clearly defined in Item 1 of the Proposed  
2 Resolution of Issues that was approved in Order No. PSC-02-1484-  
3 FOF-EI, dated October 30, 2002, which states, “Each investor-  
4 owned utility recognizes the importance of managing price volatility  
5 in the fuel and purchased power it purchases to provide electric  
6 service to its customers. Further, each investor-owned electric utility  
7 recognizes that the greater proportion of a particular fuel or  
8 purchased power it relies upon to provide electric service to its  
9 customers, the greater the importance of managing price volatility  
10 associated with that energy source.”

11 **Q. Does FPL rely on a greater proportion of a particular fuel to**  
12 **provide electric service to its customers?**

13 A. Yes. FPL is projecting that nearly 72% of the electricity it produces  
14 in 2016 will be generated with natural gas.

15 **Q. Does FPL engage in speculative hedging strategies aimed at**  
16 **“out guessing” the market?**

17 A. Absolutely not. FPL’s hedging program is consistent with the  
18 guiding principles contained in Section IV of the Hedging Order  
19 Clarification Guidelines that the Commission approved in Order No.  
20 PSC-08-0667-PAA-EI, dated October 8, 2008. Section IV, part b,  
21 states that, “The Commission finds that a well-managed hedging  
22 program does not involve speculation or attempting to anticipate the  
23 most favorable point in time to place hedges.” This point is further

1 substantiated in Section IV, part d, which states, “The Commission  
2 does not expect an IOU to predict or speculate on whether markets  
3 will ultimately rise or fall and actually settle higher or lower than the  
4 price levels that existed at the time hedges were put into place.”

5 **Q. Is the purpose of hedging to reduce fuel costs over time?**

6 A. No. In fact, in the same Hedging Order Clarification Guidelines  
7 (Section IV, part d), the Commission acknowledged that, “hedging  
8 can result in significant lost opportunities for savings in the fuel costs  
9 to be paid by customers, if fuel prices actually settle at lower levels  
10 than at the time that hedges were placed.” The Commission went  
11 on to state that it “recognizes this as a reasonable trade-off for  
12 reducing customers’ exposure to fuel cost increases that would  
13 result if fuel prices actually settle at higher levels than when the  
14 hedges were placed.” These statements clearly underscore the fact  
15 that hedging is not designed to reduce fuel costs. Rather, hedging  
16 is a tool that is utilized to control volatility, specifically the volatility of  
17 fuel adjustment charges.

18 **Q. Does FPL’s hedging program balance the goal of reducing**  
19 **customers’ exposure to fuel cost increases against the goal of**  
20 **allowing customers to benefit from falling prices?**

21 A. Yes. This goal is achieved by limiting hedging to only a portion of  
22 the total expected fuel consumption. This balance can be seen in  
23 FPL’s mid-course correction that was filed on March 9, 2015. As

1 natural gas prices declined substantially from the original 2015  
2 projections, FPL was able to decrease fuel charges by  
3 approximately \$218 million from May 1, 2015 through the end of the  
4 year.

5 **Q. Has FPL filed a comprehensive risk management plan for 2016,**  
6 **consistent with the Hedging Order Clarification Guidelines as**  
7 **required by Order No. PSC-08-0667-PAA-EI issued on October**  
8 **8, 2008?**

9 A. Yes. FPL filed its 2016 Risk Management Plan as part of its annual  
10 Fuel Cost Recovery and Capacity Cost Recovery Actual/Estimated  
11 True-Up filing on August 4, 2015. The 2016 Risk Management Plan  
12 was included as Exhibit GJY-3.

13 **Q. Please provide an overview of FPL's 2016 Risk Management**  
14 **Plan.**

15 A. FPL's 2016 Risk Management Plan remains consistent with FPL's  
16 overall objectives that I previously described. It addresses Items 1-9  
17 and 13-15 of Exhibit TFB-4, which is required per the Proposed  
18 Resolution of Issues approved in Order No. PSC-02-1484-FOF-EI  
19 dated October 30, 2002. FPL's 2016 Risk Management Plan  
20 specifically addresses the parameters within which FPL intends to  
21 place hedges during 2016 for its projected natural gas requirements  
22 in 2017. FPL plans to hedge the percentages of its 2017 projected  
23 natural gas requirements over the time periods in 2016 that are

1 described in the plan. As described in the plan, FPL discontinued  
2 heavy fuel oil hedging in 2013 and does not intend to execute  
3 hedges for its 2017 heavy fuel oil requirements.

4 **Q. Are there any modifications to FPL's 2016 Risk Management**  
5 **Plan from prior years?**

6 A. Yes. FPL's 2016 Risk Management Plan has been modified to  
7 include the Woodford Gas Reserves Project I referenced earlier in  
8 my testimony. Gas supply from the Woodford Gas Reserves  
9 Project serves as a long-term physical hedge and the projected  
10 production volumes have been incorporated as such in the  
11 percentage of natural gas that FPL hedges for the 2017 period.  
12 Furthermore, with the approval of the FPL Gas Reserves  
13 Guidelines, also referenced previously in my testimony, FPL's 2016  
14 Risk Management Plan addresses how subsequent gas reserves  
15 projects will be incorporated into the hedging program. Additionally,  
16 FPL's 2016 Risk Management Plan details several process and  
17 reporting requirements that are included in the Gas Reserves  
18 Guidelines.

19  
20  
21  
22  
23

1 **Q. Has FPL filed a Hedging Activity Supplemental Report for 2015,**  
2 **consistent with the Hedging Order Clarification Guidelines, as**  
3 **required by Order No. PSC-08-0667-PAA-EI issued on October**  
4 **8, 2008?**

5 A. Yes. FPL filed its Hedging Activity Supplemental Report for 2015  
6 (January through July) on August 14, 2015. The Hedging Activity  
7 Supplemental Report is identified as Exhibit GJY-4.

8 **Q. Have FPL's 2015 hedging strategies been successful in**  
9 **achieving FPL's hedging objectives?**

10 A. Yes. FPL's hedging strategies have been successful in reducing  
11 fuel price volatility and delivering greater price certainty to its  
12 customers, while also allowing FPL's customers to benefit from  
13 falling fuel prices.

14  
15  
16  
17  
18  
19  
20  
21  
22  
23

1           **THE INCENTIVE MECHANISM**

2   **Q.    Is FPL seeking to recover through the FCR Clause projected**  
3           **incremental operating and maintenance expenses (Incremental**  
4           **Optimization Costs) during the January through December**  
5           **2016 period with respect to implementing its program for**  
6           **expanded short-term wholesale purchases and sales, as well**  
7           **as asset optimization measures (the Incentive Mechanism) that**  
8           **was approved in Order No. PSC-13-0023-S-EI, dated January**  
9           **14, 2013?**

10   **A.    Yes. FPL has included projected Incremental Optimization Costs**  
11           **associated with the Incentive Mechanism in its projections for 2016.**

12   **Q.    What types of Incremental Optimization Costs is FPL entitled to**  
13           **include for recovery through the fuel clause?**

14   **A.    Per Order No. PSC-13-0023-S-EI, FPL is entitled to recover**  
15           **reasonable and prudent Incremental Optimization Costs from two**  
16           **categories: (i) incremental personnel, software and hardware costs**  
17           **associated with managing the various asset optimization activities,**  
18           **and (ii) variable power plant O&M costs incurred to generate**  
19           **additional output in order to make wholesale sales in excess of**  
20           **514,000 MWh.**

21

22

23

1 **Q. Please describe the costs that are included in FPL's**  
2 **projections for incremental personnel, software and hardware**  
3 **expenses.**

4 A. FPL projects to incur incremental expenses of \$409,812 in 2016 for  
5 the salaries and expenses related to employees who were added in  
6 2013 to support the Incentive Mechanism. FPL is also projecting to  
7 incur \$56,800 in expenses for the licensing and maintenance of  
8 OATI WebTrader software. As I described in my testimony last  
9 year, the OATI WebTrader software is a tool used for power trading.  
10 The features of WebTrader facilitate streamlined trade entry,  
11 transmission procurement, power scheduling, and accounting  
12 checkout. FPL expects that the WebTrader software will help FPL  
13 deliver additional value to customers by facilitating speed and  
14 flexibility in the power trading area.

15 **Q. Please describe the costs that are included in FPL's**  
16 **projections for variable power plant O&M expenses.**

17 A. FPL projects to incur incremental expenses related to variable  
18 power plant O&M of \$1,498,826 in 2016. FPL projects to sell  
19 1,506,600 MWh of economy power (Schedule E6) in 2016 which is  
20 992,600 MWh above the 514,000 MWh of such sales that were  
21 projected in FPL's 2013 Test Year and used as a threshold for  
22 power sales in the Incentive Mechanism. Based on data provided  
23 as part of the 2013 Test Year projections, FPL has determined that

1 its incremental variable power plant O&M cost is \$1.51/MWh.  
2 Applying this rate to projected excess sales of 992,600 MWh above  
3 the threshold yields total variable power plant O&M of \$1,498,826 in  
4 2016.

5 **Q. Has FPL included in its 2015 actual-estimated FCR true-up and**  
6 **2016 FCR factors, projections of the savings that it will achieve**  
7 **under the Incentive Mechanism?**

8 A. Yes. FPL has included projections for savings on wholesale power  
9 purchases (Schedule E9), projections for gains on wholesale power  
10 sales (Schedule E6), and projections for other types of asset  
11 optimization measures (Schedule E3 and Capacity Clause-  
12 Transmission of Electricity by Others) for both 2015 and 2016.

13 **Q. What were the results of FPL's asset optimization activities**  
14 **under the Incentive Mechanism in 2014?**

15 A. FPL's asset optimization activities in 2014 delivered total benefits of  
16 \$67,626,867. The total gains exceeded the sharing threshold of \$46  
17 million and, therefore, the gains above \$46 million will be shared  
18 between customers and FPL on a 40%/60% basis, respectively. In  
19 total, customers will receive \$54,190,319 (net after incremental  
20 personnel, software, and hardware expenses are removed). FPL  
21 will receive \$12,976,120 which is included for recovery in FPL's  
22 2016 FCR Clause factors.

23

1 **Q Did the Incentive Mechanism allow FPL to deliver greater value**  
2 **to customers in 2014?**

3 A. Yes. I have compared how customers would have fared under the  
4 prior wholesale-sales sharing mechanism with the results FPL has  
5 achieved under the new Incentive Mechanism. For the purpose of  
6 this comparison, I have included the same savings of \$58 million  
7 from optimization activities for power sales, power purchases and  
8 releases of electric transmission capacity under both mechanisms,  
9 as FPL was engaging in those activities prior to the Commission's  
10 approval of the Incentive Mechanism. For those savings, the  
11 previous sharing mechanism would have yielded net benefits to  
12 FPL's customers of \$50.3 million, while FPL would have retained  
13 \$7.7 million because the three-year rolling average threshold for  
14 wholesale sales would have been exceeded. In contrast, under the  
15 Incentive Mechanism, FPL also is incented to pursue beneficial  
16 natural gas transportation, storage and trading activities. These  
17 activities generated nearly \$12 million of additional savings in  
18 2014. When one takes into account these additional savings, less  
19 FPL's recovery of incremental optimization costs, the result is that  
20 FPL's customers received \$54.2 million of savings under the  
21 Incentive Mechanism. This is \$3.9 million more than customers  
22 would have received if the prior sharing mechanism were still in  
23 effect, clear proof that the Incentive Mechanism is working to deliver

1 added value for customers as FPL and the Commission envisioned  
2 when it was approved.

3

4 **CALCULATION OF FUEL SAVINGS ASSOCIATED WITH THE**  
5 **OPERATION OF PEEC**

6 **Q. Will the operation of PEEC during 2016 result in fuel savings**  
7 **for FPL's customers?**

8 A. Yes. This unit's high efficiency creates substantial fuel savings for  
9 FPL's customers. For the June through December 2016 period, the  
10 operation of PEEC is projected to result in fuel savings for FPL's  
11 customers of \$43,089,540.

12 **Q. How did FPL calculate the projected fuel savings associated**  
13 **with the operation of PEEC?**

14 A. FPL utilized its GenTrader model to quantify the fuel savings  
15 associated with the operation of PEEC. This model is used to  
16 calculate the fuel costs that are included in FPL's projection filing.  
17 The same forecasted fuel prices and other assumptions that are  
18 reflected in the projection filing were used for analyzing the PEEC  
19 fuel savings. In order to calculate the PEEC fuel savings, FPL ran  
20 two separate production cost simulations, one without PEEC and  
21 one with PEEC. A comparison of the total system fuel costs from  
22 GenTrader for the two simulations showed that the fuel costs were  
23 \$43,089,540 lower in the case that included PEEC than in the case

1           without PEEC.

2   **Q.    Does this conclude your testimony?**

3   **A.    Yes it does.**

1 **BY MR. BUTLER:**

2 **Q** Okay. So with that, I would ask Mr. Yupp to  
3 provide his oral summary of his prefiled direct  
4 testimonies.

5 **A** Good afternoon, Commissioners, Chairman Graham  
6 and Commissioners. My testimony addresses FPL's  
7 projections for the dispatched costs and availabilities  
8 of fossil fuels, generating unit heat rates and  
9 availabilities, and the quantities and costs of  
10 wholesale power transactions. Additionally, my  
11 testimony addresses FPL's hedging program, including its  
12 2016 risk management plan, the results of the incentive  
13 mechanism program in 2014, including the projected  
14 incremental O&M costs for 2016, the projected costs of  
15 the Woodford Gas Reserves Project that are included in  
16 FPL's 2016 projection schedules, and, lastly, the  
17 savings associated with the commercial operation of the  
18 Port Everglades Energy Center beginning in June of 2016.

19 In 2016, FPL is projecting that nearly  
20 72 percent of the electricity it produces will be  
21 generated with natural gas. Clearly managing the price  
22 volatility associated with natural gas is of great  
23 importance. The objective of FPL's hedging program is  
24 to reduce fuel price volatility, not to reduce fuel  
25 costs over time.

1 FPL does not engage in speculative hedging  
2 strategies aimed at outguessing the market as FPL cannot  
3 predict future fuel prices. Instead, FPL executes a  
4 well-disciplined independently controlled hedging  
5 program that reduces fuel price volatility and delivers  
6 greater price certainty to FPL's customers.

7 In 2014, FPL's asset optimization activities  
8 under the incentive mechanism delivered approximately  
9 \$67.2 million in total net benefits. The gains over the  
10 \$46 million threshold will be shared between FPL and its  
11 customers, resulting in total net benefits to customers  
12 off \$54.2 million and total benefits to FPL of  
13 \$13 million.

14 A comparison to the previous wholesale sales  
15 sharing mechanism shows that under the new mechanism  
16 customers receive nearly \$4 million more in benefits  
17 than they would have if the old mechanism were still in  
18 place. This demonstrates the new incentive mechanism is  
19 clearly delivering added value for customers as FPL and  
20 the Commission envisioned when it was approved.

21 And, finally, FPL projects that the commercial  
22 operation of the highly efficient Port Everglades Energy  
23 Center beginning in June of 2016 will result in almost  
24 \$40 million in fuel savings for FPL customers for the  
25 June through December 2016 period. And that concludes

1 my summary. Thank you.

2 **MR. BUTLER:** Thank you, Mr. Yupp. I tender  
3 Mr. Yupp for cross-examination.

4 **CHAIRMAN GRAHAM:** Okay. OPC.

5 **MR. SAYLER:** Good afternoon, Mr. Chairman. I  
6 have a process question before I get started.

7 **CHAIRMAN GRAHAM:** Sure.

8 **MR. SAYLER:** Earlier today I distributed four  
9 exhibits that are stipulated interrogatory responses by  
10 FPL, Gulf, TECO and Duke. I can either do all, ask you  
11 to identify and mark all of them now, or do it at each  
12 time the witness goes on the stand, whichever you --

13 **CHAIRMAN GRAHAM:** Let's mark them all now.

14 **MR. SAYLER:** All right.

15 **CHAIRMAN GRAHAM:** Staff, I don't know what  
16 exhibit number we're at right now. Is it 47 or 48?

17 **MR. SAYLER:** I believe it's 115.

18 **CHAIRMAN GRAHAM:** 115. I'm sorry.

19 **MS. BROWNLESS:** Hold on a sec. Haven't these  
20 already been stipulated into the record or no?

21 **MR. SAYLER:** I mean, they agreed to stipulate  
22 them into the record, but for purposes of briefing, it  
23 is helpful to have an exhibit number to reference when  
24 --

25 **MS. BROWNLESS:** Well, there is an exhibit

1 number. I guess that's why I'm confused. The fourth  
2 set of interrogatories are already marked.

3 **MR. SAYLER:** What number?

4 **MS. BROWNLESS:** I've got it. I'm sorry. I'm  
5 confused. Go ahead. I'm sorry. They're not on this  
6 list. Excuse me.

7 **CHAIRMAN GRAHAM:** Okay. What number did we  
8 leave off on?

9 **MS. BROWNLESS:** It's 115.

10 **CHAIRMAN GRAHAM:** So this would be 115 or do  
11 we need to go to 116?

12 **MS. HELTON:** 115 would be the first one to be  
13 marked for OPC.

14 **CHAIRMAN GRAHAM:** Okay. Mr. Sayler, which is  
15 the first one?

16 **MR. SAYLER:** I would say the FPL responses to  
17 OPC interrogatories.

18 **CHAIRMAN GRAHAM:** So that will be 115.

19 **MR. SAYLER:** And it says stipulated exhibit on  
20 it.

21 (Exhibit 115 for marked identification.)

22 The next one would be DEF responses to OPC  
23 interrogatories stipulated exhibit as 116.

24 **CHAIRMAN GRAHAM:** All right.

25 (Exhibit 116 marked for identification.)



1           **A**     Good afternoon. I'm fine. Thank you.

2           **Q**     Are you familiar with the statement, and I  
3 quote, hedging programs are designed to assist in  
4 managing the impacts of fuel price volatility, and  
5 within any given calendar period hedging can result in  
6 gains and losses and over time gains and losses are  
7 expected to offset one another?

8           **A**     Yes.

9           **Q**     Okay. And, Mr. Yupp, from 2002 to 2014 your  
10 company incurred approximately \$3.5 billion in hedging  
11 costs or losses?

12          **A**     No, that's not correct.

13          **Q**     What is the correct number?

14          **A**     I believe the correct number is 3.162 per the  
15 corrected response.

16          **Q**     All right. And that is inclusive of oil and  
17 natural gas?

18          **A**     That's correct.

19          **Q**     But if you were to break out just the natural  
20 gas hedging losses, it would be closer to that  
21 \$3.5 billion number; isn't that correct?

22          **A**     I will have to look for that. Yes, that's  
23 correct.

24          **Q**     Okay. Thank you.

25                   And for 2015, as it relates to natural gas

1 hedging costs or losses, your company is projecting to  
2 incur about 382 million; is that correct?

3 **A** That number was given in an interrogatory  
4 response that has been updated since then.

5 **Q** Okay. What is the updated number?

6 **A** The updated number that I saw on Friday was  
7 approximately 490 million.

8 **Q** 490 or 419?

9 **A** 490.

10 **Q** Okay. And is that due to the continued slide  
11 in the price of natural gas?

12 **A** That is correct.

13 **Q** And you would agree that hedging costs or  
14 losses are solely borne by the customers; is that  
15 correct?

16 **A** That is correct.

17 **Q** Okay. And you would also agree that natural  
18 gas market conditions in 2015 are different from what  
19 they were in 2002 when hedging commenced; is that  
20 correct?

21 **A** I believe that the supply situation at the  
22 current point in time is different with ample supply of  
23 shale gas, yes.

24 **Q** Okay. And you would -- and that leads to my  
25 next question. You would agree that advances in

1 recovering gas from shale formations has increased the  
2 supply since 2002?

3 **A** That is correct.

4 **Q** All right. You would agree that the addition  
5 of shale gas into the market has also decreased the  
6 price of gas.

7 **A** Yes. By default, supply and demand, when  
8 there is adequate supply or in the case that we're in  
9 right now potentially oversupply, prices will decrease.  
10 It's a supply and demand issue, yes.

11 **Q** All right. And the price of natural gas is  
12 lower now than it was in the mid-2000s; is that correct?

13 **A** Yes, it is.

14 **Q** Do you know what the price of natural gas is  
15 today -- or most recent when you checked it?

16 **A** I believe on Friday morning the cash market  
17 was trading in the upper 1.90s. I believe the NYMEX for  
18 2016 is roughly \$2.50, somewhere in that range. I  
19 haven't seen the NYMEX market today, though.

20 **Q** All right. And you would agree that the trend  
21 of fuel price volatility is decreasing at this time.

22 **A** No, I would not.

23 **Q** Okay. And you would agree that your company  
24 does not estimate or forecast the fuel price volatility  
25 of the price of natural gas?

1           **A**     That's correct, we do not. We do, however, as  
2 we stated in our interrogatories, we do use calculated  
3 volatilities based on a 12-month rolling average to put  
4 bands around our fuel forecasts so when we're doing  
5 economic evaluations, we generate a high and low band  
6 forecast using historical volatilities.

7           **Q**     Okay. But you don't forecast volatility going  
8 forward; is that correct?

9           **A**     We do not, no.

10          **Q**     Okay. And a moment ago I asked you the  
11 question about fuel price volatility being decreasing.

12          **A**     Right.

13          **Q**     I know in rebuttal you have this exhibits and  
14 things of that nature, so I will ask you further  
15 questions at that time.

16          **A**     Okay.

17          **Q**     You would also agree that eliminating all fuel  
18 price volatility is not realistic; is that correct?

19          **A**     Eliminating all fuel price volatility?

20          **Q**     Yes. I mean, can you eliminate fuel price  
21 volatility in the market?

22          **A**     Let me make sure I'm clear. Not through  
23 hedging, you're just saying it is -- can fuel price  
24 volatility be zero in the market?

25          **Q**     Correct.

1           **A**     Not that we have seen.

2           **Q**     Okay.  And unless natural gas fuel price  
3 volatility could be guaranteed to be zero, you think  
4 hedging should continue; is that correct?

5           **A**     That is correct.

6           **Q**     When it comes to hedging, does the company  
7 make any profit or return on natural gas financial  
8 hedging transactions entered into between the company  
9 and its hedging counterparties?

10          **A**     No, we do not.

11          **Q**     Okay.  Does the company have any affiliate  
12 relationships with its hedging financial counterparties?

13          **A**     No, we do not.

14          **Q**     Okay.  And does the company have in place  
15 corporate policies and procedures for its employees,  
16 including officers, which help prevent conflicts of  
17 interest as it relates to financial hedging  
18 transactions?

19          **A**     Yes, we do.

20                 **MR. SAYLER:**  All right.  Thank you very much,  
21 Mr. Yupp.  I look forward to it on rebuttal.

22                 **THE WITNESS:**  Okay.

23                 **CHAIRMAN GRAHAM:**  Retail Federation?

24                 **MR. WRIGHT:**  No questions, Mr. Chairman.

25                 Thank you.

1                   **CHAIRMAN GRAHAM:** Mr. Brew.

2                   **MR. BREW:** While I would love to cross-examine  
3 FPL's witness, I'll pass this time.

4                   (Laughter.)

5                   **CHAIRMAN GRAHAM:** Mr. Moyle.

6                   **MR. MOYLE:** I do have some questions. I also  
7 have an exhibit I'd like to use with this witness.

8                   **CHAIRMAN GRAHAM:** Sure.

9                   **MR. SAYLER:** Mr. Chairman, while they're  
10 passing out that exhibit, were Exhibits 115 through 118  
11 officially moved into the record, or do we do that at  
12 the end of --

13                   **CHAIRMAN GRAHAM:** We do it at the end.

14                   **MR. SAYLER:** Okay.

15                   **CHAIRMAN GRAHAM:** Mr. Moyle, we'll give your  
16 exhibit number 119.

17                   **MR. MOYLE:** Okay. Thank you, Mr. Chairman.

18                   (Exhibit 119 for marked identification.)

19                   **CHAIRMAN GRAHAM:** Did you purposely make this  
20 small?

21                   (Laughter.)

22                   **MR. MOYLE:** You've got to get the handy  
23 readers.

24   **EXAMINATION**

25

1 **BY MR. MOYLE:**

2 **Q** So, anyway, I do have some questions for you,  
3 Mr. Yupp, about Exhibit 119.

4 But let me just start by asking you a couple  
5 of general questions. You said on Friday you looked and  
6 the cash market price for natural gas was below \$2 per  
7 million Btus; is that right?

8 **A** That is correct.

9 **Q** And can market prices -- is it your experience  
10 as an expert in hedging, can market prices be below  
11 production cost prices?

12 **A** I would say that market prices could not be  
13 below production costs for any extended period of time.  
14 I would think that maybe some of the stronger financial  
15 producers could withstand that, but I wouldn't think  
16 that would happen for an extended period of time, no.

17 **Q** And you also, I think, just said that NYMEX is  
18 showing not production costs but market costs for the  
19 year 2016 at 2.50 per million Btu; is that right?

20 **A** That is correct.

21 **Q** And so given your previous response, you would  
22 assume that 2.50 is above production cost levels;  
23 correct? That's an extended period of time. That's for  
24 the whole year.

25 **A** No, I wouldn't assume that at all. I think

1 production costs obviously vary amongst producers, but  
2 that's what's built into the market right now. Will it  
3 last that -- will it stay that way? We don't know, so  
4 --

5 Q Right. And I'm just trying to understand with  
6 respect to your testimony that I don't think that they  
7 sell below their production costs maybe except for short  
8 periods of time, what you consider a short period of  
9 time to be.

10 A I don't know. I think that would vary with  
11 each producer on how long they could handle doing that.  
12 So I don't have an exact time frame on how long that  
13 might be.

14 Q Do you have any information about how  
15 production costs relate to a 2.50 annual projected cost  
16 for natural gas for 2016?

17 A I can see what our effective production --  
18 well, I shouldn't say that -- what our effective  
19 delivered cost is to another pipeline coming out of our  
20 gas reserves transaction, yes.

21 Q How can you see that?

22 A It's filed in our projection filing for 2016.

23 Q What are your Woodford projected production  
24 costs for 2016?

25 A I don't know the specific production cost. I

1 did not calculate that. The delivered cost to the  
2 Perryville Hub at the, I'll say inlet of the Southeast  
3 Supply Header pipeline was roughly in \$2.70 range, so  
4 there's transport included in that.

5 Q And how much trans -- what do you call it,  
6 transporting?

7 A Yes. That number would be confidential.

8 Q Do you want to write it on a piece of paper  
9 for me?

10 A No.

11 Q I'll keep it confidential.

12 I assume it's a positive number; correct?

13 A Yes.

14 Q How much are you asking that the Commission  
15 allow you to recover for Woodford?

16 A The total number is \$57.6 million in 2016.

17 Q What about 2015?

18 A 2015, there's a combination of actuals and  
19 estimates right now. I don't recall what the total  
20 number was in our estimated/actual filing. I can tell  
21 you just looking at the actuals with the estimates now,  
22 which would be a couple more months of actuals from when  
23 we made the filing, it would be roughly in the, I want  
24 to say, including transportation, probably \$31 million  
25 range.

1           **Q**     Any 2014 costs?

2           **A**     Not that I'm aware of, no.

3           **Q**     So the sum of those two numbers would be what  
4     you're asking to be recovered for Woodford in 2015 and  
5     '16, 31 million and 57.6?

6           **A**     Roughly, yes.

7           **Q**     Okay. And did ratepayers save money as a  
8     result of Woodford in 2015 based on your actuals and  
9     projected?

10          **A**     In 2015 to date, no, there -- in calculating  
11     hedging gains or opportunity costs, the Woodford project  
12     was more expensive than the market. That's based on a  
13     market that fell over \$1.50 from the time that we began  
14     the project.

15                 The other thing that I think I need to  
16     clarify, because our results are out there on a monthly  
17     basis and we have actually just updated with staff  
18     actuals, the startup year of the Woodford project, I'll  
19     describe prices as fairly choppy because of the timing  
20     differences in the dollars that were being spent with  
21     production. So with those differences, we see effective  
22     costs that are really all over the place, from 6.50 to  
23     12.50 and back down to three dollars and change.

24                 So while the numbers are what they are in  
25     2015, it is a startup phase. What we're looking at by

1 the end of the year for a total effective delivered cost  
2 to Perryville, we should be very close to the range that  
3 we first projected. What we're seeing then on a very  
4 positive front is that drilling and completion costs are  
5 coming in lower than what were projected when we came  
6 here for approval, so costs are down.

7 We're also seeing that the -- there's been a  
8 re-estimation now of volumes, and we believe that we are  
9 going to get more volume than what we originally  
10 projected from the Woodford area. So, again, on a  
11 positive note, costs are down, volumes are up. And so  
12 the Woodford project, while, you know, we talk about  
13 comparing it to the market, the market has fallen over  
14 \$1.50. Woodford, from a hedging -- is more than just  
15 from a hedging perspective. Certainly it can provide  
16 that physical hedge, but it is a long-term stable cost  
17 of volume of natural gas. It's a low price stable cost,  
18 so it's very beneficial to customers in our opinion.

19 **Q** What's the low price stable cost?

20 **A** I think next year, looking at costs that are  
21 in that \$2.70 range, that is low price stable cost. So  
22 when you look at that price out over a given number of  
23 years, the bottom line is that the price of Woodford is  
24 disconnected from market prices. And so I would term in  
25 the -- you know, for next year \$2.70 or in that range as

1 low cost and stable.

2 Q Okay. So then based on the numbers you've  
3 shared with me today, it's only a 20-cent megawatt -- or  
4 20-cent-per-million Btu loss if you go with the NYMEX  
5 2.50 projected 2016 compared to the 2.70 production  
6 cost; is that right?

7 A As of today.

8 Q Okay.

9 A That would assume that NYMEX was going to  
10 settle at that cost.

11 Q All right. And the 2.70, is that the  
12 production cost, just to be clear?

13 A That is a delivered cost.

14 Q So what's the difference between the delivered  
15 cost and the production cost?

16 A I would term the production cost as what's  
17 coming out of the well. The delivered cost that we use  
18 on our exhibits that we update, that we actually updated  
19 for OPC and for staff include an effective delivered  
20 cost, which is the cost of gas including transportation  
21 delivered to the Perryville Hub or to the SESH pipeline.

22 Q And what's that number?

23 A That is the number I'm quoting to you.

24 Q 2.70?

25 A Yeah.

1           **Q**     Okay.  So the question -- and I appreciate --  
2     you know, the Chair has always said, you know, if you  
3     want the witness to stop, tell him to stop.  And you  
4     gave a very lengthy answer and that was okay.

5           **A**     Uh-huh.

6           **Q**     But the question I think I asked you was for  
7     2015 what was the bottom line with respect to Woodford  
8     vis-a-vis ratepayer savings if there were any savings at  
9     all?  It sounds like there were not savings; am I  
10    correct?

11          **A**     No, there were not.

12          **Q**     Okay.  So what was the loss?

13          **A**     The updated number actuals through September,  
14    I believe, is \$5.5 million.

15          **Q**     Okay.  And then the same question with respect  
16    to 2016.  What's the projected savings or loss as it  
17    relates to Woodford for 2016?

18          **A**     I haven't looked.  I haven't looked at that  
19    number.

20          **Q**     How -- could you calculate that number if we  
21    used the 2.70 that you've been talking about and compare  
22    it to the NYMEX 2.50, that would -- you just figure out  
23    the production number?

24          **A**     Yes, that's correct.  You could.

25          **Q**     So that would indicate that it's projected

1 that there would also be a loss for customers related to  
2 Woodford in 2016; correct?

3 **A** At this point in time, correct.

4 **Q** Did you provide testimony in the Woodford  
5 case?

6 **A** I did not.

7 **Q** Did you follow the case?

8 **A** To the extent I could outside of what my  
9 responsibilities are.

10 **Q** And you had talked about the 3.48. I was  
11 using 3.50.

12 **A** Uh-huh.

13 **Q** It was my impression that there was a  
14 suggestion that the production costs were going to stay  
15 relatively flat over time, that that was what people  
16 were anticipating, but you're telling me, no, I think it  
17 actually is probably 80 cents that can get cut off the  
18 production cost; is that right?

19 **A** They have come in lower, yes. The updated  
20 exhibit, SF-8, as I'll refer to it, that we just had  
21 provided to staff in an interrogatory response shows  
22 it -- it is roughly in that ball park. Over the life of  
23 the project it should be 75 to 80 cents, I believe,  
24 lower.

25 **Q** Well, I guess you would view that as good news

1 in that the ratepayers are projected to lose less money  
2 now as compared to they would if it was at 3.50, right,  
3 if production costs were at 3.50?

4 **A** Can you repeat that, please?

5 **Q** Sure. The updated projections suggest that  
6 ratepayers will lose less money at \$2.70 production cost  
7 as compared to \$3.50 production cost; right?

8 **MR. BUTLER:** Are you referring to 2016  
9 particularly, Jon?

10 **MR. MOYLE:** Yes.

11 **THE WITNESS:** Yeah. I can't say whether  
12 customers are going to lose money or not in 2016. It  
13 hasn't happened yet.

14 **BY MR. MOYLE:**

15 **Q** Right.

16 **A** But certainly to your point, just  
17 mathematically, yes, if production costs are less and  
18 the market is less than the cost of production, then the  
19 better -- the lower the production cost, the better it  
20 is, yes.

21 **Q** Okay. Have you tallied, you know, since 2002,  
22 and I'm just going to use losses and gains, are you okay  
23 if I use the phrase "losses and gains" to talk about the  
24 results of hedging?

25 **A** I prefer opportunity costs, but if you'd like

1 to use losses, that's fine.

2 Q Okay. Thank you for that. So what is the  
3 total loss or gain since 2002 to the best information  
4 that you have today as a result of hedging?

5 A For FPL's hedging program for all those years?

6 Q For hedging program for those years for  
7 natural gas.

8 A \$3.1 billion or 3.2 rounded up loss.

9 MR. BUTLER: And, Jon, you were asking  
10 specifically for natural gas over the program as a  
11 whole?

12 MR. MOYLE: I asked for natural gas.

13 THE WITNESS: Oh, you wanted specifically  
14 natural gas. 3.5.

15 BY MR. MOYLE:

16 Q Okay. And I think you said 2015, you just  
17 gave an updated number to OPC of a loss of 490 million;  
18 is that right?

19 A Correct. Now that is based on months through  
20 September of actuals, October will soon become realized  
21 or confirmed, and two months of -- at the time two  
22 months of estimates, yes.

23 Q Do you expect the October numbers to drive the  
24 490 number up?

25 A No, I do not.

1 Q Do you expect it to drive it down?

2 A No. October -- I should clarify. The number  
3 that I looked at, October is already realized. It will  
4 just get confirmed. So it comes in on a reporting basis  
5 as realized, but that number will not change. And then  
6 November just came off of the -- or NYMEX settled. I'm  
7 trying to remember the report I looked at. I don't  
8 believe NYMEX had settled yet, so I believe November and  
9 December would have been estimates.

10 Q Okay. So just so I'm clear, the 490 number  
11 does include what happened in October; right?

12 A Yes. That would be our -- I guess to clarify,  
13 that would be our best estimate of where 2015 will end.

14 Q Okay. And then the 3.5 billion loss since  
15 hedging has been done --

16 A On natural gas.

17 Q -- on natural gas --

18 A Right.

19 Q -- did that include the 490 number, the  
20 updated 490?

21 A No, it does not.

22 Q Okay. So what would you have to do, what  
23 would that do to the 3.5 billion?

24 A We would add 490 to it.

25 Q Okay. So that would make it 3.55 billion

1 roughly?

2 **A** 490 million, it would make it 3.9 billion or  
3 3.99.

4 **Q** Can we just call it 4 billion?

5 **A** We can.

6 **Q** Is that -- agree?

7 **CHAIRMAN GRAHAM:** Yes.

8 **THE WITNESS:** Yes, I think that's what it  
9 would be.

10 **BY MR. MOYLE:**

11 **Q** Thank you. Sometimes the millions and  
12 billions get a little confusing for me, so thanks for  
13 the clarity.

14 All right. So let's take a look at that  
15 Exhibit, if we could. So this is an exhibit, I'll  
16 represent to you, E&Y is Ernst & Young. It's entitled  
17 "The Pros and Cons of Hedging." And I'm assuming, given  
18 our prior conversation, that you're okay if I ask you  
19 some questions about the pros and cons of hedging?

20 **A** Yes.

21 (Transcript continues in sequence with Volume  
22 3.)

23

24

25

1 STATE OF FLORIDA )  
2 COUNTY OF LEON ) : CERTIFICATE OF REPORTER

3  
4 I, LINDA BOLES, CRR, RPR, Official Commission  
5 Reporter, do hereby certify that the foregoing  
6 proceeding was heard at the time and place herein  
7 stated.

8 IT IS FURTHER CERTIFIED that I  
9 stenographically reported the said proceedings; that the  
10 same has been transcribed under my direct supervision;  
11 and that this transcript constitutes a true  
12 transcription of my notes of said proceedings.

13 I FURTHER CERTIFY that I am not a relative,  
14 employee, attorney or counsel of any of the parties, nor  
15 am I a relative or employee of any of the parties'  
16 attorney or counsel connected with the action, nor am I  
17 financially interested in the action.

18 DATED THIS 3rd of November, 2015.

19  
20  
21  
22  
23  
24  
25  


LINDA BOLES, CRR, RPR  
FPSC Official Hearings Reporter  
(850) 413-6734