



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## I N D E X

## WITNESSES

NAME:

PAGE NO.

HECTOR SANCHEZ

Continued Examination by Mr. Lenoff	427
Examination by Ms. Christensen	495
Examination by Ms. Cuello	503
Examination by Mr. Donaldson	513

STEVEN SIM

Examination by Mr. Cox	539
Prefiled rebuttal testimony inserted	541
Examination by Mr. Lenoff	599
Examination by Ms. Christensen	613
Examination by Mr. Cox	616

	EXHIBITS		
2	NUMBER:	ID	ADMITTED
3	61 - (as identified in a previous volume)		534
4	68 - Attachment 1 of FPL's response to Sierra Club's Interrogatory		537
5	No. 60		
6	69 - Deposition of Dr. Sim's dated December 4th, 2017	446	
7			
8	70 - Deposition of Mr. Sanchez, dated January 8th, 2018, Page 60	469	
9	71 - FPL's response to Sierra Club's Fourth Interrogatory,	602	621
10	Nos. 36 and 37		
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 P R O C E E D I N G

2 (Transcript follows in sequence from  
3 Volume 2.)

4 CHAIRMAN GRAHAM: Mr. Sanchez, do you have  
5 that document?

6 THE WITNESS: Yes, I do.

7 CHAIRMAN GRAHAM: Okay.

8 CONTINUED EXAMINATION

9 BY MR. LENOFF:

10 Q So, Mr. Sanchez, do you recognize this  
11 document as one of the work papers you identified in  
12 response to Sierra Club's Interrogatory Response No. 60?

13 A Yes, I do.

14 Q And that interrogatory asked you to identify  
15 any work papers that support or relate to any rebuttal  
16 testimony filed in this proceeding, correct?

17 A Correct.

18 Q So, Mr. Sanchez, on the second sheet, in Cell  
19 P41, the text states, quote -- or -- okay. The text  
20 states, "From 2017 LFP80 NCP division peak, which  
21 corresponds to P50NCP above and in DBEC 000033, from  
22 Kevin Donaldson e-mail"; is that correct?

23 A I'm sorry. Could you --

24 Q Cell P41 on the second sheet.

25 A T41 [sic]. Correct.

1           Q     So -- okay. Just to make sure we're on the  
2 same page, the last three words in that -- or the last  
3 four words in that text say, from Kevin Donaldson  
4 e-mail. Are we looking at the same cell?

5           A     Yes, it is.

6           Q     Okay. And the text in that cell refers to the  
7 data immediately to the left of Cell P41, correct?

8           A     I don't know if it refers exactly to that.  
9 I -- I read the numbers.

10          Q     Okay. That -- that text refers to data that  
11 is presented in your work paper; is that correct?

12          A     That is correct.

13          Q     And is Kevin Donaldson one of the attorneys in  
14 this case?

15          A     Yes, he is.

16          Q     And did Mr. Donaldson send you the e-mail  
17 referenced in the worksheet after you submitted your  
18 testimony?

19          A     To be honest with you, I really don't  
20 remember. And I really didn't focus on that part of the  
21 cells.

22          Q     Did you prepare this worksheet?

23          A     No, I had -- other people prepared it for me.

24          Q     Were they under your supervision?

25          A     Not directly.

1 Q So, is this a work paper --

2 A Yes, it is.

3 Q -- that you produced -- that you -- this is a  
4 work paper that you used?

5 A Yes, it is.

6 Q When was the first time you saw this work  
7 paper?

8 A Sometime around December -- late November,  
9 early December.

10 Q Give me one moment.

11 And you -- in the FPL's declarations, in  
12 response to Sierra Club's Interrogatory No. 60, you  
13 certified this -- you -- you sponsored this response; is  
14 that correct?

15 A That's correct. I sponsored the numbers as  
16 being correct.

17 Q And so, you -- FPL has a lot of data that you  
18 could use for your analysis; is that correct?

19 A I would imagine, yes.

20 Q But you used the data that came from the  
21 attorneys; is that correct?

22 A I did -- well, if you're saying because it  
23 says that, I guess you could infer it came from the  
24 attorneys. I don't think the attorneys prepare what the  
25 load forecast is.

1 I think Witness Feldman, for example, prepares  
2 the load forecast.

3 Q Right. But we established that this text  
4 corresponds to the data that is in the work paper that  
5 you used, right?

6 A Yes.

7 Q Okay. Do FPL's attorneys typically provide  
8 the data that you use for your analysis?

9 A No.

10 Q When -- oh. Was that the first time that you  
11 received data from the attorneys for this case?

12 A I don't recall if it was the first time or --

13 Q So, it has happened before.

14 A It could have or it could have happened after.

15 Q And is there any message that goes along with  
16 the data that is sent to you by the FPL attorneys?

17 A I don't understand what you mean by "method."

18 Q Message. Message.

19 A Message? I don't know, besides an e-mail with  
20 the attachment.

21 Q Did you receive the e-mail?

22 A I received it some way. It might have been an  
23 e-mail or it might have been provided to me. I don't  
24 remember.

25 Q All right. So, when the data was received

1 from FPL's attorneys, was that the first time that you  
2 had seen the data?

3 A I don't remember if it was the first time I  
4 had seen the data.

5 Q Okay. So, you're -- thank you for that. Your  
6 testimony employs a P80 load forecast; is that correct?

7 A That is correct.

8 Q And the P80 load forecast that you used will  
9 result in a summer load forecast that is approximately  
10 200 megawatts higher than the P50 load forecast; is that  
11 correct?

12 A That's correct. As I mention in my testimony,  
13 the reason, from an operations perspective, that you use  
14 a P80 is because you take into consideration the non-  
15 coincidence of the load.

16 For example, it may be hotter in southeast  
17 Florida than it may be in central or northern or western  
18 Florida at a particular time, due to the weather  
19 pattern. So, we still have to serve load in southeast  
20 Florida under that, you know, condition. So, therefore,  
21 we use a P80.

22 That still means that, 20 percent of the time,  
23 we may still be short, but it does provide, in essence,  
24 not a margin, but it -- what it says is, 80 percent of  
25 the time, I am going to be at least close to that load.

1           **Q     When you say short, you mean, have to curtail**  
2 **load; is that correct?**

3           A     Well, what it means is that, when I plan,  
4 operationally, I plan to serve at least 80 percent of  
5 the -- of the time. It provides me an additional margin  
6 to ensure that I could provide service to customers when  
7 I'm looking ahead.

8                     Now, you've got to remember --

9           **Q     That's --**

10          A     -- that --

11          **Q     That's okay.**

12          A     Excuse me, if I may. You've got to remember  
13 that past, really, five to seven days, you really do not  
14 have a weather forecast, which is one of the main  
15 drivers of the load.

16                     So, what we do is we take statistical numbers  
17 provided by Mr. Feldman and, in essence, from a P50 --

18          **Q     I -- I think you've gone way beyond my**  
19 **question. So, I'm just going to stop you --**

20          A     Oh, but if I could explain --

21          **Q     That's okay.**

22                     **CHAIRMAN GRAHAM: Mr. -- Mr. Sanchez --**

23                     **Mr. Sanchez --**

24                     **THE WITNESS: Yes.**

25                     **CHAIRMAN GRAHAM: Over here.**

1 THE WITNESS: I'm sorry.

2 CHAIRMAN GRAHAM: When you're asked a  
3 question, our rules here, for the most part, is to  
4 answer yes or no, if you can. If you don't  
5 understand it, you can ask them to restate it or  
6 you can restate it as you understood it, and then  
7 give a brief one- or two-sentence explanation to  
8 that yes or no.

9 Now, I'll allow for you to editorialize as  
10 long as you want, but some attorneys do not want to  
11 hear all that extra. So, it sounds like Mr. Lenoff  
12 just wants you to answer yes or no or and then a  
13 brief summary on why it's a yes or no.

14 THE WITNESS: Thank you, Chairman.

15 MR. LENOFF: Thank you, Mr. Chairman.

16 BY MR. LENOFF:

17 Q The P50 forecast is used in, quote, "resource  
18 assessments," end quote, like that performed by Dr. Sim,  
19 correct?

20 A That is correct, in the long-term planning.

21 Q Okay. And you considered two different P80  
22 forecasts for Broward County for your analysis in this  
23 docket, correct?

24 A No, it was one P80.

25 Q Okay. Based on that, Mr. Sanchez, I would

1 like you to refer back to the same document that we  
2 marked as 68, Exhibit 68. So, this second sheet --  
3 sticking with this second sheet -- includes data on,  
4 among other things, P80 load forecasts; is that correct?

5 A That is correct.

6 Q And on the second sheet, in Row 30, do you see  
7 the heading "RAP load forecast summer non-coincident  
8 peaks-P80 (LAP)"?

9 A Yes, I do.

10 Q And underneath that heading, in Rows 41  
11 through 43, you see load forecasts for Broward and  
12 Miami-Dade; is that correct?

13 A That is correct.

14 Q Okay. Thank you.

15 So, now, I would like you turn to the first  
16 page in the exhibit -- also looks like a spreadsheet.  
17 It's more-zoomed-in because it doesn't include the text  
18 that we discussed before.

19 In Row 28, do you see the heading, "RAP load  
20 forecast summer non-coincident peaks-P80 (LAP)."

21 A That is correct.

22 Q And that's the same heading as on the other  
23 sheet, correct?

24 A That is correct.

25 Q And sticking with the first sheet, we, again,

1 see load forecasts for Broward and Miami-Dade, this time  
2 in Rows 39 through 41, under the same heading, correct?

3 A That is correct.

4 Q But the load forecasts for Broward and Miami-  
5 Dade on the first sheet are different from the load  
6 forecasts on the second sheet, correct?

7 A That is correct.

8 Q Okay. So, earlier you said that you did not  
9 consider two different P80 load forecasts, and I just --  
10 maybe I'll give you a chance to correct your answer to  
11 that because, based on -- you have two work papers that  
12 you provided to us, and they have different numbers for  
13 the P80 load forecasts. So, would you like to correct  
14 your answer from before?

15 A I believe the two different load forecasts --  
16 one is P80 and subject -- maybe Dr. Sim can clarify  
17 after. The one I used is an operational one relative to  
18 weather patterns, weather being the difference.

19 There's another P80 that's relative, I  
20 believe, to 80th-percent probability that the  
21 forecast -- the long-term forecast could be off.

22 Q Okay. Well, we can maybe get into that in a  
23 moment, but why would Dr. Sim be able to explain your  
24 work papers?

25 A Excuse me. Could you an- -- ask that again?

1           **Q**     **Why would Dr. Sim be able to explain your work**  
2     **paper -- you told me I could maybe ask Dr. Sim. I'm**  
3     **asking about your work papers.**

4           A     I don't know if this was sponsored just by  
5     myself or by -- (examining document). If you could,  
6     give me a second, please.

7           **Q**     **Sure.**

8           MR. DONALDSON: I -- I can actually help with  
9     this. This was sponsored by Dr. Sim.

10          CHAIRMAN GRAHAM: So, you're saying Dr. Sim  
11     would be able to answer this question?

12          MR. LENOFF: Can I -- can I --

13          MR. DONALDSON: That he was the -- he was the  
14     declarant for Sierra Club's Interrogatory No. 60.  
15     So, he would be able to explain whatever forecasts  
16     these are.

17          CHAIRMAN GRAHAM: So, Dr. Sim is the one to --  
18     that sponsored the answer to this interrogatory.

19          MR. DONALDSON: Yes, sir.

20          THE WITNESS: Thank you.

21     BY MR. LENOFF:

22           **Q**     **Mr. Sanchez, do you normally have other**  
23     **witnesses sponsor your own work papers?**

24           A     I normally don't testify.

25                 (Laughter.)

1 Q Neither do I.

2 MR. DONALDSON: Let me -- let me -- let me --

3 Q Is this the first time that you're seeing this  
4 first sheet of the work paper?

5 A Yes. I believe the second sheet --

6 MR. DONALDSON: I -- I apologize.

7 A I think --

8 MR. DONALDSON: I misspoke. It was sponsored  
9 by Dr. Sim and Mr. Sanchez, just for clarity of the  
10 record.

11 MR. LENOFF: Okay. Thank you.

12 CHAIRMAN GRAHAM: Okay. Go ahead.

13 MR. LENOFF: Thanks.

14 CHAIRMAN GRAHAM: I was going to say move on,  
15 but he just said it was both of them, so continue.

16 MR. LENOFF: Thank you, Mr. Chairman. I have  
17 only a few more questions about this.

18 CHAIRMAN GRAHAM: Sure.

19 BY MR. LENOFF:

20 Q I'm just trying to understand why -- first  
21 off, can -- can you explain to me why the -- you gave me  
22 this explanation about one of them has weather-  
23 normalized and one of them does not; is that correct?

24 A Correct.

25 Q Okay. The data in the second sheet is the

1 data that you received from Mr. Kevin Donaldson;  
2 that's -- right? We established that.

3 A I guess it says that -- that it was by Kevin  
4 Donaldson to -- I don't remember if it was provided to  
5 me by Kevin Donaldson.

6 Q And the data in the second sheet is the one  
7 that you used for your analysis, correct?

8 A (Examining document.)

9 Q I --

10 A If I may check --

11 Q Yeah, I -- I mean --

12 A I'm trying to give you --

13 Q I --

14 A -- calculate the numbers here to what I have  
15 here.

16 Q Okay. Take your time.

17 MR. DONALDSON: Mr. Chairman, for the sake  
18 of --

19 A Correct.

20 MR. DONALDSON: -- moving this along -- I  
21 mean, I can certainly explain --

22 MR. LENOFF: Mr. -- that's --

23 MR. DONALDSON: -- where the document --

24 MR. LENOFF: The -- Mr. --

25 MR. DONALDSON: I'm -- I'm at least talking to

1 the Chairman right now.

2 MR. LENOFF: Okay.

3 MR. DONALDSON: So, if you give me an  
4 opportunity to --

5 MR. LENOFF: Sure.

6 MR. DONALDSON: And then you can respond --  
7 where the source of the document comes from, that  
8 way it can provide some clarity.

9 CHAIRMAN GRAHAM: I think the question he's  
10 asking right now -- and it seems to be a pretty  
11 straightforward question, to me -- was, of these  
12 sheets, Sheets No. 2 and Sheets No. 3, which one  
13 did you use for your calculation. And I think  
14 he's --

15 MR. DONALDSON: Okay. I thought there was a  
16 question of whether the attorney is -- is creating  
17 documents or things of that nature. And I just  
18 wanted to provide clarity on where the document --

19 CHAIRMAN GRAHAM: Well, no, that's fine.

20 MR. DONALDSON: Okay.

21 CHAIRMAN GRAHAM: I mean, that was -- I think  
22 that was asked and answered. Right now, he's just  
23 trying to ask him the question --

24 MR. DONALDSON: Okay. Certainly.

25 CHAIRMAN GRAHAM: -- what's on these two

1 sheets he used.

2 MR. DONALDSON: Okay.

3 MR. LENOFF: Thank you.

4 THE WITNESS: Correct. I apologize. I was  
5 going to my testimony. 10/22 -- correct.

6 MR. LENOFF: Okay. And that's all the  
7 questions for this.

8 CHAIRMAN GRAHAM: Okay.

9 MR. LENOFF: Thank you.

10 CHAIRMAN GRAHAM: OPC.

11 MR. LENOFF: Well, not -- not for this  
12 witness.

13 CHAIRMAN GRAHAM: Oh. Sorry.

14 MR. LENOFF: For this exhibit. Great. Thank  
15 you. Thank you. Yeah. Thank you, Mr. Chairman.

16 BY MR. LENOFF:

17 **Q Okay. You are, Mr. Sanchez, unable to**  
18 **identify any situations in which increased generation in**  
19 **a particular area would have avoided the loss of power**  
20 **to customers arising from a hurricane, correct?**

21 A Hurricanes have caused a lot of customer  
22 outages, so --

23 **Q I'm not --**

24 A I'm trying to understand what you're asking.

25 **Q Okay. So, I'll just restate the question.**

1 You are unable to identify any situations in which  
2 increased generation in a particular area would have  
3 avoided the loss of power to customers arising from a  
4 hurricane; so, focusing on the increased generation in a  
5 particular area.

6 A Relative to the 2004 and 2005 seasons and 2016  
7 and '17 seasons, which were -- when I was involved in  
8 this, I don't recall an instance where having additional  
9 generation in this particular area would have resulted  
10 in, you know, additional customers being able to be  
11 connected.

12 I guess, in 2004, 2005, the customers were out  
13 for -- you know, not because of the generation issues.

14 MR. LENOFF: Okay. So, I'm -- Mr. Chairman,  
15 I'm not sure I got a yes or a no answer to that  
16 question.

17 CHAIRMAN GRAHAM: I don't think he understood  
18 the question.

19 MR. LENOFF: Okay.

20 CHAIRMAN GRAHAM: He was just trying to --

21 MR. LENOFF: Right.

22 CHAIRMAN GRAHAM: -- understand the question  
23 you asked.

24 BY MR. LENOFF:

25 Q So, you are -- I'm going to ask it and just --

1 you are unable to identify a situation in which  
2 increased generation in a particular area would have  
3 avoided the loss of power to customers arising from a  
4 hurricane?

5 A That is correct. Historically, no, I cannot  
6 identify one. I can identify a potential one,  
7 historically, which was Hurricane Mitchell last year --  
8 or actually in 2016. Potentially, it could have come up  
9 in through -- the -- the forecast was it was going to  
10 come into Palm Beach County and continue north along the  
11 coast.

12 We had a -- a legitimate concern that, at that  
13 point, Dade and Broward County would have been  
14 unscathed, practically. And the resources north of  
15 Broward County and transmission lines north of Broward  
16 County would have been -- could have been damaged and we  
17 would have had challenges bringing in additional power  
18 to Dade and Broward County.

19 Q Okay. So, that is not an instance where  
20 increased generation in a particular area would have  
21 avoided the loss of power to customers arising from a  
22 Hurricane, correct?

23 A That's correct. It was a risk.

24 Q Okay. So, in your testimony, at Page 5, you  
25 conclude that, quote, "Constructing and Commissioning

1 the DBEC Unit 7 within this four-year schedule minimizes  
2 the operational risk to the FPL system in providing  
3 reliable service to customers in Miami-Dade and Broward  
4 Counties, (the southeastern-Florida region), one of the  
5 largest metropolitan areas in the U.S.," end quote,  
6 correct?

7 A That's correct.

8 Q And that is a conclusion about projected  
9 regional reliability, correct?

10 A Correct.

11 Q In your testimony, you refer to, quote, "area  
12 reliability margin," end quote, yes?

13 A That is correct.

14 Q And for purposes of your testimony, the  
15 relevant, quote, "area," end quote is southeast Florida,  
16 yes?

17 A Yes, that is correct.

18 Q And at your deposition, you and Ms. Kaplan  
19 discussed how to calculate the projected area  
20 reliability margin for southeast Florida, yes?

21 A Yes, that is correct.

22 Q And you said that the calculation starts with  
23 the sum of the projected generation within the area and  
24 the projected transmission import capability into the  
25 area, correct?

1           A     That is the import -- that is as load-serving  
2     capability; that is not the margin.

3           Q     That's the -- but the calculation begins with  
4     that.

5           A     Correct.

6           Q     And then, from that -- from that sum, FPL's  
7     projected load-serving obligations in the relevant area  
8     must be subtracted.

9           A     That is correct.

10          Q     And that results in the area reliability  
11     margin?

12          A     Yes, that's correct.

13          Q     So, as applied to southeast Florida, the  
14     calculation requires the sum of projected generation in  
15     southeast Florida, the projected transmission capacity  
16     into southeast Florida, and FPL's projected load  
17     obligations in southeast Florida, correct?

18          A     That's correct.

19          Q     And using that calculation, you reached your  
20     conclusion about projected regional reliability,  
21     correct?

22          A     That is correct.

23                 MR. LENOFF: Okay. So, I would like you to  
24     please refer to the following excerpt from  
25     Dr. Sim's December 4th, deposition.

1           And Mr. Chairman, I would like to mark this as  
2           Exhibit No. 69.

3           CHAIRMAN GRAHAM: Okay. I'll do that, but I  
4           thought you said earlier no more math.

5           MR. LENOFF: I hope not.

6           CHAIRMAN GRAHAM: Okay.

7           MR. DONALDSON: Well --

8           MR. LENOFF: Thank you, Mr. Chairman.

9           MR. DONALDSON: Can -- can I at least object  
10          to the use of another individual's deposition for  
11          this witness? I don't know how you use someone  
12          else's deposition, unless he's trying to use it for  
13          purposes of impeachment or things of that nature.  
14          It's not his testimony.

15          CHAIRMAN GRAHAM: I -- I note your objection.  
16          Let's see where he -- the question he's asked, and  
17          we can continue from there.

18          MR. DONALDSON: Just at least wanted to get my  
19          preliminary objection out.

20          CHAIRMAN GRAHAM: No, I understand. I  
21          understand what you're doing.

22          MR. DONALDSON: Yes.

23          CHAIRMAN GRAHAM: Okay. So, this is going to  
24          be No. 69, and deposition of Dr. Sim December 4th,  
25          2017.

1 MR. LENOFF: Yes, sir.

2 (Whereupon, Exhibit No. 69 was marked for  
3 identification.)

4 CHAIRMAN GRAHAM: Mr. Sanchez, do you have a  
5 copy of this?

6 THE WITNESS: Yes, I do, Chairman.

7 CHAIRMAN GRAHAM: Mr. Lenoff.

8 MR. LENOFF: Thank you, Mr. Chairman.

9 BY MR. LENOFF:

10 Q ~~So, Mr. Sanchez, please confirm that the~~  
11 ~~transcript states the following, from Page 21, Lines 20~~  
12 ~~to 25, to Page 22, Lines 1 through 4.~~

13 ~~Question, "So, for example, the fact that, in~~  
14 ~~this document, we just identified that the non-~~  
15 ~~coincident peak in South Florida in 2025 is projected to~~  
16 ~~be, subject to check, 10,875 megawatts.~~

17 ~~"You're saying that it would be inappropriate~~  
18 ~~to compare that to the total available transmission~~  
19 ~~capacity and generation capacity in Southeast Florida in~~  
20 ~~2025?"~~

21 ~~Answer, "It would be inappropriate if one were~~  
22 ~~trying to reach a conclusion regarding projected~~  
23 ~~regional reliability."~~

24 MR. DONALDSON: So, I'm going to object to  
25 Sierra Club's attorney reading the deposition

1 transcript of another witness into the record.  
2 It's actually hearsay. It's not his sworn  
3 statement. And he hasn't laid the foundation of  
4 whether or not Mr. Sanchez has even read Dr. Sim's  
5 December 4th deposition transcript. So, those are  
6 the objections.

7 CHAIRMAN GRAHAM: Let me find out what his  
8 question is -- and we may strike this, but I want  
9 to find out what his question is --

10 MR. DONALDSON: Yeah.

11 CHAIRMAN GRAHAM: -- to Mr. Sanchez.

12 MR. DONALDSON: Yeah, he asked if he can  
13 confirm that that's what it says.

14 CHAIRMAN GRAHAM: Yes, but --

15 MR. DONALDSON: Okay.

16 CHAIRMAN GRAHAM: Is there another question  
17 other than if can he confirm what you just read?

18 MR. LENOFF: I have maybe one more question  
19 afterwards.

20 CHAIRMAN GRAHAM: Let's find out what that  
21 question is.

22 MR. LENOFF: Mr. Chairman, I will, you know --  
23 assuming that I can get the answer to the  
24 confirmation that this is what the transcript  
25 says --

1           CHAIRMAN GRAHAM: Well, we can allow Dr. Sim  
2 to do that.

3           MR. DONALDSON: Right. And the -- and the OEP  
4 said that if they were going to be utilizing page  
5 and lines of deposition transcripts, they would  
6 certainly do that in advance of the deposition --  
7 in advance of the hearing. And that hasn't been  
8 done in this particular case, unless it was going  
9 to be used for purposes of impeachment.

10          MR. LENOFF: Mr. --

11          MR. DONALDSON: That's the reason why I moved  
12 to strike this series of questions regarding  
13 Dr. Sim's deposition transcript as an exhibit,  
14 which is 6C.

15          MR. LENOFF: Mr. Chairman --

16          MR. DONALDSON: I --

17          MR. LENOFF: I am specifically trying to use  
18 this for impeachment. This -- this goes to the  
19 credibility of Mr. Sanchez because Dr. Sim is  
20 saying that this is not a proper way to reach a  
21 conclusion, and Mr. Sanchez earlier confirmed to me  
22 that this is how he reached his conclusion.

23          CHAIRMAN GRAHAM: Well, let's back up. I'm  
24 going to strike this -- what you just said, reading  
25 that in. Now, if you just want to ask Mr. Sanchez

1           this question to find out what his answer is,  
2           that's a different story. And he can tell you he  
3           can answer that or not answer.

4           What you're doing is going back, specifically,  
5           to Dr. Sanchez's [sic] question. And you -- if you  
6           want to bring Dr. Sanchez's deposition into the  
7           record, then that's what you've got to do with  
8           Sanchez. If you want to ask him a specific  
9           question -- and you can ask him the same question.

10           MR. DONALDSON: And -- and just -- this is  
11           just Dr. -- this is Mr. Sanchez. He's using  
12           Dr. Sim's --

13           MR. LENOFF: Dr. Sim.

14           MR. DONALDSON: -- deposition. Yes.  
15           It's improper impeachment.

16           MR. LENOFF: Can I just -- just for  
17           clarification -- I'm sorry, Mr. Chairman.

18           (Discussion off the record.)

19           BY MR. LENOFF:

20           **Q     Okay. So, Mr. Sanchez, you see on Lines 20 --**  
21           **or Page 21, Lines 20 to 25, to Page 22, Lines 1 through**  
22           **4, there is a question and an answer.**

23           A     That is correct.

24           **Q     Do -- do you agree with the answer given by**  
25           **Dr. Sim?**

1           MR. DONALDSON: Again, I'm going to object to  
2           him utilizing the deposition transcript as a means  
3           of improper impeachment. If he -- like the Chair  
4           says, if he wants to ask the question, he can  
5           certainly ask the question, but he's asking him to  
6           agree with another witness' deposition transcript.  
7           That's improper impeachment.

8           CHAIRMAN GRAHAM: I agree.

9           What you can do is ask this question that was  
10          asked in this deposition and allow him to answer  
11          it, if he can answer it.

12          MR. LENOFF: Okay.

13          BY MR. LENOFF:

14           **Q     Is it -- Mr. Sanchez, is it appropriate to**  
15           **reach a conclusion regarding projected regional**  
16           **reliability using a non-coincident peak available --**  
17           **total available transmission capacity and generation**  
18           **capacity, in southeast Florida?**

19           A     Yes, it is.

20          MR. LENOFF: And just to clarify, I can't ask  
21          him if that conflicts with -- can I ask him if that  
22          conflicts with Dr. Sim's answer?

23          MR. DONALDSON: No, that's improper  
24          impeachment.

25          CHAIRMAN GRAHAM: Mary Anne?

1 MS. HELTON: Can I have one second, please?

2 CHAIRMAN GRAHAM: Sure.

3 MS. HELTON: I -- I told Ms. Cibula she should  
4 go home and now I'm wishing I had not done that.  
5 Just a second.

6 (Laughter.)

7 CHAIRMAN GRAHAM: Okay.

8 MS. HELTON: Maybe there's a different way to  
9 look at this. Are you trying to impeach  
10 Mr. Sanchez or are you trying to impeach Mr. --  
11 Dr. Sim? If you think Dr. Sim gave the wrong  
12 answer, perhaps you should ask Dr. Sim that  
13 question when you're cross-examining him -- or  
14 whoever for Sierra Club.

15 MR. LENOFF: Thank you, Mary Anne. I am  
16 trying to impeach Mr. Sanchez because it's  
17 Mr. Sanchez whose area reliability margin is  
18 calculated using the same inputs that Dr. Sim says  
19 is inappropriate to reach a conclusion -- used, you  
20 know.

21 MS. HELTON: Well, it seems to me that maybe  
22 there is a disagreement here. Mr. Sanchez has  
23 given you his answer to the question. So, I'm not  
24 sure if you have something further to ask him, or  
25 maybe we should move on.

1 MR. LENOFF: Okay. I will move on.

2 Thank you for the clarification.

3 BY MR. LENOFF:

4 Q Mr. Sanchez, you reviewed FPL's ten-year site  
5 plans before they are finalized and after they are  
6 finalized, correct?

7 A That is correct.

8 Q And you are not aware of FPL ever using the  
9 term "area reliability margin" in its ten-year site  
10 plans, correct?

11 A That is correct.

12 Q And you're also not aware of this Commission  
13 approving any use of that term, correct?

14 A That is correct.

15 Q But you have used the term "area reliability  
16 margin" during the past ten years, correct?

17 A I have used it, yes.

18 Q And you used the term "area reliability  
19 margin" when you were director of transmission planning,  
20 then, correct?

21 A I believe I may have, yes.

22 Q Did you -- do you recall testifying that you  
23 did?

24 A I may have. I spent three hours in a  
25 deposition. I'm pretty used -- I'm -- I've used this

1 term probably in the past -- yes, dozen years.

2 Q Okay. And during which time you were the  
3 director of transmission planning.

4 A 2006 through 2009.

5 Q Okay. So, that is --

6 A Yes.

7 Q -- within the last 12 years.

8 And where is that use documented?

9 A I don't remember where it's documented.

10 Q Is it -- do you believe it's documented?

11 A It may still be. It's been almost ten years.

12 Q But -- and you have -- you continue to monitor  
13 the area reliability margin in southeast Florida today,  
14 correct?

15 A Yes, I have to. I have to worry about how  
16 much margin we have, not just today, tomorrow, a week  
17 from now, a month from now, a year from now. I also  
18 have to worry, in 2022, how much margin are we going to  
19 have because I have to live with this.

20 If I still have the pleasure of working in my  
21 position, I have to deal with this risk. So, I need to  
22 be aware of how much margin we have.

23 Q Okay. And currently, the area reliability  
24 margin is okay; is that correct?

25 A Currently, it is adequate. It's going to

1 become more adequate when the CSQ line comes in,  
2 Corbett-Sugar-Quarry line.

3 Q Okay. But you do not believe that an area  
4 reliability margin in southeastern Florida of 1,691  
5 megawatts in '22 is acceptable -- 2022 is acceptable  
6 because it's too low; is that correct?

7 A I'm trying to verify your number (examining  
8 document). That is correct.

9 Q Do you know what the current area reliab- --  
10 area reliability margin in southeast Florida is?

11 A Yes, I do.

12 Q Is it below 1,691 megawatts?

13 A One second, please. For 2018, we are  
14 forecasting to have 1,968 megawatts, almost 2,000  
15 megawatts.

16 Q So, I'm asking, for 2000- -- not a forecast,  
17 but 2017 -- do you know what that number is?

18 A The actual turned out to be 1,244 megawatts.  
19 It was projected to be 1,500 megawatts. The load was  
20 higher than we projected it to be.

21 MR. LENOFF: All right. Can I use an exhibit,  
22 Mr. Chairman, that was handed out earlier? It's  
23 staff's --

24 CHAIRMAN GRAHAM: 61?

25 MR. LENOFF: If you -- if -- yes,

1 Mr. Chairman.

2 BY MR. LENOFF:

3 Q You have this in front of you --

4 A Yes, I do.

5 Q -- Mr. Sanchez?

6 And that 1,244 number that you just gave me --  
7 1,244 for 2017 is the same number that I see in the  
8 second column to the right of 2017?

9 A Yes, it is.

10 Q And under F- -- FPL's proposed plan in this  
11 proceeding is what's labeled "FPL Plan 2"; is that  
12 correct?

13 A That is correct.

14 Q And we see, for 2017, under that plan, the  
15 area reliability margin is 1,501 megawatts?

16 A That is correct.

17 Q Okay. And both of those are below the figure  
18 1,691 megawatts for 2022 that you just testified is not  
19 acceptable because it is too low; is that right?

20 A That is correct.

21 Q Okay. So, an area -- would you like to change  
22 your answer about today, the -- the area reliability  
23 margin currently being not -- unacceptable?

24 A No, I would not.

25 Q Okay. So, an area reliability margin of

1 3,254 megawatts in 2022 is the magnitude that you  
2 consider sufficient for southeast Florida, correct?

3 A It's much-more robust than it -- what it is  
4 today --

5 Q So, is that --

6 A -- but --

7 Q Is that -- do you consider 3,254 megawatts in  
8 2022 to be the magnitude that is sufficient for  
9 southeast Florida?

10 A That is the magnitude that would be available  
11 in 2022 with the Dania Beach Energy Center going in  
12 service because you get both the benefit of a 1200-  
13 megawatt unit coming in, plus the additional import  
14 capability that it results in 400 megawatts. So,  
15 really, you get --

16 Q Okay. Mr. --

17 A -- 1600 megawatts --

18 Q Mr. Sanchez, that's -- that's -- do you --  
19 that is -- did you testify in your rebuttal testimony,  
20 on Page 13, from Lines 13 to 16, that an area  
21 reliability margin of 3,254 megawatts in 2022 is the  
22 magnitude that you consider sufficient for southeast  
23 Florida?

24 A That is correct.

25 Q Okay. And FPL's service obligations in

1 2022 --

2 CHAIRMAN GRAHAM: Mr. Lenoff, can you pull  
3 that mic a little closer? Thank you.

4 MR. LENOFF: Thank you, Mr. Chairman.

5 CHAIRMAN GRAHAM: I know it's getting hard for  
6 me to hear. And I'm sure the court reporter is  
7 trying to hear you and type.

8 MR. LENOFF: Thank you, Mr. Chairman.

9 BY MR. LENOFF:

10 Q FPL's service obligations in 2022 are  
11 forecasted to be approximately 10,789 megawatts, right?

12 A That is correct.

13 Q And as I calculate it, an area reliability  
14 margin of 3,254 megawatts -- and I apologize,  
15 Mr. Chairman, for just a little bit more math -- as I  
16 calculated, an area reliability margin of  
17 3,254 megawatts in 2022 means that you're calling for a  
18 margin that is 30-percent above FPL's projected service  
19 obligations, correct?

20 A The margin that results is 3,254. I'm not  
21 calling for a margin. What happens is, when you add  
22 Dania Beach Energy Center, it automatically gives you a  
23 jump of 1600 megawatts, both the 1200 megawatts of Dania  
24 Beach Energy Center plus an additional import-capability  
25 benefit of 400 megawatts. That's a jump that you get

1 initially.

2 But as the years go by and the load continues  
3 to increase, you can see that that goes down. So, yes,  
4 the number initially is the 3,254, but you could see  
5 that that number goes down as the load continues to  
6 increase.

7 Q Okay. I'm positive that that was not  
8 responsive to my question. So, I'm just going to ask it  
9 again.

10 As I calculate it, an area reliability margin  
11 of 3,254 megawatts means that the margin you are calling  
12 for that you believe is sufficient is 30-percent above  
13 FPL's projected service obligations in 2022; is that  
14 correct?

15 A It's 30-percent above -- approximately  
16 30-percent above the load obligation in 2022, yes.

17 Q Yeah, I -- do you have any reason --

18 A I believe that's sufficient, yes.

19 Q Do -- do you have any reason to doubt that the  
20 precise number is 30.2 percent?

21 A Based on your calculation, subject to your  
22 calculation.

23 Q Okay. Would a 25-percent area reliability  
24 margin in southeast Florida be good enough?

25 A I'm not here to set a reliability margin. I

1 can't tell you what the reliability margin should be,  
2 but I could tell you that it should be large enough to  
3 certainly cover the largest unit because a unit could  
4 break, easily, for a week or two weeks in the summer.  
5 And, for a major metropolitan area, you should be able  
6 to at least absorb another contingency.

7           Actually, if you read the NERC reliability  
8 standards, the planning standards under the TPL001, it  
9 actually discusses that. The preferred planning  
10 criteria is that you should be able to absorb one  
11 contingency, prepare for the other one, and continue to  
12 serve your firm customers even for the next contingency.  
13 That's the preference.

14           **Q**     **Okay.**

15           A     When we talk -- excuse me.

16           **Q**     **That's -- that's okay. That's -- all I asked**  
17 **was, is a margin of 25 percent good enough, so --**

18           **CHAIRMAN GRAHAM: Mr. Sanchez, you'll get --**  
19 **you'll get your opportunity to add on to that for**  
20 **re- -- during redirect. I'm sure your attorney**  
21 **right now is writing that down for you.**

22           THE WITNESS: Okay. Thank you, sir.

23 BY MR. LENOFF:

24           **Q**     **So, would you like me to just try again?**

25           **Would a 25-percent area reliability margin be**

1     **sufficient?**

2           A     I'm thinking of the number 2500 megawatts.  
3     It would cover the two largest units in southeast  
4     Florida.

5           **Q     Okay.  Would a --**

6           A     That range would be sufficient.

7           **Q     Would a 20-percent margin be sufficient?**

8           A     I don't know.  You would have to consider in  
9     the future.  Remember, we're talking about the future.  
10    So, you're worried about what resources do you have in  
11    the future, what risk profile do you have, the customer  
12    profile that you have -- considering it's one of the  
13    largest metropolitan areas in the country.

14           Remember, you're a hundred megawatts short --  
15    you're talking about 20,000 customers here at risk.

16           **Q     Okay.  So --**

17           A     It's not two or three.

18           **Q     So, you just -- you answered 25 percent could**  
19    **be good enough, but then, when I got to 20 percent, you**  
20    **couldn't give me an answer.**

21           A     I -- it's in that range, in the 20,  
22    25 percent, at least.

23           **Q     Have you calculated what would be sufficient?**

24           A     I am -- at least in my mind, what I'm doing  
25    right now is I'm saying we have about 11,000 megawatts

1 of requirements in that area. About 20 percent of that  
2 is about 2,200, 20- -- 2300 megawatts. Your largest two  
3 units are about -- approximately that much. So,  
4 somewhere in that range and above.

5 **Q So, have you previously calculated what would**  
6 **be sufficient?**

7 A Yes, I have.

8 **Q And where would that be documented?**

9 A Operationally, it -- there's not a  
10 documentation -- anything that documents it. I mean,  
11 we're looking at could we --

12 **Q But so, this is -- this is --**

13 MR. DONALDSON: Can -- can he at least finish  
14 his answer? He was in the middle of answering a  
15 question. Thank you.

16 CHAIRMAN GRAHAM: Mr. Sanchez, you can  
17 continue that thought.

18 THE WITNESS: If I may add, we answered in  
19 interrogatory that -- I think, asked that  
20 question -- and we had the data for '15 and -- or  
21 '16 and '17, or '15 and '16. And we provided that.

22 And if you go to Interrogatory -- I believe it  
23 was staff -- (examining document) -- staff fourth  
24 set, Interrogatory No. 75, for 2016, it was 2,541;  
25 for 2017, it was 1,244.

1 BY MR. LENOFF:

2 Q And what was it for 2014?

3 A For 2014, we didn't have all the data. We  
4 couldn't -- we didn't feel certain about the calculation  
5 of the number.

6 Q So, you don't know -- your area of reli- --  
7 you don't know what the area reliability margin was for  
8 southeast Florida during 2014?

9 A Historically, we couldn't recreate it and feel  
10 confident that we had the right number.

11 Q Okay. So, even though these -- this  
12 calculation is supposed to be very important for  
13 operations, you don't know where it's documented, if  
14 it's documented, and you don't have data from the past;  
15 is that correct?

16 A We're worried about prospectively going  
17 forward, not about what the historical was. So, there's  
18 a lot of things going inter- -- into play here. For  
19 example, we were -- such as upgrades and transmission  
20 facilities -- for example, we upgraded lines into  
21 Broward County. We added larger transformers. We  
22 retired and added new generation at Port Everglades,  
23 Turkey Point 1 and 2, and new CTs, and at Lauderdale.

24 So, there was lots of puts and takes  
25 throughout this period that, you know, certainly, we did

1 analyze up front and make sure that -- to make sure that  
2 we could operate reliably, but it's not something that  
3 we can keep historically in operation.

4 Remember, system operations, we're worried  
5 about really one second ahead, up to about a year,  
6 year-and-a-half ahead. So, it's not something we would  
7 keep and say, well, okay, we've got to keep this  
8 historically or anything like that.

9 **Q Where -- was that analysis documented that you**  
10 **just discussed?**

11 A We can't find where we specifically kept --  
12 and we saw how much margin we had for that year.

13 **Q Did you document it?**

14 A It was calculated at some point. We did not  
15 have it available.

16 **Q Was this a calculation that was done in your**  
17 **head, based on experience, or was this something that**  
18 **was documented on a piece of paper somewhere?**

19 A It would have been both. You -- you've got --  
20 you know, we've got -- as operators, we need to be  
21 concerned about where we're going to be operating in the  
22 future, whether it's 2022 or it's 2018, in the summer.

23 One of the things for southeast Florida that  
24 we've got to keep is how much -- what's our obligation  
25 that we expect a forecast for this summer, what is --

1           Q     Mr. Sanchez, my question was whether this  
2 something that was on a piece of paper. So, if you  
3 would like to talk about --

4           A     It may have. We couldn't find it and we  
5 couldn't confirm that the number we provided was a  
6 correct number.

7           Q     Okay. Has FPL ever calculated or presented to  
8 the Public Service Commission what it believes the  
9 minimum area reliability margin should be?

10          A     I don't believe so.

11          Q     Your testimony discusses the reliability risk  
12 of losing a large generating unit. And I believe you  
13 just mentioned it, you know, a moment ago, as well,  
14 right?

15          A     That is correct.

16          Q     Yet, FPL is advocating for permission to build  
17 a generating unit with almost 1200 megawatts; is that  
18 correct?

19          A     That is correct.

20          Q     And that would be one of the largest  
21 generating units on the FPL's system?

22          A     It would be a large one, but not one of the  
23 largest.

24          Q     Okay. And at your deposition, you testified  
25 that FPL should put DBEC in service as quickly as

1 possible; is that correct?

2 A That is correct.

3 Q And further, you testified that, in late 2016,  
4 early 2017, you gave Dr. Sim the guidance to put DBEC in  
5 service as quickly as possible, correct?

6 A That is correct.

7 Q And you gave the guidance on a phone call?

8 A Yes, I believe so.

9 Q Did you accompany that phone call with a  
10 memorandum?

11 A Typically, we'll discuss stuff and we don't  
12 codify it in memorandum. Steve and I have worked  
13 together -- Dr. Sim and I have worked together for many  
14 years.

15 Q Did you document the phone call?

16 A No, I did not.

17 Q Do you know how many phone calls there were?

18 A There were probably multiple phone calls. I  
19 do remember the conversation of, you know, looking at  
20 Lauderdale, and, you know, we'd have to go ahead and do  
21 a demolition. And my response was, that's great. It's  
22 a much-larger unit, much-more efficient. We need to get  
23 it back in place as soon as we can.

24 Q Okay. So, you don't know how many phone  
25 calls, which was my question; is that --

1           A     No, I don't.

2           Q     And we're talking about, right now, the -- an  
3     input into resource planning that affected the way  
4     those -- that resource -- the resource plans were drawn  
5     up and analyzed, correct?

6           A     That is correct.

7           Q     And you -- did you call Dr. Sim or did he call  
8     you?

9           A     I believe Dr. Sim called me.

10          Q     And did you -- you did not consult any  
11     documents at the time that you gave Dr. Sim the guidance  
12     by phone call; is that correct?

13          A     That is correct.

14          Q     You didn't even generate any documents in  
15     providing your guidance; is that correct?

16          A     That's correct.

17          Q     And in your experience, is it FPL's normal  
18     course of business to rely on guidance in resource  
19     planning from people who do not refer to documents or  
20     produce documents?

21                   MR. DONALDSON: I'm going to object. That's  
22     argumentative.

23                   CHAIRMAN GRAHAM: I agree.

24     BY MR. LENOFF:

25          Q     Okay. Your colleague, Dr. Sim, has testified

1 regarding two resource plans, which would delay both the  
2 retirement of Lauderdale units and the in-service date  
3 of DBEC, correct?

4 A That is correct.

5 Q And have you been in the hearing room  
6 throughout the day today?

7 A For the -- for Dr. Hausman's testimony, yes.

8 Q So, you were not here for Dr. Sim's testimony?

9 A I was not here.

10 Q Okay. Are you aware that Commissioners Brown  
11 and Clark asked questions about the -- these delay plans  
12 from FPL, which would delay both the retirement of the  
13 Lauderdale units and the retirement of -- delay  
14 retirement of the Lauderdale units and delay the  
15 in-service date of DBEC?

16 A Yes, I am aware of that. I was hearing the  
17 testimony, though, but I was not here.

18 Q Oh, you were watching it.

19 A Yes.

20 Q Nice. Thanks.

21 And one of these plans is referred to as  
22 Plan 4, in which the retirement of the Lauderdale units  
23 would be delayed to 2019, and the in-service date of  
24 DBEC would be delayed to 2023, correct?

25 A That's correct.

1           Q     So, compared to the project proposed by FPL  
2     known as Plan 2, Plan 4 includes a one-year delay in the  
3     retirement of the Lauderdale units and the in-service  
4     date of DBEC, correct?

5           A     That's correct.

6           Q     And the other plan, Plan 5, would retire  
7     Lauderdale units in 2020 and put DBEC in service in  
8     2024, correct?

9           A     That's correct.

10          Q     So, compared to the project proposed by FPL,  
11     Plan 5 includes a two-year delay in both the retirement  
12     of Lauderdale units and the in-service date of DBEC,  
13     correct?

14          A     That is correct.

15          Q     And you provided input into Plans 4 and 5 as  
16     they were being discussed or developed, correct?

17          A     No, I provided input relative to Dania Beach  
18     Energy Center being placed in service as soon as  
19     practicable.

20                 MR. LENOFF:   Okay.   So, I would like to use an  
21     exhibit, based on that, Mr. Chairman --

22                 CHAIRMAN GRAHAM:   Sure.

23                 MR. LENOFF:   -- from Mr. Sanchez's own  
24     deposition.

25                 CHAIRMAN GRAHAM:   We will give this one a

1 number of 70.

2 MR. LENOFF: Thank you, Mr. Chairman.

3 THE WITNESS: Thank you.

4 CHAIRMAN GRAHAM: We will call this deposition  
5 of Sanchez, January 8th, 2018, Page 60.

6 (Whereupon, Exhibit No. 70 was marked for  
7 identification.)

8 BY MR. LENOFF:

9 Q Mr. Sanchez, you have in front of you Page 60  
10 of your deposition transcript?

11 A Yes, I do.

12 Q And do you recall the discussion that is  
13 stated on this page?

14 A Yes, I do.

15 Q Okay. And have you signed as -- have you  
16 confirmed the accuracy of this -- of this -- of the  
17 words that are on this page?

18 A No, I -- they must be accurate if that's  
19 what -- they were recorded.

20 MR. LENOFF: Okay. And if we look at Lines 4  
21 through 11 -- I mean, if FPL's counsel doesn't have  
22 any objection, I'm going to read the statements.

23 MR. DONALDSON: Well, I'm going to object  
24 because that -- what you see on Line 4 was not what  
25 was asked at the hearing. So, it's improper

1 impeachment.

2 MR. LENOFF: I believe my question to  
3 Mr. Sanchez that I just asked was: You provided  
4 input into Plans 4 and 5 as they were being  
5 discussed or developed.

6 And I think, if we look at Line 10, he says,  
7 they were being discussed or developed. And I'm  
8 just trying to give enough context in order to be  
9 able to understand the deposition transcript.

10 MR. DONALDSON: Well, the -- the deposition  
11 transcript says, prior to FPL's assessment of the  
12 Plan 4 and 5.

13 MR. LENOFF: All right. So, let's -- let's --  
14 so, I'm going to -- can I ask the witness the  
15 question, and if there's an objection or if the  
16 witness --

17 MR. DONALDSON: Well, I am objecting because  
18 it's improper impeachment.

19 MR. LENOFF: What's the basis of that?

20 MR. DONALDSON: That's not the question that  
21 you asked during the hearing.

22 CHAIRMAN GRAHAM: You're asking two different  
23 questions.

24 MR. DONALDSON: You're asking two different  
25 questions. And you're trying to impeach him with a

1 question that is not the question that you asked at  
2 the hearing.

3 MR. LENOFF: I'm trying to impeach him with  
4 his statement, but --

5 MR. DONALDSON: But it's impro- -- you're  
6 asking two different questions.

7 MR. LENOFF: Okay. So, let me use this  
8 exhibit and ask the same questions that are on this  
9 sheet. Okay?

10 CHAIRMAN GRAHAM: Ask the question.

11 MR. LENOFF: All right. Thank you.

12 BY MR. LENOFF:

13 Q So, did you provide -- did you provide your  
14 input prior to FPL's assessment of Plans 4 and 5?

15 A Yes, I did.

16 Q Did you provide it in reference -- did you  
17 provide your input when the Plans 4 and 5 were being  
18 developed?

19 A I remember there was a discussion of, what do  
20 you think about them being delayed -- it being delayed,  
21 and I was not in -- I said, I'm not in favor of that.

22 Q Okay. So, not -- not asking about the content  
23 of your statements. I'm asking about the context in  
24 which you gave it.

25 Did you provide your input to -- about Plans 4

1 **and 5 while Plans 4 and 5 were being developed?**

2 A Not while they were being developed, in the  
3 context of -- I guess they were being thought about and  
4 they asked my opinion of what I thought about it and I  
5 gave them my -- my views on it.

6 Q **Did you provide your input when Plans 4 and 5**  
7 **were being discussed?**

8 A I don't -- I guess they were being discussed  
9 at that time because I was asked about them.

10 Q **So, what was the state of Plans 4 and 5 when**  
11 **you gave your input?**

12 A I don't know the state of it. I was asked  
13 what I thought about if Dania Beach could -- you know,  
14 could be, you know, put in service in '23 or '24 or a  
15 later date than '22, and I said, that's not a good  
16 thing.

17 Q **And you don't remember the month, the calendar**  
18 **month, in which that occurred?**

19 A No, I do not.

20 Q **Could it have been last month?**

21 A I don't think it was in December. I think it  
22 may have been before that.

23 Q **Could it have been in November?**

24 **CHAIRMAN GRAHAM: Mr. Lenoff, let's move on.**

25 **MR. LENOFF: Okay.**

1 BY MR. LENOFF:

2 Q Did you -- did you state, in your input about  
3 Plans 4 and 5, that you were not in favor of Plans 4 and  
4 5?

5 A I'm sorry. Could you repeat that again?

6 Q When you provided your input about Plans 4 and  
7 5, did you state that you were not in favor of Plans 4  
8 and 5?

9 A I think it was relative -- not specifically to  
10 Plan 4 and 5 -- is, you know, what do you think about  
11 Dania Beach going in, you know, one or two years later.  
12 And I said, I'm not in favor of that. Whether, at the  
13 time, it was referred to as Plans 4 and 5, I don't  
14 remember. I don't think it was.

15 Q Okay. And in fact, you believe that Plan 5  
16 includes unacceptable risk in both 2022 and 2023; isn't  
17 that correct?

18 A That's correct.

19 Q But Dr. Sim has testified, including in his  
20 testimony today, that Plans 4 and 5 -- the delay  
21 resource plans are based on your guidance; isn't that  
22 correct?

23 A I don't think Plan 4 and 5 are based on my  
24 guidance.

25 Q So, you mentioned that you been watching the

1 deposition -- or the testimony of Dr. Sim, the cross-  
2 examination of Dr. Sim?

3 A Yes.

4 Q And did you hear him say that the delay  
5 resource plans are based on your guidance?

6 A I don't recall my recommending looking at  
7 delaying four and -- or Plan 4 or 5, delaying Dania  
8 Beach. If anything, my whole recommendation was to get  
9 Dania Beach in service as soon as practicable.

10 MR. LENOFF: Okay. Mr. Chairman, I would like  
11 to introduce as an exhibit an excerpt from  
12 Dr. Sim's testimony where he is -- one of many, in  
13 which he is quite clear that the delay resource  
14 plans were based on guidance from system operators.

15 CHAIRMAN GRAHAM: Does it say based on four  
16 and five or does did it just say Dania Beach?

17 MR. LENOFF: I -- I can verify that for you,  
18 if you'll give me a moment.

19 CHAIRMAN GRAHAM: Okay.

20 MR. LENOFF: Mr. Chairman -- Mr. Chairman, the  
21 question asked of Dr. Sim in this deposition was  
22 based on the delay resource plans. At the time  
23 when this deposition was taken, FPL had not  
24 identified those delay resource plans as, quote,  
25 Plans 4 or 5, but we were aware there were delay

1 resource plans. And that is the question -- the  
2 question is about those delay resource plans.

3 MR. DONALDSON: I mean, I -- I'm trying to  
4 still understand where -- I think the counsel for  
5 Sierra Club is just asking an inartful question.  
6 Plans 4 and 5, that's -- I believe who -- Haus- --  
7 Dr. Hausman is the one that termed it as that.

8 So, if he can ask the witness, what was your  
9 guidance that he gave to Dr. Sim, he can certainly  
10 ask that question, but I don't think he's asked  
11 that question to provide some clarity on this  
12 issue.

13 MR. LENOFF: I'm --

14 CHAIRMAN GRAHAM: Yes, sir.

15 MR. LENOFF: A couple -- a couple of responses  
16 to that. No. 1, it was not Dr. Hausman who termed  
17 them Plans 4 and 5. And if we -- if you were to  
18 want to take a five or ten-minute break, we could  
19 print out FPL discovery responses in which they  
20 identified them as Plans 4 and 5, but I think  
21 that's kind of an ancillary matter.

22 The question that I'm asking is not an  
23 ancillary matter, however. It is specific --  
24 Mr. Sanchez has identified that these delay  
25 resource plans include unacceptable risk, but

1 Dr. Sim has testified here today and in his  
2 deposition, which is the only thing that I have  
3 printed out, that the delay resource plans are  
4 based on the guidance from Mr. Sanchez, so --

5 CHAIRMAN GRAHAM: It sounds like you're  
6 talking past each other because Dr. -- Mr. Sanchez  
7 is just talking about Dania Beach. He doesn't know  
8 what Plan 4, Plan 5 is. He's just saying, I'm  
9 against delaying Dania Beach.

10 Now, I don't know what you're going to ask him  
11 about what Dr. Sim says, but what he says is, I'm  
12 against Dania Beach. That's just what I -- this is  
13 what I'm understanding so far.

14 Now, what -- what exactly are you going to ask  
15 him? Because once again, it sounds like you're  
16 talking past -- that -- these two may be talking  
17 past each other.

18 MR. LENOFF: Sierra Club has tried to  
19 understand the basis for the, quote, "four-year  
20 window," or the delay of Lauderdale units, along  
21 with delaying DBEC. And what we've been told is  
22 that it was based on a phone call with system  
23 operators. We've been given nothing besides this  
24 statement that it was based on guidance from  
25 Mr. Sanchez.

1           That's why they have this four-year window.  
2           And they -- they use that four-year window in the  
3           delay scenarios.

4           CHAIRMAN GRAHAM: Okay. So, your question  
5           is --

6           MR. LENOFF: My -- I asked Mr. Sanchez whether  
7           he believes those delay scenarios include  
8           unacceptable risk. He said, yes, but the delay  
9           scenarios were based on his guidance. And I'm  
10          trying to --

11          CHAIRMAN GRAHAM: It's based on his guidance,  
12          according to Dr. Sim.

13          MR. LENOFF: According to his -- according to  
14          Dr. Sim.

15          CHAIRMAN GRAHAM: Now, he told you what he  
16          told Dr. Sim, that he's against it. Now, what are  
17          you trying to get him to do?

18          MR. LENOFF: Confirm for me whether the  
19          guidance that Dr. Sim is referring to is the same  
20          thing that he's talking about right now; and so,  
21          whether Dr. Sim constructed these delay scenarios  
22          based on a statement from Mr. Sim that they are --  
23          they have unacceptable risk.

24          CHAIRMAN GRAHAM: Well, that sounds like a  
25          question you need to ask Dr. Sim. He told you what

1 he told Dr. Sim.

2 MR. LENOFF: Okay. Okay. I'll -- thank you,  
3 Mr. Chairman. I'll move on. Yeah.

4 CHAIRMAN GRAHAM: Okay.

5 BY MR. LENOFF:

6 Q So, switching gears just a little bit, the  
7 purpose of your testimony is to support the four-year  
8 window between retirement of the Lauderdale units and  
9 commercial operation of DBEC; is that correct?

10 A No, it's not. The purpose of my testimony is  
11 to recommend that DBEC be placed in service by 2022 or  
12 at the earliest possible date.

13 Q So, can we turn to Page 4, Lines 20 to 25, to  
14 Page 5, Line 1 of your testimony?

15 A I'm sorry. What page?

16 MR. DONALDSON: I'm sorry. What page?

17 MR. LENOFF: Page 4 to Page 5.

18 BY MR. LENOFF:

19 Q Are you there? On Lines -- are you there,  
20 Mr. Sanchez? Page 4?

21 A Yes, I'm on Page 4.

22 Q Okay. So, on Line 20, you begin -- well,  
23 Line 19, question, "What is the purpose of your  
24 testimony."

25 Line 20, answer: The purpose of my testimony

1 is to rebut Sierra Club's witness, Dr. Hausman's, claim  
2 on Page 22 of his direct testimony that, quote, there is  
3 no apparent reason why four years is any kind of magic  
4 number for the time period from retirement and  
5 demolition of Lauderdale Units 4 and 5, to the  
6 commercial operation date of the Dania Beach Clean  
7 Energy Center.

8 Is that correct?

9 A That is correct.

10 Q Okay. So, the purpose of your testimony is to  
11 support the four-year window between retirement of the  
12 Lauderdale units and commercial operation of DBEC?

13 A That's correct, but I think you need to keep  
14 on reading a little bit more where it goes on to say,  
15 specifically: Dr. Hausman does not -- does not consider  
16 a real-life operation perspective on why it's critical  
17 that DBEC Unit 7 be constructed and commissioned within  
18 the demolition and construction period of four years  
19 following the retirement of Lauderdale Units 4 and 5,  
20 beginning in late 2018.

21 Q Okay. So, it's your position that the only  
22 acceptable plan is retirement of Lauderdale units in  
23 2018 and DBEC coming in service in 2022?

24 A It is the only plan because it's the less-  
25 riskiest plan of all, especially considering that you're

1 putting at risk a very large metropolitan center.

2 Q When you say the less-riskiest the plan,  
3 you're only referring to the four other plans that were  
4 considered by FPL in 2017 termed Plans 1, Plan 3, Plan  
5 4, and Plan 5; is that correct?

6 A That is correct. I'm considering in context  
7 of what questions you've been asking me of delaying it  
8 one year or two years.

9 Q So, there could be alternative plans, like --  
10 let me ask you this: If you were to add an incremental  
11 amount of generation in southeast Florida two years  
12 after retiring the Lauderdale units, would that have  
13 less risk than Plan 2?

14 MR. DONALDSON: Let me object. That goes  
15 beyond this witness' prefiled rebuttal testimony.

16 MR. LENOFF: Your -- I'm just trying to  
17 figure -- he's telling me this is the least-risky  
18 plan and this is the only plan that he thinks is  
19 acceptable. And I'm just trying to figure out if  
20 he knows there are other risky -- other plans that  
21 could be less-risky.

22 CHAIRMAN GRAHAM: Sir, do you know if there  
23 are any plans that could be less-risky?

24 THE WITNESS: I'm not aware of any other plans  
25 besides the ones that we've been speaking about.

1 CHAIRMAN GRAHAM: Thank you.

2 Let's move on.

3 MR. LENOFF: Okay. Thank you. Mr. Chairman.

4 BY MR. LENOFF:

5 Q The risk that we were just discussing -- have  
6 you quantified -- quantified it?

7 A Yes, I have.

8 Q Okay. But is that the quantification for  
9 which there is no documentation?

10 A Well, the risk is that, for every hundred  
11 megawatts of load that I can't serve, that's 20,000  
12 customers that I can't serve. Put it into context.  
13 That's rolling blackouts of 20,000 customers every 20  
14 minutes.

15 Q Okay. Okay. So, I'm just asking, is that the  
16 quantification for which there is no documentation?

17 A Well, there's documentation that approximately  
18 204 megawatts equals one megawatt on the FPL system.  
19 And that's the way I equate it in my mind.

20 Q Have you considered probability in that  
21 assessment?

22 A This is not a probabilistic. This is  
23 deterministic.

24 Q So --

25 A The requirements of the NERC reliability

1 standards are deterministic.

2 Q So --

3 A They are not probabilistic.

4 Q So, you don't consider probabilities in this  
5 quantification of risk that you're discussing?

6 A There's always a probability that a unit could  
7 break or that a line could trip, at any given time.

8 Q So, are there any situations for which FPL  
9 does not overbuild its system?

10 A I can't answer that. I don't know.

11 Q Is -- is that because you're not sure?

12 A That because I don't know what "any" means --  
13 "any situation" could mean and "overbuild" means.

14 Q But you recognize that when planning in an  
15 uncertain environment, usually probabilities are  
16 relevant, correct?

17 A In certain instances, they are. In relation  
18 to NERC reliability standards, they are deterministic in  
19 nature. And I am required to operate pursuant to NERC  
20 reliability standards, per federal law.

21 Q And so, you can't tell this Commission the  
22 probabilities associated with the risks that you're  
23 discussing.

24 MR. DONALDSON: Objection. Asked and  
25 answered.

1 CHAIRMAN GRAHAM: I agree.

2 Mr. Lenoff, let's move on.

3 MR. LENOFF: Okay. Thank you.

4 BY MR. LENOFF:

5 Q You also assert that retiring the Lauderdale  
6 units in 2020, instead of 2018, has nothing to do with  
7 the risk in 2022; is that correct?

8 A I guess I don't understand your -- your  
9 question. The way I look at it is, you're going to have  
10 a four-year window of demolition through in-service. As  
11 that window becomes larger, the risk increases. Or as  
12 that window moves later in time, the risk increases.  
13 And the reason the risk increases is because the load  
14 increases.

15 And certainly, if the window of time  
16 increases, not only does the load increase, but your  
17 window of opportunity to have an issue also increases.

18 Q Okay. So, thank you, Mr. Sanchez. I'm sure  
19 you recall that, during the deposition, we discussed  
20 this, but I'm trying to get an answer to a specific year  
21 and what you just gave me, I believe, if I heard  
22 correctly, was a discussion of windows.

23 So, I would just like you to focus on the year  
24 2022. And you have asserted that retiring the  
25 Lauderdale units in 2020, instead of 2018, has nothing

1 to do with the risk in 2022; isn't that correct?

2 MR. DONALDSON: I'm going to object. That is  
3 actually a misstatement of his testimony, so --

4 MR. LENOFF: Well, I mean, I haven't even  
5 introduced anything from his testimony.

6 MR. DONALDSON: Well, it's not in his  
7 testimony. It's a misstatement of what he said.

8 BY MR. LENOFF:

9 Q Mr. -- Mr. Sanchez, do you believe that  
10 retiring the Lauderdale units in 2020, instead of 2018,  
11 has nothing to with the risk in 2022?

12 A Yes, it does because, if I retired in 2018,  
13 it's back in service by 2022 -- or Dania Beach is in  
14 service by 2022. A lot of the risk has been mitigated.

15 Q Do you assert that the risk in 2021 is  
16 regardless of whether you're retiring Lauderdale units  
17 in 2018 or 2020?

18 A You would still have 2021 without the Dania  
19 Beach Energy Center, but when you look at the total risk  
20 to the system, you have a higher-risk profile if you  
21 retired in 2019 versus -- it would be 2018 --

22 Q So --

23 A -- and construct it within the four-year  
24 window.

25 Q So, Mr. Sanchez, that was, I think, different

1 than what my question was because I asked about retiring  
2 it in 2020, not 2019. But just to get you to give me a  
3 yes-or-no answer to this question -- do you assert that  
4 the risk in 2021 is regardless of whether you're  
5 retiring the Lauderdale units in 2018 or 2020?

6 MR. DONALDSON: I'm going to object. That's  
7 confusing and ambiguous, vague.

8 CHAIRMAN GRAHAM: You ask an "or" question and  
9 you want a yes-or-no answer. You need to explain  
10 that to me.

11 MR. LENOFF: Okay. Can I rephrase my  
12 question?

13 CHAIRMAN GRAHAM: Sure.

14 MR. LENOFF: Thank you, Mr. Chairman.

15 BY MR. LENOFF:

16 Q Do you assert that the risk in 2021 is  
17 affected by whether you retire the Lauderdale units in  
18 2018 or 2020?

19 A No. The risk in 2021 would be the same.

20 Q The risk in 2021 would be the same.

21 And how about if I retired the Lauderdale  
22 units in 2018 instead of 2020, is the risk in the year  
23 2022 the same?

24 A No, it isn't.

25 Q Let's -- let's -- and your -- your reason for

1 that is the Dania Beach Energy Center coming online in  
2 2022; is that correct?

3 A That and the fact that you get 400 megawatts  
4 of additional import capability into the southeast area.

5 Q Which -- which only come from a generation  
6 being located at that site.

7 A Correct, or very close proximity to that site.

8 Q Okay. So, let's focus on what Dr. Sim has put  
9 forward as Plan 5. And I'm only talking about the  
10 issues germane to Mr. Sanchez's testimony into -- in  
11 Plan 5, as we discussed a few minutes ago, the  
12 Lauderdale units are retired in 2020, and the Dania  
13 Beach Energy Center in service in 2024, correct?

14 A Correct.

15 Q Okay. So, under that plan, if, instead of the  
16 Lauderdale units being retired in 2020, they were  
17 retired in 2018, would the risk in the year 2023 be at  
18 all affected by the change in retirement date of the  
19 Lauderdale units?

20 MR. DONALDSON: I'm going to object. That is  
21 a convoluted question with moving dates and years.  
22 And I don't see how it sticks with being still  
23 Plan 5 when the dates are being changed by counsel  
24 in his question.

25 So, it's confusing. It's vague.

1           MR. LENOFF: Mr. Chairman, if FPL's counsel is  
2 suggesting that Sierra Club can only ask about the  
3 strict plans by -- that they have presented which  
4 Sierra Club's expert has shown are less cost-  
5 effective than alternative plans, then it makes it  
6 difficult for us to show, you know, that the  
7 factors in Section 403.519 are not being met.

8           MR. DONALDSON: May I briefly respond?

9           CHAIRMAN GRAHAM: Sure.

10          MR. DONALDSON: If Counsel would like to ask  
11 the witness about retiring Lauderdale in 2018 and  
12 having an in-service date of Dania Beach in 2024,  
13 he can be free to do so.

14          What is confusing about his question is he  
15 tries to do that, while, at the same token,  
16 throwing in the word "Plan 5," which means it's a  
17 delay scenario that Dr. Sim came up with where you  
18 retire Lauderdale in 2020, and you have an  
19 in-service date of Dania Beach in 2024.

20          So, his question is really confusing when you  
21 try and put those two scenarios together. And  
22 that's the vagueness and confusing portion of his  
23 question -- the reason why I'm objecting.

24          MR. LENOFF: I -- I found that objection  
25 somewhat confusing, but if you'll allow me to --

1           CHAIRMAN GRAHAM: Well, I think what his  
2           objection is, is you're talking about Plan 5, but  
3           then you're changing the dates that aren't part of  
4           Plan 5 around. So, you can go on and ask him a  
5           scenario or you can ask him about Plan 5.

6           MR. LENOFF: Okay. Thank you, Mr. Chairman.

7 BY MR. LENOFF:

8           Q     So, one scenario would be retiring Lauderdale  
9           units in 2020 and putting Dania Beach in service in  
10          2024; is that correct?

11          A     That's correct.

12          Q     And for the year -- under that scenario, the  
13          year 2023 would have -- we can -- we can agree that  
14          there will be some level of risk. We don't have to  
15          identify what it is, but there will be some level of  
16          risk in 2023, correct?

17          A     That is correct.

18          Q     Now, in an alternative plan in -- or scenario  
19          in which the Lauderdale units are retired in 2018, and  
20          Dania Beach comes in in 2024, there will also be a --  
21          some level of risk in the year 2023, correct?

22          A     That is correct.

23          Q     Is there any reason to believe there is any  
24          difference in the risk in 2023, between the two  
25          scenarios, which differ only in the retirement date of

1 **Lauderdale units?**

2 A In isolation, no.

3 Q Okay. Same question for 2022. Is there any  
4 reason to believe that the level of risk in the year  
5 2022 would be different between the two plans?

6 A In isolation, no.

7 Q Is there any reason to believe that the level  
8 of risk in the year 2021 would be different?

9 A In isolation, no; in totality, yes.

10 Q By totality, you're referring to the two  
11 different scenarios; is that correct?

12 A That is correct.

13 Q And therefore, in totality, since we've  
14 established that the risk is identical in '21, '22, and  
15 '23, the totality would be one of these earlier years,  
16 '18, '19, or '20; is that correct?

17 A I'm sorry. Let's go back to the original  
18 plan. One is '20 to '24.

19 Q Right.

20 A Okay. The other one is 18 through '24?

21 Q That's correct.

22 A And the other one is '18?

23 Q And we've established that, in the year 2021,  
24 the risk is identical between the two plans. In the  
25 year '22, the risk is identical between the two plans;

1 and in '23, the risk is identical between the two plans;  
2 is that correct?

3 A Correct, in isolation, each year, for those  
4 three years, the risk is the same.

5 Q Okay.

6 A In totality, the risk of --

7 Q So --

8 A -- '18 through '24 is more than '20 through  
9 '24.

10 Q And my question --

11 A And both of them are more-risky than  
12 '18 through '22.

13 Q And my question is -- is that -- therefore,  
14 the only difference would have to be in the years '18 to  
15 '20; is that correct?

16 A Relative to these two plans?

17 Q Between these two scenarios.

18 A Only relative to these two plans.

19 Q Yes.

20 A Relative to FPL's plan?

21 Q No.

22 A The risk would be --

23 Q Relative -- relative to --

24 A 20- --

25 Q -- the two scenarios -- can you give me a

1 yes-or- no answer? Relative to the two scenarios, the  
2 only difference could be in the years 2018 to 2020; is  
3 that correct?

4 A That is correct.

5 Q Okay. Do you agree with Dr. Sim's statement  
6 that the risk in the early years, 2018, 2019, 2020, is  
7 of less concern to FPL because load is lower during that  
8 time?

9 A It is a lower risk because load is lower  
10 during that time.

11 MR. LENOFF: Okay. Thank you.

12 Can I have one moment, please?

13 CHAIRMAN GRAHAM: Sure.

14 MR. LENOFF: Thank you.

15 Okay. That's all my questions. Thank you,  
16 Mr. Chairman. Thank you.

17 CHAIRMAN GRAHAM: Okay. We'll take a quick  
18 five-minute break before you start,  
19 Ms. Christensen.

20 MS. CHRISTENSEN: I appreciate that.

21 CHAIRMAN GRAHAM: Thank you.

22 MS. CHRISTENSEN: And I have some exhibits to  
23 hand out as well.

24 (Brief recess.)

25 COMMISSIONER BROWN: We are back on the

1 record. And Office of Public Counsel?

2 MS. CHRISTENSEN: Yes, it was brought to my  
3 attention that on the -- I passed out two exhibits.  
4 One was an excerpt from Hearing Exhibit 53,  
5 referencing Staff Interrogatory No. 75, and then  
6 the other one was for Staff Interrogatory No. 76.  
7 They were previously admitted. Apparently, the 76  
8 is just a duplicate of 75. So, I'm just going to  
9 ask to disregard that one.

10 And if you would like to mark the one  
11 referenced to 75, we can. If not, it's part of  
12 composite exhibit, and we can just use it for ease  
13 of reference.

14 COMMISSIONER BROWN: And it's already been --  
15 it's already --

16 MS. CHRISTENSEN: Yeah, it's already --

17 COMMISSIONER BROWN: -- entered into the  
18 record?

19 MS. CHRISTENSEN: Entered as part of Composite  
20 Exhibit 53.

21 COMMISSIONER BROWN: Okay, which has been  
22 moved already into the record.

23 MS. CHRISTENSEN: Correct.

24 COMMISSIONER BROWN: All right. We'll -- we  
25 won't label that.

1 MS. CHRISTENSEN: Okay. And then, in lieu of  
2 76, I'll be referring to staff's demonstrative  
3 exhibit, which was already previously marked as 61.

4 I'm not sure if we moved that one into the  
5 record yet, but since I don't think anybody is  
6 objecting to it, I'll --

7 COMMISSIONER BROWN: Okay. So, I have three  
8 documents right now, before me. We -- I've got 76.

9 MS. CHRISTENSEN: We are -- which I would ask  
10 you to disregard --

11 COMMISSIONER BROWN: Disregard -- we've  
12 disregarded.

13 MS. CHRISTENSEN: Okay.

14 COMMISSIONER BROWN: I've got 75, and I have  
15 78.

16 Commissioner Clark, do you have the same  
17 amount? Three? Two?

18 So, you referenced another number?

19 MS. CHRISTENSEN: No, I only had passed out 75  
20 and 76. I don't know if somebody else had passed  
21 out one for 78.

22 COMMISSIONER BROWN: Okay. Is 76 attached to  
23 75?

24 MS. CHRISTENSEN: They were separate.

25 COMMISSIONER BROWN: Yeah, I don't have 76.

1 MS. CHRISTENSEN: Oh.

2 COMMISSIONER BROWN: We don't have it up here.

3 MR. DONALDSON: I -- I -- I thought I heard  
4 Ms. Christensen say that she's just going to  
5 utilize --

6 COMMISSIONER BROWN: Oh, I thought --

7 MR. DONALDSON: -- Exhibit 61.

8 COMMISSIONER BROWN: She was utilize- -- okay.  
9 So, you just are utilizing one exhibit.

10 MS. CHRISTENSEN: Corr- -- I'm just going to  
11 use the one that's marked 75.

12 COMMISSIONER BROWN: Okay. I'm a little rusty  
13 here. Sorry.

14 (Laughter.)

15 MS. CHRISTENSEN: And in lieu of using 76, I'm  
16 just going to refer to the demonstrative  
17 Exhibit 61 --

18 COMMISSIONER BROWN: Oh, that's what --

19 MS. CHRISTENSEN: It's already been marked as  
20 61.

21 COMMISSIONER BROWN: Okay. Okay. But you  
22 don't have a paper copy for us here.

23 MS. CHRISTENSEN: No, you are -- should  
24 already have 61 up there.

25 COMMISSIONER BROWN: Okay.

1 MS. CUELLO: Commissioner Brown, I just wanted  
2 to let you know that staff did pass out two papers.  
3 They're just for ease of use for whenever we do  
4 cross the witness, but they do not have a cover  
5 sheet on them.

6 COMMISSIONER BROWN: Thank you. We have them.  
7 All right. You may proceed.

8 MS. CHRISTENSEN: All right. Thank you.

9 EXAMINATION

10 BY MS. CHRISTENSEN:

11 Q And good afternoon, Mr. Sanchez. Can I ask  
12 you to refer to Page 8 of your direct testimony -- or  
13 I'm sorry -- of your rebuttal testimony, since that's  
14 the only testimony you filed.

15 A Yes.

16 Q Okay.

17 THE CLERK: Can you turn your mic on?

18 MS. CHRISTENSEN: It's on.

19 THE WITNESS: It's on.

20 MS. CHRISTENSEN: Oh, sorry. Wrong --  
21 witness.

22 BY MS. CHRISTENSEN:

23 Q Okay. Referring to Lines 2 and 3 of your  
24 rebuttal testimony, you said you created a term called  
25 area reliability margin calculation for use -- that you

1 used in this docket, correct?

2 A That is correct.

3 Q Okay. And this calculation is a combination  
4 of the margin-reserve calculation of the load-flow --  
5 flow analysis; is that also correct?

6 A It is -- one of the inputs into it is -- is a  
7 product of the load-flow analysis, which determines the  
8 import capability.

9 Q Okay. And that's what you testified to on  
10 Page 8 of your testimony, Line 3 and 4; is that correct?

11 A That's correct.

12 Q Okay. Now, you also would agree that,  
13 conceptually, area -- margin reserve and regional  
14 imbalance are similar; is that correct?

15 A Very similar, yes.

16 Q Okay. And I wanted to ask, for purposes of  
17 your calculation of the area margin reserve --

18 MR. DONALDSON: I --

19 Q -- you used -- I believe you discussed with  
20 Sierra's counsel the P80 load forecast; is that correct?

21 MR. DONALDSON: I -- I think that Mr. Sanchez  
22 has called it an area reliability margin, not an  
23 area margin reserve.

24 MS. CHRISTENSEN: Oh.

25 COMMISSIONER BROWN: Ms. Christensen?

1 MR. DONALDSON: I don't want the witness to be  
2 confused with the terminology.

3 MS. CHRISTENSEN: I'm sorry. What -- what --  
4 how are you putting it? Because I may have it  
5 typed it in here wrong, so --

6 MR. DONALDSON: He calls it an area  
7 reliability margin.

8 MS. CHRISTENSEN: Area reliability margin. I  
9 will attempt to do my best to remember that. Area  
10 reliability margin.

11 COMMISSIONER BROWN: And that's what you  
12 meant.

13 MS. CHRISTENSEN: That is what I meant.

14 MR. DONALDSON: I'm -- I'm assuming that's  
15 what she meant, but I didn't want the witness to be  
16 confused.

17 COMMISSIONER BROWN: Okay.

18 MS. CHRISTENSEN: Okay.

19 COMMISSIONER BROWN: You got the question?

20 THE WITNESS: I'm good. Thank you.

21 BY MS. CHRISTENSEN:

22 Q Okay. Do I need to repeat the question?

23 You --

24 A Please repeat.

25 Q Yes, I can repeat that. For calculating for

1 your area reliability reserve margin, you use -- am  
2 I using --

3 A Area reliability margin.

4 Q Area reliability margin -- I'm going to get  
5 this correct by the time we finish this cross -- you  
6 used the P80 load forecast; is that correct?

7 A P80 non-coincident load forecast.

8 Q Non-coincident. And is that -- and that has a  
9 cushion in it above the P50 non-coincident load forecast  
10 that's generally used for resource planning; is that  
11 correct?

12 A I wouldn't term it a cushion. It has a  
13 different probability because, at the end of the day, you  
14 don't get the diversity that you get in operations that  
15 you plan for.

16 Q Okay. But it --

17 COMMISSIONER BROWN: Mr. Sanchez, could you  
18 just move a little closer to the mic --

19 THE WITNESS: I'm sorry.

20 COMMISSIONER BROWN: -- please? Thank you.

21 BY MS. CHRISTENSEN:

22 Q And I just want to make sure I understand,  
23 you -- the 80-percent load probability is you're  
24 calculating to ensure that you conserve at least  
25 80 percent of the load, and the 50-percent probability

1 is geared towards serving at least 50 percent of the  
2 load, based on forecast, correct?

3 A No.

4 Q All right. Am I missing something?

5 A Yes.

6 Q What am I missing?

7 A The 80th percentile says that the load that  
8 you're going to be able to serve, 80 per- -- there's an  
9 80-percent probability that's going to be at that level  
10 or below.

11 Q Okay.

12 A There's still a 20-percent chance that you'll  
13 be above that load.

14 Q Okay. And the 50-percent would be, then?

15 A 50 means it could be higher or it could be  
16 lower 50 percent of the time.

17 Q Okay. All right. That -- I just wanted to  
18 make sure I was clear. And you're using the 80-percent  
19 probability.

20 A Correct.

21 Q Okay.

22 A For -- not for the entire system, just for the  
23 specific areas.

24 Q Okay. All right. And you would agree that,  
25 in determining regional imbalance, that the system

1 planners look at the entire FPL system and its ability  
2 to serve the southeast region under a variety of  
3 scenarios; is that correct?

4 A Yes, the transmission planner will look at,  
5 not just the entire system, but will also look at  
6 southeast Florida.

7 Q Okay. And you would agree that FPL does not  
8 show a regional imbalance until the year 2025, correct?

9 A Regional imbalance, in the way it's termed of  
10 2025, it means that your load-serving capability -- that  
11 equation -- you've got no margin left. I've got to  
12 address risk.

13 Q Sir, it -- I'm -- it sounds like you're  
14 agreeing with me that the regional -- that, in fact, FPL  
15 is not showing a regional imbalance until 2025; is that  
16 correct?

17 A That is correct, presuming that nothing  
18 breaks.

19 Q Okay. Based on your calculation of the area  
20 reliability margin in 2022, the southeast region is  
21 projected to be 1,691 megawatts with the largest  
22 southeast unit out of service during the summer peak and  
23 all other generation available in import capability; is  
24 that correct?

25 A That is correct.

1 Q And this 1,691 megawatts does not include the  
2 Dania unit?

3 A That is correct.

4 Q Okay. And this would be with the Port  
5 Everglades Unit 5, which is 1,237 megawatts, and the  
6 largest southeast unit out of service; is that correct?

7 A That is correct.

8 Q Okay. And then you go on to state that there  
9 would be a remaining 454 megawatts real-time reliability  
10 of margin; is that correct?

11 A That is correct.

12 Q Okay. So, if Dania Unit 7 was not placed into  
13 service until 2024, the area reliability margin in 2023  
14 would be 1,563 megawatts; is that correct?

15 A In what year? I'm sorry?

16 Q In the year 2023.

17 A That is correct, 1,563 megawatts.

18 Q Okay. Do you know what the 2024 area margin  
19 reserve would be without the Dania unit or other new  
20 generation being brought into service in 2024?

21 A Yes, I do.

22 Q Okay. And what is that number?

23 A 1,415 megawatts.

24 Q Okay. Now, I think you agreed that load  
25 growth over the 2022-to-2025 period is about

1 409 megawatts; is that correct?

2 A That is correct.

3 Q Okay. And you are not growing 420 megawatts  
4 in a single year, but about 130 megawatts, each of those  
5 three years; is that correct?

6 A Approximately.

7 Q Okay. All right. I can actually skip through  
8 that.

9 Let me move on to my next question. If the  
10 Dania Unit 7 is placed into service in 2024, the area  
11 reliability margin would be 2,978 megawatts in 2024; is  
12 that correct?

13 MR. DONALDSON: Let me just interpose a  
14 clarification. This is assuming that Lauderdale is  
15 retired in 2018; is that correct?

16 COMMISSIONER BROWN: Ms. Christensen?

17 MS. CHRISTENSEN: Correct.

18 MR. DONALDSON: All right.

19 COMMISSIONER BROWN: All right. Mr. Sanchez.

20 THE WITNESS: Yes, the reliability margin  
21 would be 2,978 megawatts in 2024.

22 BY MS. CHRISTENSEN:

23 Q And you would agree that the actual area  
24 reliability margin for -- and if you need to confirm,  
25 I've passed out, for convenience, FPL's response to

1 Interrogatory 75.

2 You would agree that the actual area  
3 reliability margin for 2017 was 1,244 megawatts; is that  
4 correct?

5 A That is correct.

6 Q Okay. And you would also agree that the  
7 planned area reliability margin for 2017 was  
8 1,501 megawatts; is that correct?

9 A That is correct.

10 Q And you would agree that, in 2023, the area  
11 reliability margin of 1,563 megawatts is higher than  
12 either the actual or the planned margin reserve  
13 experienced in 2017; is that correct?

14 A That is correct.

15 MS. CHRISTENSEN: Okay. Thank you. I have no  
16 further questions.

17 COMMISSIONER BROWN: Thank you,

18 Ms. Christensen.

19 Staff.

20 MS. CUELLO: Staff has a few questions.

21 EXAMINATION

22 BY MS. CUELLO:

23 Q Good evening, Mr. Sanchez. I'm Stephanie  
24 Cuello with Commission staff.

25 When discussing the area reliability margin in

1 your testimony, you did not include demand response such  
2 as interruptible or curtailable customers in that  
3 margin, correct?

4 A That is correct.

5 Q And can you please refer to FPL's response to  
6 staff's fourth set of interrogatories, No. 80, which is  
7 listed as Exhibit 53 in the comprehensive exhibit list?  
8 And a copy has also been circulated for your  
9 convenience.

10 A Interrogatory No. -- I'm sorry?

11 Q 80, the response.

12 A 80?

13 COMMISSIONER BROWN: It is not provided with  
14 the cover sheet, but the first page is actually  
15 Interrogatory No. 78.

16 THE WITNESS: Okay. I do have it. I have it  
17 right here. Thank you.

18 BY MS. CUELLO:

19 Q Okay. This lists the amount of demand  
20 response available inside the southeastern-Florida  
21 region. Would you agree that, subject to check, the sum  
22 total of demand response identified in the region is 663  
23 megawatts?

24 A Subject to check, yes.

25 Q Okay. And would you also agree that

1 approximately half the capacity listed on this page has  
2 a five-year notice requirement?

3 A That is correct.

4 Q Okay. And can you please refer to FPL's  
5 response to Staff Interrogatory No. 78, a copy of which  
6 was also provided?

7 A Yes.

8 Q And can you review the question and the first  
9 line of FPL's response?

10 A Yes.

11 Q Okay. And can you give some specific examples  
12 of how you would continue to provide service in a  
13 reliable and efficient manner?

14 A We would continue dispatching our resources to  
15 serve load and, as contingencies occurred, we try to  
16 optimize a system such that we could continue serving  
17 the load; however, you know, we would have less -- less  
18 margin to operate it, but we would continue serving the  
19 load, same way we're doing now, and managing the risk as  
20 best we can.

21 Q And under your proposal, can it be guaranteed  
22 to this Commission that FPL will not have a reliable --  
23 reliability issue in the southeastern-Florida region?

24 A You can never guarantee it, but certainly the  
25 higher the margin, the less the risk. Just because you

1 didn't have -- haven't had an issue doesn't mean the  
2 risk hasn't been there, but there's different levels of  
3 risk.

4 **Q And under the delay sensitivity, can it be**  
5 **guaranteed to this Commission that FPL will have a**  
6 **reliability issue in the southeastern-Florida region?**

7 A I can't guarantee whether you will or will not  
8 have a reliability issue. I can guarantee you that you  
9 will have a higher risk of a reliability issue, though.

10 MS. CUELLO: Okay. Those are all the  
11 questions I have. Thank you, Mr. Sanchez.

12 THE WITNESS: Thank you.

13 COMMISSIONER BROWN: Thank you.

14 Commissioners. Commissioner Clark.

15 COMMISSIONER CLARK: I just have two  
16 questions, Mr. Sanchez. I'm not sure -- I'm going  
17 to start by -- I've offered everyone else the  
18 opportunity to answer the question about where  
19 unused power goes in terms of your generating  
20 capacity.

21 Are you the person to answer that question?

22 THE WITNESS: I dispatch all the generation at  
23 Florida Power & Light, yes.

24 COMMISSIONER CLARK: So, in terms of what  
25 happens if you have additional capacity, do you

1 have the ability to sell that power on the open  
2 market?

3 THE WITNESS: I personally don't sell it. I  
4 am not allowed to sell it. However, Energy -- EMT,  
5 which is Marketing and Trading -- they will see how  
6 much capacity I have available. Okay. And from  
7 that, they'll try to optimize by selling it off --  
8 off system.

9 COMMISSIONER CLARK: And assuming that you had  
10 1,500, 2,000 megawatts of additional capacity, what  
11 would you normally consider selling -- I know you  
12 would sell some under firm capacity, I guess, some  
13 on the spot market, which -- how would you divide  
14 that mixture up?

15 THE WITNESS: We look at load forecasts, your  
16 P80 load forecasts of what we expect. We look at  
17 what generation we have out -- either planned, for  
18 example, overhauls, what transmission facilities  
19 are out, what generation facilities may be  
20 unavailable, unplanned.

21 And then, based on that, you have a margin of  
22 how much capacity you have leftover. Based on that  
23 capacity, we'll look at the risk of losing another  
24 generator. For example, we'll look at it system-  
25 wide and we'll look at it within the southeast-

1 Florida area.

2 For example, if the only generator I have  
3 available at capacity are the combustion turbines  
4 at Lauderdale, the southeast-Florida area, I will  
5 be much-more conservative to make sure that, if  
6 something does break, I could still cover the load;  
7 however, if the capacity I do have available also  
8 includes the capacity outside of southeast Florida,  
9 it will be available for firm.

10 Let alone, on top of all that, we will make  
11 capacity available on the non-firm spot market,  
12 such that it's recallable within minutes if  
13 anything were to occur.

14 COMMISSIONER CLARK: And the revenues that you  
15 generate from those, those go into earnings and  
16 offset customer cost; is that correct?

17 THE WITNESS: I apologize, Commissioner, but I  
18 do not get into that area.

19 COMMISSIONER CLARK: I still want to hold that  
20 question open, then.

21 COMMISSIONER BROWN: We will get that question  
22 answered.

23 COMMISSIONER CLARK: Okay. My -- my second  
24 question goes to, in your early testimony, you were  
25 asked about specific capacity requirements for the

1 southeast market. I'm assuming you're talking  
2 Miami-Dade and Broward County specifically there.

3 THE WITNESS: Yes, sir.

4 COMMISSIONER CLARK: And what would happen in  
5 terms of reliability if you added additional  
6 generation capacity in that particular region? As  
7 I understand it, 44 percent of your market are  
8 those two counties. Do -- do you have exactly a  
9 44-percent match of generation assets for that  
10 county as well?

11 THE WITNESS: No.

12 COMMISSIONER CLARK: But your answer was that  
13 new resources in that area would not help  
14 reliability in any way. I -- I kind of -- it would  
15 not prevent outages, if you had -- if you're having  
16 to import generation into that region, and you lose  
17 transmission facilities in a hurricane, how would  
18 not having additional generation assets in that  
19 county not prevent outages?

20 THE WITNESS: No, with respect to hurricanes,  
21 okay. The -- one of the scenarios that -- that  
22 we've always considered is a hurricane, for  
23 example, coming in, Palm Beach, Martin County, and  
24 coming, say, east to west or -- or brushing the  
25 coast, starting in Palm Beach or Martin County.

1           That point -- right after the Hurricane, it  
2           gets really, really hot because it -- you know, you  
3           have -- the low goes and you get the hot weather.  
4           Our concern has been that you get damage to  
5           generation and the transmission facilities that  
6           could allow that pow- -- that -- that generation  
7           that's north of southeast Florida to come down.

8           And then you've got Dade and Broward County  
9           completely intact with your 11,000 megawatts of  
10          generation and limited, less generation in that  
11          pocket. And now, you've got -- you need to import  
12          power and you -- and the facilities to import that  
13          power and the generation are either both or one are  
14          damaged because of the hurricane.

15          So, definitely, the more power you have in  
16          close proximity to that load center, the more  
17          reliable you are. I mean, it -- there's -- there's  
18          a balance of importing versus having, you know,  
19          close-in generation.

20          You know, when you consider southeast Florida,  
21          it's a little bit different than a lot of other  
22          major metropolitan centers in that it's at the end  
23          of a 300-mile peninsula where you have all this  
24          load.

25          And then, really, southeast Florida, Dade and

1 Broward County, are a peninsula within a peninsula.  
2 There's no way -- if we go west, we've got the  
3 Everglades, and we've got one big line crossing  
4 that. And that's it. And then everything else is  
5 to the north. We can't go to the south or to the  
6 east either.

7 COMMISSIONER CLARK: But you -- you indicated  
8 you had 11,000 megawatts of generation capacity.  
9 You only have 6,000 generation, and you import  
10 5800 --

11 THE WITNESS: Correct.

12 COMMISSIONER CLARK: -- according to this; is  
13 that correct?

14 THE WITNESS: Yes, that is correct.

15 COMMISSIONER CLARK: So, if your transmission  
16 is knocked out, having generation assets in that  
17 county would increase reliability.

18 THE WITNESS: Absolutely. Yes.

19 COMMISSIONER CLARK: Okay. I -- I don't -- I  
20 did not understand you to answer that that way the  
21 first time.

22 THE WITNESS: Yes.

23 COMMISSIONER CLARK: Okay.

24 THE WITNESS: I'm sorry.

25 COMMISSIONER CLARK: Great. Thank you.

1 THE WITNESS: Thank you.

2 COMMISSIONER BROWN: One question, regarding  
3 your -- just to kind of piggy-back off Commissioner  
4 Clark's comments and questions, your FPL's 2017  
5 annual capacity dry run that was held -- you cited  
6 it in your direct rebuttal here.

7 What was the shortfall of the capacity in this  
8 scenario? You participated in the -- you  
9 participated in it this year.

10 THE WITNESS: I led it.

11 COMMISSIONER BROWN: Oh, okay. So, you should  
12 have that --

13 (Laughter.)

14 THE WITNESS: It was a lot -- at one point, I  
15 believe we had several-hundred-thousand customers  
16 out that we were rotating that -- in essence, you  
17 know were having rolling blackouts through  
18 southeast Florida. It -- it is significant.

19 COMMISSIONER BROWN: So, irrespective of  
20 Lauderdale 4 and 5, there was still --

21 THE WITNESS: There -- yes --

22 COMMISSIONER BROWN: Because you talk about  
23 having -- Dania Beach Unit 7 would have mitigated  
24 the -- the experience incurred under this scenario.

25 THE WITNESS: Yes. For example, you know,

1 just without Dania Beach -- without Lauderdale  
2 versus Dania Beach, there's 1200-megawatts  
3 difference, which is about 240 -- 250,000-customers  
4 difference of serving; between Lauderdale 4 and 5  
5 and Dania Beach, there's about 400 megawatts, which  
6 is approximately 80,000 customers or so.

7 It's about one -- it's about 200 customers per  
8 every megawatt or -- you know, and we talk -- we  
9 throw around a hundred -- a hundred megawatts like  
10 it's not a lot. It's 20,000 customers. It's a lot  
11 when you're talking a hundred megawatts.

12 COMMISSIONER BROWN: All right. Thank you.

13 THE WITNESS: Thank you.

14 COMMISSIONER BROWN: Redirect.

15 MR. DONALDSON: Yes, thank you.

16 EXAMINATION

17 BY MR. DONALDSON:

18 **Q Mr. Sanchez, what is the -- your**  
19 **responsibility as director of system operations?**

20 A Two major responsibilities. One is I operate  
21 the FPL system -- or my team does. We're responsible  
22 for making sure that, when the light switch is turned  
23 on, the lights go on, at the end of the day. It's  
24 basically that.

25 But there's a lot more that goes into that.

1 It goes into, you have to plan for that. And planning  
2 starts at the Dr. Sim level, but it goes down to what  
3 overhauls are we going to do next year, how are they  
4 going to be coordinated, to what weather profile do we  
5 expect and what load profile.

6 Then, it comes down to also -- when -- as it  
7 gets closer in time months ahead, okay, let's refine  
8 that plan even more. What do we think is going to  
9 happen in the month -- for example, right now, in  
10 January -- what do we think is going to happen in the  
11 summer.

12 As we get closer to May, okay, are the units  
13 really performing the way we expect them; is the  
14 overhaul schedules going the way we expect them; how's  
15 that going. Okay. So, all that comes into play.  
16 Are -- the transmission maintenance that's going on, is  
17 that -- is that being done on time.

18 So, eventually all that gets to the next day.  
19 And we actually have a group of people that worry about  
20 tomorrow and the day after. And what they do is they  
21 simulate tomorrow and the day after, such that, when  
22 that operator sits on the chair, he's got a plan of the  
23 day that's telling him, this is what to expect today.  
24 This generator is out. It's going to come back at this  
25 time. This line is out from this time to this time.

1 It's going to come back at this time. This is what you  
2 expect to see on your applications that tell you, if  
3 this happens, this is what's going to happen. This is  
4 what you're going to do.

5 It's very analogous to an airline pilot.  
6 There's a lot of practice and choreography that goes  
7 into it. And hopefully, that -- that customer will  
8 never experience anything, but those pilots are very  
9 trained in case things go wrong that are unexpected.

10 And we try to prepare for that ahead of time,  
11 like, for example, having this area reliability margin  
12 that we know we have levers that we could pull and make  
13 sure customers are served.

14 The other major responsibility that I have is  
15 reliability coordinator for Florida, one of the eight  
16 regions in the country. I'm responsible for making sure  
17 that over 50 utilities in Florida coordinate their  
18 operations.

19 So, for example, when we do generation  
20 overhauls and transmission-line outages, I make sure,  
21 when Duke is doing theirs and Tampa is doing theirs and  
22 Orlando, that we all coordinate such that it all comes  
23 together. And at the end of the day, the number-one  
24 goal is reliability for the state of Florida. It's not  
25 economics. It's reliability.

1           So, that's my other major responsibility.

2           **Q     And from a -- from a systems-operations**  
3 **standpoint, what type of facilities do you have command**  
4 **and control over in your real-time operations?**

5           A     We run one of the largest control centers in  
6 the country. It's impressive. It's a cockpit that has,  
7 in essence, a dashboard that's 188 feet long by about  
8 20 feet high of video. There's operators 24-by-7  
9 manning it, in addition to management. It's a 24-by-7  
10 operation. You know, there's always something going on.  
11 It's -- you have to see it to believe it.

12          **Q     Do you control the power plants within FPL's**  
13 **system, meaning whether or not you're going to run them**  
14 **or not run them?**

15          A     Absolutely. We plan -- as I was mentioning,  
16 not just months ahead -- when they're expecting to be  
17 run so we know what fuel they're going to go into and  
18 how they come together with the transmission, but  
19 tomorrow we plan that this one is going to be out at  
20 10:00 in the morning. It's going to shut down at 6:00  
21 in the evening. This one is going to do this. This one  
22 is going to do that.

23                   And then, on a real-time basis, except for the  
24 nuclear basis, we actually control them from the  
25 facility.

1           **Q     Do you control the movement of electricity**  
2           **over the bulk transmission lines that are throughout**  
3           **FPL's service territory?**

4           A     Yes, we do.

5           **Q     How do you do that?**

6           A     We have operational control, all breakers at  
7           the transmission substations, such that we could  
8           redirect power and we could turn on generation.  
9           Actually, the combustion turbines at Lauderdale and at  
10          Fort Myers -- we could turn them on within seven  
11          minutes.

12                    The other plants, we could go ahead and, once  
13           they come online, we could go ahead and issue set points  
14           that they'll go to that set point.

15          **Q     Okay. Now, one of the things that we've been**  
16          **focusing on, and at least that I know that you've been**  
17          **asked in cross-examination from Sierra Club and from**  
18          **Office of Public Counsel, is this South Florida --**  
19          **southeast-Florida region. Am I correct that that**  
20          **consists of Dade and Broward Counties?**

21          A     That is correct.

22          **Q     All right. And where is your office actually**  
23          **located?**

24          A     In Miami, downtown Miami.

25          **Q     All right. And how much generation capacity**

1 do you have in Miami-Dade and Broward County right now,  
2 as of today, with Lauderdale Units 4 and 5 in service?

3 A It is -- I'm sorry. I don't know offhand the  
4 number, and I should. It is 5,280 without -- after  
5 Lauderdale 4 and 5 are retired. So, it's approximately  
6 6,000 megawatts with Lauderdale.

7 Q Okay. And how many megawatts does Lauderdale  
8 Units 4 and 5 provide southeast Florida?

9 A A total of 880 megawatts.

10 Q All right. Now, how much transmission import  
11 capability do you have into southeast Florida?

12 A Today, we have 5,800.

13 Q All right. Is that before the Corbett-Sugar-  
14 Quarry line is placed in service in 2019?

15 A Yes, it is.

16 Q So, I guess, if we were -- Commissioner Clark  
17 was asking this question. If you add up the amount of  
18 generation, which is on Interrogatory No. 75, which is  
19 6,164, and the amount of transmission capability  
20 currently of 5,800, you have a total amount of 11,964  
21 megawatts of transmission and generation capability into  
22 southeast Florida; is that correct?

23 A That is correct.

24 Q And how -- what's the load of that particular  
25 area?

1           A     Approximately 10,700 megawatts.

2           Q     All right.  And I heard -- I believe it was  
3   Commissioner Clark -- it may have been Commissioner  
4   Brown -- say that that represents about over 40 percent  
5   of FPL's total system load?

6           A     Yes.  It will vary between 43, 45, 46.  It  
7   depends on weather.  If you get a -- you know, two or  
8   three days of 92-, 93-degree weather in Miami and Fort  
9   Lauderdale, it will actually bump up into the 44-, 45-  
10  percent range.

11          Q     If you were -- if you were to give an  
12  equivalent type of location that serves this type of  
13  load, what would that be?

14          A     I always compare it to -- to New York City.  
15  It's about 13,000 megawatts, compared to about 11,000.  
16  I've heard today, it's about the size of Duke, which I  
17  guess it is about the size of Duke.

18                 It is a -- Dade and Broward County is a very  
19  large utility, in and of itself, in the country.

20          Q     Where is Lauderdale Units 4 and 5 located?

21          A     Right in the heart of Broward County, in Dania  
22  Beach.

23          Q     All right.  If you were to retire Lauderdale  
24  Units 4 and 5, what is the impact of that retirement on  
25  the southeast -- on the load -- not on the load, but the

1 on the generation and import capability within southeast  
2 Florida?

3 A Well, even though --

4 MS. CHRISTENSEN: I'm going to object. I  
5 think Mr. O'Donnell is basically [sic] --

6 MR. DONALDSON: Donaldson. --

7 MS. CHRISTENSEN: -- doing direct -- or --  
8 sorry.

9 MR. DONALDSON: That's okay.

10 MS. CHRISTENSEN: -- is basically doing direct  
11 instead of redirect. He's not actually asked him  
12 to respond to something that was addressed by any  
13 of the cross that was presented.

14 COMMISSIONER BROWN: Well, I was allowing the  
15 questions because nobody has objected, but now  
16 that -- that you raise it -- there was a lot of big  
17 scope of questions that were asked by the  
18 intervenors and the bench up here.

19 So, I -- I'll allow this question, but just,  
20 Mr. Donaldson, be -- be on notice here that this is  
21 redirect.

22 MR. DONALDSON: I -- I agree. And I'm trying  
23 to tailor it to some of the questions that Sierra  
24 Club has asked about different windows of  
25 retirement. And I want to put things in context so

1           that --

2                   COMMISSIONER BROWN: All right. Let's get to  
3           it.

4                   MR. DONALDSON: Yes, thank you.

5 BY MR. DONALDSON:

6           **Q     So, if you retire Lauderdale Units 4 and 5,**  
7 **what is the impact -- if you retire in 2018, as FPL has**  
8 **proposed, what is the impact on the southeast-Florida**  
9 **region with respect to generation and import capability,**  
10 **prior to CSQ coming in line?**

11                   MR. LENOFF: Can I object? It's ambiguous. I  
12           don't understand what that question is.

13                   COMMISSIONER BROWN: Mr. -- Pardon me.  
14           Mr. Sanchez, do you understand the question?

15                   THE WITNESS: Yes, I do.

16                   COMMISSIONER BROWN: All right. Objection  
17           overruled. I understand it.

18                   THE WITNESS: Okay. You actually end up  
19           losing 880 megawatts of generation and 400  
20           megawatts of import capability.

21 BY MR. DONALDSON:

22           **Q     So, that's a total of almost 1300 megawatts**  
23 **that you would lose in southeast-Florida area?**

24           A     That is correct.

25           **Q     All right. And there have been some**

1 discussions about the guidance that you've provided to  
2 Dr. Sim regarding these delay scenarios. I guess folks  
3 were calling it Plans 4 and 5. Can you explain in a  
4 little bit more detail what this guidance was that you  
5 provided to Dr. Sim?

6 A I would --

7 MR. LENOFF: Can I -- objection. That's asked  
8 and answered.

9 COMMISSIONER BROWN: I don't think it was.  
10 Objection overruled.

11 THE WITNESS: I really recommend not delaying  
12 Lauder- -- Dania Beach Energy Center, but by the  
13 way, if it ends up being delayed, you have less  
14 risk by not having a six-year window; having a  
15 four-year window.

16 But the preference and the recommendation from  
17 somebody with 32 years of experience doing this is,  
18 let's get it in service as soon as possible,  
19 especially considering the area we're talking  
20 about.

21 BY MR. DONALDSON:

22 Q With respect to the guidance that you provided  
23 Dr. Sim, did you provide any guidance on what to do with  
24 any delay scenario in the in-service date of Dania  
25 Beach? And what was that guidance with respect to what

1 **to do with Lauderdale Units 4 and 5?**

2 MR. LENOFF: Objection. Compound question.

3 COMMISSIONER BROWN: I understand the question  
4 very clearly. I don't think it was compound enough  
5 to be incomprehensible.

6 Mr. Sanchez, are you able to answer the  
7 question?

8 THE WITNESS: Yes.

9 COMMISSIONER BROWN: Please go ahead.

10 THE WITNESS: I recommended that the in-  
11 service date not be delayed, but if it was delayed,  
12 that we also delay the -- taking out the unit.

13 BY MR. DONALDSON:

14 **Q The unit being Lauderdale Units 4 and 5?**

15 A Yes, sir.

16 **Q Okay. And -- and that was -- that was in**  
17 **response to a one-year and two-year push in the**  
18 **Lauderdale in-service dates.**

19 MR. LENOFF: Objection. Leading.

20 **Q -- is that correct?**

21 COMMISSIONER BROWN: Re- -- restate.

22 MR. DONALDSON: Sure.

23 BY MR. DONALDSON:

24 **Q What was that in response to with respect to**  
25 **in-service dates of Dania Beach Units -- Unit 7?**

1           A     It was in response to a delay, potentially of  
2 up to two years.

3           Q     Okay. Did you provide any guidance on what  
4 was less-risky with respect to FPL's plan in this case,  
5 which is Plan 2, of retiring Lauderdale units in 2018,  
6 and the in-service date of Dania Beach in 2022 versus  
7 these other two delay scenarios that we've been  
8 discussing here and Sierra Club has asked you about?

9           MR. LENOFF: Objection. It's leading. It's a  
10 narrative. And it's discussing alternative plans  
11 in the same way that Mr. Donaldson objected  
12 previously.

13           COMMISSIONER BROWN: Well, I don't think it  
14 was a narrative. He was restating -- he was  
15 restating the question that you previously asked.  
16 And it is pertinent to the question that you asked,  
17 so I'm going to allow the question. Overruled.

18           THE WITNESS: The least-risky plan is taking  
19 advantage of the Corbett-Sugar-Quarry line as soon  
20 as we can and getting the Dania Beach generation in  
21 as soon as we can, by 2022. Any other plan that  
22 delays it past 2022 increases the risk. And as you  
23 go further in time, the risk increases.

24           Obviously, not only if you increased the  
25 window that the Dania Beach Energy Center is out --

1 not only do you increase the risk because of the  
2 load serving, but the amount of time that you don't  
3 have the 12 or 1300 megawatts of capacity to serve  
4 load in that area also adds another level of risk.

5 BY MR. DONALDSON:

6 Q And referring to staff's demonstrative  
7 exhibit, No. 61 -- do you have it in front of you?

8 A Yes, I do.

9 Q This is in direct response to Sierra Club's  
10 counsel asking you about 3200 megawatts of margin and --  
11 under Plan 2 in 2022.

12 I want to refer you to Plan 1, which is FPL's  
13 Lauderdale not-retired plan. Do you see the 2019  
14 number -- year, where you have 3,157 megawatts?

15 MR. LENOFF: Objection. Leading.

16 COMMISSIONER BROWN: Overruled.

17 THE WITNESS: Yes, I do.

18 BY MR. DONALDSON:

19 Q All right. Do you know why there's an  
20 increase in megawatts in 2019?

21 A Because Lauderdale is not retired and you have  
22 the Corbett-Sugar-Quarry line providing the additional  
23 import capability.

24 Q Do you see, if you compare Plan 1 for 2019,  
25 with Plan 2 for year 2022 -- do you see, between those

1 two years -- well, what do you see between those two  
2 years, as far as reduction in Plan 1 versus Plan 2?

3 A Approximately --

4 Q If you understand my question.

5 A Plan 2 results in approximately 1300 megawatts  
6 less of reliability margin relative to Plan 1.

7 Q All right. And Plan 2 is -- we're talking  
8 about the retirement of Dania Beach in 2018; is that  
9 right?

10 A That is correct.

11 Q Is that the window that you're talking about?

12 A That's exactly the window that we're talking  
13 about.

14 Q All right. One of the other questions that  
15 was asked by Sierra Club is this area reliability margin  
16 term that you utilized. Has the term "margin," when  
17 respect to the southeast-Florida region, been utilized  
18 before in prior dockets?

19 A I believe it has been.

20 Q Do you recall which docket it was prev- --  
21 most-recently used in?

22 MS. CHRISTENSEN: I'm going to object. I'm  
23 not sure if he's using similar terminology because  
24 I think we were referring to area reliability  
25 margin and --

1           COMMISSIONER BROWN: Let's just get a  
2 clarification.

3           Mr. Donaldson, are you referring to the term  
4 at -- Mr. Sanchez's identifies called "area  
5 reliability margin" in his prefiled --

6           MR. DONALDSON: Yes, Chair.

7           COMMISSIONER BROWN: Okay. Clear? You  
8 withdraw your objection?

9           MS. CHRISTENSEN: As long as the question is  
10 clear as to whether or not they've used that term,  
11 "area reliability margin," in previous dockets.

12          COMMISSIONER BROWN: I --

13          MR. DONALDSON: Well, the question was --

14          COMMISSIONER BROWN: Mr. Donaldson.

15          MR. DONALDSON: Okay.

16 BY MR. DONALDSON:

17           **Q     Mr. Sanchez, you call -- let me -- let me do**  
18 **it this way: What do call the difference between the**  
19 **amount of load and import -- and import capability and**  
20 **generation for Miami-Dade County and Broward County?**

21           A     I term it "area reliability margin."

22           **Q     Okay.**

23           A     It's margin for the area.

24           **Q     All right. Has a similar type of term been**  
25 **utilized before in previous dockets?**

1 MR. LENOFF: Objection. Asked and answered.

2 I --

3 COMMISSIONER BROWN: We don't have a clear  
4 answer right now. He --

5 MR. LENOFF: I asked the question.

6 COMMISSIONER BROWN: There was an objection  
7 that was withdrawn. So, I'm going to allow  
8 question.

9 Mr. Sanchez, please proceed.

10 THE WITNESS: Yes, it has. I believe it's  
11 been used in the Port Everglades docket.

12 Southeast Florida has always been a concern  
13 for us as -- you know, I can personally tell you,  
14 since we put Turkey Point 5 and came to the  
15 Commission back in 2005, southeast Florida --

16 COMMISSIONER BROWN: I know you're -- you're  
17 editorializing a little bit, causing some  
18 consternation among -- thank you, though.

19 Mr. Donaldson.

20 MS. CHRISTENSEN: Can -- can I ask for  
21 clarification on his last response? He did say "we  
22 used it in Port Everglades," but he didn't actually  
23 specify what term was used in the Port Everglades  
24 docket. And that's what I was trying to get  
25 clarification on.

1 COMMISSIONER BROWN: Oh, just one second.

2 Mr. Donaldson, would you like to ask that  
3 question for --

4 MR. DONALDSON: Sure.

5 BY MR. DONALDSON:

6 Q What term was used in the Port Everglades  
7 need-determination docket?

8 A I believe the term "margin" was discussed  
9 relative to having additional reliability margin for  
10 southeast Florida.

11 Q And did you understand the term "margin" to be  
12 referring to the southeast-Florida region when that Port  
13 Everglades need-determination was taking place?

14 MR. LENOFF: Objection. Leading.

15 COMMISSIONER BROWN: Restate.

16 BY MR. DONALDSON:

17 Q Do you understand whether or not the term  
18 "margin" was referring to the southeast-Florida region?

19 A Yes, it was specifically in reference to the  
20 southeast-Florida region.

21 Q Okay. So, your term -- you just add area  
22 reliability margin and, in Port Everglade, they just  
23 used "margin" for the same area.

24 MR. LENOFF: Objection. Leading.

25 COMMISSIONER BROWN: Sustained.

1 BY MR. DONALDSON:

2 Q We -- we talked about with Sierra Club -- or  
3 Sierra Club talked about with you risk or operational  
4 risk. Can you clarify, when you say, "operational  
5 risk," what are you referring to?

6 A Operational risk is being able to serve  
7 customers' load. And when we talk about load, we've  
8 really got to remember that one megawatt is 200  
9 customers. We're talking a hundred megawatts relative  
10 to 10,000. It doesn't seem like much, but a hundred  
11 megawatts is 20,000 customers.

12 That's the risk I'm talking about of whether  
13 we're going to do feeder rotation on 20,000 customers  
14 this afternoon because I don't have enough generation in  
15 southeast Florida.

16 COMMISSIONER BROWN: Thank you.

17 BY MR. DONALDSON:

18 Q And when you were referring to this  
19 operational risk, if you look on Pages 9 and 10 of your  
20 testimony, starting on Page 9, Line 22, through Page 10,  
21 Line 6 -- is that the operational risk that you were  
22 referring to?

23 MR. LENOFF: Objection. Leading.

24 COMMISSIONER BROWN: How is it leading?

25 MR. LENOFF: Because he's telling -- he's

1 asking him -- he's setting up the question of what  
2 is -- he's asking him, is this the type of risk  
3 that you were asking about. He's just asking him,  
4 what type of risk were you talking about on this  
5 page.

6 COMMISSIONER BROWN: Mr. Donaldson, can you  
7 rephrase it?

8 MR. DONALDSON: Sure.

9 BY MR. DONALDSON:

10 Q Does your testimony discuss what type of risk  
11 that you were referring to?

12 A Yes, I do.

13 Q On what pages does -- do your -- does your  
14 testimony discuss this risk?

15 A Specifically, on Page 9, Lines 22, through  
16 Page 10, Line 3.

17 Q And if we're looking on -- on Page 10, the  
18 contingency -- or where you state, serving capability to  
19 absorb contingency of TP3, TP4, TP5 also failing, what  
20 are you referring to?

21 A That I have a contingency in the system --

22 MS. CHRISTENSEN: Ob- -- objection. I think  
23 that this goes beyond the scope of cross-  
24 examination of either party.

25 COMMISSIONER BROWN: I would agree. Objection

1           sustained.

2           MR. DONALDSON: Give me one second, please.

3           I can come up with some other questions  
4           while --

5           COMMISSIONER BROWN: I do have Chairman  
6           Graham's little time clock. Unfortunately, he only  
7           has a five-minute. I -- I think we need to get a  
8           minute one.

9           MR. DONALDSON: Yeah, I know. Okay.

10          COMMISSIONER BROWN: We will be taking a break  
11          after this witness, a larger break.

12         BY MR. DONALDSON:

13           Q     Okay. Specifically -- this is probably my  
14           last line of questioning. With respect to Page 4,  
15           that -- your testimony, Lines 20, you were asked about  
16           this from Sierra Club -- you're here to rebut  
17           Dr. Hausman's claim that there's no apparent reason why  
18           four years is any kind of magic number for the time  
19           period from retirement of demolition of Lauderdale  
20           Units 4 and 5 to commercial operation of Dania Beach  
21           Unit 7, and how he fails to take into account the  
22           important operational considerations.

23                   The -- the four years that we're talking  
24           about -- what is your understanding of what that four  
25           years represents?

1           A       2018, when the unit is demolished, and 2022,  
2 when it comes back in service.

3           Q       **And was I correct in hearing that you -- one**  
4 **of your guidances to Dr. Sim was if you can get in any**  
5 **sooner?**

6           MR. LENOFF:   Objection.   Leading.

7           MR. DONALDSON:   Okay.   Well, I can rephrase  
8 it.

9           COMMISSIONER BROWN:   Sure.

10          MR. DONALDSON:   Sure.

11 BY MR. DONALDSON:

12          Q       **What was your guidance with respect to that**  
13 **construction -- that four-year construction schedule?**

14          A       If we could do it sooner, it would be a lot  
15 better for the system.

16          Q       **A lot better in the sense of how --**

17          A       Reducing --

18          Q       **-- from an operational-risk stand point?**

19          A       Reducing reliability risk.

20          Q       **Okay.   And if you were to delay it beyond four**  
21 **years, what is your professional opinion as a system**  
22 **operator?**

23          A       It increases the risk.

24          MR. DONALDSON:   Okay.   Thank you.   No further  
25 questions.

1           COMMISSIONER BROWN: All right. Thank you.

2           This witness has a few exhibits associated  
3 with his testimony -- that were just proffered. 61  
4 was offered by Sierra Club, the area-reliability  
5 table.

6           Sierra, you also 68 and 69 and 70, but 69, I  
7 believe, we are not using. That was directed  
8 toward Dr. Sim. So, we're dealing with 61, 68, and  
9 70.

10          MR. DONALDSON: I think 61 was staff's  
11 demonstrative exhibit.

12          COMMISSIONER BROWN: Okay. You --

13          MR. LENOFF: So, we would like to move it,  
14 move for 61 to be placed in the record.

15          And can you give us a moment for the other  
16 two?

17          COMMISSIONER BROWN: All right. Well, I'll  
18 have staff go -- I -- I thought it was yours, but  
19 staff, why don't we go -- 61?

20          MS. CUELLO: That's fine. We have no  
21 objection.

22          COMMISSIONER BROWN: So, we're going to go  
23 ahead and move in 61 right now, at this time.

24          (Whereupon, Exhibit No. 61 was received into  
25 evidence.)

1           COMMISSIONER BROWN: So, we're dealing with 68  
2           and 70.

3           MR. LENOFF: Can you give us one moment?

4           COMMISSIONER BROWN: Just a moment, yes.

5           MR. LENOFF: So, we would like to move for  
6           Exhibit 68 and Exhibit No. 70 to be placed into the  
7           record, please.

8           COMMISSIONER BROWN: You would like to move 68  
9           and 70.

10          Any objection?

11          MR. DONALDSON: Oh, I have no objection to 68  
12          being moved into the record.

13          I do have an objection to 70 --

14          COMMISSIONER BROWN: I was anticipating that.

15          MR. DONALDSON: -- which, I believe, is the  
16          improper impeachment -- excerpt of Mr. Sanchez's  
17          deposition transcript. So, I don't believe they've  
18          laid a proper foundation or predicate for any kind  
19          of impeachment for entry of this particular exhibit  
20          into the record.

21          COMMISSIONER BROWN: Yes, Counsel.

22          MR. LENOFF: When I began asking Mr. Sanchez  
23          about his deposition transcripts, I believe I asked  
24          him if the pages were correct, if the -- if he has  
25          any reason to doubt the accuracy of the statements

1 in the deposition transcript. And he confirmed  
2 that he has no reason to doubt it, and he's -- you  
3 know -- so, can we --

4 COMMISSIONER BROWN: Is that all?

5 Counsel -- OPC, anything you would like to  
6 add?

7 MS. CHRISTENSEN: No, my recollection is that  
8 the witness testified to what was in the deposition  
9 transcript. So, I mean, I guess there's probably  
10 no harm in either letting it in or --

11 COMMISSIONER BROWN: There's no harm except  
12 for the fact that the pre-hearing order lays out  
13 reasons for providing depositions in this  
14 proceeding. And it's strictly to be used for  
15 impeachment purposes, unless it was otherwise  
16 provided within that -- that deadline, as provided  
17 in the pre-hearing order.

18 So, if it wasn't used for impeachment, then,  
19 Counsel -- Ms. -- Mary Anne?

20 MS. HELTON: My recollection is -- but my  
21 recollection is fuzzy right now -- that it was --

22 COMMISSIONER BROWN: I know.

23 MS. HELTON: That it was --

24 COMMISSIONER BROWN: It's that hour.

25 MS. HELTON: -- was not used for impeachment

1 purposes; that he was not successful in doing so.  
2 Then, for that reason, I would suggest that it not  
3 be admitted.

4 COMMISSIONER BROWN: That's where -- what --  
5 my gut here as well. We will not move in 70, but  
6 we went ahead and moved 68 into the record.

7 (Whereupon, Exhibit No. 68 was received into  
8 evidence.)

9 COMMISSIONER BROWN: Would you like this  
10 witness temporarily excused?

11 MR. DONALDSON: He has no other matters before  
12 this Commission, so I would like him permanently --

13 COMMISSIONER BROWN: He may want to stick  
14 around for Dr. Sim.

15 (Laughter.)

16 COMMISSIONER BROWN: Mr. Sanchez, have a good  
17 night. We'll see you around here in the  
18 background.

19 THE WITNESS: Thank you very much.

20 COMMISSIONER BROWN: Thank you.

21 THE WITNESS: My pleasure.

22 COMMISSIONER BROWN: All right. It is -- the  
23 time is 6:45. My understanding -- yes, Sierra?

24 MS. CSANK: Madam Chair, if we may, Sierra  
25 Club has spoken with FPL's counsel. And we propose

1 to take a 10-, 15-minute break. I think that will  
2 enable us to significantly streamline our questions  
3 for this last witness and, hopefully, enable us to  
4 finish the hearing today.

5 COMMISSIONER BROWN: Okay. So, it's -- does  
6 anybody have an objection to taking a 15-minute  
7 break -- 10-, 15-minute break, get something to  
8 drink? Eat outside? All right. We're --

9 MR. COX: No objections.

10 COMMISSIONER BROWN: No objection. So, we're  
11 going to take a 15-minute break. 6:45, we'll be  
12 back here at 7:00 sharp. Thank you. We're in  
13 recess.

14 (Brief recess.)

15 COMMISSIONER BROWN: You all ready to proceed?

16 MR. COX: Yes, Commissioner Brown. Could FPL  
17 be heard for a moment, just briefly?

18 COMMISSIONER BROWN: Sure.

19 MR. COX: In response to the questions we  
20 heard from Commissioner Clark today, Dr. Sim is  
21 prepared, I think, to provide a more-complete  
22 answer than you've heard so far today. And we're  
23 hoping it answers your question, but in the event  
24 that it doesn't, we're willing to file a late-filed  
25 exhibit to answer more-fully, but we're going to do



1 Q And what is your current position with FPL?

2 A Director of integrated resource planning.

3 Q Did you cause to be filed on December 22nd,  
4 2017, 56 pages of rebuttal testimony in this proceeding?

5 A Yes.

6 Q Did you also cause to be filed on January 9th,  
7 2018, an errata correcting your rebuttal testimony?

8 A Yes.

9 Q Do you have any other changes or corrections  
10 to your testimony at this time?

11 A I do not.

12 Q If I were to ask you the same questions today  
13 as contained in your prefiled rebuttal testimony, as  
14 corrected by the January 9th, 2018, errata, would your  
15 answers be the same?

16 A They would.

17 MR. COX: Commissioner Brown, FPL requests  
18 that Dr. Sim's prefiled rebuttal testimony, as  
19 corrected, be inserted into the record as though  
20 read.

21 COMMISSIONER BROWN: We'll go ahead and insert  
22 Dr. Sim's prefiled rebuttal testimony into the  
23 record as though read.

24 (Prefiled rebuttal testimony inserted into the  
25 record as though read.)

**BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION**

In re: Petition for determination of )  
need for Dania Beach Clean Energy )  
Center Unit 7, by Florida Power & )  
Light Company )

DOCKET NO. 20170225-EI  
FILED: January 9, 2015

**ERRATA SHEET OF STEVEN R. SIM**

**October 20, 2017 Direct Testimony**

<u>PAGE #</u>	<u>LINE #</u>	<u>CORRECTION</u>
11	22	Change “that” to “than”
12	16	Change “598” to “596”
34	20	Change “Update” to “Updated”

**October 20, 2017 Exhibits**

<u>EXHIBIT #</u>	<u>PAGE #</u>	<u>LINE #</u>	<u>CORRECTION</u>
(No changes)			

**December 22, 2017 Rebuttal Testimony**

<u>PAGE #</u>	<u>LINE #</u>	<u>CORRECTION</u>
21	4	Change “of the both” to “of both”
23	2	Insert “target” after “...from-him”
44	14	Change “had zero” to “had nearly zero”
44	14	Change “This \$0/kW” to “This nearly \$0/kW”
48	15	Change “enhance increase” to “enhance”
56	9	Change “in” to “is”

**December 22, 2017 Exhibits**

<u>EXHIBIT #</u>	<u>PAGE #</u>	<u>LINE #</u>	<u>CORRECTION</u>
SRS-5	3 of 7	Row 12	Insert “nearly” before “zero”

1       **Q.     Please state your name and business address.**

2       A.     My name is Steven R. Sim, and my business address is Florida Power & Light  
3             Company, 700 Universe Boulevard, Juno Beach, Florida 33408.

4       **Q.     Have you previously submitted direct testimony in this proceeding?**

5       A.     Yes.

6       **Q.     Are you sponsoring any rebuttal exhibits in this case?**

7       A.     Yes. I am sponsoring the following 6 exhibits that are attached to my rebuttal  
8             testimony:

9             Exhibit SRS-5:     Incorrect and/or Misleading Statements Made in the  
10                                 Testimony of Sierra Club Witness Dr. Hausman;

11             Exhibit SRS-6:     Commission Proceedings Approving or Applying  
12                                 20% Reserve Margin;

13             Exhibit SRS-7:     Comparison of FPL System NO<sub>x</sub> Emissions for  
14                                 Resource Plans 2 and 3;

15             Exhibit SRS-8:     Comparison of Major Drivers in DSM Cost-  
16                                 Effectiveness: 2014 DSM Goals Docket Inputs and  
17                                 Forecasts versus 2017 Inputs and Forecasts;

18             Exhibit SRS-9:     Excerpt from Prior FPL Testimony in Docket No.  
19                                 20080407-EG Regarding the Flaws in Using a  
20                                 Levelized Cost of Electricity Approach; and,

21             Exhibit SRS-10:    FPL Fossil Fuel Generation Fleet Performance  
22                                 Improvements (1990-2016).

23

1       **Q.     What is the purpose of your rebuttal testimony?**

2       A.     My rebuttal testimony discusses and/or responds to the testimony of Dr. Ezra  
3             Hausman who is testifying on behalf of the Sierra Club in this docket.

4       **Q.     How is your rebuttal testimony structured?**

5       A.     My rebuttal testimony is structured into 7 parts. Part I provides a brief  
6             overview of FPL's filing in this docket to set the stage for examining Dr.  
7             Hausman's testimony. Part II identifies key points in FPL's filing that Dr.  
8             Hausman does not contest in his testimony. Part III discusses some of the  
9             problems in his testimony regarding such topics as reserve margin criteria,  
10            reliability, and determination of need filings in Florida. Part IV discusses  
11            additional problems with Dr. Hausman's testimony regarding his "alternative  
12            plan," the economics of that plan, his attempt to examine the "delay"  
13            scenarios, and fuel diversity. Part V offers some observations regarding his  
14            exhibits. A number of problematic statements made in Dr. Hausman's  
15            testimony that have not already been discussed are examined in Part VI. In  
16            Part VII, I summarize my reasons why I conclude that Dr. Hausman's  
17            testimony is unreliable and should not be given serious consideration in this  
18            docket.

19

20

21

22

23

1 **Part I: Overview of FPL's Filing**

2

3 **Q. Would it be helpful to provide a summary of FPL's filing in this docket?**

4 A. Yes. One of my impressions of Dr. Hausman's testimony is that he is trying to  
5 draw attention away from the results of FPL's analyses that show numerous  
6 and significant benefits that would accrue to FPL's customers from the  
7 addition of the proposed Dania Beach Clean Energy Center (DBEC) Unit 7  
8 combined cycle unit. Therefore, I believe it would be helpful to summarize  
9 FPL's filing and the projected benefits of DBEC Unit 7 for FPL's customers  
10 before beginning an examination of Dr. Hausman's testimony.

11 **Q. Would you please provide a summary of FPL's filing in this docket?**

12 A. Yes. I will primarily focus on the resource planning aspect of FPL's filing,  
13 which can be summarized as follows:

14 - In mid-2016, using 2016 forecasts of load and generation, FPL projected  
15 that: (i) it would begin having system resource needs starting in 2024 and  
16 which grow significantly in subsequent years, and (ii) there would no  
17 longer be a balance between load, generation, and transmission import  
18 capability in the heavily populated and high electrical load Southeastern  
19 Florida region (consisting of Miami-Dade and Broward Counties) around  
20 the same time as the system resource need. As a result, FPL began  
21 extensive analyses in mid-2016 designed to determine the best way to  
22 address both the system and Southeastern Florida regional needs.

- 1           - In the 2016 analyses, FPL assumed 1,700 MW of additional universal  
2           solar would be sited outside of the Southeastern Florida region. This  
3           additional solar was significantly higher than the 300 MWs of universal  
4           solar FPL identified in its 2016 Ten Year Site Plan. FPL then analyzed  
5           how new combined cycle and combustion turbine unit options sited both  
6           inside and outside the Southeastern Florida region might satisfy the system  
7           and regional reliability needs. Solar and battery storage sited inside this  
8           region to support both of these reliability needs were also evaluated. FPL  
9           also evaluated demand side management (DSM), as well as new gas  
10          pipelines, and transmission facilities that would be required as a result of  
11          new generation additions and/or to increase transmission import capability  
12          into the Southeastern Florida region. In total, 33 resource plans were  
13          evaluated in the 2016 analyses.
- 14          - The key results of the 2016 analyses were that: (i) a specific new  
15          transmission line, the Corbett-Sugar-Quarry (CSQ) line, was capable of  
16          addressing the Southeastern Florida regional need through the decade of  
17          the 2020s (assuming no changes in forecasted load and/or available  
18          generation in the region), (ii) the addition of this CSQ line would allow a  
19          window of opportunity in which the existing Lauderdale Units 4 & 5 could  
20          be retired<sup>1</sup> and dismantled before replacement capacity in Southeastern  
21          Florida is constructed, and (iii) the projected cost of continuing to operate  
22          and maintain these existing Lauderdale units was significant.

---

<sup>1</sup> Note that the retirement of Lauderdale Units 4 & 5 would change the available generation in Southeastern Florida by removing 884 MW of capacity.

1           - In 2017, after a decision was made to add the CSQ line by mid-2019, FPL  
2           updated all of its key forecasts and assumptions, including the cost and  
3           performance characteristics of the resource options, and also included as  
4           an assumption FPL's current projection that an additional approximately  
5           2,086 MW of universal solar would be implemented by 2023, representing  
6           an increase from the 1,700 MW assumed in the 2016 analyses. FPL then  
7           conducted new analyses of how best to address system resource needs  
8           while maintaining/enhancing reliability in the Southeastern Florida region.  
9           These 2017 analyses primarily focused on three resource plans that were  
10          based on the most promising resource options identified in the 2016  
11          analysis. Plan 1 is a "status quo" scenario that assumes no retirement and  
12          continued operation of the existing Lauderdale Units 4 & 5. Plan 2  
13          assumes retirement of the existing Lauderdale Units 4 & 5 in late 2018  
14          and the addition of the 1,163 MW DBEC Unit 7 in mid-2022. This results  
15          in a net increase of 279 MW of generation in the Southeastern Florida  
16          region (1,163 MW of DBEC Unit 7 – 884 MW of the existing Lauderdale  
17          Units 4 & 5 = 279 MW net increase).<sup>2</sup> Plan 3 assumes the same retirement  
18          of the existing Lauderdale units in late 2018 as in Plan 2, but with the  
19          addition of approximately the same amount of firm capacity  
20          (approximately 1,163 MW) from a combination of solar and storage sited  
21          in the Southeastern Florida region.

---

<sup>2</sup> FPL notes that its planned addition of 2,086 MW of solar is 7.5 times greater than the net increase of 279 MW of gas-fired generation that would result from DBEC Unit 7.

- 1           - The results of the 2017 analyses were that: (i) Plan 2 featuring DBEC Unit  
2           7 is projected to be \$337 million cumulative present value of revenue  
3           requirements (CPVRR) lower cost to FPL's customers than the status quo  
4           Plan 1, and (ii) Plan 2 featuring DBEC Unit 7 is projected to be \$1,288  
5           million CPVRR lower cost to FPL's customers than Plan 3.
- 6           - In addition, the low cost DBEC Unit 7 project is projected to bring  
7           economic benefits to FPL's customers almost immediately beginning in  
8           2018, lower system natural gas usage compared to the status quo scenario,  
9           lower system emissions, and to enhance both system and regional  
10          reliability.
- 11          - Therefore, FPL concludes that adding DBEC Unit 7 in 2022 is projected  
12          to provide a variety of significant benefits for FPL's customers, and FPL  
13          is respectfully requesting that the FPSC provide an affirmative  
14          determination of need decision for DBEC Unit 7 with a June 2022 in-  
15          service date.
- 16  
17  
18  
19  
20  
21  
22  
23



1           **DBEC Unit 7 compared to the status quo resource plan in which existing**  
2           **Lauderdale Units 4 & 5 are not retired and continue operating?**

3           A.    No.

4           **Q.    Does his testimony contest the fact that DBEC Unit 7 requires no new**  
5           **transmission facilities and no new gas pipelines?**

6           A.    No.

7           **Q.    Does Dr. Hausman's testimony contest the fact that the additional**  
8           **generation sited in Southeastern Florida as a result of DBEC Unit 7 will**  
9           **result in additional generation capacity sited in Southeastern Florida**  
10          **which will enhance both system and regional reliability?**

11          A.    No.

12          **Q.    Does his testimony contest the fact that DBEC Unit 7 is projected to lower**  
13          **system emissions of SO<sub>2</sub>, NO<sub>x</sub>, and CO<sub>2</sub> compared to the status quo**  
14          **resource plan (Plan 1) in which existing Lauderdale Units 4 & 5 are not**  
15          **retired and continue operating?**

16          A.    No.

17

18

19

20

21

22

23

1                   **Part III: Problems with Dr. Hausman’s Testimony Regarding Reserve**  
2                   **Margin, Reliability, and Need Determination Filings**

3  
4           **Q. Did you find problems with statements made by Dr. Hausman in his**  
5           **testimony?**

6           A. Yes. Exhibit SRS-5 presents a list of numerous inaccurate and/or misleading  
7           statements made by Dr. Hausman in his testimony. His problematic statements  
8           are presented on the left-hand side of this exhibit. The right-hand side of the  
9           exhibit explains why each statement is inaccurate and/or misleading. I will  
10          also be examining a number of these problematic statements in more detail in  
11          the remainder of my testimony.

12          **Q. Does Dr. Hausman comment on FPL’s reserve margin criteria?**

13          A. He does. The following two statements from his testimony capture his view  
14          regarding FPL’s reserve margin criteria:

15  
16               *“FPL uses extremely conservative reliability criteria. The industry standard*  
17               *for reliability is to have sufficient reserves to achieve a loss of load*  
18               *probability (hereafter, LOLP) of one day in ten years...the Company’s two*  
19               *reserve margin criteria discussed above are more stringent – they mislead*  
20               *FPL to over-procure capacity that is not needed to meet the industry LOLP*  
21               *standard.”* (page 9, lines 9-15, and page 10, line 1)

22          and,

1           *“I recommend that FPL take the following steps: Determine appropriate*  
2           *reserve margin criterion and regional resource needs using a loss-of-load*  
3           *probability of 0.01.”* (page 19, lines 6-8)

4  
5           There are a number of problems with these statements. First, there is no single  
6           reliability criterion that is relied upon by all electric utilities and not all  
7           utilities utilize an LOLP criterion. Second, Dr. Hausman ignores the fact that  
8           reserve margin and LOLP reliability criteria are, by design, intended to give  
9           different perspectives of the reliability of a utility system, not to provide the  
10          same result. Third, in this statement he recommends an LOLP standard of  
11          0.01 which is 10 times more stringent than the 0.1 day/year LOLP standard  
12          that FPL and most utilities that utilize an LOLP reliability criterion use.  
13          (However, on page 9 of his testimony, beginning on line 9, he discusses an  
14          LOLP criterion of *“one day in ten years”* which is equivalent to a 0.1  
15          day/year value. With his two conflicting values, it is not clear what he is  
16          actually recommending.)

17  
18          Fourth, he ignores the fact that FPL’s reserve margin criteria have worked  
19          well in helping to ensure economic, reliable electric service for FPL’s  
20          customers for almost two decades. Fifth, with these statements, Dr. Hausman  
21          is criticizing both FPL and the FPSC for the reserve margin criterion that FPL  
22          uses in its resource planning. Perhaps Dr. Hausman is unaware that FPL’s  
23          20% total reserve margin criterion was agreed to by FPL, two other Florida

1 investor owned utilities (IOU), and the Florida Public Service Commission  
2 (FPSC) in 1999 after extensive examination of system reliability in Florida.  
3 Sixth, Dr. Hausman also appears unaware that, in the almost two decades  
4 since that decision, the FPSC has consistently stated that a determination of  
5 need docket is not the appropriate place to attempt to question a reliability  
6 criterion or to attempt a change in the criterion. Exhibit SRS-6 presents a  
7 compilation of a number of the FPSC's statements regarding this issue.

8 **Q. Is there another problem regarding the concept of reliability in his**  
9 **testimony that you wish to discuss?**

10 A. Yes. Speaking as one who has been employed by FPL as a resource planner  
11 for 25 years and who has continually interacted and collaborated with  
12 transmission system planners and system operators over that time period, I  
13 have come to appreciate the fact that consideration of the reliability of an  
14 electric utility system is not simply a matter of performing analyses on a  
15 computer and letting that be your only guide. There is the matter of actual real  
16 world experience that has to be factored into a utility's planning. This is  
17 particularly true when it comes to the experience of system operators whose  
18 job is to keep the system operating in real time 24/7 on a second-to-second  
19 basis. Lack of this type of specific, real world experience is not something one  
20 can compensate for solely through calculations on a spreadsheet or in a model.  
21 Therefore, system operator experience and guidance should never be ignored  
22 when planning a utility system.

23

1 In regard to the analyses presented in this docket, FPL's system operators  
2 provided specific guidance as to how resource plans should be designed if  
3 FPL wanted to look at scenarios of a potential one- or two-year delay in the  
4 in-service date for DBEC Unit 7, assuming that existing Lauderdale Units 4 &  
5 5 are to be retired. Their input was essentially this: the longer FPL waits to  
6 replace the capacity that is lost by retiring the 884 MW of the two Lauderdale  
7 units, the more risk the system operators have to deal with. FPL witness  
8 Sanchez discusses in more detail the operational risks associated with retiring  
9 the Lauderdale units, then not bringing replacement capacity in-service as  
10 soon as possible. The loss of 884 MW that will result from the retirement of  
11 the existing Lauderdale units represents about 1/7 of the total generation in the  
12 vital Southeastern Florida region.

13  
14 The specific guidance that FPL's system operations provided when FPL began  
15 to consider the one- or two-year delay scenarios was that FPL should delay  
16 the retirement of the Lauderdale units by the same amount of time DBEC Unit  
17 7's in-service date is delayed in order to minimize operational risk. In other  
18 words, that guidance was that if the in-service date of DBEC Unit 7 is delayed  
19 one year from 2022 to 2023, then the retirement of the Lauderdale units  
20 should also be delayed one year from 2018 to 2019. Based on this input from  
21 FPL's system operators, FPL used this guidance when evaluating the "delay"  
22 scenarios.

23

1           However, Dr. Hausman has chosen to completely ignore this guidance from  
2           FPL’s system operators. In the portion of his testimony in which he discusses  
3           the “delay” scenarios, he cavalierly assumes that no delay in the retirement of  
4           Lauderdale Units 4 & 5 is required because a reserve margin calculation  
5           doesn’t show the need to delay the retirement. He summarizes his disregard  
6           for the specific guidance provided by FPL’s system operators in the following  
7           statement:

8  
9           *“FPL imposed irrational and costly assumptions on its two “delay”*  
10          *scenarios.”* (page 14, lines 1-2)

11  
12          From this statement, it is clear to me that Dr. Hausman does not appreciate in  
13          any degree the realities of operating a complex electric system or the  
14          importance and value of system operators’ experience.

15          **Q. Dr. Hausman’s testimony opposes the addition of DBEC Unit 7 in 2022.**  
16          **Is part of that opposition driven by a projection that FPL meets its**  
17          **minimum reserve margin requirements in 2022?**

18          A. Yes. Dr. Hausman’s testimony contains the following statement starting on  
19          page 4 beginning on the last line on that page:

20  
21          *“I further find that the Company’s request is premature, given its own*  
22          *projection of sufficient resources at least through 2024.”*

1       **Q.     Please comment.**

2       A.     My experience from a number of prior need determination hearings before the  
3             FPSC leads me to conclude that the FPSC considers many factors in a need  
4             determination docket and can approve a determination of need request based  
5             on considerations other than just a reserve margin projection. In fact, the  
6             FPSC has done so fairly recently when it approved FPL's West County  
7             Energy Center (WCEC) Unit 3 in Docket Nos. 080203-EI, 080245-EI, and  
8             080246-EI. In those dockets, FPL requested a determination of need for  
9             WCEC Unit 3 with an in-service date of 2011 although there was not a  
10            projected system reliability need until 2013 – two years later than the  
11            requested in-service date. FPL projected that an earlier in-service date would  
12            reduce system fuel costs and emissions, plus allow FPL the opportunity to  
13            modernize the Riviera and Cape Canaveral plant sites.

14  
15            The FPSC granted the need for WCEC Unit 3 with a 2011 in-service date  
16            (Order No. PSC-08-0591-FOF-EI). The FPSC's decision was based in part on  
17            FPL's projection of resource needs that would begin two years from the in-  
18            service date and increase each year thereafter.

19       **Q.     Does FPL's determination of need request in this docket have any**  
20            **similarities to the WCEC Unit 3 determination of need request and**  
21            **decision?**

22       A.     Yes. FPL is again requesting a determination of need for a new unit with an  
23            in-service date two years earlier than would otherwise be suggested solely by

1 a system reserve margin calculation. In addition, FPL is again projecting  
2 resource needs that begin two years after the requested in-service date and  
3 continue to grow each year thereafter. And, similar to the WCEC Unit 3  
4 docket, the new DBEC Unit 7 will significantly benefit FPL's customers in  
5 several ways including: (i) significant economic savings to FPL's customers  
6 in the amount of \$337 million CPVRR that begin immediately, (ii) reduced  
7 system usage of natural gas, (iii) reduced system emissions, and (iv) enhanced  
8 system and regional reliability.

9  
10 **Part IV: Problems with Dr. Hausman's Testimony Regarding His**  
11 **Alternative Plan, the Economics of that Plan, the "Delay" Scenarios, and**  
12 **Fuel Diversity**

13  
14 **Q. Dr. Hausman stated (on page 36, lines 13-15) that he created an "*an***  
15 ***alternative plan*" to FPL's Plan 3. Did he?**

16 **A.** No. FPL's Plan 3 is an example of a resource plan that addresses all of FPL's  
17 resource needs through the end of the analysis period (through 2061). What  
18 Dr. Hausman calls "*an alternative plan*" is merely a portfolio of solar,  
19 storage, and DSM that looks no further than the year 2026. At best, what Dr.  
20 Hausman has is one component of a resource plan, but he even labels this as  
21 an "*...illustrative example...*" (page 36, line 16).

1       **Q.    Please compare his portfolio versus the solar/storage component or**  
2       **portfolio in FPL’s Plan 3.**

3       A.    Using nameplate values for solar and storage, a comparison reveals the  
4       following:

- 5       -    In regard to universal solar, both portfolios use 433 MW of this resource.  
6            However, all of the universal solar in FPL’s Plan 3 is in-place in 2022. Dr.  
7            Hausman’s portfolio delays universal solar until 2024 and 2025, two and  
8            three years after they are added in FPL’s Plan 3.
- 9       -    In regard to distributed generation (DG) solar, both portfolios use 600  
10            MW of this resource. FPL’s Plan 3 adds DG solar in the 2018 through  
11            2022 time frame. Dr. Hausman delays DG solar until 2025 and 2026, thus  
12            delaying DG solar additions by as much as 7 years compared to the DG  
13            solar additions in FPL’s Plan 3.
- 14       -    In regard to storage, FPL’s Plan 3 adds 755 MW of storage in the 2018  
15            through 2022 time frame. Dr. Hausman adds only 300 MW of storage and  
16            delays the storage additions until 2025 and 2026.

17

18       Thus both portfolios use the same amount of universal solar and DG solar, but  
19       Dr. Hausman assumes all of the solar is delayed until years later than they are  
20       added in FPL’s Plan 3. Dr. Hausman assumes 455 MW less storage (755 MW  
21       in FPL’s Plan 3 – 300 MW in Dr. Hausman’s portfolio = 455 MW). Finally,  
22       Dr. Hausman assumes 200 MW of DSM/DR that is added over the 2021 –  
23       2026 timeframe.

1       **Q.     What was your initial reaction to his illustrative portfolio?**

2       A.     My initial reaction was that it was certainly interesting that the Sierra Club  
3             representative was recommending a portfolio that would significantly delay  
4             the implementation of solar, and both significantly reduce and delay the  
5             implementation of storage, compared to what is assumed for solar and storage  
6             in FPL's Plan 3. This becomes even more interesting when one considers that  
7             such a delay in solar implementation would result in higher system emissions  
8             and higher natural gas usage, at least for the 2 to 7 years of delay, compared to  
9             FPL's Plan 3. Therefore, such a recommendation seems to be exactly the  
10            opposite of the Sierra Club's national effort to quickly increase the utilization  
11            of solar and storage.

12  
13            Dr. Hausman's contemplated delay will also result in lower system and  
14            regional reliability for FPL's customers than would be the case with FPL's  
15            Plans 2 and 3, but these reliability impacts arising from the delay in solar and  
16            storage is given little if any consideration by Dr. Hausman in his testimony.

17       **Q.     Does Dr. Hausman explain why he significantly delayed the solar  
18             additions and reduced the storage additions in his portfolio?**

19       A.     Yes. He is attempting to lower the capital or fixed costs associated with the  
20             solar and storage additions in FPL's Plan 3 as explained in this statement of  
21             his:

22

23

1           *“I do know that the capital costs would be many hundreds of millions of*  
2           *dollars less than under FPL’s Plan 3 in an NPVRR basis, and could*  
3           *(emphasis added) be competitive with Plan 2.”* (page 39, lines 5-8)

4           **Q. Does Dr. Hausman present an analysis of an actual resource plan, which**  
5           **utilizes his solar/storage/DSM portfolio, which can be compared to FPL’s**  
6           **analyses of Plan 2?**

7           A. No. This is evidenced by the following statement in his testimony:

8  
9           *“...let me say at the outset that this (‘plan’) is intended only as an illustrative*  
10          *example, and I do not claim to have thoroughly analyzed all of the reliability*  
11          *and feasibility aspects of this plan.”* (page 36, lines 15-17)

12          **Q. His statement does not mention whether he analyzed the economics of his**  
13          **“plan.” Did he perform an economic analysis that can be compared to**  
14          **FPL’s Plan 2?**

15          A. No. He performed no economic analyses. He admits this in the following  
16          statement:

17  
18          *“Q. Can you analyze what this illustrative plan would cost, relative to FPL’s*  
19          *Plans 2 and 3? A. I cannot (emphasis added).”* (page 39, lines 1-3)

20

21

22

23

1       **Q.    Has Dr. Hausman considered all of the economic and non-economic**  
2       **impacts to the FPL system that would result from his recommended**  
3       **portfolio?**

4       A.    No. Let us start by looking at a few aspects of the both the economics of  
5       FPL's Plans 2 and 3, and Dr. Hausman's portfolio, that he either overlooked  
6       or which he chose not to mention in his testimony.

7  
8       First, let's review the CPVRR cost differences between FPL's Plan 2 and Plan  
9       3. As shown in Exhibit SRS-4, page 1 of 2, of my direct testimony, the  
10       projected CPVRR fixed costs (in millions of dollars) shown on the second row  
11       of the exhibit is \$9,637 for Plan 3 and \$7,604 for Plan 2. Thus, Plan 3 is  
12       \$2,033 million CPVRR more expensive than Plan 2 in regard to fixed costs. A  
13       similar comparison of the CPVRR variable costs for the two plans shown on  
14       the first row of the exhibit shows a \$57,045 million CPVRR variable cost for  
15       Plan 3 and \$57,790 million CPVRR variable cost for Plan 2. Thus, there is a  
16       \$745 million cost advantage for Plan 3. The resulting net cost impact is a  
17       \$1,288 million CPVRR advantage for Plan 2 versus Plan 3 as shown on the  
18       third row of the table.

19  
20       A discussion that compares these different types of costs can be simplified by  
21       using approximate CPVRR values: Plan 3 is \$2,000 million more expensive in  
22       fixed costs, and \$700 million less expensive in variable costs, than Plan 2,

1           thus combining to a net cost result that shows Plan 3 is \$1,300 million more  
2           expensive for FPL's customers.

3  
4           Even if one were to assume Dr. Hausman's "*many hundreds of millions of*  
5           *dollars*" in fixed cost savings could be achieved, his portfolio would have to  
6           save \$1,300 million CPVRR in fixed costs just to break even with Plan 2,  
7           assuming no other changes in costs. This would represent a 65% reduction in  
8           fixed costs ( $1,300/2,000 = 65\%$ ). As an illustration, if the fixed costs for the  
9           solar/storage portfolio in FPL's Plan 2 averaged \$1,000/kW, the average fixed  
10          costs for Dr. Hausman's portfolio would have to drop to \$350/kW just to  
11          break even. However, there are at least three other aspects to this economic  
12          comparison that Dr. Hausman does not mention, and all three are  
13          automatically driven by his "delay solar and storage" recommendation.

14       **Q.    What is the first of these three economic aspects that Dr. Hausman has**  
15       **failed to mention?**

16       A.    His "delay" recommendation will automatically reduce the projected variable  
17       cost savings of \$700 million CPVRR shown for FPL's Plan 3. Solar, far more  
18       than energy storage, is responsible for the \$700 million in CPVRR variable  
19       cost savings projected for FPL's Plan 3. Therefore, significantly delaying the  
20       in-service dates of both universal and DG solar, as Dr. Hausman recommends  
21       in his portfolio, will significantly decrease the \$700 million in CPVRR  
22       variable cost savings that is currently projected for Plan 3. The longer the  
23       delay in the solar in-service dates, the more the variable cost saving is

1 decreased. Thus Dr. Hausman's idea of reducing fixed costs by delaying solar  
2 automatically results in his portfolio chasing a moving-away-from-him  
3 because the \$700 million CPVRR variable cost savings value will now be  
4 significantly smaller.

5 **Q. What is the second economic aspect of Dr. Hausman's recommended**  
6 **portfolio that his testimony fails to mention?**

7 A. Dr. Hausman failed to mention that his portfolio has less firm capacity than  
8 does the solar and storage portfolio in FPL's Plan 3. As previously mentioned,  
9 both portfolios have identical MW amounts of solar, but Dr. Hausman's  
10 portfolio has 455 MW less firm capacity from storage than does FPL's Plan 3.  
11 This is partially offset by the 200 MW of DSM/DR that is in his portfolio.  
12 With FPL's 20% total reserve margin criterion, the DSM/DR has an  
13 equivalent capacity value of 240 MW ( $200 \text{ MW of DSM} \times 1.20 = 240 \text{ MW of}$   
14  $\text{equivalent capacity}$ ).

15  
16 Thus Dr. Hausman's portfolio has 215 MW ( $455 \text{ MW from storage} - 240$   
17  $\text{MW capacity equivalent from DSM} = 215 \text{ MW}$ ) less firm capacity than does  
18 FPL's solar and storage portfolio in Plan 3. Therefore, 215 MW of additional  
19 resources will have to be added in Southeastern Florida in any resource plan  
20 that would be developed using Dr. Hausman's portfolio in order to address  
21 both system and regional reliability needs. System reserve margin analyses  
22 show that additional resources will be needed in 2027. The additional costs  
23 required to provide these 215 MW will offset some of the reduced fixed costs

1 that Dr. Hausman would hope to receive from his portfolio. Recognizing that  
2 the additional resources would have to be sited in Southeastern Florida, and  
3 could conceivably require a new gas pipeline to be built to a site in  
4 Southeastern Florida, the cost of the additional resources could also run into  
5 *“many hundreds of millions.”*

6 **Q. What is the third economic aspect that Dr. Hausman failed to mention?**

7 A. Assuming as a starting point that Lauderdale Units 4 & 5 are removed in  
8 2018, Dr. Hausman’s portfolio does not replace even the 884 MW of capacity  
9 in Southeastern Florida that would be removed by that retirement until at least  
10 2026. Following the specific guidance previously provided by FPL witness  
11 Sanchez to replace the generating capacity that is removed by the retirement  
12 of the existing Lauderdale generating units as quickly as possible, Dr.  
13 Hausman’s recommendation would lead to FPL delaying the retirement of  
14 these Lauderdale units at least 4 years until 2022 in order to maintain the  
15 approximately 4-year gap between capacity retirement and replacement as in  
16 FPL’s Plans 2 and 3. This would lead to at least 4 more years of operational  
17 costs being incurred to keep the Lauderdale units operating. These additional  
18 fixed costs would be significant and would further offset the fixed cost  
19 reduction that Dr. Hausman would hope to receive from his portfolio.

20 **Q. Does Dr. Hausman’s testimony discuss the system emissions aspect of**  
21 **FPL’s Plan 2 and/or Plan 3?**

22 A. Yes. He makes the following statement in his testimony that discusses  
23 alternatives to Plan 2:

1           *“...alternatives to DBEC...that could serve customers with...lower emissions*  
2           *of pollutants to the environment.”* (page 13, lines 10-12)

3           **Q.    What do FPL’s analyses show regarding relative system emissions of**  
4           **Plans 1, 2, and 3?**

5           A.    In regard to Plan 2 versus the status quo scenario in Plan 1, Plan 2 is projected  
6           to result in lower system emissions for SO<sub>2</sub>, NO<sub>x</sub>, and CO<sub>2</sub>. This projection is  
7           presented in FPL’s response to Staff Interrogatory No. 8. In regard to Plan 2  
8           versus Plan 3, Plan 3 is projected to result in lower system emissions for SO<sub>2</sub>  
9           and CO<sub>2</sub> than Plan 2 (but with a \$1.3 billion higher CPVRR cost).

10

11           However, Plan 2 is projected to result in lower system NO<sub>x</sub> emissions than  
12           Plan 3. That projection is presented as Exhibit SRS-7. And, as previously  
13           mentioned, Dr. Hausman’s recommendation of delaying the in-service dates  
14           for solar and energy storage in his alternative portfolio would result in an  
15           increase in system emissions for SO<sub>x</sub>, CO<sub>2</sub>, and NO<sub>x</sub> at least during the years  
16           of delay.

17           **Q.    Did Dr. Hausman comment on the solar and storage portfolio FPL**  
18           **utilized in its Plan 3?**

19           A.    Yes. His testimony included at least three statements regarding this portfolio.  
20           The first and second statements are:

21

22           *“...FPL claimed that ‘[a]n estimated maximum projected amount of universal*  
23           *PV that could be sited in Southeastern Florida was selected first....However,*

1           *that is not how the resource plan is presented in SRS-3, nor is it the sequence*  
2           *represented in the model files...These files make clear that, in fact, Plan 3*  
3           *calls for the more costly small-scale solar resources (referred to by FPL as*  
4           *distributed generation solar) constructed first, while the less costly universal*  
5           *solar is installed no earlier than the last year of resource builds in 2022.”*  
6           (i page 25, lines 8-17)

7           and,

8           “...*Plan 3 illogically schedules these resources in ways that would be...*  
9           *unrealistic...*” (page 23, lines 16-17)

10

11           By these statements, it appears that Dr. Hausman is both confused and misses  
12           an important point. He is confused by the differences in the terms “selected”  
13           and “constructed/installed.” The important point that he misses is that, in the  
14           real world, an electric utility has to consider practical constraints regarding the  
15           implementation of resource options it may include in a resource plan.

16

17           In regard to his first statement, FPL constructed its portfolio exactly as stated.  
18           FPL first selected universal solar to be included in its portfolio because it is  
19           the most economical way to utilize solar energy to serve FPL’s customers.  
20           FPL identified that the maximum amount of universal solar that was projected  
21           to be able to be sited in Southeastern Florida was 433 MW based on an  
22           evaluation of potential sites for universal solar in Broward and Miami-Dade  
23           Counties. Then, recognizing that all of this solar could likely be implemented

1 in a bit more than one year, FPL assumed that the work to construct all of the  
2 universal solar could wait until 2021 to start so that all of the universal solar  
3 would come in-service by mid-2022. This ensured that the universal solar  
4 component of FPL's portfolio was implemented in the most economical way.

5 **Q. Is it reasonable to assume that a similar implementation schedule would**  
6 **work for DG Solar?**

7 A. No. Whereas FPL would plan to implement universal solar in large 60 MW or  
8 74.5 MW blocks, DG solar would be implemented in much smaller, 250 to  
9 500 kW (kilowatt) sizes on commercial customers' roofs. The projected  
10 installed maximum amount of DG solar in Southeastern Florida is 600 MW.  
11 FPL estimated that it would require almost 1,900 separate installations to get  
12 to 600 MW by the same June 2022 date at which DBEC Unit 7 is projected to  
13 go in-service. This represents almost 1,900 public and/or private entities that  
14 must be identified, contacted, negotiated with regarding long-term contracts,  
15 and permits acquired before the installations can even begin.

16  
17 There are also only about 1,600 days between January 1, 2018, and June 1,  
18 2022. Therefore, even if DG solar installations were to begin on January 1,  
19 2018, more than one DG solar installation per day would have to be  
20 completed for 1,600 consecutive days with no weekends or holidays off to  
21 meet the June 1, 2022 date. Recognizing that each DG solar installation will  
22 take a number of days or weeks to complete, FPL reasonably assumed that  
23 DG solar installations would have to begin in 2018, and continue each year

1           until June 2022, to realistically implement 600 MW of DG solar by June  
2           2022.

3

4           By referring to FPL’s schedule as “*illogical*” in his second statement, Dr.  
5           Hausman failed to account for the practical considerations just described of  
6           how the implementation of such a large amount of DG solar could actually be  
7           performed.

8           **Q.    What is the third statement Dr. Hausman made about FPL’s solar and**  
9           **storage portfolio in its Plan 3?**

10          A.    On page 28, lines 15-16, he makes the following statement:

11

12                   “...*the Company made the plan appear (emphasis added) even more costly by*  
13                   *building the most expensive resources early, thereby frontloading unduly high*  
14                   *costs...*”

15

16           I have several reactions to this statement. First, in regard to the portion of the  
17           statement “...*building the most expensive resources early...*”, I just discussed  
18           that real world, practical considerations require that DG solar installations  
19           must begin in 2018 to meet that objective. Second, in regard to the portion of  
20           his statement “...*the Company made the plan appear (emphasis added) even*  
21           *more costly...*”, FPL did not make any resource option or resource plan  
22           “appear” more costly. FPL simply determined the projected costs for all of the

1 resource plans it analyzed, then compared those costs. That Dr. Hausman does  
2 not like the outcome of the economic analysis does not change that fact.

3  
4 Third, his use of the term “*frontloading*,” plus the overall tone of the  
5 statement, appears designed to give the impression that FPL is anti-solar.  
6 Such an impression is hard to reconcile with the fact that FPL is actively  
7 developing a very large amount of solar in Florida where it is cost-effective to  
8 do so. This is shown in the resource plans FPL developed and analyzed for its  
9 filing in this docket. In Plan 2, the addition of DBEC Unit 7 in 2022 will  
10 result in a net increase of 279 MW of gas-fired capacity (1,163 MW of DBEC  
11 Unit 7 – 884 MW of retired Lauderdale Units 4 & 5 = 279 MW).

12  
13 However, as previously mentioned, a base assumption for all of the resource  
14 plans analyzed in FPL’s 2017 analyses is a projected addition 2,086 MW of  
15 nameplate solar by 2023 which is 7.5 times as much net additional solar  
16 capacity as net additional gas-fired capacity. Clearly, rather than being anti-  
17 solar, FPL is a strong proponent of solar when and, most importantly, where it  
18 is projected to be cost-effective.

19 **Q. In his testimony, does Dr. Hausman appear to recognize the fact that**  
20 **DBEC Unit 7 is significantly, and perhaps uniquely, advantaged by its**  
21 **specific location in Southeastern Florida?**

22 A. No. This specific gas-fired generating unit has no incremental costs for land,  
23 new transmission, new gas pipeline, additional firm gas transportation, or

1 water due to both its location at an existing generation site and its design. As a  
2 result, the projected costs of this particular gas-fired unit are very low, making  
3 it a very tough resource option to beat economically – and a very good  
4 opportunity with which to lower costs for FPL’s customers, as well as lower  
5 emissions, lower system natural gas usage, and enhance system and regional  
6 reliability.

7 **Q. Is there anything else from a comparison of solar and DBEC Unit 7 that**  
8 **also impacts the economics of these two types of options in these specific**  
9 **analyses?**

10 A. Yes. In regard to universal solar facilities, the cost of land for FPL’s 2017 and  
11 2018 SoBRA projects was discussed in the recent SoBRA docket (Docket No.  
12 20170001-EI). Staff Interrogatory No. 60 in the SoBRA docket inquired about  
13 the cost of land for these projects. FPL’s response to this interrogatory showed  
14 that for 7 of the 8 projects that would be sited on land that FPL did not already  
15 own, the total land cost was approximately \$29.8 million dollars or  
16 approximately \$4.25 million per site on average for the 7 sites. Recognizing  
17 that each site will be used for 74.5 MW of solar, this works out to a land  
18 component cost of approximately \$57/kW ( $\$4,250,000 / 74,500 \text{ kW} =$   
19  $\$57/\text{kW}$ ).

20  
21 The land cost picture is much different in Southeastern Florida. The projected  
22 costs of the universal solar sites in Southeastern Florida assumed in Plan 3  
23 ranges up to approximately \$34 million per site. Thus the projected land cost

1 for just one SoBRA-sized universal site in Southeastern Florida can be higher  
2 than the combined costs for all 7 of the previously mentioned universal solar  
3 74.5 MW SoBRA sites located outside of Southeastern Florida. Stated in  
4 terms of \$/kW, this works out to a land cost component of universal solar in  
5 Southeastern Florida of up to approximately \$450/kW ( $\$34,000,000 / 74,500$   
6  $\text{kW} = \$456/\text{kW}$ ). This is roughly 8 times higher than the land component cost  
7 for the same amount of universal solar sited outside of Southeastern Florida in  
8 this year's SoBRA filing.

9  
10 To summarize, the DBEC Unit 7 is significantly advantaged by its location at  
11 the existing Lauderdale plant site in Southeastern Florida, and its design is  
12 such that it requires none of the incremental infrastructure costs that new gas-  
13 fired generating units might typically require. Conversely, universal solar  
14 sited in the Southeastern Florida region is significantly disadvantaged by its  
15 location, compared to universal solar sited in most of the rest of FPL's service  
16 territory, in particular by the much higher land costs in the region compared to  
17 land costs outside of the region.

18  
19 This points out that the locational aspect of any DBEC versus solar  
20 comparison is of significant importance. Furthermore, it seems reasonable to  
21 assume that land costs in Southeastern Florida may increase in the future,  
22 which would further disadvantage Dr. Hausman's recommendation to delay  
23 the implementation of universal solar in Southeastern Florida.

1       **Q. Does Dr. Hausman’s testimony address DSM?**

2       A. Yes.

3       **Q. Does Dr. Hausman’s testimony appear to accept the fact that the cost-**  
4       **effectiveness of DSM on FPL’s system continues to decline?**

5       A. It is hard to say from his testimony. It contains no statement to that effect, but  
6       also contains no statement to the contrary such as: ‘DSM is more cost-  
7       effective, or as cost-effective, today as it has ever been.’

8       **Q. What is the status of DSM cost-effectiveness on FPL’s system?**

9       A. As stated in my direct testimony, DSM cost-effectiveness on FPL’s system  
10       has been declining for a number of years and continues to decline. The reason  
11       for this is that the costs of key components of FPL’s system that make up the  
12       bulk of DSM’s avoided cost benefits have been declining. These include: fuel  
13       costs, environmental compliance costs, and costs of combined cycle  
14       generation. In addition, the fuel efficiency of the FPL system continues to get  
15       better, in part due to the implementation of solar at locations that allow solar  
16       to be cost-effective, which further lowers avoided fuel and environmental  
17       compliance costs.

18

19       In the last DSM Goals docket that concluded in late 2014, the FPSC set DSM  
20       Goals for incremental DSM signups that were approximately 50 MW per year.  
21       This was based in large part on the projected cost-effectiveness of DSM at  
22       that time. Exhibit SRS-8 presents a comparison of key cost components from  
23       the 2014 DSM Goals docket compared to current projections of those

1 components. As shown on this exhibit, the DBEC Unit 7 is significantly less  
2 expensive to build and operate than the combined cycle unit used as the  
3 avoided unit in the 2014 DSM Goals analyses. In addition, forecasted fuel and  
4 environmental compliance costs are also significantly lower as shown in the  
5 exhibit. As a consequence, the projected cost-effectiveness of DSM has  
6 declined since FPL's DSM Goals were last set.

7 **Q. Did Dr. Hausman have any comments about any specific resource plans**  
8 **that were analyzed in FPL's 2016 analyses but which were not analyzed**  
9 **in FPL's 2017 analyses?**

10 A. Yes. On page 27, beginning on line 7 of his testimony, he states the following  
11 regarding FPL's 2017 analyses:

12  
13 *"...FPL failed to assess alternate plans including solar without storage, even*  
14 *though such a plan was among the four most economic plans in FPL's 2016*  
15 *analysis.<sup>53</sup> FPL further affirmed that the only reason (emphasis added) that*  
16 *the Company added storage to Plan 3 was an attempt to mimic the*  
17 *characteristics of DBEC – and not to address any identified reliability need."*

18  
19 In this statement, Dr. Hausman is referring to Plan 3 of Iteration 3 of FPL's  
20 2016 analyses. That plan featured 433 MW of universal solar, plus 550 MW  
21 of DG solar, for a total of 983 MW of solar which is all sited in Southeastern  
22 Florida. That plan also assumed that the existing Lauderdale Units 4 & 5  
23 would continue to operate for the duration of the analysis period.

1       **Q.     In making this statement, did Dr. Hausman overlook anything?**

2       A.     Yes. Dr. Hausman overlooked at least a couple of items. First, because a  
3             number of forecasts and assumptions (such as load forecast, generation  
4             capacity ratings, etc.) all changed as FPL began its 2017 analyses, none of the  
5             33 plans analyzed in 2016 could have been brought into the 2017 analyses  
6             intact without modifying each plan. Therefore, this particular plan could not  
7             have been brought over intact into the 2017 analyses. Second, one of the  
8             updated assumptions in 2017 was that the costs to continue to operate the  
9             existing Lauderdale Units 4 & 5 were projected to be \$861 million CPVRR.  
10            Thus a similar plan to this Plan 3 from the 2016 analyses, or any other plan  
11            that assumed that the two Lauderdale units continued to operate, would now  
12            have to include this very significant cost. Although FPL did consider creating  
13            a similar plan for the 2017 analyses, the \$861 million CPVRR cost that would  
14            have to be accounted for in that plan convinced FPL to seek a potentially more  
15            economic approach that could provide FPL's customers with similar system  
16            and regional reliability levels as FPL's Plan 2 featuring DBEC Unit 7 in the  
17            2017 analyses.

18  
19            Third, in regard to the portion of his statement that reads: "...*admitted the*  
20            *only reason...storage was added*", that is not exactly what I said at this  
21            deposition. I did not use the phrase "the only reason". In fact, on lines 22 – 24  
22            on the same page of my deposition, I stated: "We had run out of PV that was  
23            considered to be doable/reasonable in Southeast Florida and turned to

1 storage". In the earlier Iteration 1 and 2 analyses in 2016<sup>3</sup>, FPL had already  
2 determined that the remaining roughly 700 MW of additional capacity needed  
3 to match that provided by DBEC Unit 7 would have incurred hundreds of  
4 millions of dollars CPVRR of new gas pipeline costs if such a large amount of  
5 capacity sited in Southeastern Florida were gas-fired.

6  
7 For these reasons, FPL was interested to see how storage, combined with  
8 solar, all sited in Southeastern Florida, would fare in the 2017 analyses with  
9 updated costs for both solar and storage.

10 **Q. Dr. Hausman's testimony addressed the evaluation of scenarios that**  
11 **examined a one- or two-year delay in the in-service date of DBEC Unit 7.**  
12 **Please comment on his handling of the DBEC "delay" scenarios.**

13 A. Roughly midway through his testimony, Dr. Hausman makes the following  
14 statement about the DBEC "delay" scenarios which he refers to as Plans 4 (a  
15 one-year delay) and 5 (a two-year delay):

16  
17 *"All of the additional costs (emphasis added) found in Plans 4 and 5, relative*  
18 *to Plan 2, stem from FPL's choice to delay the retirement of Units 4 and 5 by*  
19 *one or two years, and not from any delay in DBEC's in-service date."* (page  
20 22, lines 1-3)

21  

---

<sup>3</sup> This information is presented in the PowerPoint presentation that summarized the results of the 2016 analyses. This presentation was discussed in both of the depositions of me that have been occurred before this rebuttal testimony is being filed, and was attached in redacted form to Dr. Hausman's testimony as Exhibit EDH-17.

1           However, on page 35 of his testimony, Dr. Hausman introduces his Table 1.  
2           In his table, he categorizes 3 different types of cost impacts: (i) “*Delay*  
3           *Construction of Dania Beach Unit 7,*” (ii) “*Delay Retirement of Lauderdale*  
4           *Units 4 & 5,*” and (iii) “*Non-Unit Specific.*” Thus Dr. Hausman’s table, which  
5           clearly shows three types of cost impacts, contradicts his earlier statement that  
6           there is only one type of cost impact.

7  
8           He then describes the result that he believes his Table 1 shows as follows:

9  
10           “*Table 1 also shows that, contrary to Dr. Sim’s assertion, FPL’s analysis*  
11           *(emphasis added) finds that delaying DBEC by one or two years would*  
12           *actually save customers \$33 million or \$63 million dollars, respectively.*”  
13           (page 34, starting on line 21 continuing to page 35, line 1)

14  
15           This statement contradicts what is clearly shown by Table 1. If one properly  
16           accounts for all three types of cost impacts, his table shows that a one-year  
17           delay will cost FPL’s customers about \$11 million CPVRR and a two-year  
18           delay will cost FPL’s customers about \$38 million CPVRR (which is  
19           essentially what FPL has previous stated: approximately \$12 million higher  
20           CPVRR costs for a one-year delay and approximately \$38 million higher  
21           CPVRR costs for a two-year delay).

22

1 So how does he get to the \$33 million and \$63 million “savings” values in his  
2 statement? It is simple. Dr. Hausman just decided to leave out the second and  
3 third types of cost impacts in his arithmetic.

4  
5 Regarding the second type of cost impact, he chose to completely ignore the  
6 specific guidance provided by FPL’s system operators to delay the retirement  
7 of Lauderdale Units 4 & 5 by the same amount of time that DBEC Unit 7’s in-  
8 service date would be delayed in order to minimize system operations risk.  
9 FPL’s analyses of the “delay” scenarios have followed that guidance. But Dr.  
10 Hausman chose to ignore that guidance and, consequently, he did not include  
11 the \$33 million (for a one-year delay) and \$74 million (for a two-year delay)  
12 of additional operating costs for Lauderdale Units 4 & 5. Perhaps Dr.  
13 Hausman chose to ignore the guidance from FPL’s system operators because  
14 he thought his simple reserve margin calculation trumped decades of system  
15 operations experience. This is not a prudent assumption to make when the one  
16 who is offering specific guidance has the responsibility for operating an  
17 electric utility system as does FPL witness Sanchez. I view this as an error on  
18 Dr. Hausman’s part.

19  
20 In regard to the third type of cost impact, he chose to not include the system  
21 fuel penalty in his arithmetic. However, a system fuel penalty would  
22 automatically occur by not operating the Lauderdale units for an additional  
23 year or two, thus requiring other, more expensive units to make up the MWh

1 that the Lauderdale units would have supplied if they had not been retired for  
2 an additional one or two years. This error in logic is hard to explain because  
3 these costs are right there on the table he created. Perhaps this is a simple  
4 mistake, or else Dr. Hausman just wanted as big a “savings” number as he  
5 could conjure up, and this was a way to get there.

6 **Q. Do you have any other comment about Dr. Hausman’s discussion of the**  
7 **DBEC “delay” scenarios?**

8 A. Yes. My other comment refers to Dr. Hausman’s labeling of his arithmetic as  
9 “*FPL’s analysis*” in the emphasized portion of his comment above. In no way  
10 does this represent FPL’s analysis. He started with FPL’s analysis, then threw  
11 out two of its three parts.

12 **Q. Did he make just this one claim that his calculation was “FPL’s**  
13 **analysis”?**

14 A. No. He makes similar statements towards the end of his testimony:

15  
16 “*Building DBEC in 2022 is clearly not the most cost-effective alternative, as*  
17 *the Company’s own analysis (emphasis added) establishes...*” (page 42, lines  
18 22–23)

19 and,

20 “*...customer interests would be better served if the FPL (sic) delayed the*  
21 *project not only for the one or two years that FPL’s analysis shows (emphasis*  
22 *added) would save customers money...*” (page 43, lines 2-4)

23

1           Because he threw out two of the three parts of FPL’s analysis, what he  
2           presents is by definition not “*FPL’s analysis*”. At best, perhaps he was just  
3           imprecise in his choice of words (although he uses them repeatedly).

4           **Q. Does Dr. Hausman comment on DBEC Unit 7 in regard to system fuel**  
5           **diversity?**

6           A. Yes. He makes a number of comments regarding the DBEC unit and FPL  
7           system fuel diversity. Here are a few:

8  
9           *“Nor has FPL shown that DBEC promotes fuel diversity in Florida or in*  
10          *FPL’s generating fleet”.* (page 6, lines 2-3)

11          and,

12          *“Further extending the Company’s reliance on a single...fuel...”* (page 41,  
13          line 12)

14          **Q. Are his comments consistent with the facts in this docket?**

15          A. No. It is well known that natural gas is the fuel that FPL system most uses to  
16          produce electricity and that DBEC Unit 7 will utilize natural gas as its primary  
17          fuel. However, the very fuel-efficient heat rate of the 1,163 MW DBEC Unit 7  
18          will result in significantly reducing the operating hours of other, less fuel-  
19          efficient gas-fired generating units on FPL’s system as DBEC Unit 7 is  
20          operated instead. As a result, DBEC Unit 7 is projected to reduce system  
21          natural gas usage compared to the status quo resource plan (Plan 1). This  
22          decreases the percentage of FPL’s energy mix that is fueled by natural gas,  
23          thus improving fuel diversity on FPL’s system. This point was made in my

1 direct testimony, and the projection of the system natural gas usage for both  
2 Plans 1 and 2 were presented in response to Staff Interrogatory Number 15.  
3 Thus, contrary to Dr. Hausman's statements, DBEC Unit 7 will enhance fuel  
4 diversity on FPL's system and will not extend/increase FPL's reliance on  
5 natural gas.

6  
7 **Part V: Observations Regarding Dr. Hausman's Exhibits**

8  
9 **Q. Did you or your staff review the exhibits that Dr. Hausman attached to**  
10 **his testimony?**

11 A. Yes. Dr. Hausman's 44-page testimony was accompanied by approximately  
12 580 pages of exhibits. Exhibit EDH-1 was Dr. Hausman's resume. Exhibits  
13 EDH-2 through EDH-13 can be generally described as press releases  
14 regarding utility contracts and reports that present the results of various  
15 studies. Dr. Hausman's name does not appear as an author on these reports, so  
16 it appears he did not perform any of these studies. In that sense, these exhibits  
17 appear to be an aggregation of news reports and studies done by others. The  
18 rest of his exhibits, EDH-14 through EDH-23, are excerpts from the Sierra  
19 Club's depositions of me, documents from FPL's response to discovery in this  
20 docket, and excerpts from FPL's 2017 Site Plan and the FPSC's review of  
21 Florida utilities' 2017 Site Plans.

1       **Q. In Exhibits EDH-2 through EDH-13, how many of these hundreds of**  
2       **pages appear to pertain specifically to FPL and its system of generation**  
3       **and transmission?**

4       A. None.

5       **Q. Did any of these exhibits pertain to any Florida utility?**

6       A. Yes. Exhibit EDH-3, consisting of a total of only 4 pages, pertained to the  
7       Jacksonville Electric Authority (JEA). The key point from this exhibit is  
8       presented on page 17, lines 7 through 9, of Dr. Hausman’s testimony. In that  
9       excerpt, JEA representatives are quoted as stating:

10

11       *“...the price of utility-scale solar PPAs has declined from \$75/MWh on*  
12       *average in 2016 to near JEA’s current fuel charge of \$32.50/MWh today.”*

13

14       Dr. Hausman then draws the following conclusion:

15

16       *“In other words, below the cost of fuel for gas-fired generation, indicating*  
17       *that solar PPAs are already competitive with new and even existing gas-fired*  
18       *generation.”* (page 17, lines 9 through 11)

19       **Q. What is your reaction to this?**

20       A. I have two reactions. First, although JEA did not specify what “near” to the  
21       \$32.50/MWh value means, it appears safe to assume that the solar PPA values  
22       they are examining are higher than the \$32.50/MWh value. Second, Dr.  
23       Hausman did not take the logical next step and compare the \$32.50/MWh

1 value to the fuel-based \$/MWh cost of the specific gas-fired generator that is  
2 the topic of this docket: DBEC Unit 7. Had he done so, using information  
3 already produced in the docket [(i) the forecasted FGT firm gas cost for the  
4 year 2022 utilized in FPL's 2017 analyses, and (ii) the full load heat rate of  
5 6,119 BTU/kWh], the calculation would be:  $\$3.74/\text{mmBTU gas cost} \times 6,119$   
6  $\text{BTU/kWh} \times 1,000 \text{ kWh/MWh} = \$22.89/\text{MWh}$ . This DBEC-based value for  
7 2022 is 30% lower than the  $\$32.50/\text{MWh}$  value for 2017 quoted in Dr.  
8 Hausman's statement.

9  
10 In addition, a check was made using FPL's UPLAN model to see how long it  
11 would be until FPL's system average fuel cost was projected to climb to the  
12  $\$32.50/\text{MWh}$  level. The projection was that this cost would not be reached  
13 until 2036, almost 20 years from now. If Dr. Hausman's objective was to use  
14 a "near" to  $\$32.50/\text{MWh}$  value to show how competitive solar PPAs were  
15 becoming, it appears his unfamiliarity with FPL's system, especially in regard  
16 to how much more fuel efficient FPL's system is than most utilities, resulted  
17 instead in his testimony showing how much lower the cost of a solar PPA,  
18 particularly one in which the solar facility was sited in Florida, would have to  
19 drop to match the fuel-based cost of DBEC Unit 7 and the FPL system.

20 **Q. Did Dr. Hausman's testimony discuss \$/MWh values elsewhere in his**  
21 **testimony?**

22 A. Yes. On page 16, starting on line 13, of this testimony, Dr. Hausman makes  
23 the following statement:

1           *“For example, NEER recently announced a PPA with Tucson Electric Power*  
2           *delivering a combined solar and storage solution for under \$0.045 per kWh,*  
3           *with solar portions priced at under \$0.03 per kWh. This would be cost*  
4           *competitive with or superior to new gas-fired resources on a levelized cost*  
5           *basis.”*

6           **Q.    What is your reaction to this?**

7           A.    I was surprised that Dr. Hausman believes that a levelized cost-based  
8           comparison of resource options can provide meaningful results. Such a  
9           comparison almost invariably ignores a number of significant system cost  
10          impacts that must be accounted for in order for obtain a complete picture of  
11          the economics of resource options. Consequently, an attempt to use a  
12          levelized \$/MWh cost approach for comparing resource options will almost  
13          certainly yield meaningless results.

14  
15          It is for this reason that neither FPL, nor the FPSC, utilizes a levelized cost of  
16          electricity (also commonly referred to as a “screening curve”) approach to  
17          make final resource decisions. FPL has addressed this topic at least twice  
18          before in DSM Goals and nuclear cost recovery dockets before the FPSC. For  
19          example, a portion of my rebuttal testimony from the 2009 DSM Goals docket  
20          (Docket No. 20080407-EG) discussed the fundamental flaws in attempting to  
21          compare resource options on a levelized \$/MWh approach. That discussion is  
22          provided as Exhibit SRS-9.

1       **Q.     Even if one were to ignore the problems with Dr. Hausman’s attempt to**  
2       **use levelized cost numbers, how meaningful is it to try to compare cost**  
3       **values of solar in Arizona to cost values of solar in Miami-Dade and**  
4       **Broward Counties?**

5       A.     It is not meaningful. If the same project were to be replicated in Florida, the  
6       cost would be significantly higher for several reasons. One of these reasons is  
7       that solar insolation in the dry Arizona climate is higher than in humid, cloudy  
8       Florida. As a result, the projected annual capacity factor for the solar  
9       component of the Arizona project could be expected to be approximately  
10      35%. By comparison, the projected annual capacity factor of FPL’s’ 2017 and  
11      2018 SoBRA facilities is approximately 27%. Thus, the Arizona solar project  
12      will have an annual MWh output that is 30% higher than Florida’s SoBRA  
13      facilities ( $35 / 27 = 1.30$ ). Another of these reasons is that the Arizona project  
14      had zero land costs. This \$0/kW land cost component is significantly lower  
15      than the up to \$450/kw land cost component previously discussed for  
16      universal solar in Southeastern Florida.

17  
18      For reasons such as this, the same project installed anywhere in Florida, not  
19      even in the more expensive Southeastern Florida region, would have a \$/MWh  
20      cost significantly higher than the cost for the Arizona project. This is yet  
21      another example of why the location of where a solar facility is placed has to  
22      be a significant consideration.

23

1                   **Part VI: Other Problematic Statements Made in Dr. Hausman’s**  
2   **Testimony**

3  
4       **Q. Exhibit SRS-5 presents a listing of inaccurate and/or misleading**  
5       **statements made by Dr. Hausman in his testimony. Are there any of these**  
6       **problematic statements that you would like to discuss outside of that**  
7       **exhibit?**

8       A. Yes. There are eight such statements that I have not already addressed, but  
9       which I will discuss in this section of my rebuttal testimony. The first of his  
10       statements refers directly to the DBEC unit:

11  
12       *“...more effectively advanced through reliance on technology that is not*  
13       *reliant on imported fuel* (emphasis added)...” (page 43, lines 13-14)

14  
15       The phrase “imported fuel” is typically used to refer to fuel that is imported  
16       from a foreign country into the U.S. The new DBEC Unit 7 will run on natural  
17       gas delivered by the existing FGT pipeline which provides natural gas which  
18       is all produced in the U.S. Thus, this statement of Dr. Hausman is, at best,  
19       puzzling.

20       **Q. What is the second of these statements that you will discuss?**

21       A. Dr. Hausman’s testimony includes the following Q & A:

22       *“Q. Has FPL explained its use of GRM as an additional reliability criterion?*

23       *A. No, FPL has not.”* (page 8, lines 12-13)

1 FPL has explained its use of the GRM reliability criterion in numerous recent  
2 Ten Year Site Plan filings and briefly discussed it again in FPL's 2017 Ten  
3 Year Site Plan. In addition, FPL's development and use of the GRM criterion  
4 was recently discussed in detail in FPL's testimony in the Okeechobee  
5 combined cycle need determination docket (Docket No. 150196-EI). More  
6 importantly for this docket, the GRM criterion did not play a significant role  
7 in the analyses which led to the selection of DBEC Unit 7 as the best choice  
8 for FPL's customers. FPL's system resource needs projected with using both  
9 the 20% minimum total reserve margin criterion and the 10% minimum  
10 generation-only reserve margin (GRM) criterion were very similar to the  
11 system resource needs projected if only the 20% minimum total reserve  
12 margin criterion were used. This is shown in Exhibit SRS-2.

13 **Q. What is the third statement?**

14 A. This statement is:

15

16 *"FPL can even meet its reliability needs via additional transmission..."* (page  
17 12, lines 1-2)

18

19 In this section of his testimony, Dr. Hausman was discussing both FPL system  
20 and Southeastern Florida regional reliability needs. Although additional  
21 transmission can (and will - courtesy of the CSQ line) assist with meeting the  
22 Southeastern Florida regional need, it cannot by itself meet FPL system  
23 resource needs. Transmission lines move electricity from one location to

1 another location, but transmission alone does not result in additional  
2 generating capacity for FPL's system that can address system resource needs.  
3 Furthermore, an individual transmission line is limited in regard to the total  
4 amount of capacity and energy it can transport, regardless of the magnitude, or  
5 type, of generation that it has access to. If even more capacity and energy need  
6 to be transmitted to a region, then new transmission lines, and their costs, will  
7 be needed.

8 **Q. What is the next statement?**

9 A. There are two related statements that deserve attention. Both refer to Dr.  
10 Hausman's opinion that FPL's customers will unnecessarily face higher costs  
11 if DBEC Unit 7 is brought into service in 2022.

12  
13 *"...deferring, reducing, or even avoiding expensive supply-side generation*  
14 *additions, protecting them from overpaying now (emphasis added)..."* (page  
15 12, lines 13-14)

16 and,

17 *"...FPL would needlessly place DBEC in service ...even though there is no*  
18 *reliability or cost benefit to doing so (emphasis added)." (page 21, lines 1-3)*

19  
20 The "*overpaying now*" comment in the first statement is not consistent with  
21 the facts of this docket. In Exhibit SRS-4, page 1 of 2, the CPVRR results of  
22 the economic analyses of Plans 1, 2, and 3 are shown. Plan 2 is projected to  
23 result in FPL's customers paying \$337 million CPVRR less than with the

1 status quo Plan 1, and paying \$1.288 billion CPVRR less than with Plan 3  
2 which features solar and storage. Therefore, FPL's customers are projected to  
3 pay significantly less on a long-term CPVRR basis with Plan 2 which features  
4 DBEC Unit 7.

5  
6 On page 2 of 2 of this same exhibit, the graph shows that FPL's customers are  
7 projected to benefit almost immediately with Plan 2 compared to either Plan 1  
8 or Plan 3. Therefore, FPL's customers are projected to pay less in the short  
9 term as well with Plan 2 which features DBEC Unit 7.

10  
11 In his second statement, the "no reliability or cost benefit" comment  
12 regarding Plan 2 is also not consistent with the facts of this docket. The cost  
13 benefits of Plan 2 have just been addressed in the paragraph above. In regard  
14 to reliability, the net increase of 279 MW that will result from DBEC Unit 7  
15 will enhance increase system reserve margins, thus enhancing system  
16 reliability. And because that net increase of 279 MW occurs in Southeastern  
17 Florida region, regional reliability will also be enhanced by DBEC Unit 7.

18 **Q. What is the fifth statement that you will discuss?**

19 A. Dr. Hausman's testimony contains the following statement:

20  
21 *"...FPL did not even seek to take advantage of improvements it expects in*  
22 *both the cost and performance of CC units."* (page 20, lines 21-23)

23

1 By making this statement, Dr. Hausman ignores the fact that FPL is constantly  
2 seeking to improve the cost and performance of its generation fleet. Exhibit  
3 SRS-10 provides a summary perspective of the improvements FPL has made  
4 in its fossil fuel generation fleet from 1990 to 2016. As shown by this exhibit,  
5 the levels of FPL's improvements have been impressive.

6  
7 Dr. Hausman is also ignoring portions of the direct testimonies in this docket  
8 of FPL witness Kingston and me. Both our testimonies point out that FPL is  
9 seeking, and will continue to seek, ways to improve the DBEC Unit 7 design,  
10 cost, and performance characteristics that were used in FPL's 2017 analyses.  
11 These efforts will continue even after an affirmative need determination  
12 decision would be received. If these improvements result in a projected lower  
13 CPVRR system cost for FPL's customers, then FPL will both inform the  
14 FPSC of the changes and projected CPVRR benefits, and will seek to  
15 incorporate the improvements into the DBEC Unit 7 design.

16  
17 Just such an improvement was identified, and taken advantage of, regarding  
18 the recently approved Okeechobee combined cycle unit. FPL's need filing  
19 initially projected that unit would have a Summer peak rating of 1,622 MW.  
20 During the need determination process, the peak rating of this unit increased  
21 to 1,633 MW at no additional cost to FPL's customers. Then, subsequent to  
22 the affirmative need decision, FPL's continuing efforts to improve the design  
23 resulted in the Summer peak capacity rating increasing to 1,748 MW at no

1 additional cost. FPL's customers will benefit from the lower system CPVRR  
2 costs that are projected to result from FPL's ongoing improvement efforts that  
3 led to these changes in the Okeechobee combined cycle unit. The DBEC Unit  
4 7 design is similarly being examined during this need determination process,  
5 and will continue to be examined after the docket concludes, for improvement  
6 opportunities that will benefit FPL's customers.

7 **Q. What is the sixth statement?**

8 A. On page 19, lines 25-26, Dr. Hausman recommends that FPL should:

9  
10 *“Use RFPs in the final procurement process to try to reduce the cost of*  
11 *resources when they are ultimately procured.”*

12  
13 By making this recommendation, it appears that Dr. Hausman does not know  
14 that this is exactly what FPL's standard practice is when it is time to  
15 ultimately procure resources. This was recently explained by FPL witness Bill  
16 Brannen in his direct testimony earlier this year in the SoBRA docket (Docket  
17 No. 20170001-EI). In his testimony, Mr. Brannen explained how FPL  
18 requested bids from numerous suppliers separately for the solar panels, the  
19 inverters, the step-up transformers, and for construction of the universal solar  
20 facilities. This was also the procurement process that FPL used for the last  
21 generating unit for which a determination of need was granted by the FPSC,  
22 the Okeechobee combined cycle unit that will be in-service in 2019. It is also

1 the procurement process that FPL will follow if an affirmative need  
2 determination decision is granted by the FPSC for DBEC Unit 7.

3 **Q. What is the next statement?**

4 A. Dr. Hausman makes the following statement regarding the fact that FPL's  
5 Plans 2 and 3 are designed to have an equivalent amount of firm capacity in  
6 order to compare the economics of two resource plans, Plans 2 & 3, with  
7 equivalent levels of both system and regional reliability:

8  
9 *"Plans 1, 4, and 5 are not "identical" to Plan 2 in regard to annual reserve*  
10 *margins or regional balance, and FPL had no problem presenting an*  
11 *economic comparison between these plans and Plan 2."* (page 24, lines 23-  
12 26)

13  
14 I have two reactions to this statement. First, the Sierra Club representative is  
15 now pointing out that Plan 2 offers FPL's customers a greater level of system  
16 and regional reliability than do Plans 1, 4, and 5. And, by doing so, Dr.  
17 Hausman has contradicted his earlier statement in his testimony (that I've just  
18 discussed) in which he claims that DBEC Unit 7 offers no reliability benefits  
19 to FPL's customers. Second, FPL could have added more resources to Plans 1,  
20 4, and 5 to make them equivalent to Plan 2 in regard to system and regional  
21 reliability. However, Plans 1, 4, and 5 are already more expensive than Plan 2  
22 (and Plan 3 is significantly more expensive than Plan 2). The addition of more  
23 resources to Plans 1, 4, and 5 would have increased their CPVRR costs, thus

1 resulting in these plans being even more costly than Plan 2. Thus, any  
2 additional analytical effort to make Plans 1, 4, and 5 equivalent to Plan 2 in  
3 regard to reliability to Plan 2 was unnecessary.

4 **Q. What is the eighth statement that you wish to discuss in this section?**

5 A. Dr. Hausman is critical of the fact that FPL did not make extensive use of one  
6 of FPL's resource planning models, the EGEAS model, in its analyses. On  
7 page 14, beginning on line 15, Dr. Hausman states:

8

9 *“While FPL has routinely used the EGEAS model to develop its ten-year site*  
10 *plans, it did not use this model in its 2017 analyses. Moreover, in its 2016*  
11 *analysis, FPL only applied the EGEAS model in the first of four iterations.*  
12 *FPL explains its abandonment of the model by claiming that “the need to*  
13 *simultaneously solve for both FPL system and SE Florida regions requires a*  
14 *new analysis approach.”*

15

16 The EGEAS model is designed to examine a relatively small number of  
17 resource options whose costs are entered as inputs to the model. Then, using  
18 these resource options, it first develops resource plans to meet predetermined  
19 system resource needs, and performs economic analyses of these resource  
20 plans.

21

22 FPL attempted to use EGEAS in Iteration # 1 of its 2016 analyses to test its  
23 usefulness in simultaneously analyzing options that could address both system

1 and regional resource needs. We quickly found out that its usefulness was  
2 very limited for this type of analyses. In these analyses, resource options,  
3 sites, transmission plans, and gas pipelines, plus their costs, must all be  
4 accounted for. The problem is that one must first create a resource plan that  
5 selects the resource options, their sites, and their in-service dates before the  
6 transmission analyses and gas pipeline evaluations can even begin. Once the  
7 transmission and gas pipeline analyses have each been completed, any attempt  
8 to re-optimize, which would change the resource option selection, sites, or in-  
9 service dates, could invalidate the transmission and/or pipeline components of  
10 the plan.

11  
12 The remaining three iterations in FPL's 2016 analyses, and the 2017 analyses,  
13 continued to pose similar challenges. Consequently, I discussed the scope of  
14 our analyses, and the difficulties we were having in trying to perform the  
15 analyses, with the developers of EGEAS. We discussed whether there were  
16 different ways to use the model to overcome the difficulties we were having.  
17 None were identified. We also discussed whether the EGEAS developers were  
18 aware of another model available on the market that could potentially perform  
19 these types of analyses. They were unaware of any model that could do so.

20  
21 Therefore, FPL did not use the EGEAS model for further analyses after  
22 Iteration #1 in the 2016 analyses. FPL relied instead on an on-going  
23 collaborative effort from experienced personnel from a number of FPL

1 departments/business units to develop the resource plans. Then the UPLAN  
2 model and FPL's Fixed Cost Spreadsheet, which FPL typically uses in its  
3 resource planning work and development of its Site Plans, were used to  
4 develop the cost projections for those resource plans.

5  
6 **Part VII: Summary and Conclusions**

7  
8 **Q. Please summarize your view of Dr. Hausman's testimony.**

9 **A.** I will summarize my view with the following five points:

10  
11 1) In his testimony, Dr. Hausman does not contest the major points FPL has  
12 made in its filing regarding the addition of DBEC Unit 7 in mid-2022  
13 which include:

- 14 - DBEC Unit 7 is projected to have lower CPVRR costs for FPL's  
15 customers by \$337 million versus a status quo scenario (Plan 1) and  
16 \$1.288 billion versus a plan with equivalent system and regional  
17 reliability levels that features solar and storage sited in Southeastern  
18 Florida (Plan 3);
- 19 - Cost savings to FPL's customers are projected to begin as early as  
20 2018 and continue for the duration of the analysis period;
- 21 - DBEC Unit 7 will result in additional generation capacity in  
22 Southeastern Florida, thus enhancing both system and regional  
23 reliability for FPL's customers;

- 1 - DBEC Unit 7 will lower system usage of natural gas compared to the  
2 status quo scenario, thus improving fuel diversity on FPL's system;  
3 and,  
4 - DBEC Unit 7 will lower SO<sub>2</sub>, NO<sub>x</sub>, and CO<sub>2</sub> system emissions  
5 compared to the status quo scenario.

6 Therefore, these key points of FPL's filing are unchallenged.

- 7 2) Instead, Dr. Hausman attempts to divert focus away from these projected  
8 benefits of the DBEC Unit 7 project in his testimony. However, Dr.  
9 Hausman, who describes himself as an "...*expert based on my expertise*  
10 *and experience in energy economics...*" (page 2, lines 8-9), performed no  
11 economic or non-economic analyses of any alternate resource plan that  
12 could be compared to the economics of Plan 2 which features DBEC Unit  
13 7.
- 14 3) Instead, he merely discussed one "*illustrative*" component of a resource  
15 plan. Regarding this component, he states that, in his opinion, this  
16 potentially "*could*" be cost-competitive with DBEC Unit 7. However, in  
17 his attempt to explain how his component could lower fixed costs through  
18 his recommendation to delay the implementation of solar and storage, he  
19 neglected to account for the fact that this approach would result in: (i)  
20 increased system variable costs, (ii) increased fixed costs to acquire  
21 needed additional firm capacity resources, (iii) further increased fixed  
22 costs due to the need to delay the retirement of the Lauderdale units, (iv)

1 lower system and regional reliability, (v) increased system gas usage, and  
2 (vi) increased system emissions.

3 4) The only economic calculation that Dr. Hausman attempts is in regard to  
4 the economics of delaying DBEC Unit 7. However, even here he  
5 performed no original, independent analysis. Instead, he simply started  
6 with the analysis that FPL had provided and threw out two-thirds of that  
7 analysis. Dr. Hausman then compounds the problem with this arithmetic  
8 by repeatedly referring to his effort as "*FPL's own analysis*". This  
9 statement is clearly inaccurate and misleading, and undermines his  
10 credibility.

11 5) In addition, Dr. Hausman made numerous inaccurate and/or misleading  
12 statements in his testimony. These problematic statements further  
13 undermine his credibility as a witness.

14

15 After consideration of the items listed above, I conclude that Dr. Hausman's  
16 testimony is unreliable and not worthy of serious consideration by the FPSC  
17 in this docket.

18 **Q. Does this conclude your rebuttal testimony?**

19 **A. Yes.**

1 BY MR. COX:

2 Q And I just -- I know these exhibits have  
3 already been admitted, but just to clarify for the  
4 record, Dr. Sim, did you also have Exhibits SRS-5  
5 through SRS-10 attached to your prefiled rebuttal  
6 testimony?

7 A Yes.

8 Q And did you cause to be filed a correction to  
9 Exhibit SRS-5 on January 9th, 2018?

10 A Yes.

11 Q And do you have any other corrections or  
12 changes to your exhibits at this time?

13 A No, I do not.

14 MR. COX: And just for clarity, those  
15 exhibits, Commissioner Brown, have been identified  
16 as Exhibits 44 through 49 on the staff  
17 comprehensive exhibit list that was admitted  
18 earlier today.

19 COMMISSIONER BROWN: Thank you. Those are  
20 noted.

21 BY MR. COX:

22 Q Dr. Sim, have you prepared a summary of your  
23 prefiled testimony?

24 A Yes.

25 Q Could you please present your summary to the

1 **Commission at this time.**

2 A Yes, I would -- glad to do so.

3 Good evening, Commissioners. My rebuttal  
4 testimony addresses the direct testimony of Sierra Club  
5 Witness Dr. Hausman, whose testimony is most-interesting  
6 in what it does not do concerning the key facts of FPL's  
7 filing.

8 Dr. Hausman does not contest that Dania Beach  
9 Unit 7 is projected to save 337 million in CPVRR  
10 compared to a status-quo resource plan, Plan 1, and that  
11 these savings are projected to begin this year.

12 He does not contest that DBEC is projected to  
13 save almost 1.3 billion CPVRR compared to Plan 3, that  
14 is designed to offer an equivalent amount of system and  
15 regional reliability from solar and storage located in  
16 southeast Florida.

17 He does not contest that Dania Beach is  
18 projected to lower system natural-gas usage and lower  
19 SO<sub>2</sub>, NO<sub>x</sub>, and CO<sub>2</sub> system emissions compared to the  
20 status-quo plan.

21 And he does not contest that Dania Beach is  
22 projected to enhance both system and southeast-Florida  
23 regional reliability, compared to the status-quo plan.

24 Instead, Dr. Hausman attempts to divert  
25 attention from these key facts, which point out the

1 numerous and significant benefits for FPL's customers  
2 from Dania Beach, by essentially attempting three  
3 arguments.

4           First, he argues against Dania Beach because  
5 reserve-margin calculations show FPL's next need occurs  
6 in 2024, two years earlier than the requested 2022 in-  
7 service date; however, he ignores the fact that recent  
8 Commission precedent, through the West County 3 need  
9 filing, exists for approving a need request of new  
10 generation two years earlier than reserve-margin  
11 calculations would call for, if the need request is  
12 based on projections of significant benefits for FPL's  
13 customers, as is the case in this docket.

14           Second, Dr. Hausman argues against Dania Beach  
15 in 2022 by claiming that FPL should retire Lauderdale  
16 Units 4 and 5 in 2018, but then delay Dania Beach until  
17 after 2022; however, he ignores the fact that the FPL's  
18 system operators provided specific guidance to replace  
19 as quickly as possible, in 2022, the capacity lost when  
20 the Lauderdale units are retired in order to minimize  
21 operational risk for FPL's system.

22           And third, he argues against Dania Beach by  
23 claiming that there quote, "could be," unquote, a more-  
24 economic plan, perhaps, by significantly delaying the  
25 implementation of solar and storage; however, he ignores

1 the fact that, although this delay could reduce fixed  
2 costs, such a delay will also automatically  
3 significantly increase system variable costs, increase  
4 system gas usage -- usage and system emissions, and  
5 lower system and regional reliability. Most telling, he  
6 offers no economic analysis to support his "could be"  
7 claim.

8 Dr. Hausman's testimony also contains numerous  
9 inaccurate and misleading statements. And, in summary,  
10 I conclude that his testimony is not reliable and is not  
11 worthy of serious consideration in this docket.

12 Thank you.

13 MR. COX: Commissioner Brown, Dr. Sim is  
14 tendered for cross-examination.

15 COMMISSIONER BROWN: Thank you.

16 Sierra Club?

17 MR. LENOFF: Thank you, Madam Commissioner.

18 Can I have one moment to prepare myself?

19 COMMISSIONER BROWN: Sure.

20 MR. LENOFF: Thank you.

21 COMMISSIONER BROWN: I thought you had 15.

22 MR. LENOFF: Thank you.

23 EXAMINATION

24 BY MR. LENOFF:

25 Q Ready when you are, Dr. Sim.

1           A     Thank you. I'm ready to go.

2           Q     Okay. According to FPL, since January 1st,  
3     2012, there have been only three PPAs available  
4     as power -- three power-purchase options that have been  
5     available to FPL; is that correct?

6           A     I'm not familiar with the number, nor with the  
7     phrasing of "available to FPL."

8           Q     Okay. So, to your knowledge, there have  
9     been -- accord- -- to your knowledge, according to FPL,  
10    there have been only three power-purchase options  
11    available to FPL.

12          A     I'm sorry. I just don't understand the  
13    concept of available -- options available to FPL.

14           MR. LENOFF: Okay. I would like to move -- or  
15    I would like to use --

16           COMMISSIONER BROWN: Exhibit?

17           MR. LENOFF: -- an exhibit, yes.

18           COMMISSIONER BROWN: All right. Staff, could  
19    you help Counsel?

20           So, we are on 71.

21           MR. LENOFF: Thank you.

22           MR. COX: Could I ask just a clarification  
23    question to Counsel? Is this an exhibit that  
24    Dr. Sim sponsored in the case -- an  
25    interrogatory -- I mean a response, I should say, a

1 discovery response that he sponsored.

2 MR. LENOFF: I am not positive about that --  
3 that question.

4 MR. COX: And it looks like there's two  
5 interrogatories. So, do you know if he sponsored  
6 either one?

7 MR. LENOFF: I -- I believe -- and if you  
8 would like me to look at it, I believe that this  
9 interrogatory response was sponsored by Heather  
10 Stubblefield.

11 MR. COX: And she testified earlier today.

12 MR. LENOFF: She did.

13 MR. COX: Could --

14 MR. LENOFF: She did testify earlier today. I  
15 have a -- I would like to use this document for  
16 impeachment purposes. I don't believe that we  
17 have -- that this Commission has any rule that  
18 prevents me from using a document for impeachment  
19 purposes that was produced to Sierra Club in  
20 discovery and for -- can I --

21 COMMISSIONER BROWN: You can -- you can try to  
22 pro- -- go -- proceed ahead, and we'll stop you if  
23 there's any problems.

24 MR. LENOFF: All right. Thank you very much.

25 COMMISSIONER BROWN: All right. Please

1 proceed.

2 MR. LENOFF: Thank you.

3 COMMISSIONER BROWN: Oh, wait. Let me mark it  
4 71. And the title is FPL's response to Sierra  
5 Club's fourth rog, No. 37.

6 Dr. Sim, you have a copy of it in front of  
7 you?

8 MR. COX: Commissioner, I think it's also 36.  
9 I believe there's two --

10 COMMISSIONER BROWN: Thank you.

11 MR. LENOFF: That's correct. Thank you very  
12 much.

13 COMMISSIONER BROWN: Thank you. Is it on the  
14 second page? Oh.

15 MR. LENOFF: Yes, there are --

16 COMMISSIONER BROWN: Third page.

17 MR. LENOFF: Yeah, there are two responses  
18 attached.

19 COMMISSIONER BROWN: Okay. So, change of  
20 title: FPL's response to Sierra Club's fourth rog,  
21 No. 37 and 36 -- 36 and 37.

22 MR. LENOFF: Thank you, Commissioner.

23 (Whereupon, Exhibit No. 71 was marked for  
24 identification.)

25 ///

1 BY MR. LENOFF:

2 Q Dr. Sim, FPL's -- on -- on Interrogatory  
3 Response No. -- FPL's response to Interrogatory No. 37  
4 states that FPL considers power purchases, quote,  
5 "presented," end quote, to FPL and power purchase --  
6 purchases, quote, "available," end quote, to FPL as the  
7 same when it comes to considering potential power-  
8 purchase opportunities; is that correct?

9 A That's what it says.

10 Q Okay. And do you have any reason to doubt  
11 the -- the fact that this is FPL's response to  
12 Interrogatory No. 37?

13 A Although I did not sponsor it, I have no  
14 reason to doubt. It's not our response.

15 Q Okay. So, since FPL considers power purchases  
16 presented and -- quote "presented" and, quote,  
17 "available," I would like to turn back to the other  
18 page, No. 36, for the other -- response to Interrogatory  
19 No. 36.

20 And please confirm for me that the question  
21 presented is: Please describe any and all power-  
22 purchase options that have been presented to FPL since  
23 January 1st, 2012; is that correct, the first sentence  
24 there?

25 A Yes, it is.

1           Q     Okay.  And in FPL's response, do you see three  
2     power-purchase options listed there?

3           A     Yes, I do.

4           Q     And do you see that all of those are biomass  
5     facilities as in the -- the column for description,  
6     filled in by FPL?

7           A     Yes, I do.

8           Q     And do you have any reason to doubt that those  
9     are the -- the, quote, "Any and all power-purchase  
10    options that have been available to FPL since  
11    January 1st, 2012"?

12          A     I think it would help if you -- if we would  
13    just substitute the word "presented."  That I understand  
14    much better than "available."

15          Q     Okay.  But --

16          A     And I have no reason to doubt that these were  
17    presented to FPL.

18          Q     Right.  So --

19          A     And in fact, they were in our --

20          Q     So -- Dr. -- Dr. Sim --

21          A     -- ten-year site plan for at least a year.

22                 COMMISSIONER BROWN:  Please, let him continue  
23    and finish his sentence.

24                 MR. LENOFF:  Thank you.

25                 COMMISSIONER BROWN:  Thank --

1 THE WITNESS: I'm done. Thank you.

2 COMMISSIONER BROWN: Okay.

3 BY MR. LENOFF:

4 Q Okay. And we established that FPL considered  
5 "presented" and "available" as the same thing as when  
6 considering power-purchase options, as stated in the  
7 response to Interrogatory No. 37, correct?

8 A I would suggest we use the word "presented."

9 Q But --

10 A "Available" may mean something different to me  
11 in different contexts. So, it's easier for me to follow  
12 if we just use the terminology "presented to FPL,"  
13 please.

14 Q Okay. So -- but I'm asking about -- I'm  
15 interested at this moment in FPL's response to  
16 Interrogatory No. 37. FPL referred me back -- if we can  
17 read the rest of FPL's response where it says, please  
18 confirm for me, Dr. Sim, that it says: Therefore,  
19 please see FPL's response to Sierra Club's fourth set of  
20 interrogatories, No. 36.

21 Does it say that in FPL's response?

22 A It does and --

23 Q So --

24 A -- 36 talks about, had been presented to FPL.

25 Q Right. So, FPL considers -- FPL considers

1 "available" and "presented" to be the same thing as --  
2 to be -- as the same when it comes to considering  
3 potential power-purchase opportunities. Am I reading  
4 that correctly?

5 A You are reading it correctly. And that is  
6 clearly what the sponsor of this interrogatory meant.  
7 They interpreted those two words to mean the same.

8 Q Okay.

9 A I may not interpret it the same way, and  
10 you're asking me the question, so --

11 Q Okay.

12 A -- if you could --

13 Q What you --

14 A If you could use the word "presented," it will  
15 speed things up.

16 Q All right. Thank you. What does the word  
17 "presented" to -- what does the phrase "presented to  
18 FPL" mean to you?

19 A In this context, I understand it to mean  
20 someone came forward -- a third-party came forward and  
21 presented power-purchase options to FPL, which we  
22 considered -- and I'll stop there and let's see where  
23 you're going.

24 Q For -- for purposes of this docket, did FPL  
25 perform -- strike that question.

1           And you're not sure that that definition that  
2           you just gave me of "presented" is the same as the  
3           sponsor of this exhibit; is that correct?

4           A       I'm saying I interpret the word "presented,"  
5           and "available" generally as two different things.

6           Q       Okay. Do you --

7           A       And I -- I will point out, I don't discuss any  
8           of this in my rebuttal testimony.

9           Q       Do you -- do you discuss PPAs in your rebuttal  
10          testimony?

11          A       Certainly not these PPAs. And in general, I  
12          didn't discuss PPAs.

13          Q       But specifically, you did discuss PPAs.

14          A       If you can point me in my rebuttal testimony  
15          to where I discussed PPAs, it might speed things along.

16          Q       Yeah, I believe that was on Pages 41 through  
17          43 of your rebuttal testimony.

18                   **COMMISSIONER BROWN: Line 21 on -- on Page 41.**

19          A       Yes; although, I did discuss PPAs, but only in  
20          response to a discussion in Dr. Hausman's direct  
21          testimony where he was talking about solar PPA values.  
22          And we were discussing PPAs that had been offered to  
23          JEA.

24                   MR. LENOFF: Okay. So, earlier, we had a  
25          discussion about, Commissioner -- Madam

1 Commissioner.

2 COMMISSIONER BROWN: Oh, sorry.

3 MR. LENOFF: That's fine.

4 Earlier, we had a discussion about whether  
5 there would be an objection to moving an exhibit  
6 into the record. Sierra Club would -- intends to  
7 move to put this into the record. So, I just  
8 wanted to, like, clear that up right now.

9 COMMISSIONER BROWN: You can continue with  
10 your questions.

11 MR. LENOFF: Okay.

12 COMMISSIONER BROWN: Thank you.

13 MR. LENOFF: Right.

14 MR. COX: I'm sorry. Sierra Club intends to  
15 move which -- the exhibit --

16 COMMISSIONER BROWN: He's talking about 71.

17 MR. LENOFF: 71, yes.

18 MR. COX: Okay.

19 BY MR. LENOFF:

20 **Q Dr. Sim, during your 2016 analysis, for**  
21 **purposes of this docket, you considered a plan that**  
22 **included 983 megawatts of solar PV resources and no**  
23 **storage, correct?**

24 A Yes. We're going back to my direct testimony,  
25 but yes.

1 Q Okay. In your rebuttal testimony, do you not  
2 discuss your 2016 analysis? Just give me a yes --

3 A I --

4 Q Just give me --

5 A -- don't recall that specific plan being  
6 discussed in my rebuttal.

7 Q Well, I mean, that actually leads me to my  
8 next question -- so, thank you, Dr. Sim -- that you, in  
9 fact, did not consider this plan at all after the 2016  
10 analysis; isn't that correct? Just give me a yes or no,  
11 please.

12 A Yes, and we did not consider any of the 2016  
13 plans in our 2017 analysis because we could not carry  
14 them forward. Too many things -- load forecasts,  
15 available generation, et cetera, had all changed.

16 Q Okay.

17 A So, we had to --

18 Q And --

19 A -- create new resource plans.

20 Q Okay. And yet, this was -- this plan that  
21 we're discussing, which had 983 megawatts of solar and  
22 no storage, was one of the most-competitive and cost-  
23 effective plans that you considered in the 2016  
24 analysis, correct?

25 A It was. And that's one of the reasons why we

1 carried a plan with a large amount of solar forward into  
2 2017.

3 Q And just a yes-or-no question is all I'm  
4 looking for here. The plan that you considered in --

5 COMMISSIONER BROWN: Counsel, as Chairman  
6 Graham alluded to earlier in his opening remarks,  
7 the witnesses are allowed to answer yes or no and  
8 provide a brief statement elaborating or clarifying  
9 their answer. So, that is our policy here, and  
10 that is what I will uphold.

11 So, the witness is allowed to answer.

12 MR. LENOFF: Thank you.

13 THE WITNESS: And I'll try to keep it short.

14 Thank you.

15 COMMISSIONER BROWN: Thank you.

16 BY MR. LENOFF:

17 Q The plan that you ended up considering in  
18 2017 -- that included the only plan that you ended up  
19 considering in 2017 -- that included solar, had  
20 resources that were not included in the 2016 plan, which  
21 was found to be cost-effective; is that correct?

22 A No, I'll disagree with the premise of your  
23 question. We did not find that particular plan with  
24 983 megawatts of solar to be cost-effective. I think it  
25 was ranked No. 4 on the cost-effectiveness ranking. So,

1 it certainly was not the most cost-effective plan.

2 Q Okay. Can I refer you to ex- -- Dr. Hausman's  
3 exhibit, EDH- -- it's -- it's staff's -- it's marked on  
4 staff's exhibit list, No. 38. It's EDH-18.

5 A I do not have all of his exhibits with me, and  
6 that is one that I do not have. So, if you can provide  
7 me a copy, I'm -- I'm happy to take a look at that.

8 Q Give me a moment. I'll do that for you.

9 A Thank you.

10 COMMISSIONER BROWN: If counsel for FPL has an  
11 accessible copy of it to aid the witness or to  
12 provide the witness, that would expedite this line  
13 of questions.

14 THE WITNESS: Also, if it will help, I have a  
15 copy of the economic ranking of all 33 plans from  
16 2016.

17 MR. LENOFF: Commissioner, that --

18 COMMISSIONER BROWN: Please show it to FPL's  
19 counsel first before you provide it to the witness.

20 MR. LENOFF: Sure.

21 COMMISSIONER BROWN: Thank you, Mr. Donaldson.

22 MR. DONALDSON: You're welcome.

23 COMMISSIONER BROWN: Dr. Sim, are you there?

24 THE WITNESS: Yes. Can you clarify, please,  
25 whether it was Exhibit 17 or 18?

1 BY MR. LENOFF:

2 Q 18.

3 A Thank you.

4 Q You're familiar with this exhibit, right?

5 This is the exhibit that we discussed during your  
6 deposition that had to be edited by FPL?

7 A Yes, there was one correction on it. I am  
8 familiar with it. Thank you.

9 Q Yeah. And you see that --

10 COMMISSIONER BROWN: Could you speak a little  
11 bit closer into the microphone, please? Thank you.

12 MR. LENOFF: Thank you, Commissioner, yes.

13 BY MR. LENOFF:

14 Q You see that the plan whose economic -- or  
15 which has the economic ranking No. 4 has 983 megawatts  
16 of PV in southeast Florida; is that correct?

17 A That's correct. And again, it is the fourth-  
18 ranked plan. So, it is not the cost-effective plan  
19 coming out of 2016.

20 Q Okay. And this plan does not include any  
21 solar -- or storage; is that correct?

22 A That's correct. It does not.

23 Q And -- and you're -- the only plan that you  
24 considered in 2017 that included any solar resources at  
25 all includes a large amount of storage; is that correct?



1           Q     Okay.  And FPL is part of its -- these 2017  
2     analyses and -- in its evaluation of the need-  
3     determination proposals that are -- it's putting forth  
4     today did not consider any third-party bids or third-  
5     party options because they did not do an RFP; is that  
6     correct?

7           A     Yes, because we did not think such an RFP was  
8     needed.

9           MS. CHRISTENSEN:  Okay.  Thank you.  Nothing  
10     further.

11          COMMISSIONER BROWN:  Staff?

12          MR. MURPHY:  No questions.

13          COMMISSIONER BROWN:  Thank you.

14          Commissioner Clark, you want -- you have a  
15     question?

16          COMMISSIONER CLARK:  If I need to repeat it, I  
17     would be glad to, but I -- I am con- -- interested  
18     in learning what happens to excess power that you  
19     sell under a PPA agreement and the revenues  
20     associated with it.

21          THE WITNESS:  Yes, sir.  Let me -- let me try  
22     to address that.  In a given year, if we find that  
23     we have excess capacity, either for any period of  
24     time, be it a month, perhaps, even smaller than  
25     that, or for the entire year, we look and see what

1           that amount is.

2           Part of that decision is made by -- a large  
3 part of that decision as to how much we have  
4 available is made by Mr. Sanchez and his  
5 operational team. Then, we have a group, the  
6 Energy Management and Trading group, which looks to  
7 see if we have a buyer.

8           Terms are discussed. Prices are discussed.  
9 If there is a buyer and -- a willing buyer and a  
10 willing seller, chances are very good that the --  
11 that the sale will be made. Any revenues that come  
12 in from that sale are used to offset costs to our  
13 customers, to the -- to the benefit of our  
14 customers.

15           And I believe we've had the arrangement in the  
16 last two settlements under, I believe, asset  
17 optimization. So, sales are made, if it's possible  
18 to make them, where it benefits both our customers  
19 and the third party.

20           COMMISSIONER CLARK: Thank you -- which leads  
21 to my question. In looking -- and realizing what  
22 Mr. Sanchez said about reliability and taking that  
23 all into account, assuming your reliability is met,  
24 and you have, for this short period of time, what  
25 seems to appear to be a pretty significant

1 additional capacity above your coincident peak  
2 requirements, would those megawatt hours be sold on  
3 the open market and potentially reduce costs to  
4 consumers during this two- to three-year window of  
5 time?

6 THE WITNESS: Let me see if I have the premise  
7 correct. I believe you're discussing, if Dania  
8 Beach is added in 2022, we would have a somewhat-  
9 higher-than 20-percent reserve margin.

10 COMMISSIONER CLARK: Correct.

11 THE WITNESS: So, yes, I think that would  
12 certainly enhance the -- the opportunities by which  
13 sales could be made to the benefit of our customers  
14 because it would offset costs.

15 COMMISSIONER CLARK: Thank you.

16 COMMISSIONER BROWN: Okay. Redirect.

17 MR. COX: Thank you. I think I just have one  
18 question, and really mean it this time.

19 EXAMINATION

20 BY MR. COX:

21 Q Dr. Sim -- Dr. Sim, you were asked a minute  
22 ago about an exhibit to Dr. Hausman's testimony, EDH-18?

23 A Yes.

24 Q And you started to answer the question, but  
25 weren't allowed to finish the answer. I wanted to give

1 you that opportunity, where you were asked about a -- a  
2 plan for solar that was in that -- those 33 options  
3 considering the 2016 analysis had a large amount of  
4 storage.

5 A Yes.

6 Q Could you -- could you finish your answer,  
7 explaining what you wanted to explain about that  
8 particular plan that you looked at?

9 A I'll certainly try. When we came out of the  
10 2016 analysis, we had done -- we had looked at a number  
11 of resource plans that, if we built gas-fired capacity  
12 in southeast Florida, we would have very large gas-  
13 pipeline expenses for everything other than a  
14 modernization at the Lauderdale site, to which we  
15 already had a pipeline going to the site.

16 We looked at resources located outside of  
17 southeast Florida. And in some cases there -- in most  
18 of those cases, if not all, there were smaller gas-  
19 pipeline costs, laterals instead of new pipelines, but  
20 there were also significant transmission expenditures.

21 So, the only plan we had at the beginning of  
22 2017 was the Dania Beach plan, which did not require new  
23 pipeline, did not require new transmission lines. We  
24 were looking for, is there a way to avoid those  
25 significant costs in the plan, and to av- -- and to tack

1 that on to a retirement of Lauderdale, which would avoid  
2 861 million CPVR dollars of operation expense.

3 MR. LENOFF: Commissioner, can I object? This  
4 is far beyond any- -- this is just unrelated to  
5 anything that was asked in cross-examination. I  
6 didn't ask about the Dania Beach plant, and that's  
7 all he's talking about.

8 MR. COX: Let me fine-tune the question a  
9 little bit.

10 BY MR. COX:

11 Q So, Dr. Sim, I think we were talking about --  
12 with Mr. Lenoff about, looks like, Plan No. -- is it  
13 Plan No. --

14 COMMISSIONER BROWN: Mr. Cox, could you speak  
15 a little more --

16 MR. COX: I'm sorry.

17 BY MR. COX:

18 Q Plan No. 3 on that exhibit; is that correct?

19 A I think it was No. 4, the --

20 Q Plan No. 4.

21 A -- 983 megawatts of solar. And I'm setting  
22 the predicate for why we moved away from that approach  
23 and why we moved to an approach where we had a  
24 significant amount of storage.

25 Q I think the specific question was why --

1     **you -- that -- that plan did not have any storage in it,**  
2     **correct?**

3           A     That's correct. And my understanding of the  
4     question is: Why did you, then, create Plan 3, that had  
5     a significant amount of storage.

6           MR. LENOFF: Comm- --

7           A     And I'm trying to walk you through the several  
8     steps that led to the decision as to why storage was  
9     needed.

10          **Q     Right. That was --**

11           MR. LENOFF: Commissioner --

12                   (Simultaneous speakers.)

13           COMMISSIONER BROWN: Hold on, please. Stop --  
14     please stop the speaking over each other.

15                   I was allowing Dr. Sim to continue with his  
16     rationale, and I'll continue to allow him, but  
17     please focus on the specific question that Mr. Cox  
18     asked you and -- and make it more succinct.

19           THE WITNESS: All right. If I may ask a  
20     clarifying question, is -- is the issue you want to  
21     understand why we had a significant amount of  
22     storage in Plan 3?

23     BY MR. COX:

24          **Q     That was the question I was getting to, yes.**

25           A     Okay. By trying to avoid the \$861 million of

1 having Lauderdale 4 and 5 in the plan, which we did, in  
2 that plan, in 2016, we have to take out 884 megawatts,  
3 the Lauderdale 4 and 5 units. That leaves a hole.

4 The only way we could avoid an expensive gas  
5 pipeline into southeast Florida or avoid -- and/or avoid  
6 significant transmission-line costs was to meet all of  
7 the resource need, matching up with Dania Beach in 2022.

8 We maxed out the amount of universal solar,  
9 433 megawatts. We maxed out what our projection was for  
10 distributed generation solar. That was 1,033 megawatts,  
11 which equated to roughly three to 400 megawatts of firm  
12 capacity from solar. So, to match the 1,163, the only  
13 option we had left which we could cite in southeast  
14 Florida was storage.

15 MR. COX: Thank you, Dr. Sim. No further  
16 questions.

17 COMMISSIONER BROWN: All right. We -- this  
18 witness has just one, 71, associated with him  
19 for -- proffered by Sierra Club. Would you like to  
20 move that into the record?

21 MR. LENOFF: Yes, we would.

22 COMMISSIONER BROWN: Any objection?

23 MR. COX: Yes, we would object. I think that  
24 was -- this was 71, correct?

25 COMMISSIONER BROWN: Correct.

1 MR. COX: So, this was one where he was using  
2 it for impeachment. I -- I objected, saying this  
3 was from another witness' sponsor of these answers.

4 He also clarified that he didn't define  
5 "available" and -- what was the other -- the other  
6 word -- "available" -- "presented" at the same --  
7 as this -- so, you know, I didn't see that it  
8 impeached him, and I didn't see that he agreed with  
9 the formulation of the term.

10 So, I don't see why it should be admitted for  
11 Dr. Sim. It could have been asked of -- of Witness  
12 Stubblefield earlier, but it was not.

13 COMMISSIONER BROWN: Your objection is noted;  
14 however, he was able to cross-examine the witness  
15 with this, and the witness was able to answer it.  
16 So, we're going to go ahead and enter that into the  
17 record.

18 (Whereupon, Exhibit No. 71 was received into  
19 evidence.)

20 COMMISSIONER BROWN: Okay. Would you like  
21 this witness excused?

22 (Brief pause.)

23 THE WITNESS: Apparently not.

24 COMMISSIONER BROWN: He can stay, but --

25 MR. COX: I'm sorry. He was --

1           COMMISSIONER BROWN:    Would you like Dr. Sim  
2           excused?

3           MR. COX:    Could you -- could Dr. Sim be  
4           excused?   Thank you.

5           COMMISSIONER BROWN:    Thank you.

6           Thank you, Dr. Sim.   Have a good night.

7           THE WITNESS:   Thank you.

8           COMMISSIONER BROWN:    So, that was our last  
9           witness of the evening.

10          And we have no other exhibits to address at  
11          this time.   They've all been moved into the record.  
12          Is that correct, legal?

13          MS. HELTON:   By my account, yes.

14          COMMISSIONER BROWN:    By my -- okay.

15          So, we have additional matters to the address.  
16          First, do any of the parties have any additional  
17          matters to address before we move to staff?   Any  
18          concluding matters or -- all right.

19          Staff.

20          MR. MURPHY:   Just to remind the parties that  
21          the transcripts will be due on January 22nd, and  
22          briefs will be no longer than 40 pages total, and  
23          that briefs will be due on January 29th.   And I  
24          believe that the pre-hearing order was modified so  
25          you get 75 words to summarize your position.

1 I think that's everything.

2 COMMISSIONER BROWN: Okay. Do any of the  
3 parties have any other matters to address at this  
4 hearing?

5 Commissioner Clark, any comments, concluding  
6 remarks?

7 All right. Thank you all for this hearing and  
8 for your participation. And I hope you have a  
9 great night.

10 This concludes our hearing.

11 MR. COX: Thank you.

12 COMMISSIONER BROWN: Thank you. Safe travels.  
13 Thank you.

14 (Whereupon, proceedings concluded at 7:33  
15 p.m.)

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE OF REPORTER

STATE OF FLORIDA )  
COUNTY OF LEON )

I, ANDREA KOMARIDIS, Court Reporter, do hereby  
certify that the foregoing proceeding was heard at the  
time and place herein stated.

IT IS FURTHER CERTIFIED that I  
stenographically reported the said proceedings; that the  
same has been transcribed under my direct supervision;  
and that this transcript constitutes a true  
transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative,  
employee, attorney or counsel of any of the parties, nor  
am I a relative or employee of any of the parties'  
attorney or counsel connected with the action, nor am I  
financially interested in the action.

DATED THIS 22nd day of January, 2018.



---

ANDREA KOMARIDIS  
NOTARY PUBLIC  
COMMISSION #GG060963  
EXPIRES February 9, 2021