

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

COMMISSION REVIEW OF
NUMERIC CONSERVATION GOALS
(FLORIDA POWER & LIGHT
COMPANY).

DOCKET NO. 20190015-EG

FILED 8/22/2019
DOCUMENT NO. 08328-2019
FPSC - COMMISSION CLERK

_____ /

COMMISSION REVIEW OF
NUMERIC CONSERVATION GOALS
(GULF POWER COMPANY).

DOCKET NO. 20190016-EG

_____ /

COMMISSION REVIEW OF
NUMERIC CONSERVATION GOALS
(FLORIDA PUBLIC UTILITIES
COMPANY).

DOCKET NO. 20190017-EG

_____ /

COMMISSION REVIEW OF
NUMERIC CONSERVATION GOALS
(DUKE ENERGY FLORIDA, LLC).

DOCKET NO. 20190018-EG

_____ /

COMMISSION REVIEW OF
NUMERIC CONSERVATION GOALS
(ORLANDO UTILITIES
COMMISSION).

DOCKET NO. 20190019-EG

_____ /

COMMISSION REVIEW OF
NUMERIC CONSERVATION GOALS
(JEA).

DOCKET NO. 20190020-EG

_____ /

COMMISSION REVIEW OF
NUMERIC CONSERVATION GOALS
(TAMPA ELECTRIC COMPANY).

DOCKET NO. 20190021-EG

_____ /

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

VOLUME 3
PAGES 422 through 637

PROCEEDINGS: HEARING
COMMISSIONERS
PARTICIPATING: CHAIRMAN ART GRAHAM
COMMISSIONER JULIE I. BROWN
COMMISSIONER DONALD J. POLMANN
COMMISSIONER GARY F. CLARK
COMMISSIONER ANDREW GILES FAY

DATE: Tuesday, August 13, 2019

TIME: Commenced: 9:00 a.m.
Concluded: 11:45 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: ANDREA KOMARIDIS
Court Reporter

APPEARANCES: (As heretofore noted.)

PREMIER REPORTING
114 W. 5TH AVENUE
TALLAHASSEE, FLORIDA
(850) 894-0828

1 I N D E X

2 WITNESSES

3 NAME: PAGE NO.

4 JOHN N. FLOYD

5 Examination by Mr. Griffin 426

Prefiled direct testimony inserted 428

6 Examination by Mr. Moyle 461

Examination by Mr. Cavros 463

7 Examination by Ms. Dziechciarz 500

Further Examination by Mr. Griffin 530

8

9 SCOTT RANCK

10 Examination by Ms. Keating 534

Prefiled direct testimony inserted 536

11 Examination by Christensen 549

Examination by Mr. King 551

12 Redirect Examination by Ms. Keating 555

13

ROBERT CAMFIELD

14

Prefiled direct testimony inserted 557

15

16 LORI CROSS

17 Examination by Mr. Bernier 579

Prefiled direct testimony inserted 581

18 Examination by Ms. Fall-Fry 610

Examination by Mr. Moyle 611

19 Examination by Ms. Wynn 612

Examination by Mr. Marshall 613

20 Examination by Mr. King 628

21

22

23

24

25

1	EXHIBITS		ID	ADMITTED
2	NUMBER:			
3	308	Excerpt No. 22 from Gulf Response to SACE first set of ROGS, Nos. 1-65	476	533
4	309	Excerpt No. 8 from Gulf's Response to Staff's first set of ROGS, Nos. 1-14	477	533
5	310	Excerpt No. 11 from Gulf's Response to staff's first set of ROGS, Nos. 1-14	480	533
6	311	Excerpt No. 2 from Gulf's Response to staff's first set of ROGS, Nos. 1-14	481	533
7	312	Gulf Response to SACE 5th set of ROGS, Nos. 89-103	481	533
8	313	Bill impact Costs updated tab Res from Gulf Response to SACE POD 14 from SACE first POD, Nos. 1-16	485	533
9	314	Gulf Response to Staff ROGS 52 plus two attachments residential adm cost comparison and Staff Interrogatory 52	486	533
10	315	2019 Excerpt of GPC 10 YR Site Plan	490	533
11	35	(as identified on the comprehensive exhibit list)		533
12	36-39	(as identified on the comprehensive exhibit list)		578
13	316	LC 5 Duke Energy's Summary of Historical Achievements	612	635
14	317	Excerpt 12 from DEF Response to SACE first set of ROGS, Nos. 1-65	613	635
15	318	Batch TMF 15 SEER Central AC from DEF response to SACE POD 16, from SACE first set of PODs 1-16	614	635
16	319	DEF Response to SACE POD No. 2, Count DEF Nexant, EE Summary, Base fuel 3.28.19 Res Tab	616	635
17	320	DEF Response to SACE POD No. 3 DEF Nexant EE Summary YR12020, with CC No. CO2, Base Fuel ACH Program costs 3.28.19 Res Tab	619	635
18	321	DEF Response to staff's second set of ROGS, No. 35	622	635
19	322	DEF Response to SACE third set of ROGS, No. 118	623	635
20	323	DEF Response to Staff's second set of ROGS, No. 40	625	635
21	324	DEF Response to Staff's 11th Interrogatory, No. 122	626	635
22	40-46	(as identified on the comprehensive list)		635

1 P R O C E E D I N G S

2 (Transcript follows in sequence from
3 Volume 2.)

4 CHAIRMAN GRAHAM: Good morning.

5 THE AUDIENCE: Good morning.

6 CHAIRMAN GRAHAM: My cell phone says 9:00, and
7 all my colleagues are circled around me. So, I
8 think it's time to start the meeting.

9 We just finished with Witness Herndon
10 yesterday. So, first witness today will be Gulf's
11 witness.

12 MR. GRIFFIN: Thank you, Mr. Chairman. And we
13 would call Mr. John Floyd.

14 EXAMINATION

15 BY MR. GRIFFIN:

16 Q Morning, Mr. Floyd.

17 A Good morning.

18 Q You were sworn yesterday; is that right?

19 A Yes, that's correct.

20 Q Okay. Would you please state your name and
21 business address.

22 A Yes, my name is John Floyd. My business
23 address is Gulf Power Company, 1 Energy Place,
24 Pensacola, Florida 32520.

25 Q And by whom are you employed and in what

1 **capacity?**

2 A I'm employed by Gulf Power as the manager of
3 strategy and market intelligence.

4 Q **And did you prepare and cause to be filed 30**
5 **pages of prefiled direct testimony in this proceeding?**

6 A Yes, I did.

7 Q **Do you have any changes or corrections to that**
8 **testimony?**

9 A No, I do not.

10 Q **And if I were to ask you the same questions**
11 **contained in your prefiled direct testimony here today,**
12 **would your answers be the same?**

13 A Yes, they would.

14 MR. GRIFFIN: And Mr. Chair, his prefiled
15 testimony -- we would ask that it be inserted into
16 the record as though read, please.

17 CHAIRMAN GRAHAM: We will insert Mr. Floyd's
18 prefiled direct testimony into the record as though
19 read.

20 (Whereupon, Witness Floyd's prefiled direct
21 testimony was inserted into the record as though
22 read.)

23

24

25

1 Gulf Power Company

2 Before the Florida Public Service Commission

3 Prepared Direct Testimony of

4 John N. Floyd

5 Docket No. 20190016-EG

6 Commission Review of Numeric Conservation Goals

7 Date of Filing: April 12, 2019

8

9 Q. Will you please state your name, business address, employer and
10 position?

11 A. My name is John N. Floyd, and my business address is One Energy
12 Place, Pensacola, Florida 32520. I am employed by Gulf Power Company
13 (Gulf Power, Gulf, or the Company) as the Manager of Strategy and
14 Market Intelligence.

15

16 Q. Mr. Floyd, please describe your educational background and business
17 experience.

18 A. I received a Bachelor Degree in Electrical Engineering from Auburn
19 University in 1985. After serving four years in the U.S. Air Force, I began
20 my career in the electric utility industry at Gulf Power in 1990 and have
21 held various positions with the Company in Power Generation, Metering,
22 Power Delivery and Marketing. In my present position, I am responsible
23 for the development and implementation of Gulf's customer program
24 offerings including the programs included in the Company's Demand-side
25 Management (DSM) Plan.

26

27 Q. Have you previously testified before this Commission?

28 A. Yes.

1 Q. Mr. Floyd, what is the purpose of your testimony?

2 A. The purpose of my testimony is to propose seasonal peak demand and
3 annual energy conservation goals for Gulf Power for the period 2020
4 through 2029.

5

6 Q. Please describe how your testimony is organized.

7 A. My testimony is organized as follows:

8 Section 1: Proposed Goals and Accomplishments

9 Section 2: Overall Process to Develop Goals

10 Section 3: Statutory Adherence

11 Section 4: Sensitivities

12 Section 5: Additional Supporting Information

13 Section 6: Conclusions

14

15 Q. Have you prepared an exhibit in support of your testimony?

16 A. Yes, I have. I am sponsoring Exhibit JNF-1, which includes the following
17 schedules:

18 Schedule 1 Table of Proposed Goals for 2020-2029

19 Schedule 2 Current DSM Program Details

20 Schedule 3 Technical Potential Results

21 Schedule 4 Economic Potential Results

22 Schedule 5 Achievable Potential Results

23 Schedule 6 Economic Potential Fuel Sensitivity

24 Schedule 7 Economic Potential Payback Sensitivity

25

1 Schedule 8 Annual Bill Impact for 1,200 kWh/Month Residential
2 Customer

3
4 **Section 1: Proposed Goals and Accomplishments**

5 Q. What residential and commercial/industrial goals are appropriate and
6 reasonably achievable for Gulf Power Company for seasonal peak
7 demand and annual energy conservation for the period 2020 through
8 2029?

9 A. The Company's proposed seasonal peak demand and annual energy
10 conservation goals for the period 2020 through 2029 are contained in
11 Schedule 1 of my Exhibit (JNF-1). In total, Gulf is proposing a summer
12 peak demand goal of 15 megawatts (MW), winter peak demand goal of 11
13 MW, and cumulative annual energy conservation goal of 0 gigawatt-hours
14 (GWh). These goals are based upon Gulf's planning process and the
15 results of technical, economic and achievable potential studies conducted
16 by Nexant, Inc. (Nexant). The goals represent the total cost-effective
17 winter and summer peak MW demand reductions and the annual GWh
18 savings at the generator which are reasonably achievable through
19 implementation of DSM programs in Gulf Power's service area for the
20 residential and commercial/industrial customer classes. The primary basis
21 for the goals are the MW and GWh associated with estimated maximum
22 adoption of measures that passed both the Rate Impact Measure (RIM)
23 and the Participant's Test (PT) as reflected in the achievable potential
24 results prepared by Nexant for Gulf Power.

25

1 Q. What is the primary driver behind the decrease in Gulf Power's proposed
2 goals relative to its current DSM goals?

3 A. The primary driver is reduced cost-effectiveness of energy efficiency (EE)
4 potential. In total, the avoided cost benefits associated with EE measures
5 have decreased since 2014. The largest change is in avoided fuel benefit,
6 with decreases in transmission and distribution benefits as well. These
7 factors, when incorporated into the cost-effectiveness calculations for EE
8 measures, result in lower overall cost-effectiveness for EE as a resource
9 in meeting the Company's loads over the 2020-2029 period.

10

11 Q. Please elaborate regarding the relationship between the level of avoided
12 cost benefits and DSM goals.

13 A. Avoided costs are the benefits of DSM initiatives. These benefits are in
14 the form of capital and O&M costs that are avoided by implementation of
15 DSM initiatives. These benefits are quantified based on both the demand
16 and energy savings of a DSM measure, as well as the timing and cost of
17 the capacity and O&M costs being avoided. The avoided cost benefits
18 relate to the level of DSM goals through the cost-effectiveness evaluation
19 process. That process is essentially comparing the benefit of avoiding
20 supply costs with the cost of implementation of a DSM initiative. So,
21 higher avoided cost savings translate to more potential DSM initiatives
22 and correspondingly higher goals. Likewise, lower avoided cost savings
23 translate to less potential to offset with DSM initiatives and
24 correspondingly lower goals.

25

1 Q. Does a reduction in DSM goals indicate that the objectives of the Florida
2 Energy Efficiency and Conservation Act (FEECA) are not being met?

3 A. No. The objectives of FEECA are being accomplished not only by
4 demand and energy reduction goals for subject utilities, but also through
5 building codes, appliance efficiency standards, and an overall increase in
6 the availability of energy conserving products in the marketplace.

7

8 Q. How are building codes accomplishing the objectives of FEECA?

9 A. Building codes establish minimum construction standards for new homes
10 and businesses. These construction standards include energy standards
11 that ensure newly constructed facilities meet minimum energy efficiency
12 performance requirements. For homes, these standards generally relate
13 to thermal performance which impacts heating and air conditioning energy
14 consumption. This is particularly important in Florida, as the state has one
15 of the highest number of cooling degree days of any state in the country.
16 These standards currently specify minimum insulation and window thermal
17 performance requirements and other requirements, including air duct
18 performance testing, to ensure these aspects of home construction are
19 contributing to improved energy use in the state.

20

21 Q. Similarly, how do appliance efficiency standards accomplish the objectives
22 of FEECA?

23 A. Appliance efficiency standards are federal manufacturing standards for
24 energy consuming appliances including lighting, refrigeration, heating and
25 cooling, water heating and other devices. These standards drive

1 development of new technologies and manufacturing processes that result
2 in improved efficiency of appliances. These standards complement
3 building codes to improve energy efficiency in homes and businesses,
4 benefiting consumers through reduced energy consumption. Appliance
5 efficiency standards are extremely effective in achieving energy savings.
6 Through 2028, appliance efficiency standards are projected to reduce
7 Gulf's expected energy sales in the residential and commercial sectors by
8 892 GWh below what they would have been absent these standards.
9 Nationally, the collective impact of building codes and appliance efficiency
10 standards is projected to reduce energy consumption in the residential,
11 commercial, and industrial sectors by 8.6% by 2025, as compared to
12 projected baseline electricity consumption.

13

14 Q. How do utility programs and initiatives complement these codes and
15 standards?

16 A. Utilities play two key roles in improving the overall efficiency of energy
17 utilization. The first role is through education. Gulf Power provides
18 information to customers about ways to save energy through our energy
19 audit programs, on the Company website, through our call center, through
20 community events and presentations, and through various other media
21 channels. Since 2010, the Company has completed over 124,000 energy
22 audits, providing education and information about specific ways customers
23 can reduce energy consumption. Second, utilities offer specific programs
24 that are designed to encourage adoption of technology that is above these
25 minimum codes and standards to the extent the benefits in avoided or

1 deferred generation, transmission, and distribution investment costs
2 exceed the cost of implementing the program. Since participation in these
3 programs is voluntary, it is important to avoid subsidization of these costs
4 by customers who cannot or elect not to participate.

5
6 Q. Are there other ways customers learn about energy efficient products or
7 ways to save?

8 A. Yes. Beyond the educational initiatives of utilities, consumers are
9 exposed to a wide array of educational resources and products that can
10 help them save. These include governmental resources, product
11 manufacturers and retailers. For example, many lighting manufacturers
12 include energy saving information on product packaging to assist a
13 consumer in evaluating the benefit of purchasing one product over
14 another. Ultimately the consumer chooses the product that best fits their
15 judgement of cost and benefit.

16
17 Q. Please discuss the Company's current DSM program offerings, including
18 the measures included in each program, participation rates, cumulative
19 savings, and program impacts relating to building code and appliance
20 efficiency standards.

21 A. Gulf Power's current DSM program offerings are included in the DSM Plan
22 approved by the Commission via Order No. PSC-15-0330-PAA-EG.
23 Program details can be found in Schedule 2 of my Exhibit.

24
25

1 **Section 2: Process to Develop Goals**

2 Q. Please provide an overview of the process used to determine the
3 proposed goal levels.

4 A. Gulf Power developed proposed goals based on a progressive process of:

- 5 • Determining the full technical potential for energy and demand
6 savings (technical potential).
- 7 • Determining the subset of that potential that is cost-effective under
8 both the RIM and Total Resource Cost (TRC) cost-effectiveness
9 screens as compared to Gulf's resource needs from the most
10 recent integrated resource plan (economic potential).
- 11 • Determining the reasonably achievable potential of energy and
12 demand savings over the next ten years considering the
13 circumstances of the company's service area, existing
14 programmatic activity, and historical experience (achievable
15 potential). Gulf Power also reflected consideration of the
16 Participant cost-effectiveness test and the two-year payback screen
17 during the Achievable Potential.
- 18 • Nexant assisted all or some of these analyses for the seven Florida
19 utilities subject to requirements of FEECA (FEECA Utilities)

20
21 Q. Why did the FEECA Utilities engage a consultant to assist in this process?

22 A. The last full Technical Potential Study for each utility was conducted in the
23 2009 Goals docket. Since that time, there have been changes in the
24 available technical potential due to baseline technology changes, market
25 saturation of technologies, and utility program adoption. The utilities

1 collectively agreed to seek the expertise of an industry expert consultant
2 to evaluate the current technical potential for each utility's area. An
3 industry expert consultant brings independence to this process, as well as
4 a broad base of experience to ensure a thorough, comprehensive study is
5 completed.

6
7 Q. Why did the utilities work together in this process?

8 A. The approach used in this goal setting process had several benefits. It
9 offered an opportunity for consistency across the utilities in development
10 of the Technical Potential Study. The FEECA Utilities successfully
11 developed a common scope for the study and jointly selected Nexant to
12 conduct portions of the study specific to their needs. This approach also
13 provided an opportunity for each of the participating utilities to gain insight
14 from experiences of the others, which has led to more robust results along
15 each phase of the study.

16
17 Q. In general, what was the scope of Nexant's work in preparation of goals
18 for this filing?

19 A. Nexant completed the Technical Potential Study for each of the FEECA
20 Utilities. This study includes an assessment of technical potential for
21 demand and energy savings from EE, Demand Response (DR) and
22 Distributed Energy Resources (DER). Nexant Witness Herndon describes
23 in his direct testimony the particular steps Nexant performed for each of
24 the FEECA Utilities.

25

1 Q. Is Gulf utilizing Nexant to assist with any other steps in the process of
2 developing the proposed goals?

3 A. Yes, as discussed later in my testimony, Nexant quantified the economic
4 potential (MW and GWh) associated with the measures that were
5 determined by Gulf to pass the RIM and TRC tests. Nexant also
6 performed the achievable potential analysis associated with the proposed
7 goals for Gulf.

8
9 Q. Please describe what is meant by technical potential for energy and
10 demand savings and how it is used in the goal setting process.

11 A. Technical potential represents the amount of energy and demand savings
12 that is technically feasible without regard to cost, customer acceptance,
13 cost-effectiveness or other real-world constraints. Technical potential
14 begins with a comprehensive list of DSM measures that are technically
15 feasible to implement. The energy and demand savings of each measure
16 is multiplied by the applicable customer base to calculate what is
17 technically possible without any regard to whether it is in the best interest
18 of the customer or if a customer would even voluntarily adopt the
19 measure. In this sense, technical potential is a theoretical construct that
20 merely provides a starting point for the balance of the process. It certainly
21 does not represent cost-effective potential for utility-sponsored DSM that
22 could be reasonably achieved.

23

24

25

1 Q. How was the comprehensive DSM measure list developed for the
2 Technical Potential Study?

3 A. The starting point for the current measure list was the measures analyzed
4 in the 2014 FEECA Technical Potential Studies. These lists were
5 independently reviewed by each FEECA Utility and suggestions for
6 modifications to the list were aggregated into the list of measures provided
7 to Nexant.

8
9 In addition, Nexant worked with the FEECA Utilities to review the initial
10 measure list to determine applicability for the 2020 to 2029 period based
11 on current technologies and codes and standards. Nexant also
12 incorporated measures from other recent potential studies conducted
13 around the country, as well as their experience designing, implementing,
14 and evaluating DSM programs throughout the U.S.

15
16 Additionally, the Southern Alliance for Clean Energy (SACE) reviewed the
17 measure list and provided comments on measures included in the
18 residential, commercial and industrial lists, as well as other non-measure
19 specific comments which the FEECA Utilities considered.

20
21 Ultimately, the study included 278 unique EE, DR, and DER measures in
22 the development of Gulf's proposed goals. A full listing of these measures
23 can be found in the Appendix of Nexant's Market Potential Study (MPS)
24 reports. Each measure was evaluated in multiple building-types and
25

1 against multiple base cases resulting in over 4,000 individual measure
2 permutations.

3

4 Q. How were the measure savings impacts and costs for the participant
5 developed?

6 A. A description of the process used to develop measure savings impacts
7 and costs for the participant is included in Section 4.2 of the MPS of
8 Demand Side Management for Gulf Power and Nexant Witness Herndon's
9 testimony.

10

11 Q. How were DR measure savings impacts identified for technical potential?

12 A. A description of the process used to develop DR measure savings impacts
13 is included in Section 4.3 of the MPS of Demand Side Management for
14 Gulf Power and Nexant Witness Herndon's testimony.

15

16 Q. How were renewable technologies' savings impacts identified and
17 evaluated?

18 A. A description of the process used to develop renewable technologies
19 savings impacts is included in Section 4.4 of the MPS of Demand Side
20 Management for Gulf Power and Nexant Witness Herndon's testimony.

21

22 Q. Did Nexant consider the interactions between EE, DR and DER in their
23 assessment of technical potential?

24 A. Yes. Nexant interactively analyzed the impacts of EE, DR, and DER in
25 order to avoid overstating the potential. This analysis is described in

1 Section 5.1.4 of the MPS of Demand Side Management for Gulf Power
2 and Nexant Witness Herndon's testimony.

3

4 Q. What are the results of the Technical Potential Study for Gulf?

5 A. The Technical Potential Study projects a total savings potential for EE
6 measures of 621 MW Summer demand, 328 MW Winter demand, and
7 2,568 GWh annual energy. The technical potential for DR measures is
8 958 MW summer demand and 1,098 MW winter demand. The technical
9 potential for DER measures is 452 MW summer demand, 472 MW winter
10 demand, and 4,267 GWh annual energy. A breakdown of these results
11 can be found in Schedule 3 of my Exhibit.

12

13 Q. What is the next step in the process?

14 A. The next step is to determine preliminarily the amount of the technical
15 potential that may be cost-effective to pursue. This is called the economic
16 potential.

17

18 Q. Please describe what is meant by economic potential.

19 A. Economic potential is the amount of technical potential determined
20 preliminarily to be cost-effective by applying Commission-approved cost-
21 effectiveness tests to the measures in the technical potential. These are
22 the RIM, TRC, and PT. The Commission has requested two sets of
23 economic potential, one based on a set of measures that pass the RIM
24 and the PT test and another based on a set of measures that pass the
25 TRC and the PT test.

1 Q. Please describe the three cost-effectiveness tests in more detail.

2 A. The PT, as the name implies, measures cost-effectiveness from the
3 perspective of the participating customer. This test considers bill savings
4 and incentives as benefits and the participant's out-of-pocket
5 expenses as costs. It is important that any measure included in any final
6 DSM Plan is cost-effective to the participant.

7
8 The RIM test evaluates the cost-effectiveness of a measure from both a
9 participant's and non-participant's perspective. In this way, it measures
10 whether a cross-subsidy occurs between non-participating and
11 participating customers that ultimately results in upward rate pressure.
12 The RIM test considers avoided capacity and fuel costs as benefits
13 compared to costs of program implementation, including customer
14 incentives and reductions in utility unrecovered revenue requirements
15 (which contribute towards fixed cost recovery). When benefits exceed
16 costs in the RIM test, implementation of the DSM measure or program will
17 not result in cross-subsidy and will cause downward pressure on utility
18 rates. This is why the test is sometimes referred to as the "no-losers test."
19 Use of the RIM test in goal setting is essential to ensure that cross-
20 subsidy and upward rate pressure do not occur.

21
22 The TRC test looks at cost-effectiveness of an efficiency measure from
23 the joint perspective of the utility and customer base as a whole. In this
24 way, TRC measures only whether aggregate total costs are increased or
25 decreased. The TRC test considers the same benefits as the RIM test

1 while including just program implementation (not including customer
2 incentives) and incremental equipment expenses as costs. Importantly,
3 the TRC test does not provide any measure of rate pressure or cross-
4 subsidy. For this reason, the TRC test should never be used without
5 simultaneous consideration of the RIM test results to ensure non-
6 participating customers are not subsidizing customers who are voluntarily
7 participating in an efficiency program.

8

9 Q. How was the economic potential for the measures determined?

10 A. Utilizing the list of measures and their associated energy and demand
11 savings benefits as well as measure costs, Gulf began assessing the cost-
12 effectiveness of these measures. Gulf used the avoided cost data
13 associated with its most current integrated resource plan as the basis for
14 these evaluations.

15

16 Q, What avoided unit did Gulf use in its evaluations?

17 A. Consistent with Gulf's April 2019 Ten Year Site Plan filing, a 595 MW
18 combined cycle unit with an in-service date of 2024 was used for the cost-
19 effectiveness evaluations.

20

21 Q. Please describe the other "base case" assumptions used in this analysis.

22 A. The base case analysis for evaluating the cost-effectiveness of measures
23 in this study includes projections of fuel costs, load and energy sales, and
24 generation costs over the planning period. The fuel cost projections used
25 for this evaluation were updated consistent with Gulf's 2019 Ten Year Site

1 Plan and are associated with the technology of the next avoided unit. The
2 load and energy forecast was developed based on a number of inputs,
3 including projections of economic growth, customer growth, and energy
4 savings. The energy savings incorporated resulted from both market-
5 driven forces, such as codes and standards, as well as Gulf's DSM
6 programs. Generation costs were based on current projections of capital,
7 operating, and environmental compliance expenses associated with the
8 next planned generation unit needed to satisfy the load requirements. No
9 carbon costs were assumed in the development of Gulf's resource plan;
10 therefore, no such costs were included in evaluation of the DSM
11 measures. These cost inputs were used to develop the avoided cost
12 values used in evaluation of the measures included in the Technical
13 Potential Study.

14

15 Q. How were the measure costs and savings evaluated in Gulf's analysis?

16 A. Utilizing a spreadsheet-based model, Gulf Power compared the measure
17 savings impacts and costs against a series of avoided cost projections in
18 accordance with the formulas for the RIM and TRC tests. In developing
19 the list of measures comprising the economic potential, no administrative
20 costs, incentives, or free-ridership assumptions were included. This was
21 done in order to provide the largest set of measures for further
22 consideration.

23

24 Two lists of measures were developed: a set that passed RIM and a set
25 that passed TRC. These lists were then provided to Nexant in order to

1 enable Nexant to calculate the economic potential MW and GWh
2 associated with each measure. Since the lists only included measures
3 that passed RIM or TRC, the resulting MW and GWh potential is
4 considered the economic potential.

5
6 Q. What is free-ridership and how did Gulf take into account the effects of
7 free-ridership in its analysis?

8 A. In this context, a free-rider is a customer whose adoption of a DSM
9 measure would have occurred even in the absence of any utility program
10 or incentive. As required by Commission rule, the goals set for energy
11 and demand reductions must account for the effects of free-ridership.
12 Measures that have a customer payback of less than two years without
13 any utility incentive are considered to already present the customer with a
14 reasonable economic proposition and, therefore, are not included in the
15 proposed goal. If included as part of a utility's goal, the expense
16 associated with promotion of these measures would be an unnecessary
17 cost burden on the non-participating utility customers because an
18 economically rational participant would adopt these measures even
19 without a utility program.

20
21 The Commission has consistently endorsed the two-year payback
22 screening mechanism as an appropriate means of addressing the free
23 ridership regulatory requirement. Most recently, in its 2014 Goals docket
24 order, the Commission stated the following: "We have consistently
25 approved goals based on this methodology in our previous DSM goals

1 setting proceedings. While the selection of the most appropriate approach
2 to account for free riders as required by Rule 25-17.002(3), F.A.C., is
3 discretionary, the overwhelming evidence in this case suggests that the
4 discretionary balance point continues to be a two-year payback period.”
5 See Order No. PSC-14-0696-FOF-EU at page 25.

6
7 Q. What is the economic potential associated with the RIM and TRC passing
8 measures?

9 A. Nexant calculated the economic potential for EE to be 75 MW Summer
10 demand, 39 MW Winter demand, and 114 GWh annual energy for the
11 measures passing RIM. The economic potential for EE measures passing
12 TRC is 348 MW Summer demand, 297 Winter demand, and 1,762 GWh
13 annual energy. For DR, the economic potential is 958 MW Summer
14 demand, 1,098 Winter MW demand for both RIM and TRC. For DER, the
15 economic potential for the measures passing RIM is 65 MW Summer
16 demand and 222 MW Winter demand. The economic potential of DER for
17 TRC is zero, as no measures pass. Again, this represents the subset of
18 technical potential that is cost-effective considering only the measure
19 impacts and some of the costs associated with a measure, and it does not
20 represent the amount of energy and demand savings achievable in the
21 market over the next ten-year period. A breakdown of these savings is
22 shown in Schedule 4 of my Exhibit.

23
24
25

1 Q. Was there additional screening performed on the measure list?

2 A. Yes. Gulf performed additional screening which included consideration of
3 typical administrative costs in order to ensure any measures passing
4 through for achievable potential modeling would be cost-effective in each
5 of the RIM and TRC portfolios. In addition, measures that had
6 cost/savings combinations that resulted in customer payback of less than
7 two years without any incentives were removed by Gulf at this stage of the
8 analysis.

9
10 Gulf then conducted further screening of the measures to determine which
11 measures also passed the PT. For measures not initially passing the PT
12 in the RIM portfolio, incentive dollars were applied to increase the PT
13 score to the point the RIM score fell to 1.0. Measures that still did not
14 pass the PT with these maximum incentives were eliminated from further
15 consideration. For the TRC screen, the incentive is not considered in the
16 test, so Gulf increased the incentive level to a maximum amount that
17 brought the customer payback to two years. If this incentive level did not
18 bring the PT score to at least 1.0, the measure was eliminated from further
19 consideration.

20
21 Upon completion of this screening process, Gulf Power provided Nexant
22 with the remaining RIM and TRC-passing measures, along with each
23 measure's maximum incentive level, to be modeled for achievable
24 potential.

25

1 Q. What was the next step in the process of determining Gulf Power's
2 proposed DSM goals?

3 A. The next step was to determine the achievable potential. This step
4 involved projecting likely customer adoption of the remaining DSM
5 measures in order to establish a cost-effective goal for demand and
6 energy savings.

7
8 Q. How was the achievable potential estimated in this study?

9 A. Utilizing the incentive levels developed by Gulf in the process previously
10 described, Nexant estimated the achievable potential for Gulf using their
11 adoption modeling tools. Historical Gulf program participation was utilized
12 to form a baseline of potential adoption of similar programs and measures.
13 Nexant also considered adoption of similar programs and measures in
14 other utility areas as an input to what could be feasible for Gulf. More
15 details about this process are described in Section 7 of the MPS report for
16 Gulf included with Nexant Witness Herndon's testimony.

17
18 Q. What are the results of the achievable potential analysis performed by
19 Nexant?

20 A. Nexant's achievable potential analysis estimates the achievable potential
21 over the period 2020-2029 in the RIM portfolio is 5 MW Summer demand,
22 2 MW Winter demand, and 6 GWh annual energy for EE measures; 15
23 MW Summer demand and 11 MW Winter demand for DR measures; and
24 zero for DER measures. The potential in the TRC portfolio is 40 MW
25 Summer demand, 29 MW Winter demand, and 222 GWh annual energy

1 for EE measures; 15 MW Summer demand and 11 MW Winter demand
2 for DR measures; and zero for DER measures. The sum of the
3 achievable potential for EE and DR is shown on Schedule 5 of my Exhibit.
4

5 Q. Do the Company's proposed goals reflect the full achievable potential as
6 estimated by Nexant?

7 A. No. Gulf Power's proposed goals for residential energy and demand
8 reduction and commercial/industrial demand response match the results
9 contained in Nexant's Achievable Potential Study. As noted previously,
10 Nexant's projection of achievable potential for EE measures in the
11 commercial/industrial sector totaled 5 MW Summer demand, 2 MW Winter
12 demand, and 6 GWh energy over the ten-year scope of the study.
13

14 Q. Why is Gulf proposing a commercial/industrial goal that does not include
15 the 7 MW of demand savings and 6 GWh of energy savings associated
16 with the EE measures reflected in Nexant's Achievable Potential Study?

17 A. The Achievable Potential Study projects adoption of each specific
18 measure for any and all building types for which the measure is cost-
19 effective. In this case, the small handful of EE measures that comprise
20 the achievable potential in the commercial/industrial sector are only cost
21 effective in very limited building types and have very low adoption
22 projections. For example, the Energy Recovery Ventilation System
23 measure is cost-effective in only 2 of 13 building types and has annual
24 adoption projections ranging from 0 to 31 participants over a ten-year
25 period. For the industrial measures, no individual measure has an

1 adoption projection greater than 1 participant per year. If Gulf Power's
2 commercial/industrial goal was set at the level reflected in the Achievable
3 Potential Study, Gulf would ultimately need to design a DSM program
4 which was comprised of the handful of EE measures identified in the
5 Achievable Potential Study. Developing and implementing a DSM
6 program centered upon such a small number of measures which are, in
7 turn, limited in application to a very few uniquely situated commercial
8 customers would be highly impractical from a cost, administrative and
9 customer adoption perspective.

10

11 **Section 3: Statutory Adherence**

12 Q. Has Gulf Power provided an adequate assessment of the full technical
13 potential of all available demand-side conservation and efficiency
14 measures, including demand-side renewable energy systems?

15 A. Yes. Through the utility-sponsored study performed by Nexant, a robust
16 and comprehensive assessment of the full technical potential of all
17 available demand-side conservation and energy efficiency measures,
18 including demand-side renewables has been completed. This
19 assessment included the evaluation of 278 individual EE, DR and DER
20 measures.

21

22 Q. Does Gulf Power's Technical Potential Study evaluate supply-side
23 conservation and efficiency measures?

24 A. No. Consistent with past DSM Goals proceedings, Gulf Power's technical
25 potential analysis does not include an assessment of supply-side

1 conservation and efficiency opportunities. In past DSM Goals
2 proceedings, this Commission has recognized that supply side measures
3 require substantially different analytical methods than do demand-side
4 systems and provide results that are difficult to combine with conservation
5 goals. As a consequence, the Commission has consistently determined
6 that evaluation of opportunities for supply-side efficiency improvements is
7 better addressed in other contexts, such as the Commission's review of
8 utility Ten Year Site Plans. Although supply-side efficiencies were not
9 considered in the Company's technical potential analysis, Gulf Power
10 routinely considers energy efficiency in its ongoing generation,
11 transmission, and distribution planning process.

12
13 Q. Please discuss how supply-side efficiencies are incorporated in Gulf's
14 planning process.

15 A. Supply-side efficiencies are considered in many parts of Gulf's generation,
16 transmission, and distribution planning processes. First, efficiency is at
17 the core of the integrated planning process. It is through this process that
18 the most efficient resource plan is put forth to meet Gulf's load
19 requirements. This process considers all resources available to meet the
20 company loads and selects any required generation technologies based
21 not only on capital costs, but also on the variable costs of production
22 including fuel. The resulting analysis selects the most cost-efficient
23 alternative. The concept of efficiency carries through to operations of the
24 generation fleet as well. The dispatch of generating units includes each
25 unit's fuel efficiency, or heat rate, in the economic dispatch equations such

1 that the most cost-efficient mix of generators is meeting supply at any
2 point in time. Similarly, analysis of the transmission and distribution
3 system considers improvements that resolve thermal issues thereby
4 reducing line losses. Capacitor banks are an example of such an
5 improvement.

6

7 Q. How do these supply-side efficiencies impact demand-side management
8 programs?

9 A. Supply-side and demand-side alternatives are both intended to produce
10 the most cost-efficient resource plan to satisfy the Company's loads.
11 Since they are both compared in the integrated resource planning
12 process, the more efficiently the supply-side operates, the less cost-
13 effective demand-side alternatives are to pursue.

14

15 Q. Has Gulf Power provided an adequate assessment of the achievable
16 potential of all available demand-side conservation and efficiency
17 measures, including demand-side renewable energy systems?

18 A. Yes. Through the Achievable Potential Study performed by Nexant, a
19 robust and comprehensive assessment of the full achievable potential of
20 demand-side conservation and energy efficiency measures, including
21 demand response and demand-side renewables, has been completed.
22 This assessment included modeling projections of achievable potential in
23 both a RIM/PT and TRC/PT portfolio.

24

25

1 Q. Should the Commission establish separate goals for demand-side
2 renewable energy systems?

3 A. No. In past FEECA proceedings, the Commission determined that it was
4 appropriate to set goals equal to zero in cases where no DSM measures
5 were found to be cost-effective. See Order Nos. PSC-00-0588-FOF-EG;
6 PSC-00-0587-FOF-EG; PSC-04-0768-PAA-EG; PSC-04-0767-PAA-EG.
7 Given that no renewable measures passed the Commission's approved
8 cost-effectiveness criteria, setting renewable goals at a level above zero in
9 this proceeding would not be appropriate.

10

11 Q. Aside from establishing separate goals for demand-side renewable energy
12 systems, are there other actions that Gulf or the Commission has
13 taken, or can take, to encourage the development of demand-side
14 renewable energy systems?

15 A. In 2008, the Commission adopted amendments to Rule 25-6.065, F.A.C.
16 providing for expedited interconnection of small customer-owned
17 renewable generation and allowing for net metering of excess energy. In
18 its 2014 DSM Goals order, the Commission declined to establish separate
19 goals for renewable systems and held that "the rule is an appropriate
20 means to encourage the development of demand-side renewable energy,
21 as it expedites the interconnection of customer-owned renewable energy
22 systems and benefits customers through net metering." See Order No.
23 PSC-14-0696-FOF-EU at p. 48. As evidence of this rule's effectiveness in
24 increasing the adoption of demand-side renewable energy systems, since
25 2008 over 1,200 residential and commercial renewable energy systems

1 have been interconnected on Gulf's grid with a capacity over 7,500 kW.
2 Also, Gulf does, and will continue to, provide education
3 concerning renewable energy technologies, including solar, on its website
4 and through customer advisors across Northwest Florida.

5
6 Q. What cost-effectiveness test or tests should the Commission use to set
7 DSM goals for Gulf Power?

8 A. Consistent with its precedent, the Commission should continue to use the
9 combination RIM and PT cost-effectiveness tests coupled with the two-
10 year payback criterion to set goals for Gulf Power. This combination of
11 tests provides an appropriate balance between participating and non-
12 participating customer benefits and ensures downward pressure on overall
13 electric rates while still supporting appropriate levels of conservation
14 activities over the period 2020 through 2029.

15
16 Using the combination of RIM and PT cost-effectiveness tests to establish
17 goals for Gulf Power is consistent with the requirements of section
18 366.82(3), Florida Statutes, to consider impacts to participating customers
19 as well as non-participating customers, together comprising the general
20 body of customers.

21
22 Q. Do Gulf Power's proposed DSM goals appropriately reflect consideration
23 of free riders?

24 A. Yes. Consistent with the Commission's precedent, Gulf Power utilized a
25 two-year payback criterion to screen for free ridership.

1 Q. Do Gulf Power's proposed DSM goals adequately reflect the costs and
2 benefits to customers participating in the measure?

3 A. Yes. The measures included in development of the goals reflect the costs
4 and benefits to the participating customers. This is done by performing
5 the PT cost-effectiveness test and ensuring that all measures
6 contemplated for inclusion in the goals pass this test.

7

8 Q. Do Gulf Power's proposed DSM goals adequately reflect the costs and
9 benefits to the general body of ratepayers as a whole, including utility
10 incentives and participant contributions?

11 A. Yes. By passing the RIM test, Gulf's proposed goals reflect costs and
12 benefits that minimize overall rate impacts for the general body of
13 customers, whether or not they adopt one of the DSM measures. In
14 addition, by only including measures that also pass PT, these proposed
15 goals adequately consider participant contributions as a component of
16 overall customer impact. RIM is also the only test that considers utility-
17 provided incentives in the evaluation of costs and benefits.

18

19 Q. Do Gulf Power's proposed DSM goals adequately reflect the costs
20 imposed by state and federal regulations on the emission of greenhouse
21 gases?

22 A. Yes. Gulf is not currently incurring costs associated with existing state or
23 federal regulations on the emissions of greenhouse gases and, therefore,
24 Gulf has appropriately not included assumptions of costs for greenhouse
25 gas emissions in the development of proposed goals.

1 Q. What is Gulf Power's position relative to the Commission establishing
2 incentives to promote both customer-owned and utility-owned energy
3 efficiency and demand-side renewable energy systems?

4 A. Historically, the Commission's preference for relying on the combination of
5 RIM and PT in the evaluation and approval of utility conservation
6 programs has provided the necessary structure to ensure that the
7 interests of all stakeholders are balanced. In practice, these tests provide
8 incentives to customers through the payment of rebates, to the general
9 body of customers by preventing cross-subsidization between DSM
10 program participants and non-participants, and to the utility by ensuring
11 that incorporation of DSM in the resource planning process results in net
12 benefits that put downward pressure on rates. Therefore, reliance on the
13 RIM test in goal-setting obviates the need for utility incentives.

14

15 **Section 4: Sensitivities**

16 Q. Has Gulf completed any sensitivities v. the RIM and TRC Base Cases?

17 A. Yes. Gulf and Nexant performed additional economic potential screening
18 on the DSM measures included in the technical potential for alternative
19 fuel cost projections and free-ridership periods as requested in the Order
20 Establishing Procedure in this docket. The purpose of these additional
21 evaluations was to determine how sensitive the economic potential is to
22 these factors. The first sensitivity was performed for two additional fuel
23 cost scenarios, "low fuel" and "high fuel." Since fuel cost projections are
24 an input in the cost-effectiveness evaluations, different fuel cost
25 assumptions can increase or decrease the avoided cost benefits of each

1 measure's savings, and, consequently, the cost-effectiveness results.
2 Each of these fuel cost projections represents a planning scenario utilized
3 by Gulf Power in the normal integrated resource planning process. A
4 summary of these results can be found in Schedule 6 of my Exhibit.

5
6 The second sensitivity was for shorter and longer free-ridership periods.
7 For this evaluation, Nexant calculated the economic potential utilizing a
8 one-year (shorter) and three-year (longer) payback period to determine
9 how sensitive the economic potential was to these alternate free-ridership
10 periods. This evaluation was completed by removing measures from the
11 economic potential for which customer payback was less than one or
12 three years without any utility-provided incentive. A summary of these
13 results can be found in Schedule 7 of my Exhibit.

14
15 **Section 5: Additional Supporting Information**

16 Q. For Gulf Power, what is the projected annual bill impact on residential
17 customers using 1,200 kWh/month resulting from these proposed goals?

18 A. The annual bill impact associated with Gulf's proposed goal (RIM portfolio)
19 and TRC portfolio is reflected in Schedule 8 of my Exhibit. These bill
20 impacts reflect the projected costs associated with achieving the goals
21 associated with EE, DR, and DER measures addressed in this
22 proceeding. In summary, the annual bill impact of the RIM-based
23 proposed goal is \$5 less than the TRC portfolio in 2020, growing to over
24 \$15 per year less than the TRC portfolio in each of the years 2026 to
25 2029.

1 **Section 6: Conclusions**

2 Q. What are Gulf's proposed DSM Goals for 2020-2029?

3 A. Gulf proposes that the Commission approve the DSM Goals set forth in
4 Schedule 1 of my Exhibit. The goals represent the total cost-effective
5 winter and summer peak MW demand reductions and the annual GWh
6 savings at the generator which are reasonably achievable through
7 implementation of demand-side programs in Gulf Power's service area for
8 the residential and commercial/industrial customer classes. These goals
9 are based on measures passing the RIM and PT cost-effectiveness tests
10 and avoid free-ridership through application of the two-year payback
11 criterion.

12

13 Q. Has Gulf Power used a sound and reasonable process consistent with
14 Florida's statutory and rule-based requirements to determine its 2020
15 through 2029 DSM goals?

16 A. Yes. Gulf Power has proposed goals based on a full assessment of
17 technical, economic, and achievable potential for demand-side
18 conservation and efficiency measures, including demand response and
19 demand-side renewable energy systems in a manner consistent with
20 requirements of section 366.82(3), Florida Statutes, and FPSC Rule 25-
21 17.0021.

22

23 Q. Does this conclude your testimony?

24 A. Yes.

25

1 BY MR. GRIFFIN:

2 Q And Mr. Floyd, did you have any exhibits to
3 your testimony?

4 A Yes, I did.

5 Q And that would consist of Exhibit JNF-1,
6 containing eight schedules; is that right?

7 A Yes.

8 Q And do you have any corrections to those
9 exhibits?

10 A No, I do not.

11 MR. GRIFFIN: And Mr. Floyd's exhibit,
12 Mr. Chair, has been marked as hearing Exhibit 35.

13 CHAIRMAN GRAHAM: Duly noted.

14 BY MR. GRIFFIN:

15 Q Mr. Floyd, would you please summarize your
16 testimony.

17 A Yes.

18 Good morning, Commissioners. Gulf Power's
19 goals in this docket are based on a robust statutory
20 process that's been time-tested. The same process has
21 supported substantial DSM achievements by Gulf for many
22 years.

23 This process ensures that our general body of
24 customers is not harmed through cross-subsidies and
25 rates higher than they otherwise would be. The process

1 ensures that cost-effective and reasonably-achievable
2 energy and demand savings are captured and deployed.

3 The primary considerations for this Commission
4 have historically been cost-effectiveness and avoidance
5 of cross-subsidies. Regarding cost-effectiveness, the
6 Commission should continue utilizing the RIM test as the
7 criteria for establishing goals. The RIM test ensures
8 no cross-subsidy occurs between customers who cannot or
9 choose not to participate in utility-sponsored DSM
10 programs and those who do. In this way, the RIM test
11 ensures that all customers benefit.

12 Another key aspect of this process is
13 addressing free-ridership. Gulf supports continued use
14 of the two-year payback methodology, which is a logical,
15 efficient-to-implement tool that's based on longstanding
16 Commission precedent.

17 In this proceeding, Gulf Power's market-
18 potential study began by evaluating a comprehensive list
19 of almost 300 energy-efficiency, demand-response, and
20 demand-side renewable measures.

21 With the assistance of Nexant, Gulf carefully
22 analyzed these measures and over 4,000 permutations of
23 market applicability to determine which were cost-
24 effective and the reasonably-achievable potential of
25 those that were.

1 The fact that the results of Gulf's market-
2 potential study show less cost-effective energy and
3 demand savings does not mean the process is broken. To
4 the contrary, it appropriately recognizes the combined
5 effects of increasingly-stringent building codes and
6 appliance-efficiency standards and decreases in utility-
7 avoided costs including fuel.

8 These combined impacts naturally result in
9 less energy and demand savings that can be cost-
10 effectively gained through utility-sponsored demand-side
11 management. And demand-side renewables have experienced
12 tremendous growth since the end of utility incentives in
13 2015. So, customers are receiving the benefits of
14 energy efficiency and demand-side renewables in the
15 market in the most-efficient way without unnecessary
16 incentives.

17 In closing, my testimony supports goals for
18 Gulf that are the result of the robust process
19 established for Florida, a process that appropriately
20 focuses on cost-effectiveness and minimization of cross-
21 subsidies.

22 Thank you.

23 MR. GRIFFIN: We tender the witness for cross-
24 examination.

25 CHAIRMAN GRAHAM: Thank you.

1 Mr. Floyd, welcome.

2 THE WITNESS: Thank you.

3 Ms. Christensen, good morning.

4 MS. CHRISTENSEN: Good morning.

5 CHAIRMAN GRAHAM: Welcome to the front row.

6 MS. CHRISTENSEN: Thank you.

7 We have no questions of this witness on his
8 direct testimony. Thank you.

9 CHAIRMAN GRAHAM: Fantastic.

10 Mr. Moyle.

11 MR. MOYLE: I just have a couple.

12 EXAMINATION

13 BY MR. MOYLE:

14 Q You talked about cross-subsidies. Why -- why
15 should the Commission avoid cross-subsidies?

16 A Well, I think, simply, it's a matter of -- of
17 not having some customers pay for things that they don't
18 benefit from or having some customers pay for things
19 that other customers receive the benefit from.

20 Q All right. So, if there -- there's a great
21 new program, but it's not -- it's not cost-effective
22 under the RIM test, then, has the historical practice
23 been to say, well, we're not gonna -- we're not gonna
24 pay for that because it involves cross-subsidization?

25 A That's correct.

1 Q Yeah. And with respect to your comment about
2 standards and measures -- those are building-code
3 standards and also efficiency measures for equipment and
4 things like that; is that right?

5 A Yes.

6 Q And -- and have you done any analysis or do
7 you know -- because the -- the goals are -- are less --
8 the goals that you're suggesting are less than they have
9 been, historically, right?

10 A Yes, they're less than they were in the
11 previous proceeding.

12 Q Okay.

13 A That's correct.

14 Q Have you done any kind of analysis to say,
15 well, some of that reduction is being picked up by
16 measures and standards that the government has acted in
17 other ways with respect to putting in place building
18 codes or -- or energy-efficiency measures, and the
19 savings that previously were related to goals are now
20 being captured in standards and measures in another
21 government program?

22 Have you looked at that or can you comment on
23 that, please?

24 A Yes, and that is reflected in the study as a
25 baseline for what the available potential is going

1 forward. In Gulf's case, through 2028, I believe it is,
2 our forecast reflects --

3 CHAIRMAN GRAHAM: I'm going -- I'm going to
4 cut you off here. This is too much like friendly
5 cross. Let's move on.

6 MR. MOYLE: That -- that was my last question.

7 CHAIRMAN GRAHAM: Okay. Ms. Wynn, do you have
8 any questions?

9 MS. WYNN: No, Mr. Chairman.

10 CHAIRMAN GRAHAM: Thank you.

11 Kelley?

12 MS. CORBARI: FDACS has no questions.

13 CHAIRMAN GRAHAM: SACE. Mr. Cavros, welcome
14 back to the front row.

15 MR. CAVROS: Good to see you, Chairman Graham,
16 Commissioners. Good morning.

17 EXAMINATION

18 BY MR. CAVROS:

19 Q Mr. Floyd, good morning. How are you?

20 A Good morning.

21 Q Mr. Floyd, you're Gulf Power's manager of
22 strategy and market intelligence; is that right?

23 A Yes.

24 Q Okay. And you're here to support Gulf's
25 proposed goals in -- in this docket, correct?

1 A Yes.

2 Q Okay. And if I'm not mistaken, you also
3 supported Gulf's goals in 2014 and -- and also 2009.
4 That's as far as I go back, but is -- is that correct?

5 A Yes, that's correct.

6 Q Yeah. Okay.

7 I'm going to ask you sort of a few basic
8 questions. You know, we sometimes tend to jump into
9 acronyms and numbers really quickly. So, these first
10 few questions may seem a little basic. So, I apologize
11 for that, but -- so, the Commission is -- is setting
12 what is called demand-side management goals in this
13 proceeding; is that correct?

14 A Yes.

15 Q Okay. And the utilities are required to meet
16 the goals set by the Commission in this docket; is that
17 right?

18 A Well, the utilities are required to endeavor
19 to achieve those goals to the best of our ability, given
20 the customers' willingness to participate in the
21 programs.

22 Q And if you don't meet the goals, the
23 Commission has the authority to assess penalties against
24 utilities; is that correct?

25 A That's my understanding, yes.

1 Q And Gulf's goals are expressed in terms of
2 summer megawatt, winter megawatt, and gigawatt hours,
3 correct?

4 A Yes, that's correct.

5 Q So, let's focus on -- on gigawatt hours for --
6 for the benefit of any Gulf customers that may be
7 watching the proceeding this morning. A gigawatt hour
8 is a measure of energy use; is that right?

9 A Yes, that's correct.

10 Q And a residential-customer bill is typically
11 expressed in -- in kilowatt hours monthly, correct?

12 A Yes.

13 Q Okay. And an average bill is -- or an average
14 customer, residential, uses about 1,100 kilowatt hours a
15 month; is that fair to say?

16 A That -- that's fair to say, 11- to 1,200
17 kilowatt hours a month.

18 Q Okay. And if you multiply kilowatt hours
19 times a thousand, you get megawatt hours; is that right?

20 A Yes, that's correct.

21 Q And then if you multiply megawatt by a
22 thousand, you get gigawatt hours, right?

23 A Yes.

24 Q Okay. And a gigawatt-hour goal, from -- from
25 a goal-setting perspective, is a quantitative goal for

1 reducing your customer's energy use through energy-
2 efficiency programs. Did I state that correctly?

3 A I -- I'm not sure. Could you ask that again,
4 please?

5 Q Yeah, sure. So, the gigawatt-hour goals
6 that -- that -- from a goal-setting perspective is a --
7 a quantitative goal for reducing overall customer energy
8 use through energy-efficiency programs.

9 A Yes.

10 Q And a gigawatt-hour goal can also be referred
11 to as -- as energy savings; is that accurate?

12 A Yes, that's fair.

13 Q And as a general matter, when customers reduce
14 their energy use, they're saving money on their bills;
15 is that right?

16 A Yes.

17 Q Okay. And the energy savings are accomplished
18 through utility-sponsored energy-efficiency programs; is
19 that right?

20 A Well, that's one of many ways that a customer
21 could reduce their energy use, but yes, the utility-
22 sponsored programs is one way.

23 Q Okay. And I'm referring to the goals that
24 are -- that are set in this docket.

25 A (Nodding head affirmatively.)

1 Q And the -- the scale of those energy-
2 efficiency programs are directly related to the goals
3 that are set in this docket, correct?

4 A Yes.

5 Q And the goals are set for a ten-year period;
6 is that right?

7 A Yes, that's correct.

8 Q And they're -- they're set for -- for two
9 customer classes, right?

10 A Yes, for residential and for commercial/
11 industrial customers.

12 Q Okay. And by residential, you mean a single-
13 family homes, multi-family structures like -- like
14 condominiums and manufactured homes; is that correct?

15 A Yes. Any customers that are -- are
16 residential in nature, regardless of what building type
17 they live in, that's right.

18 Q Okay. So, residential customers is
19 essentially a family or families? If --

20 A Could be, yes.

21 Q So, if I use them interchangeably, you'd be
22 okay with that? Okay.

23 A Sure.

24 Q And Gulf has approximately 1400- -- I guess
25 413,000 residential accounts or family accounts; is that

1 correct?

2 A Yes, that's correct.

3 Q Okay. And an average household is about two
4 and a half persons in Gulf's territory?

5 A I -- I'm not familiar with what the average
6 number of occupants per household is.

7 Q Uh-huh. Okay. If -- if it were two and a
8 half persons per household, you would agree that there's
9 about over a million people that are served by Gulf
10 Power?

11 A That math works out that way, yes.

12 Q Okay. And by commercial customers, we mean
13 building types like restaurants, offices, and schools;
14 is that right?

15 A Yes, that's right.

16 Q And by industrial customers, we mean customers
17 like manufacturing facilities?

18 A That's correct.

19 Q And Gulf has about 57,000 commercial accounts.
20 Does that seem about right?

21 A That seems about right.

22 Q Okay. Can I turn your attention to your
23 exhibit, JNF-1.

24 A Is that in this stack of exhibits here?

25 Q I -- I -- I apologize. This is in your

1 testimony.

2 A Okay.

3 Q Your direct testimony.

4 A Okay.

5 Q Okay. So, this is a table that provides the
6 ten-year goals that -- that Gulf is proposing to this
7 Commission for residential customers and -- and
8 commercial/industrial customers; is that right?

9 A Yes, that's correct.

10 Q So, if you look at the "annual gigawatt hours"
11 row, going across, I wanted to ask you a few questions
12 about this table.

13 A Sure.

14 Q Okay. So, what is your family energy-savings
15 goal or residential goal for 2020?

16 A I'm sorry. Which goal?

17 Q Your residential goal, annual gigawatt-hour
18 goal -- or your energy-saving goal?

19 A The proposed annual gigawatt-hour goal is
20 zero, which, again, is a result of the process that we
21 go through here to evaluate over -- or almost 300
22 energy-efficiency and demand-response measures to
23 determine which ones of those are cost-effective to
24 pursue.

25 And in this case, the result of that rigorous

1 process, you know, produces this outcome of zero for
2 energy efficiency, gigawatt hours.

3 Q And Mr. Floyd, we'll get to that rigorous
4 process in a -- in a moment.

5 For 2021, what is your family energy-savings
6 goal?

7 A I'm -- I'm sorry. I don't see a family
8 energy-savings goal here --

9 Q Okay. That would be the residential. I --
10 I'm using them interchangeably, but your annual energy
11 and gigawatt hours for residential.

12 A Zero.

13 Q Okay. And for 2022?

14 CHAIRMAN GRAHAM: Mr. Cavros, let's move on.
15 They're zero all the way across.

16 MR. CAVROS: Uh-huh.

17 BY MR. CAVROS:

18 Q Are you -- so, Mr. Floyd, your total family
19 energy-savings goal for the -- for the whole period
20 is -- is zero; is that correct?

21 A The proposed residential goal for -- for the
22 ten-year horizon of this is zero.

23 Q Uh-huh. And for your business or commercial
24 and industrial energy-savings goals for the ten-year
25 period -- what is that goal?

1 A The annual energy goal is zero.

2 Q And then for the -- for both the residential,
3 or the family energy savings, and the commercial and
4 industrial energy savings combined for the ten years --
5 what is that goal?

6 A That is the sum of the residential and
7 commercial/industrial. And that is zero as well.

8 Q Mr. Floyd, in order to address so-called free-
9 ridership, Gulf uses a -- a two-year payback methodology
10 to eliminate measures from further potential analysis
11 that are projected to have a two-year simple payback to
12 customers, correct?

13 A Yes, that's correct.

14 Q And free-ridership refers to customers that
15 will adopt an energy-efficiency measure on their own,
16 correct?

17 A I would say, yes, that's a general --
18 generally-accepted definition.

19 Q And these customers are going to naturally
20 adopt the measure, absent a utility program; is that
21 correct?

22 A The assumption is that they would adopt, at a
23 higher rate, due to the -- the economic-value
24 proposition of having a relatively-short payback.

25 Q So, then, you would agree that they would

1 naturally adopt the measure, absent a utility program?

2 A I would agree that the premise of the two-year
3 payback is that customers with -- with a short payback
4 opportunity would reasonably adopt those measures at a
5 higher rate than -- than measures that would have a much
6 longer payback.

7 Q So, let me reframe the question, then. The
8 customers are going to naturally adopt the measure
9 because they're not waiting for a utility incentive; is
10 that correct?

11 A Well, I would say sometimes that may happen;
12 sometimes it may not.

13 Q Okay. Help me out with a definition here. I
14 thought a free rider was a customer that adopts -- is
15 provided a utility incentive that might otherwise
16 naturally adopt the measure without a utility incentive;
17 is that correct?

18 A I -- I believe that a free rider is a customer
19 who would have otherwise adopted the measure, regardless
20 of whether the u- -- utility incentive was available or
21 not.

22 Q So, could you please turn to your -- to your
23 testimony, if you could, Page 17, Line 12 to 15.

24 A Okay. I'm --

25 Q Okay. Great. And I'm -- I'm going to read

1 this out -- aloud: Measures that have a customer
2 payback of less than two years without a utility
3 centive -- a utility incentive are considered to already
4 present the customer with a reasonable economic
5 proposition and, therefore, are not included in the
6 proposed goal.

7 By "reasonable," you mean reasonable to the
8 customer, correct?

9 A Yes, I think reasonable in the sense that it
10 is a short payback.

11 Q Okay. And "reasonable" assumes that the
12 customer has adequate information about the measure,
13 correct?

14 A Not necessarily; although, I would agree that
15 having information is an important aspect of making any
16 kind of decision.

17 Q "Reasonable" also assumes that the customer
18 has the financial resources to install the measure,
19 correct?

20 A It could be. Again, it's not really based on
21 what resources the customer has available. Again, it's
22 based more on the reasonableness of a short payback
23 opp- -- savings opportunity.

24 Q Would you agree that commercial and industrial
25 customers are generally more aware about the paybacks of

1 **individual measures than families?**

2 A Not necessarily. I've talked to a number
3 of -- of families who very-closely monitor the paybacks
4 of various efficiency opportunities. And I've -- and
5 I've had similar conversations with business owners
6 who -- who don't pay that much attention to it. You
7 know, maybe they're focused on other aspects of their
8 business. So, I would not draw that broad conclusion.

9 Q Well, let -- perhaps an example would be --
10 would be helpful. You would agree that a big-box store
11 chain, like Walmart, would be more likely to have the
12 financial resources and the information to -- than, say,
13 a customer that shops at Walmart, a hard-working family
14 struggling to put food on their table for their kids.

15 Who would have more information and more
16 resources in that example?

17 A Again, I wouldn't speculate as to who would
18 have -- have more resources or information. Certainly,
19 customers like Walmart and -- and other large businesses
20 like that do make, you know, great efforts at evaluating
21 opportunities for efficiency adoption in their
22 businesses, but I -- I -- I couldn't speculate as to
23 which one would have more information.

24 Q Is it your testimony, then, that shoppers at
25 Walmart have the same resources and information on

1 **energy-efficiency measures, payback of energy-efficiency**
2 **measures, as do executives and staff at Walmart?**

3 A No, I don't believe I've stated that in my
4 testimony.

5 MR. CAVROS: Could you -- I've got a few
6 exhibits and I think I'm going to mark the first
7 one, Chairman.

8 CHAIRMAN GRAHAM: The first one will be 308.

9 MR. CAVROS: Is -- is -- would be 308? Okay.
10 This would be Excerpt No. 22.

11 MS. DZIECHCIARZ: Sorry, I believe we're on
12 307.

13 CHAIRMAN GRAHAM: 308. Mr. Moyle's was
14 labeled 307.

15 I'm sorry. Mr. Cavros, which one are we
16 labeling 308?

17 MR. CAVROS: So, this is Excerpt No. 22 from
18 Gulf's response to SACE's first set of
19 interrogatories.

20 CHAIRMAN GRAHAM: You said Excerpt 22?

21 MR. CAVROS: It -- it -- it -- the description
22 is Excerpt No. 22.

23 MS. HELTON: It's a-ways down in the packet.

24 MR. CAVROS: Yes.

25 CHAIRMAN GRAHAM: Excerpt No. 22 from Gulf's

1 response to SACE's first set of interrogatories?

2 MR. CAVROS: Yes, sir.

3 CHAIRMAN GRAHAM: Okay. It's 308.

4 (Whereupon, Exhibit No. 308 was marked for
5 identification.)

6 CHAIRMAN GRAHAM: All right, Mr. Cavros.

7 MR. CAVROS: All right. Thank you.

8 BY MR. CAVROS:

9 Q Mr. Floyd, are -- are you there?

10 A Yes.

11 Q Okay. Great.

12 You sponsored this exhibit; is that correct?

13 A Yes, I believe so.

14 Q Okay. And this is a question about the two-
15 year payback. And the answer, starting at the second --
16 second sentence is -- and I'll read it into the
17 record: Gulf does believe that utilizing a two-year
18 payback methodology to address free-ridership in the
19 goal-setting phase of this process is a reasonable,
20 administratively-efficient proxy for screening those
21 measures that are most likely to experience high free-
22 ridership simply due to short payback.

23 The two-year payback screen is not a
24 determination of how many Gulf customers have the
25 information and resources to adopt measures of a two-

1 **year payback or less, correct?**

2 A Correct.

3 **Q And you would agree that "administrative**
4 **efficiency" means to achieve a goal with a minimum of**
5 **time and expenditure?**

6 A I -- I -- I -- I don't have an opinion about
7 the definition of that.

8 **Q Okay. Well, you used the term in your**
9 **response, Mr. Floyd. I'm just trying to understand what**
10 **you meant by "administratively efficient."**

11 A Well, in this case, administrative --
12 "administratively efficient" simply was intended to
13 demonstrate how this -- this tool can be used in the
14 goal-setting process in a consistent, logical manner
15 that -- that addresses free-ridership for the purposes
16 of setting goals.

17 MR. CAVROS: Mr. Chairman, I would like to
18 mark an exhibit. It's entitled "Excerpt No. 8 from
19 Gulf's responses."

20 CHAIRMAN GRAHAM: We'll label that 309.

21 MR. CAVROS: It will be 309.

22 (Whereupon, Exhibit No. 309 was marked for
23 identification.)

24 BY MR. CAVROS:

25 **Q All right. Mr. Floyd, are you there?**

1 A Yes.

2 Q Okay. Mr. Floyd, do -- you sponsored this
3 exhibit, correct?

4 A Yes, I did.

5 Q The first sentence says, "Gulf exclusively
6 utilized the two-year payback methodology;" is that
7 correct?

8 A Yes.

9 Q And then there are two more sentences. And
10 then the fourth sentence starts with: Other me- --
11 other methodologies, including customer surveys and
12 historical trends, are more related to demand-side
13 management program designs, which are not the subject of
14 this proceeding.

15 Do you see that?

16 A Yes, I do.

17 Q So, you do surveys to gather information for
18 demand-side programs, correct?

19 A I -- I'm sorry. What type of surveys would
20 that be?

21 Q Sure. In your response, you reference
22 customer surveys and historical trends that are more
23 related to demand-side management program designs.

24 A Right. So, if -- if you look at the question
25 there, the question asked about other methods. And the

1 example was surveys and historical trends. So, I was
2 merely responding to the question to address those
3 aspects of the question.

4 Gulf does not perform any customer surveys to
5 attempt to measure free-ridership in a program.

6 Q Mr. Floyd, what's the simple payback, to me,
7 in terms of years, for increasing my home attic
8 insulation to an R-value of 38?

9 A I don't recall that off the top of my head.

10 Q Oh, I was asking specifically for me, in terms
11 of years. If you could provide me some guidance on
12 increasing my attic insulation to R38, what's the --
13 what's the payback in terms of years, for me, on that?

14 A I -- I don't recall that.

15 Q So, your answer is, you do not know?

16 A That's correct.

17 MR. CAVROS: I'm going to -- Chairman, I'm
18 going to mark another exhibit.

19 CHAIRMAN GRAHAM: Sure.

20 MR. CAVROS: It's Excerpt No. 11.

21 CHAIRMAN GRAHAM: We'll label it 310.

22 Mr. Floyd, can I also get you to mark these as
23 well, just in case the next witness has to answer
24 these things?

25 THE WITNESS: Sure.

1 (Whereupon, Exhibit No. 310 was marked for
2 identification.)

3 THE WITNESS: What was -- what was the number
4 on this one?

5 CHAIRMAN GRAHAM: 310.

6 THE WITNESS: 310. Okay. Sorry. Thank you.

7 BY MR. CAVROS:

8 Q Mr. -- are you there, Mr. Floyd?

9 A Yes, I am.

10 Q That's okay.

11 A Thank you.

12 Q You sponsored the answer to this
13 interrogatory; is that correct?

14 A Yes.

15 Q And the discount rate that Gulf used in its
16 cost-effectiveness test was 7.25 percent; is that
17 correct?

18 A Yes, that's correct.

19 Q And this represents the weighted cost of
20 capital for Gulf; is that right?

21 A Yes.

22 MR. CAVROS: Chairman, I would like to
23 enter -- or mark another exhibit, rather, Excerpt
24 No. 2.

25 CHAIRMAN GRAHAM: Okay. We'll label that 311.

1 (Whereupon, Exhibit No. 311 was marked for
2 identification.)

3 BY MR. CAVROS:

4 **Q Mr. Floyd, this is a Gulf response to one of**
5 **staff's interrogatories. And it's a table that shows**
6 **natural-gas price-projection error rates. And it has**
7 **columns that -- the first table has a Column 5, which**
8 **represents the error rate of natural-gas price**
9 **projections five years out. Do you -- do you see that,**
10 **Column 5?**

11 A Yes, I do.

12 **Q And the row "Average"?**

13 A Yes, I see that.

14 **Q Okay. And that says minus 50.5 percent; is**
15 **that correct?**

16 A Yes. That's what's in the table, yes.

17 MR. CAVROS: Okay. Thank you.

18 Chairman, I would like to mark another
19 exhibit. This would be Gulf's responses to
20 safe's -- SACE's fifth set of interrogatories,
21 Nos. 89 to 103.

22 CHAIRMAN GRAHAM: Okay. We'll give that 312.

23 MR. CAVROS: Okay.

24 (Whereupon, Exhibit No. 312 was marked for
25 identification.)

1 COMMISSIONER POLMANN: Mr. Cavros, could you
2 state that title again? What is the exhibit title?

3 CHAIRMAN GRAHAM: Gulf's responses --

4 MR. CAVROS: I'm sorry.

5 CHAIRMAN GRAHAM: -- to SACE's fifth set of
6 interrogatories, Nos. 89 through 103.

7 COMMISSIONER POLMANN: Thank you,
8 Mr. Chairman.

9 CHAIRMAN GRAHAM: Mr. Cavros.

10 MR. CAVROS: Thank you.

11 BY MR. CAVROS:

12 **Q Mr. Floyd, if you could, turn to the first**
13 **exhibit, Interrogatory No. 89. And I'm going to read**
14 **the first sentence for you -- by the way, you sponsored**
15 **these -- these responses, correct?**

16 A I believe that is correct, yes.

17 **Q Okay. The first line states: Gulf Power's**
18 **load forecast did not assume that there would be no**
19 **additional adoption by customer -- by customers of**
20 **energy-efficiency measures above baseline codes and**
21 **standards.**

22 **Did I read that correctly?**

23 A Yes.

24 **Q And the last sentence in that response says:**
25 **The impacts of a naturally-occurring efficiency adoption**

1 above baseline codes and standards are implicitly, not
2 explicitly, captured in the forecast.

3 Did I read that correctly?

4 A Yes.

5 Q Okay. Could I turn your attention to the --
6 to No. 90 on the next page. In your answer, starting on
7 the second sentence, it says: Instead, the forecast
8 reflects the impacts in aggregate of naturally-occurring
9 adoption of effici- -- of efficiency measures above
10 baseline codes and standards.

11 Did I read that correctly?

12 A There's some more after that.

13 Q Okay. Right. To the extent that historic
14 customer behavior reflects this naturally-occurring
15 adoption?

16 A That's -- that's correct.

17 Q Thank you.

18 If I could ask you, for a moment, to skip 91
19 and go to 92.

20 A Okay.

21 Q And I'm going to -- thank you -- I'm going
22 to -- I'm going to read that first sentence: As
23 described on Pages 3 and 4 of Mr. Herndon's rebuttal
24 testimony, the two known sources mean the two sources of
25 naturally-occurring efficiency, codes and standards, and

1 baseline adoption of already-implemented EE technologies
2 and measures, which are known to be accounted for in the
3 utility forecast.

4 Did I read that correctly, sir?

5 A Yes, you did.

6 Q Okay. Great.

7 So, I'm going to ask you to flip back to 91,
8 now, if you could, and I'm going to read the second
9 sentence to you in that response: Where customers have
10 previously installed EE equipment or technologies,
11 either through a utility DSM program or on their own,
12 and this is captured in the utility load forecast, this
13 portion of the market is excluded from the technical
14 potential.

15 Did I read that correctly?

16 A Yes, that's correct.

17 Q And then I'm just going to ask you to jump to
18 96, if you could. And that first sentence there on 96
19 says: Gulf contends the forecast provided to Nexant
20 implicitly reflects naturally-occurring adoption of
21 efficiency measures above baseline standards, et cetera.

22 A Well --

23 Q And --

24 A Could you -- could you read the rest of the
25 sentence, please?

1 **Q Sure, "... To the extent that historical usage**
2 **reflects the impacts of these adoptions." Okay?**

3 A That's correct. So, just to clarify this,
4 the -- the forecast that Gulf provided to Nexant here
5 reflects the impacts of customers having adopted
6 measures above the -- the baseline, the code baselines
7 over -- over time, some of that being in Gulf's DSM
8 programs and some of that being outside Gulf's DSM
9 programs.

10 But -- but this just captures the impact over
11 time as a reduction in actual sales to customers. That
12 impact does not increment over time. It merely just
13 holds level over time and is used to establish the
14 baseline from which to evaluate additional potential
15 that's available through the demand-side management
16 programs.

17 MR. CAVROS: Mr. Chairman, I would like to
18 mark another exhibit. This would be bill impact,
19 costs updated.

20 CHAIRMAN GRAHAM: We will give that 313.

21 (Whereupon, Exhibit No. 313 was marked for
22 identification.)

23 BY MR. CAVROS:

24 **Q Mr. Floyd, this is response from Gulf to one**
25 **of SACE's request for production of documents. This**

1 table contains the administrative costs of all measures
2 that Gulf considered in its technical potential; is that
3 correct?

4 A There's a number of pages of measures here.
5 I'm not sure that this is all of them, but if that's --
6 if this was the entirety of our response, then -- then,
7 yes, I would agree that that's what this appears to be.

8 MR. CAVROS: Okay. Mr. Chairman, I'd like to
9 mark a -- another exhibit at this point. This
10 would be Gulf's responses to staff's Rog 52.

11 CHAIRMAN GRAHAM: We'll give it 314.

12 (Whereupon, Exhibit No. 314 was marked for
13 identification.)

14 BY MR. CAVROS:

15 Q Are -- are you there, Mr. Floyd?

16 A Yes.

17 Q Okay. If you could turn to the table that has
18 the residential administrative-cost comparisons, I'd
19 appreciate it. It's just a couple of pages in.

20 A Okay.

21 Q All right. Thank you.

22 So -- so, this table is -- has the
23 administrative costs for measures from the costs used --
24 administrative costs for measures used in 2019 and the
25 administrative costs that were used in 2014, correct?

1 A Yes.

2 **Q And the -- the last FEECA proceeding, you used**
3 **a flat cost of \$50 per measure; is that right?**

4 A That -- yes, that's what this table reflects.

5 **Q And this time, you used a different**
6 **methodology that apportioned cost based on kilowatt-hour**
7 **savings; is that correct?**

8 A Yes, Witness Herndon explained this yesterday.
9 The approach that was used in this proceeding to
10 estimate the administrative costs was a -- kind of an
11 aggregate of multiple utility costs and -- and Gulf
12 chose to use that as a -- as a -- as a more-
13 representative approach to establishing those costs
14 since many of these measures were not in Gulf's
15 portfolio and we had no actual program experience for
16 those measures.

17 **Q Based on the methodology you used, you would**
18 **agree that the necessary outcome is that measures with a**
19 **higher kilowatt-hour savings would necessarily have a**
20 **higher administrative cost, correct?**

21 A As Witness Herndon explained, that was the
22 methodology that was used, which is -- if I recall his
23 testimony correctly, it's a common methodology used in
24 these sorts of studies.

25 In -- in Gulf's case, you know, while these

1 numbers do vary a good bit, the impact of it was
2 actually very minimal. Out of all the measured
3 permutations that were evaluated, there were only two
4 measured permutations out of, I believe, 442 that were
5 actually screened out due to the administrative costs in
6 Gulf's analysis.

7 Q Mr. Floyd, that wasn't my question. My -- my
8 question was: If you apportion costs on -- on kilowatt
9 hours saved, necessarily, measures with -- with higher
10 kilowatt-hour savings would also have higher
11 administrative costs, correct?

12 A Yes.

13 Q Thank you.

14 I just want to turn your attention to the
15 first -- the -- the bottom row on the first table,
16 "Residential 17 SEER, Air Source Heat Pump." The
17 administrative cost for that was \$239.92?

18 A Yes.

19 Q And the administrative costs for that in 2014
20 was \$50, right?

21 A That was a number we used in 2014, yes.

22 Q And similarly, for the 21 SEER air source heat
23 pump, which is on the next page, about four -- four rows
24 down, that program and administrative cost was \$392.52;
25 is that correct?

1 A Yes.

2 Q And last time, it was \$50, correct?

3 A Yes.

4 Q I'd like you to -- if you could, to go to
5 residential ceiling insulation, which is -- you have to
6 flip over the page. And it would be about three-
7 quarters of the way down. Residential ceiling
8 insulation, R12 to R38, had an administrative cost of
9 \$166.95 this time; is that correct?

10 A That is the value that was used for the
11 evaluation here, for the screening, for the
12 administrative-cost screening, that's correct.

13 Q And there's a similar measure about three
14 columns down. Do you see it: Ceiling insulation R30 to
15 R38?

16 A Yes.

17 Q I apologize. Let's go one column up, R2 to
18 R38. And the cost there is \$640.86; is that correct?

19 A Yes.

20 Q And that's an administrative cost.

21 So, the administrative cost to go from R2 to
22 R38 ceiling insulation is almost four times higher than
23 a similar measure for R12 to R38, correct?

24 A I -- I don't -- I haven't done that math in my
25 head, but I'll -- I'll take your -- your calculation.

1 Again, these -- these administrative costs
2 here are -- are used in this goal-setting process. And
3 as Witness Herndon explained yesterday, they would not
4 necessarily be representative of actual program
5 administrative costs. That would depend on the nature
6 of the program, how it was designed, how it was
7 implemented in the market, the total scope of the
8 portfolio. So, there could be a number of things that
9 could drive what the actual cost was.

10 But for the purposes of screening these
11 measures and evaluating the economic and achievable
12 potential in this proceeding, it was necessary to
13 establish some methodology. And the approach they took
14 is a reasonable way to do it.

15 MR. CAVROS: Chairman, I'd like to mark
16 another exhibit. This would be the 2019 excerpt
17 from the GPC ten-year site plan.

18 CHAIRMAN GRAHAM: We'll give it 315.

19 MR. CAVROS: Thank you.

20 (Whereupon, Exhibit No. 315 was marked for
21 identification.)

22 BY MR. CAVROS:

23 **Q Mr. Floyd, this is an excerpt from Gulf**
24 **Power's 2019 ten-year site plan that was filed**
25 **April 1st, 2019, with the Commission. If I could ask**

1 you to turn to the very last page of this excerpt, and
2 it's a schedule entitled, "Gulf Power Company Energy
3 Sources."

4 A Okay.

5 Q And the -- the third column down is -- is
6 coal. And you see in -- it says that, in 2019, Gulf's
7 coal use is 52.23 percent of net energy load. Am I
8 reading that correctly?

9 A I'm -- I'm not very familiar with this table,
10 so I can't say for certain if you're reading that
11 correctly, but that would appear to be what that
12 represents.

13 Q Thank you.

14 And by 2024, it has Gulf Power generating over
15 60 percent of its net energy load from coal. Do you see
16 that, sir?

17 A I -- I see that value there, yes.

18 Q Now, Gulf had no benefit for carbon-emission
19 compliance in its cost-effectiveness test; is that
20 correct?

21 A That's correct.

22 Q And I'm going to ask you to -- to skip down to
23 Row 17, CTs, or combustion turbines. And it appears
24 that, across that row, the use of CTs declines and, by
25 2026, Gulf Power is no longer using natural

1 combustion -- natural-gas combustion turbines; is that
2 correct?

3 A Those -- those last few columns do go to zero;
4 although, I note that the "CC" columns increase from
5 2024. You know, beginning in 2025, that jumps up quite
6 a bit.

7 Q Okay. Thank you.

8 I want to skip to -- a moment, just to
9 building codes and -- and appliances. We -- we've heard
10 quite a bit of that from other witnesses' testimonies.
11 You speak about it generally on -- on Page 5 to Page 6.
12 I'm -- I'm not going to -- I'm not going to read any
13 specific lines. I'll just ask you a few questions --

14 A Sure.

15 Q -- generally about that.

16 So, building codes apply to new homes and
17 businesses; is that right?

18 A Yes, that's correct.

19 Q And if you're a hard-working family in Gulf
20 Power's territory and you can't buy a new home and,
21 therefore, you're -- you're not going to realize the
22 benefit of that new building code if you remain in your
23 current home. That is a correct statement, right?

24 A I wouldn't necessarily agree with that. I --
25 I think that for -- the example that comes to my mind is

1 ceiling insulation. Just through the awareness of the
2 greater requirements for ceiling insulation, it's a very
3 common practice that an existing home might have
4 additional ceiling insulation added to it to be
5 consistent with what the current new-home building code
6 is.

7 So, I -- I wouldn't say that the fact that a
8 customer doesn't build a new home would necessarily
9 preclude them from benefiting from some of the en- --
10 enhancements and improvements in the building code that
11 have occurred over time.

12 **Q Let -- let me ask it maybe a different way: I**
13 **have a home that was built in 1954. It doesn't**
14 **automatically become more efficient because the Florida**
15 **Building Commission updated a -- a Florida Building**
16 **Code, correct?**

17 A That's correct.

18 **Q Okay. And is it also correct that other**
19 **states have buildings codes as well?**

20 A As far as I know, yes, they do.

21 **Q And appliance standards apply to new**
22 **appliances, correct?**

23 A Yes, that's correct.

24 **Q So, if you're a hard-working family in Gulf's**
25 **territory and you can't purchase a new \$1,100**

1 refrigerator, you're not going to directly realize the
2 benefit of those new-appliance standards if you continue
3 to use your current refrigerator, correct?

4 A At -- at the time that you replace an
5 appliance, you would automatically benefit from the
6 higher appliance-efficiency standards that are present
7 for refrigerators or air conditioners or other --
8 televisions, computers, video games, any other kinds of
9 appliances that are out there.

10 So -- and -- and that's really one very good
11 thing about the appliance-efficiency standards that is
12 working very efficiently in the marketplace is that, as
13 customers have to replace refrigerators, as they -- as
14 they, you know, reach end of life, or air conditioners,
15 they automatically benefit from the increases in
16 efficiency that those appliance-efficiency standards
17 have put in place.

18 And they really don't even have to understand
19 that. All they have to do is go to their local Lowe's
20 or Home Depot and buy a new refrigerator and they are
21 automatically gaining a tremendous efficiency ga- --
22 improvement in that product.

23 Q Mr. Floyd, let me ask my question a different
24 way: Just because the Department of Energy promulgates
25 a new appliance standard, say, for refrigerators, my

1 refrigerator at home doesn't automatically become more
2 efficient, correct?

3 A That's correct.

4 Q Okay. Mr. Floyd, would -- would you be
5 surprised if I told you that Tampa Electric's gigawatt-
6 hour energy-saving goal is 165 gigawatt hours?

7 MR. GRIFFIN: Objection, Mr. Chairman. That
8 calls for Mr. Floyd to speculate on another
9 utility.

10 MR. CAVROS: If he knows.

11 CHAIRMAN GRAHAM: You can.

12 THE WITNESS: I -- I'm not.

13 CHAIRMAN GRAHAM: -- answer the question, if
14 you know specifically.

15 THE WITNESS: I -- I don't know specifically.

16 MR. GRIFFIN: Thank you.

17 BY MR. CAVROS:

18 Q Would you know if that's an increase from the
19 2014 goals?

20 A No, I do not.

21 Q Would you know that -- would you know if
22 structures in Tampa Electric's territory are subject to
23 building codes?

24 A By structures, you mean homes and businesses?

25 Q Correct.

1 A Yes, I would assume they are subject to the
2 same state building codes and, perhaps, even local
3 building codes that may -- may be in place. I'm just
4 not familiar with that.

5 Q Sure. And you would also agree that they
6 are -- their customers are subject to same appliance-
7 efficiency standards --

8 A Yes, I would.

9 Q -- that are promulgated, correct?

10 A Yes.

11 Q Okay. I just have a few more questions for
12 you, Mr. Floyd. Turning to -- I couldn't find a table
13 in your testimony, but turning to Page 13 of your
14 testimony, it says that your technical potential had
15 2,568 gigawatt hours of -- of ener- -- energy savings;
16 is that correct?

17 A Yes, that's what it reads here.

18 Q Okay. And so, I -- I tried to track this
19 through your testimony. So, if you turn to Page 18,
20 which discusses your economic potential, your -- it --
21 it states, starting on Line 9, that your -- what was
22 left over from that 200- -- 2,568 gigawatts technical
23 potential was 114 gigawatts for the -- the RIM test,
24 rate impact measure test, and 1,762 gigawatt hours for
25 the total resource cost test.

1 Do you see that?

2 A Yes.

3 Q So, I did a back-of-the-envelope calculation
4 last night and found that by applying the rate impact
5 measure test, you reduced economic potential -- or
6 rather, it reduced potential by 95 percent. That would
7 be 114 gigawatt hours divided by 2,568. Would you agree
8 with that?

9 A I haven't performed the calculation, but that
10 would be -- that would be a way to get there.

11 Q Okay. And also, I divided the TRC economic
12 potential by the total gigawatt hours in the technical
13 and I came up with a 32-percent reduction for the total
14 resource cost test. Does that sound about right?

15 A Sure. I'll trust your math.

16 Q Okay. It was late last night, so -- and then,
17 going to the achievable potential, which I found on
18 Page 20, the -- applying the rate im- -- starting on
19 Line 22 I -- I saw that the RIM produced six gigawatt
20 hours of achievable potential.

21 And again, I did a back-of-the-envelope
22 calculation and that ended up being two-tenths of
23 1 percent of the technical potential. Does that sound
24 about right? I divided six by 2,568.

25 A Okay.

1 Q But you still had -- but your goal was zero,
2 right?

3 A That's our proposed goal, yes.

4 Q Okay. On Page -- between Page 21 and 22, you
5 explained why you didn't include even the six gigawatt
6 hours. And I'm going to just read the last line of the
7 first paragraph on Page 22 for you: Developing and
8 implementing a DSM program centered around such a small
9 number of measures which are, in turn, limited in
10 application to a -- very uniquely-situated commercial
11 customers would be highly impractical from a cost,
12 administrative, and customer-adoption perspective.

13 I asked you at the beginning of our cross-
14 examination if we were in the goal-setting stage, and
15 you responded in the affirmative, right?

16 A Yes.

17 MR. CAVROS: And you would also -- scratch
18 that.

19 Okay. Just another -- one or two more
20 questions and I think I'll be winding up, Chairman.

21 BY MR. CAVROS:

22 Q As part of the technical potential, there was
23 an examination of demand-side renewable energy, correct?

24 A Yes, there was.

25 Q Okay. And you represented Gulf in that

1 process?

2 A Yes.

3 Q Was resilience considered as a benefit for
4 solar, coupled with battery storage?

5 A Resilience, as a broad, undefined term, no.
6 What was considered was the quantifiable energy and --
7 and peak-demand reduction benefits associated with --
8 with solar -- rooftop solar as well as rooftop solar
9 coupled with battery storage.

10 Q Okay. Let -- let me -- let me quantify or try
11 to put a definition on it. The way I -- I would define
12 resilience, it's -- it's a benefit to a community of
13 being able to -- to island itself at a time when the
14 grid is down and to provide electricity for, you know,
15 critical medical services or -- or charging cell phone
16 batteries or providing light.

17 Were any of those benefits considered as part
18 of the study?

19 A No. Those are unquantifiable in the context
20 of this evaluation. So, that -- that was not
21 considered.

22 MR. CAVROS: I have no further questions.

23 Thank you, Chairman.

24 CHAIRMAN GRAHAM: Okay.

25 MR. CAVROS: Thank you, Mr. Floyd.

1 CHAIRMAN GRAHAM: Staff.

2 MS. DZIECHCIARZ: Thank you, Mr. Chairman.

3 EXAMINATION

4 BY MS. DZIECHCIARZ:

5 Q Good morning, Mr. Floyd. I'm Rachel
6 Dziechciarz with Commission staff.

7 A Good morning.

8 Q My first two questions concern free riders and
9 the two-year payback screening that Gulf used. Did Gulf
10 consider using a shorter or longer payback period for
11 its screening of free riders in this FEECA proceeding?

12 A No. Gulf used two-year -- two years as the --
13 as the payback period.

14 Q Okay. And why does Gulf believe that the two-
15 year payback screening is the best method to address
16 free-ridership?

17 A Well, first, it -- it's a logical, efficient-
18 to-implement tool that's been used consistently -- you
19 know, it has a lot of precedent here in Florida, in this
20 proceeding.

21 It was also discussed at the informal meeting
22 that was held with staff back as we began this process,
23 as a -- as an approach to address free-ridership. And
24 that's the reason that Gulf used it here.

25 Q Okay. Thank you, Mr. Floyd.

1 **My second line of questions concern cost-**
2 **effectiveness and Gulf's proposed residential**
3 **conservation goals.**

4 **So, we've already established that Gulf is**
5 **proposing zero goals for the residential sector, using**
6 **the RIM portfolio; is that correct?**

7 A Yes, that's correct.

8 **Q And does Gulf plan to exclude measures that do**
9 **not pass the RIM test in its future DSM plans?**

10 A Yes, with the exception of -- of low income.
11 So, Gulf currently has a low-income program that was
12 proposed and approved as a part of the 2014 DSM-plan
13 process. And so, Gulf would intend to -- to continue a
14 program targeted towards low-income customers that,
15 based on -- on the current evaluation, wouldn't -- would
16 not pass RIM. So, it would not be cost-effective.

17 Nevertheless, that's something that Gulf
18 supports and would intend to continue going forward.

19 **Q Okay. Thank you.**

20 **And is it correct that Gulf may offer**
21 **residential low-income programs by incorporating**
22 **measures that pass the TRC scenario?**

23 A Yes, that's correct.

24 **Q Okay. And can you please explain why Gulf's**
25 **customers should pay for programs that are not cost-**

1 **effective, using the RIM scenario?**

2 A So, why Gulf's customers should not pay for
3 programs used -- that are not cost-effective with RIM?

4 Q So, these other programs are cost-effective
5 using TRC, but not RIM. And so, if -- can you explain
6 why Gulf's customers should pay for programs that are
7 cost-effective using a different test?

8 A Well, in general, we would say Gulf's
9 customers should not pay for those kinds of programs,
10 but again, in 2014, in discussions with the Commission,
11 and at the Commission's request, to put particular focus
12 on the low-income customer segment, Gulf developed a
13 program offering -- albeit not RIM-passing, but
14 recognizing that -- that that was addressing a -- a
15 customer segment that was important to -- to provide
16 opportunities for energy savings through a -- through a
17 DSM program.

18 And so, Gulf agrees with that and was
19 supportive of it and has -- has -- has done that since
20 2015, and -- and proposes to continue doing that.

21 MS. DZIECHCIARZ: Okay. Thank you. Staff has
22 no more questions.

23 CHAIRMAN GRAHAM: Commissioners, any questions
24 of this witness?

25 Commissioner Clark.

1 COMMISSIONER CLARK: Thank you, Mr. Chairman.

2 I have a couple of questions, some specific to
3 Gulf's programs. So -- so, the energy-efficiency
4 and demand-response programs that you have in place
5 now -- there's a list of them in your testimony.
6 What happens to all those programs?

7 THE WITNESS: Those programs, as evaluated in
8 this proceeding, are no longer cost-effective, with
9 the exception of the commercial demand-response
10 programs. And so, those would -- would no longer
11 be a part of a -- of our plan going forward.

12 COMMISSIONER CLARK: That included the RSVP
13 program?

14 THE WITNESS: Yes, that's correct. So,
15 that -- that program is no longer cost-effective,
16 and so, Gulf would propose to close that program to
17 new customers.

18 COMMISSIONER CLARK: And that would include
19 removing the tariffs, the equipment, the installed
20 equipment, things of those nature.

21 THE WITNESS: At this point, Gulf's intention
22 is to propose allowing the customers that are
23 already on the program to remain on the program.
24 That program does provide demand in energy-savings
25 benefits to the utility system, as well as, many of

1 the customers on that program like the opportunity
2 to save on their bill.

3 And so, Gulf's intention, again, at this
4 point, would be to propose allowing those customers
5 to remain, but just close to new enrollments
6 because that's no longer cost-effective.

7 COMMISSIONER CLARK: If you don't have a DSM
8 goal, does that mean that you can't achieve energy-
9 efficient savings?

10 THE WITNESS: No, I wouldn't say that at all.
11 You know, Gulf, along with the other utilities,
12 have energy-audit programs that assist customers
13 and give customers recommendations and assistance
14 in identifying energy saving-opportunities. And we
15 don't count those savings, but there are certainly
16 a lot of energy savings that result from those kind
17 of -- that kind of assistance that we provide to
18 customers.

19 COMMISSIONER CLARK: Do you think sometimes we
20 use the terms "demand response" and "energy
21 efficiency" like they're interchangeable when
22 they're actually kind of two separate things? Is
23 that a fair statement?

24 THE WITNESS: I do think that that --
25 sometimes those terms get -- get mixed together.

1 COMMISSIONER CLARK: That leads to my second
2 question: In measuring demand for commercial and
3 industrial customers, what increment of time do you
4 measure demand in for billing purposes?

5 THE WITNESS: Well, it depends on the rate.
6 So, on our demand rates, it's a 15-minute interval
7 is what is used for measuring demand. So, that --
8 that's -- that would be --

9 COMMISSIONER CLARK: So, it would be
10 theoretically possible for a commercial consumer to
11 eliminate 70 to 80 percent of their energy usage
12 and never impact their demand, is that correct, if
13 they turned a unit on for 15 minutes, let it run,
14 and never turned it back on the rest of the month?

15 THE WITNESS: That's correct. So, they could
16 set --

17 COMMISSIONER CLARK: So, you're --

18 THE WITNESS: -- the demand and -- and not
19 impact their demand; although, they could reduce a
20 tremendous amount of energy.

21 COMMISSIONER CLARK: So, there is -- there are
22 achievable ways to -- there are ways to achieve
23 energy-efficiency, the saving or elimination of the
24 consumption of kilowatt hours without having any
25 impact on the demand whatsoever.

1 THE WITNESS: That's right. I would
2 characterize that more as conservation, you know,
3 turning the lights off, eliminating usage, probably
4 more than efficiency.

5 COMMISSIONER CLARK: Which achieves the same
6 results; we're saving energy --

7 THE WITNESS: That's correct.

8 COMMISSIONER CLARK: -- correct?

9 That's all I have, Mr. Chairman.

10 CHAIRMAN GRAHAM: Commissioner Brown.

11 COMMISSIONER BROWN: Thank you.

12 Thank you for your testimony. Going back to
13 staff's question on the two-year payback period, I
14 just want to dive into that a little bit more.

15 THE WITNESS: Sure.

16 COMMISSIONER BROWN: You talked about an
17 informal staff meeting. And your testimony kind of
18 reflects the reason -- and the evidence that
19 supports using the two-year payback was just
20 because the Commission has historically used that
21 period -- or actually encouraged that period.

22 You didn't consider another alternative time
23 period, even given the increased energy-efficiency
24 standards and the building-code standards?

25 THE WITNESS: No, we did not evaluate any

1 other time period. We did, at staff's request,
2 provide a sensitivity to the economic potential
3 associated with a longer and shorter payback
4 period.

5 COMMISSIONER BROWN: Was it a one-year and a
6 three-year?

7 THE WITNESS: A one-year and three-year, but
8 that -- that sensitivity did not carry all the way
9 through the achievable potential that would result
10 from that.

11 COMMISSIONER BROWN: Is that evidence in the
12 record?

13 THE WITNESS: Those sensitivities are in the
14 record, yes, as -- at the economic-potential level.

15 Again, that -- that is -- that is -- does not
16 reflect likely customer adoption; it merely
17 reflects how many measures kind of stay in the pool
18 based on those free-ridership or those payback
19 period -- payback periods.

20 COMMISSIONER BROWN: Okay. Your testimony
21 talks about that the evidence supports continuing
22 to use a two-year payback. Can you specifically
23 point me to what that evidence is?

24 THE WITNESS: Well, it is, I would say,
25 primarily the precedent of using that and -- and

1 the evidence -- or the -- the order from the last
2 goals docket and previous ones where the Commission
3 has supported that and found that that was an
4 appropriate way to address free-ridership in
5 this -- at this -- in this proceeding, in the
6 goals-setting proceeding.

7 COMMISSIONER BROWN: So -- but based on your
8 proposal of the -- of the goals, slashing them in
9 half -- more than half and -- and your energy goal
10 being zero, it obviously appears that there is a --
11 a bigger change from the last goals-setting
12 proceeding -- market change.

13 THE WITNESS: Well, there -- there's --
14 there's the continuing impacts of -- of coded --
15 codes and standards as well as decreasing avoided
16 cost benefits, which are really the primary drivers
17 of less of these measures being cost-effective
18 to -- to pursue.

19 It -- it really isn't related to payback. In
20 fact, in Gulf's case, there are no residential
21 measures that were eliminated from consideration
22 simply due to the two-year payback. So, it's
23 prim- -- the -- the outcome of this, the results of
24 this -- of this analysis is driven more by changes
25 in avoided cost and just the reduction in available

1 potential to be pursued with the utility-sponsored
2 programs.

3 COMMISSIONER BROWN: In your opening
4 statement, you said that the process is not broken.
5 And I think you were referring to the demand-side
6 renewables; is that right?

7 THE WITNESS: Well, I was referring more
8 broadly to this process that we go through here to
9 evaluate the technical potential and then
10 determining which of those measures are economic --
11 you know, that -- economic to pursue through the
12 cost-effectiveness process and then determining
13 what the reasonably-achievable potential is. The
14 pro- --

15 COMMISSIONER BROWN: So, is zero -- so, do --
16 do zero goals mean that -- that the D- -- FEECA is
17 working?

18 THE WITNESS: The -- the -- the zero goals is
19 an outcome of that process. And given the -- the
20 information that we have at the time, the forecasts
21 of avoided costs and -- and the continuing impacts
22 of codes and standards -- that is the result of
23 that process.

24 And each time we go through this process,
25 things change. Sometimes they may go up; sometimes

1 they may go down, but it's a -- it's a result of
2 the process. It's not necessarily an outcome that
3 is predetermined.

4 So, we -- we're -- you know, we have no
5 objective here other than ensuring that we set
6 goals that are based on what's cost-effective and
7 reasonably achievable.

8 COMMISSIONER BROWN: You also stated that
9 demand-side renewables are growing for Gulf's
10 customers.

11 THE WITNESS: Yes, that's correct. Growing
12 tremendously.

13 COMMISSIONER BROWN: Now, are they growing
14 without incentives because the costs are coming
15 down or are they growing because of our net-
16 metering rule?

17 THE WITNESS: Well, we haven't done any
18 analysis to determine specifically why that is the
19 case, but it's probably a combination of the two.
20 I think prices are coming down. There are more --
21 more solar providers in Gulf's service area. So,
22 that naturally creates, you know, some competition
23 among those.

24 And certainly, the net-metering rule, you
25 know, creates a -- a good, you know, understood

1 model for the customer. And so, since the time
2 that -- that we ended the -- kind of the pilot
3 phase of incentives back in 2015, we've actually
4 seen quite a bit more adoption occur since that
5 time just due to those natural market forces that
6 are in place.

7 COMMISSIONER BROWN: What is Gulf doing to
8 encourage -- encouraging the demand-side
9 renewables?

10 THE WITNESS: Well, a couple of things. You
11 know, one, as -- as customers ask about that --
12 we're a resource. We have experts on our staff
13 that -- that came out of that industry, so they
14 understand the technologies very well, and they --
15 they can provide information to customers, help
16 them understand, you know, how -- how they might
17 apply that in their situation.

18 So, we do a lot of that kind of educational,
19 informational sort of -- you know, sort of
20 assistance to customers to help them in making the
21 best decision for their situation.

22 COMMISSIONER BROWN: So, let me talk about the
23 education. You -- you touch on that in your
24 prefiled testimony a little bit. Gulf has always
25 been customer-centric or strived to be customer-

1 centric.

2 What are you doing, other than putting it on
3 your website and -- to -- to educate customers
4 about your DSM programs as well as encouraging
5 demand-side renewables?

6 THE WITNESS: Well, for the -- for the energy-
7 efficiency or demand-side management programs, we
8 address those through our energy audits, where we
9 go into customers' homes and where they can go
10 online and learn about ways to save.

11 Some of these things are -- are associated
12 with the program that we offer, but many of those
13 things aren't. Many of those resources and -- and
14 tips that we provide to customers are related to
15 things that are either low-cost or no-cost things
16 that a customer can do. It's just a general effort
17 on the company's part to assist customers in -- in
18 managing their electricity usage. So, that -- that
19 is an aspect of our educational effort.

20 We also, you know, present in a lot of public
21 sessions, trade shows, home shows, those sorts of
22 things, where we frequently have a booth, so
23 customers can come by and learn about energy-
24 efficient technologies; again, some, you know,
25 maybe that are a part of a program that we offer,

1 but many that aren't. But again, we want to make
2 sure customers have as much information as they can
3 to make wise decisions.

4 COMMISSIONER BROWN: Thank you.

5 Just two more questions. Going back to the
6 demand-side renewables, has Gulf looked at any
7 other next-gen type of demand-side renewables that
8 you could offer your customers?

9 THE WITNESS: So, Gulf -- actually, previous
10 to this study, we did some research coupling
11 rooftop solar and battery storage to determine, you
12 know, how much benefit the battery storage could
13 add to -- to -- to solar, to be able to get it to,
14 you know, be on our peak, to be able to get peak
15 reduction.

16 And we demonstrated that that is a -- a
17 feasible approach to utilizing those two
18 technologies. At the time, the cost, though,
19 particularly the battery storage, is still so high
20 that it's not overall cost-effective to -- to do --
21 to offer to customers.

22 But those are the kinds of things that Gulf is
23 continually evaluating to look for ways to better
24 utilize those renewable resources on our system to
25 help manage peak demands and -- and increase the

1 overall efficiency of the utility system.

2 COMMISSIONER BROWN: I agree. And if -- as
3 you stated earlier about low income not necessarily
4 passing the test, but the Commission previously
5 allowed low-income programs to be included and
6 offered. It -- this is something that would also
7 be interesting, as Florida Power & Light also
8 proposed as an R and D project.

9 Lastly, if a utility seeks -- intends to seek
10 cost recovery for programs, do you think, then,
11 that programs should be tailored to -- to the
12 proposed goals, i.e., for example, a number that
13 exceeds zero.

14 So, if you're going to seek cost recovery
15 ultimately by the Commission, but your goals are
16 zero, do you think that should be allowed? And if
17 so, why?

18 THE WITNESS: Well, I don't have a legal
19 opinion about this. So, I -- I can't really speak
20 to, you know, whether that -- whether the statute
21 supports it, but just from a practical standpoint,
22 you know, if it's something that the Commission
23 supports and it -- and it's something that the
24 company is doing in response to addressing a -- a,
25 you know, particular part of the market that is --

1 that has been deemed important to address, then
2 I -- I -- it would seem reasonable that the company
3 should be able to get cost recovery for that,
4 similar to how we get cost recovery for energy-
5 audit offerings and those sorts of things.

6 Even though we don't have numeric goals
7 associated with those, those are programs --

8 COMMISSIONER BROWN: Those are specifically
9 stated, though, and required in our statute. The
10 audits are required.

11 THE WITNESS: That's correct.

12 COMMISSIONER BROWN: And that's a separate
13 provision in the statute. So, that's different.

14 THE WITNESS: That's right. I -- that's
15 correct.

16 COMMISSIONER BROWN: Thank you for your
17 testimony.

18 CHAIRMAN GRAHAM: Commissioner Fay.

19 COMMISSIONER FAY: Thank you, Mr. Chairman.

20 Thank you for being here, Mr. Floyd. If I
21 could ask you to turn -- you have your testimony in
22 front of you?

23 THE WITNESS: Sure.

24 COMMISSIONER FAY: If I could ask you to turn
25 to Page 18 of your testimony, I just want to get

1 two quick clarifications from you. The first is
2 starting at the top of that page. You reference
3 the -- while the section of the most-appropriate
4 approach to account for free riders as required by
5 25170- -- 02 -- I -- I was trying to interpret
6 maybe what that -- that reference was to -- to.
7 That's not an existing section, but I believe
8 there's -- Section 25170021 states some of these
9 goals.

10 So, was the idea basically just that you were
11 trying to reference how that satisfies that rule's
12 mandate?

13 THE WITNESS: So, actually, I believe, if you
14 flip back one page to Page 17, I was -- I was just
15 quoting a -- a section of the previous Commission
16 order, beginning on Line 24, where it begins, "We
17 have consistently approved goals" -- that's just a
18 quotation of the -- of the previous Commission
19 order on this subject.

20 COMMISSIONER FAY: Correct you are. And that
21 order references a different section, but I think I
22 understand what you're saying.

23 So, then, if you -- if you consider that two-
24 year payback period that -- that same language that
25 comes from that order talks about the potential --

1 or has some discussion about the potential of a
2 different payback period for different ratepayers,
3 different rate categories.

4 Is that something that you considered or
5 looked at?

6 THE WITNESS: We did not consider that in this
7 proceeding; although, certainly, you know, going
8 forward, you know, that -- that is something that
9 could be considered; maybe a longer payback
10 criteria for, you know, commercial/industrial
11 customers might be -- you know, that's not
12 necessarily unreasonable to consider.

13 COMMISSIONER FAY: Okay. Thank you,
14 Mr. Chairman.

15 CHAIRMAN GRAHAM: Commissioner Polmann.

16 COMMISSIONER POLMANN: Thank you,
17 Mr. Chairman.

18 Thank you, Mr. Floyd, for your testimony.

19 THE WITNESS: Yes.

20 COMMISSIONER POLMANN: There have been some
21 questions here regarding -- there are many
22 similarities among all the FEECA utilities, and
23 then there's some differences, and I -- I think
24 this may be -- and I don't know specifically that
25 this is the first time that we've had all the FEECA

1 utilities follow a similar or a consistent
2 procedure, but why is it that -- that Gulf has come
3 together with a singular procedure, set of
4 parameters, so forth, if -- if that's true?

5 Do you -- do you see Gulf adopting this
6 uniform program with all the FEECA utilities -- not
7 the program, but the set of analyses provided by
8 Nexant? Is that in -- in your utility's best
9 interest?

10 THE WITNESS: Commissioner, the -- this
11 process -- all the FEECA utilities have actually
12 gone through this process together, since it was
13 put in place maybe in the mid -- mid to late
14 nineties, and there has been a general structure to
15 that process that was updated in 2008, with some
16 amendments to the FEECA statute that -- that really
17 set in place the process that we currently use.

18 So, we used it in 2009 and 2014 and here,
19 where we start with a technical-potential study
20 that really evaluates what is technically feasible.
21 And then we all go through the process of
22 determining what's cost-effective based on our
23 unique utility situation, which is important
24 because each utility does -- you know, has its own
25 planning process and does have, you know, unique

1 aspects of that.

2 And then, we -- we, then, determined out of
3 what is economic to pursue -- in other words, what
4 is cost-effective -- how much of that is reasonably
5 achievable.

6 So, we go through the same process. So,
7 the -- the utilities do that. We -- we come up
8 with different results. And that's entirely okay.
9 It's -- it just reflects the fact that our -- we're
10 in different places in our planning process and --
11 and we have different needs on the horizon, and we
12 have different cost structures and avoided cost
13 structures.

14 And so, the fact that we end up with different
15 results is not anything abnormal. It's just a --
16 it's just an outcome of the process.

17 COMMISSIONER POLMANN: You had mentioned
18 earlier in testimony here that there are program
19 elements that Gulf does not have that others do and
20 so forth and, through the Nexant process, there was
21 a -- a combination of all the elements put together
22 and some average values and so forth.

23 Can you clarify for me how that affected your
24 analysis? I -- I -- maybe I just don't understand
25 that. I --

1 THE WITNESS: You --

2 COMMISSIONER POLMANN: I --

3 THE WITNESS: Yes, sir. So, I think I -- I
4 was -- we were talking about administrative costs.
5 And -- and I was just stating that, for many of the
6 measures that we evaluated here -- those were not
7 measures that Gulf currently had in any programs.
8 So, we didn't know what a reasonable administrative
9 cost was for a -- you know, for a particular
10 measure.

11 And so, instead of just guessing at that, we
12 relied on our consultant, who's done a number of
13 these kinds of studies, to collect information from
14 as many utilities as they could to -- to give a
15 more representative picture of, you know, what a
16 reasonable administrative-cost assumption would be.

17 Again, you know, this is the necessary part of
18 evaluating the cost-effectiveness, and so it had to
19 be done here, but ultimately, in program
20 implementation, those costs will depend on, you
21 know, how exactly the program is implemented.

22 So, that was what I was referring to when I
23 said we use kind of the -- we leaned on the
24 experience of other FEECA utilities as well as
25 other regional utilities, as -- as Witness Herndon

1 explained yesterday, to come up with those costs.

2 COMMISSIONER POLMANN: Okay. Thank you for
3 that explanation. Maybe my earlier question
4 wasn't -- wasn't clear. I -- my follow-on, then,
5 would be, did -- did that result in Gulf either
6 considering elements that you would not otherwise
7 consider because you -- you gained some -- some
8 estimated values from -- from the larger group that
9 you otherwise didn't have your own experience
10 with -- did it cause you to maybe examine some
11 things that you would not otherwise have done or --
12 or cause you to delete something that you have not
13 in the past?

14 Was there a different outcome, you think,
15 because of the Nexant process?

16 THE WITNESS: Well, the Nexant process --

17 COMMISSIONER POLMANN: Meaning, their model.
18 Not -- I understand you're using a very similar
19 process that you've done.

20 THE WITNESS: Right.

21 COMMISSIONER POLMANN: But the numerical
22 analysis.

23 THE WITNESS: Well, the -- again, the process
24 lends itself to, you know, gaining a lot of -- of
25 information and insight about measures that we

1 don't have experience with.

2 So, we started here with almost 300 different
3 energy-efficiency and demand-response and demand-
4 side-renewable measures. So, that, in itself, was
5 a benefit of the process in that we did not have
6 that kind of information before we started this.

7 We performed the cost-effectiveness evaluation
8 of that based on Gulf's costs and benefits. And
9 then Nexant, you know, completed the -- the process
10 by putting that into their models to project what
11 was achievable out of that.

12 So, I would say that, yes, we benefit greatly
13 from -- from using a -- a consultant like Nexant to
14 help us with this process, but the outcome is -- is
15 really just a result of the analytical evaluation.

16 And so, that's -- I'm not sure if that --

17 COMMISSIONER POLMANN: No, that --

18 THE WITNESS: -- completely got at your
19 question.

20 COMMISSIONER POLMANN: No, I think -- I think
21 you've -- you've answered my -- Mr. Chairman,
22 just to -- I want to follow up to the other
23 Commissioners' questions, sir.

24 Were you here yesterday, sir, and heard a
25 question -- I believe it was the Chairman that was

1 talking about the smart technology in -- in-home,
2 having a homeowner -- that the benefit of even down
3 to real time with smart meters and so forth, being
4 able to monitor their -- their electric use and
5 then, perhaps, being able to alter use of
6 appliances or -- or things like that?

7 THE WITNESS: Yes, sir, I was here for that.

8 COMMISSIONER POLMANN: Okay. And then,
9 moments ago, with Commissioner Clark, the concept
10 of DSM and -- and what exactly that means,
11 efficiency or conservation or -- so forth. And I
12 believe your words were something to the effect of,
13 well, turn the lights off. That's a conservation
14 concept. And -- and then you were responding to
15 Commissioner Brown and talking about education.

16 So, my -- my question, as a follow-up to you
17 is, is education really all about behavior change
18 of the -- of the customer? Are you trying to
19 induce a behavior change or help the customer
20 understand how to change their behavior?

21 Even if they don't have the smart technology,
22 which would require an investment on their part --
23 customers don't necessarily have the ability to
24 invest in the smart technology. So, how do you --
25 how do you help a customer change their behavior in

1 a way that's sustainable?

2 That's my concern. You know, some people want
3 to change -- change how they eat because it's good
4 for their health, but it may be not sustainable.
5 So, how -- is your -- is your education program
6 sustainable?

7 THE WITNESS: I would say that --

8 COMMISSIONER POLMANN: And how do you know
9 that?

10 THE WITNESS: Well, I would say that, yes, it
11 is sustainable. We put in -- you know, into place
12 tips and recommendations that are reinforced with
13 customers, you know, beginning with an energy
14 audit, continuing with tips that we -- that we
15 publish frequently.

16 And an example of that would be like season-
17 change tips is one I can think of where we provide
18 information to customers, kind of in the form of,
19 for every degree above -- say, in the summer, for
20 every degree above 78 -- or every degree below 78
21 that you set your thermostat, you know, it costs
22 "X" percent more in energy use to cool your home.

23 So, it's that kind of education that helps
24 build an understanding throughout the customer base
25 as how the decisions that they make regarding the

1 energy use -- how it impacts their bill.

2 And so, Gu- -- again, you know, Gulf, for many
3 years, has been very focused on helping educate
4 customers, helping customers understand those kinds
5 of things.

6 How sustainable it is -- we've not measured
7 that, that I recall, you know, but just from the
8 standpoint that we've been doing it many, many
9 years and I know we've permeated the -- the market
10 for generations, now.

11 And so, we -- we've done in schools. We have,
12 you know, school children learning about ways to
13 reduce energy use and manage energy use and -- and
14 then going home and telling their parents about it.

15 I've heard a number of stories, you know,
16 where parents have said, yeah, my -- my child came
17 home and, you know, told me, we need to -- we need
18 to check our air conditioner, have it tuned up, or
19 whatever.

20 So, in that sense, I would say that -- that it
21 is sustainable. And that's really the goal, is
22 to -- is to get this to permeate from generation to
23 generation so that it becomes -- that it just
24 becomes the standard way of life.

25 COMMISSIONER POLMANN: Well, my point there,

1 sir, and I think you -- you answered it in -- in
2 your comments, is that an education program -- we
3 don't know how to measure that. And if you have a
4 zero coal -- goal, but an ongoing element of your
5 program is education, I'm not sure how we support
6 the education program as the answer to a zero goal.

7 So, I'm -- I'm looking for the answer to the
8 confirmation that that's helping the customer,
9 especially the low-income customer to achieve a
10 bill reduction, but it's not something you're
11 measuring and don't -- maybe don't know how to
12 measure.

13 So, I'm -- I'm trying to understand how we get
14 that as a result of this proceeding to help the
15 low-income customer who can't buy a smart device or
16 buy a lower-use -- you know, cost-efficient
17 refrigerator that everybody is talking about.
18 I'm -- I'm in a quandary.

19 THE WITNESS: Well, I think there's --

20 COMMISSIONER POLMANN: So, I mean, I think
21 you've answered the question that -- that we keep
22 putting information out there. I -- I get the
23 information, turn -- turn your thermostat in the
24 right direction. That doesn't mean my family
25 listens or -- when I say turn the lights off. That

1 -- I mean, I -- I'm an ongoing education guy at my
2 own house, but I pay the bill, they don't.

3 So, the other question, and -- and if there
4 was a pilot program, again, with a zero goal, would
5 you be coming in with a pilot program and -- and
6 now is not the time to get into that's a program
7 element, but again, it becomes a cost-recovery
8 issue, and Commissioner Brown touched that.

9 Mr. Chairman, that's all I have. That's not
10 really a question.

11 THE WITNESS: I -- could I just clarify one
12 thing on the low income? I think there's --
13 there's really kind of two aspects to that.
14 Certainly, there's an educational aspect to it,
15 but -- but the g- -- but the program that -- that
16 Gulf Power offers and that I've been referring to
17 is a program which actually puts more-efficient
18 measures in a customer's home. So, they save
19 money.

20 It provide- -- it puts more-efficient light
21 bulbs in their home. It puts low-flow showerheads
22 in their home. It puts faucet aerators in their
23 home. It puts things in their home, at no cost to
24 the customer, that save them money.

25 Now, there's an education layer on top of that

1 to help them understand, okay, here are some
2 things, you know, that are -- that are going to
3 help you save, but here are many other ways that
4 you, on your own, without spending any more money
5 can manage your -- your electric bill.

6 And I -- and we think and believe that it's
7 important the more the customer understands that --
8 the more all customers understand that, the better
9 that they can manage their -- their energy usage.

10 COMMISSIONER POLMANN: Thank you, Mr. Floyd.
11 I -- I appreciate the explanations.

12 CHAIRMAN GRAHAM: Commissioner Clark.

13 COMMISSIONER CLARK: And I -- I just want to
14 clar- -- follow-up and clarify. I didn't do a very
15 good job. Commissioner Polmann, I think you're --
16 you're absolutely on the right track there.

17 And that's one of the reasons why I talked a
18 minute ago about the difference between energy-
19 efficiency and DSM programs because as -- and the
20 reason that I asked the question, what will you
21 continue to do. You will still come back to this
22 Commission and ask for recovery under the energy-
23 conservation clause for energy audit programs and
24 things of that nature.

25 THE WITNESS: Yes.

1 COMMISSIONER CLARK: You just won't be asking
2 for recovery of specific DSM programs, which in --
3 which you do not feel met the RIM test or the TRC
4 test; is that correct?

5 THE WITNESS: That's correct.

6 COMMISSIONER CLARK: I think --

7 THE WITNESS: With the exception of -- of low
8 income, that's -- that's --

9 COMMISSIONER CLARK: With the exception of
10 low-income.

11 THE WITNESS: That's correct.

12 COMMISSIONER CLARK: You're going to ask for
13 recovery for that program even though it did not
14 meet RIM. So, we're still going to see your other
15 programs -- and I guess we'll see that in another
16 docket or at some other point in time.

17 THE WITNESS: Yes.

18 COMMISSIONER CLARK: I'm looking at staff for
19 some clarification here.

20 THE WITNESS: Yes.

21 COMMISSIONER CLARK: But we're still going to
22 see all of this -- all of these costs coming back.
23 This is strictly a discussion about DSM and whether
24 or not there should be goals set with that program;
25 not whether or not you're going to continue to do

1 efficiency programs to help achieve conservation,
2 correct?

3 THE WITNESS: That's correct.

4 CHAIRMAN GRAHAM: Redirect.

5 MR. GRIFFIN: Just a -- just a few,
6 Mr. Chairman.

7 FURTHER EXAMINATION

8 BY MR. GRIFFIN:

9 Q And let's start, Mr. Floyd, with the
10 administrative costs because you received questions
11 about those from Mr. Cavros and Commissioner Polmann.

12 And I think you alluded to this in response to
13 Mr. Cavros' question, but I just want to make sure that
14 the -- the record is clear in that regard.

15 What -- what impact on the economic
16 screenings, if any, did the use of the administrative
17 costs contained in the record have?

18 A It -- it had a very minimal -- minimal impact.
19 As I had mentioned earlier, only two of the measured
20 permutations out of 442 that were evaluated were -- were
21 eliminated, due to the -- to the administrative-cost
22 screen.

23 Q Let's turn to the two-year payback screen
24 because I've got a similar question there on that. And
25 again, I think you alluded to it, but I -- I just want

1 to make sure that we're clear. In the residential RIM
2 portfolio, what impact, if any, did the use of the two-
3 year payback screen have on your screening analysis?

4 A There -- there were no measures eliminated in
5 the residential RIM portfolio, due to the two-year
6 payback screen.

7 Q Okay. Thank you.

8 I think Mr. Cavros asked you a question very
9 early on regarding energy savings and the impact on
10 customer bills. And the gist of the question was: In
11 the context of DSM, wouldn't you agree that energy
12 savings lowers customers' bills. And I think you
13 correctly answered that it does.

14 But I want to go that -- that next step and
15 ask you: What impact, if any, does it have to non-
16 participants in DSM programs?

17 A Well, it depends. If that energy savings is a
18 result of a DSM program that passes RIM, then it doesn't
19 have any negative impact on those non-participating
20 customers. If it's a result of a program that doesn't
21 pass RIM, then it could potentially have the impact of
22 increasing the cost or -- you know, through a subsidy.
23 So, those non-participating customers, then, are -- are
24 helping pay for that program at a greater degree than
25 they are receiving any benefit.

1 So, that's -- that's the importance of using
2 the RIM test in this proceeding is to ensure that that
3 cross-subsidy doesn't occur through DSM programs so that
4 all customers are better off, whether they participate
5 in the program or not.

6 **Q** My -- my last question, Mr. Floyd, involves
7 the -- what SACE has characterized as naturally-
8 occurring adoption. And Mr. Cavros took you through a
9 number of interrogatory responses and kind of
10 piecemealed through those, selecting one sentence from
11 one and another. Do you remember that?

12 A Yes, I do.

13 **Q** And -- and just because of the way that that
14 questioning occurred, I want to make sure that there's
15 nothing else that you want to say about naturally-
16 occurring adoption at this point in this proceeding.
17 I -- I'm not suggesting you need to. I just want to
18 make sure you have an opportunity to.

19 A No, again, the -- this whole concept, you
20 know, is -- is really just reflecting the amount of
21 efficiency that has occurred in the past that is
22 reflected in our forecast or captured in our forecast
23 and -- in a way that it's used to set the baseline to
24 determine what is potentially achievable going forward.

25 So, the -- it is simply the mechanism and the

1 forecast for how that is captured.

2 MR. GRIFFIN: Thank you.

3 Mr. Chair, that's all I have.

4 CHAIRMAN GRAHAM: Exhibits?

5 MR. GRIFFIN: Let's see. Mr. Floyd's is 35.

6 CHAIRMAN GRAHAM: If there's no opposition,
7 we'll enter Exhibit 35 into the record.

8 (Whereupon, Exhibit No. 35 was entered into
9 the record.)

10 CHAIRMAN GRAHAM: Mr. Cavros?

11 MR. CAVROS: Chairman, I'd like to enter
12 Exhibits 308 to 315.

13 CHAIRMAN GRAHAM: If there's no --

14 MR. GRIFFIN: No objection.

15 CHAIRMAN GRAHAM: -- no objection, we'll enter
16 Exhibits 308 through 315.

17 I think that's all the exhibits we've had for
18 this witness.

19 (Whereupon, Exhibit Nos. 308 to 315 were
20 entered into the record.)

21 CHAIRMAN GRAHAM: I know the first break of
22 the day is always the most important and most
23 looked-forward-to, so I think we're about time for
24 that.

25 I know the next two witnesses are for FPUC.

1 That allows Ms. Keating to get to the front. So,
2 let's take a seven-minute break, so that's ten 'til
3 by that clock in the back.

4 (Brief recess.)

5 CHAIRMAN GRAHAM: Ms. Keating, your witness.

6 MS. KEATING: Thank you. And good morning,
7 Commissioners.

8 FPUC calls Scott Ranck.

9 EXAMINATION

10 BY MS. KEATING:

11 **Q Mr. Ranck, before we begin, you were sworn**
12 **yesterday; were you not?**

13 A That's correct.

14 **Q Okay. So, would you please state your name**
15 **and business address for the record.**

16 A My name is Scott Ranck. I'm the energy
17 conservation manager for Florida Public Utilities.

18 **Q Okay. Have you caused to be prepared and**
19 **filed in this proceeding 11 pages of direct testimony?**

20 A Yes, I have.

21 **Q And do you have any changes or revisions to**
22 **that testimony?**

23 A No, I do not.

24 **Q And if I asked you the same questions today,**
25 **would your answers still be the same?**

1 A Yes, they would.

2 MS. KEATING: Okay. Mr. Chairman, at this
3 time, FPUC would ask that Mr. Ranck's direct
4 testimony be inserted into the record as though
5 read.

6 CHAIRMAN GRAHAM: We'll insert Mr. Ranck's
7 direct testimony into the record as though read.

8 (Whereupon, Witness Ranck's prefiled direct
9 testimony was inserted into the record as though
10 read.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

Docket No. 20190017-EG

IN RE: COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS

(Florida Public Utilities Company)

DIRECT TESTIMONY OF G. SCOTT RANCK

ON BEHALF OF FLORIDA PUBLIC UTILITIES COMPANY

I. Introduction

Q. Please state your name and business address.

A. My name is G. Scott Ranck. My business address is 331 W. Central Avenue, Suite 200, Winter Haven, Florida 33880.

Q. By whom are you employed and in what capacity?

A. I am employed by Florida Public Utilities Company (FPUC) as Energy Conservation Manager.

Q. Please summarize your educational background and professional experience.

A. Upon receiving certification in residential construction from Williamsport Area Community College (n/k/a Pennsylvania College of Technology), I began my career in construction building houses in Pennsylvania and North Carolina. I then pursued my Bachelor’s Degree in Theology (Summa Cum Laude) from Piedmont International University, Winston-Salem, NC. Upon graduation, I was a pastor for almost 20 years and have since become a published author. I then pursued a career change and in 2006, went back to my construction roots as an employee of FPUC in the natural gas conservation department. I became a Residential Energy Services

1 Network (RESNET) Home Energy Rating System (HERS) Rater in February of 2009. I
2 was subsequently promoted to Senior Energy Conservation Specialist with FPUC in
3 January of 2012. In this role, I was responsible for implementing the Company's
4 natural gas energy conservation program and also assisted with the implementation
5 of FPUC's Electric Demand-Side Management (DSM) Program. Furthering my
6 pursuit of additional training in building science, energy and related topics, I
7 received certification as a Certified Energy Auditor (CEA) on January 25, 2011, as
8 well as certification as a Certified Energy Manager (CEM) in April 2013. Both
9 credentials are through the Association of Energy Engineers. I was also appointed
10 to the Energy Technical Advisory Committee for the Florida Building Commission in
11 December of 2016. Recently, I was promoted to Energy Conservation Manager
12 with FPUC in March of 2019. In this new role, I oversee both natural gas and
13 electric energy conservation programs for the Company.

14

15 **Q. What is the purpose of your testimony in this proceeding?**

16 A. The purpose of my testimony is (1) to discuss FPUC's historical and ongoing
17 commitment to conservation and demand-side management (DSM), (2) to describe
18 the overall process employed to evaluate FPUC's proposed DSM goals for the next
19 10-year cycle, and (3) to explain FPUC's proposed DSM goals, as well as its approach
20 to conservation programs.

21

22 **Q. Are you sponsoring any exhibits with your testimony?**

23 A. No, I am not.

24

25

Witness: Scott Ranck

1 **Q. Please describe FPUC's service territory and the customers that FPUC serves.**

2 A. Florida Public Utilities Company is an electric utility regulated by the Florida Public
3 Service Commission (Commission) pursuant to Chapter 366, Florida Statutes. FPUC
4 provides electric distribution service to more than 28,000 customers in two, non-
5 contiguous service territories, referred to as the Northeast Division and the
6 Northwest Divisions. The Northeast Division serves retail consumers on Amelia
7 Island, including the City of Fernandina Beach. The Northwest Division serves
8 consumers in the City of Marianna and the surrounding areas including portions of
9 Calhoun, Jackson, and Liberty counties, located in the northern tier of Florida's
10 panhandle region. Across FPUC's electric divisions, the Company serves mostly
11 residential customers, as well as some commercial and industrial customers.

12

13 **II. FPUC's Historical DSM Program**

14 **Q. Does FPUC currently offer DSM programs to its customers?**

15 A. Yes, Conservation goals were first established by the Commission for FPUC in 1996
16 focusing on conservation programs that were cost-effective under the Ratepayer
17 Impact Measure (RIM) and Participants Tests.

18

19 In 2008, FPUC participated in a collaborative with the other Florida utilities subject
20 to the requirements of the Florida Energy Efficiency and Conservation Act, Sections
21 366.80 et seq., Florida Statutes, (jointly, FEECA utilities) to engage a single
22 contractor, Itron, to identify DSM measures and evaluate the technical, economic,
23 and achievable potential for DSM for each of the utilities' service areas.

24

1 In 2015, FPUC proposed adjustments to its DSM Plan based on revised conservation
2 goals established for the Company by way of a proxy methodology approved by the
3 Commission in Order PSC-2013-0645-PAA-EU. The revised DSM Plan was approved
4 by the Commission as reflected in Order No. PSC-2015-0326-PAA-EU, and
5 Consummating Order No. PSC-2015-0360-CO-EU.

6

7 In 2018, FPUC again collaborated with the other FEECA utilities to jointly engage an
8 experienced outside engineering consultant (Nexant) charged with evaluating the
9 technical, economic and achievable potential for DSM tailored to each of the
10 utilities' service areas.

11

12 **Q. Please explain FPUC's approach to DSM programs.**

13 **A.** As suggested by FPUC's size, the Company's limited resources impact its approach
14 to conservation and DSM. As such, educating customers on the benefits of energy
15 efficiency and energy conservation is a key element of FPUC's DSM plan. The
16 Company puts a heavy emphasis on promoting zero-cost or low-cost energy
17 efficiency and conservation measures through the Company's customer education
18 initiatives.

19

20 **Q. Does FPUC have a Demand Response (DR) program?**

21 **A.** No. FPUC does not have a true Demand Response program, although it has
22 implemented time-of-use rates in its Northwest Division on an experimental basis.
23 To date, DR has not been included in FPUC's goals.

24

25

1 Q. Please provide additional detail regarding FPUC's current demand-side
2 management programs.

3 A Certainly. As noted previously, FPUC's 2015 Demand-Side Management Plan was
4 approved in August of 2015. Under its current DSM plan, FPUC implemented the
5 following programs: Residential Energy Survey, Residential Heating and Cooling
6 Upgrade, Commercial Heating and Cooling Upgrade, Commercial Chiller and
7 Commercial Reflective Roof.

8

9 Since 2015, program participation totals for the Residential Energy Survey program
10 were 962 participants, while the Residential Heating and Cooling Upgrade
11 experienced 1015 program participants during this period. Commercial Heating and
12 Cooling Upgrade has experienced 6 total participants since 2015. The Commercial
13 Chiller program has experienced 1 participant and Commercial Reflective Roof has
14 experienced 60 participants.

15

16 In 2018, FPUC significantly exceeded the residential winter peak demand goal, the
17 summer peak demand goal, and energy reduction goals. The main reason for this
18 level of exceedance was due to the high participation rate in the Residential Heating
19 and Cooling Upgrade Program. While FPUC fell short of the commercial /industrial
20 winter peak and energy reduction goals, FPUC exceeded the total winter peak
21 demand goal (Total Achieved 0.205 MW), the total summer peak demand goal
22 (Total Achieved 0.403), and the total energy reduction goal (Total Achieved 0.851
23 GWh).

24

25

1 **III. Evaluation of New Goals**

2 **Q. What cost-effectiveness test or tests should the Commission use to set new DSM**
3 **goals for FPUC, pursuant to Section 366.82, F.S.?**

4 A The Commission should use the results of the RIM Test as the threshold for setting
5 DSM goals. If the results of the RIM test indicate a DSM measure may be cost-
6 effective, then it should also be required to pass both the TRC test and the
7 Participants test.

8

9 **Q. How were potential new DSM measures identified and evaluated for FPUC for**
10 **purposes of this proceeding?**

11 A. New DSM measures were identified and evaluated by the engineering consultant
12 for the FEECA utilities, Nexant.

13

14 **Q. How was FPUC's achievable potential for the 2020 through 2029 period**
15 **determined?**

16 A. The achievable potential estimates for FPUC were developed by Nexant, and
17 addressed in the testimony and Exhibit JH-6 of Jim Herndon.

18

19 **Q. What are FPUC's estimated residential and commercial/industrial energy**
20 **efficiency achievable potentials based on the RIM test?**

21 A Nexant's analysis indicates that there is no achievable potential for either
22 residential or commercial/industrial energy efficiency for FPUC based on the RIM
23 test, as reflected in Witness Herndon's Exhibit JH-6.

24

25

1 **Q. What are FPUC's estimated achievable potentials for residential and**
2 **Commercial/industrial demand response?**

3 A Nexant's analyses indicates that there is no achievable potential for either
4 residential or commercial/industrial demand response for FPUC based on the RIM
5 test.

6
7 **Q. Is the demand response achievable potential included in FPUC's proposed DSM**
8 **goals?**

9 A No.

10

11 **Q. Have any residential and commercial/industrial demand-side renewable energy**
12 **technologies been identified as meeting the achievable potential standard under**
13 **the RIM test?**

14 A No. Nexant's analysis indicates that there is no achievable potential for residential
15 and commercial/industrial demand-side renewable technologies for FPUC based on
16 the RIM test.

17

18 **Q. Do applicable building codes and requirements for appliance efficiencies impact**
19 **the assessment of DSM technologies for FPUC under the RIM test?**

20 A. Yes. The impacts of the stringent building code provisions of *the Florida Building*
21 *Code, Energy Conservation* on DSM are taken into consideration in the analyses
22 conducted by Nexant, as noted in section 4.2 EE Technical Potential of Witness
23 Herndon's Exhibit JH-6, which is the Market Potential Study of Demand-Side
24 Management in Florida Public Utilities' Service Territory. The existing building code
25 provisions, as well as increased federal requirements regarding lighting efficiencies,

1 as well as appliance efficiencies such as those mandated for water heaters and
2 HVAC equipment, serve to further reduce the likelihood that any available
3 technologies will pass the technical potential requirements of the RIM test for
4 FPUC. I further expect that the building codes for the next DSM period will only
5 become more stringent.

6

7 **Q. Does the analysis conducted by Nexant provide an adequate assessment of the**
8 **full technical potential of demand-side and supply-side conservation and**
9 **efficiency measures available to FPUC, including demand-side renewable energy**
10 **systems?**

11 **A** Yes. Drawing upon their recognized expertise, Nexant utilized its models to
12 comprehensively analyze the full technical potential of energy efficiency, demand
13 response, and demand-side renewable energy technologies for FPUC, as described
14 in the testimony of Jim Herndon, resulting in a reasonable assessment of the full
15 technical potential of available demand-side and supply-side conservation and
16 efficiency measures.

17

18 **Q. Does the analysis conducted by Nexant provide an adequate assessment of the**
19 **achievable potential of demand-side and supply-side conservation and efficiency**
20 **measures available to FPUC, including demand-side renewable energy systems?**

21 **A** Yes. As a non-generating utility, supply-side conservation and efficiency measures
22 are not applicable to FPUC. The achievable potential study performed by Nexant
23 does however provide a reasonable assessment of the achievable potential of
24 available demand-side and supply-side conservation and efficiency measures,
25 including demand-side renewable energy systems.

1 **IV. Conclusions**

2 **Q. Should the Commission establish separate goals for demand-side renewable**
3 **energy systems for the period 2020 through 2029?**

4 A No. The Commission should not establish separate goals for FPUC for demand-side
5 renewable energy systems. All conservation goals for FPUC should be established to
6 promote cost-effective DSM without any bias towards any particular technology or
7 program. Furthermore, if demand-side renewable energy systems are cost-
8 effective, FPUC should have the flexibility to include such systems as part of their
9 renewable portfolio or as part of their DSM goals.

10

11 **Q. Should the Commission establish separate goals for FPUC for residential and**
12 **Commercial/industrial customer participation in utility energy audit programs for**
13 **the period 2020 through 2029?**

14 A No. The Commission should not establish separate goals for residential and
15 Commercial/industrial customer participation in utility energy audit programs.
16 Utility energy audits are performed by FPUC in response to customers expressing an
17 interest in such audits. The utility does not require that customers participate in
18 energy audits. FPUC should be allowed the flexibility to integrate energy audits into
19 its conservation programs as appropriate.

20

21 **Q. Please identify the 2020 through 2029 projected technical potential for FPUC.**

22 A The projected technical potential for FPUC is presented in section 5.2 EE Technical
23 Potential, page 35 of the Nexant report titled Market Potential Study of Demand-
24 Side Management in Florida Public Utilities' Service Territory, which is Exhibit JH-6

1 to Witness Herndon's testimony. The report concludes that there are no
2 technologies meeting the technical potential criteria of the RIM test for FPUC.

3

4 **Q. What overall DSM goals (peak demand and energy reductions) are appropriate
5 and reasonably achievable for FPUC for the 2020 through 2029 period?**

6 A Based on Nexant's evaluations using the RIM test, no DSM measures were shown to
7 be cost-effective. Therefore, FPUC is requesting that the Commission establish no
8 mandated DSM goals for FPUC for the 2020 through 2029 period.

9

10 **Q. Should DSM goals nonetheless be set for FPUC to reflect the costs imposed by
11 state and federal regulations on the emission of greenhouse gases, pursuant to
12 Section 366.82(3)(d), F.S.?**

13 A No. Greenhouse gases are not currently regulated at either the State or Federal
14 level, and there currently are no costs imposed on the emissions of greenhouse
15 gases. It is therefore not appropriate to base DSM goals on speculation regarding
16 yet-to-be defined regulations of emissions of greenhouse gases.

17

18 **Q. Does FPUC propose to continue its existing conservation programs even though
19 FPUC is requesting that no goals be applied based on Nexant's evaluations?**

20 A Yes. Although FPUC does not think that conservation goals should be established
21 for FPUC for the next implementation period, FPUC proposes to update its existing
22 conservation programs and, subject to Commission approval of cost recovery
23 through the Conservation Cost Recovery Clause, continue to offer those programs
24 to its customers. FPUC has invested significant cost and effort in the development
25 and implementation of its existing conservation programs, such that, when

1 considered as a whole, maintaining the existing offerings is marginally cost
2 effective. FPUC strongly believes that maintaining its existing programs is in the
3 best interests of the Company and its customers, many of whom are lower income
4 and live in areas hard-hit by recent hurricanes. The existing programs provide not
5 only conservation benefits consistent with the intent of FEECA, but also cost-
6 management and cost-saving options for our most vulnerable customers.

7

8 Q. **Does this conclude your testimony?**

9 Yes, it does.

10

1 BY MS. KEATING:

2 Q Mr. Ranck, did you sponsor any exhibits with
3 your testimony?

4 A No, I did not.

5 Q And have you prepared a brief summary of your
6 testimony?

7 A Yes, I have.

8 Q Would you please go ahead and present that.

9 A As the -- good -- good morning, Commissioners.

10 CHAIRMAN GRAHAM: Good morning.

11 THE WITNESS: As the Commission knows, FPU's
12 electric division is fairly small and serves
13 customers in two separate areas of the state.

14 FPUC is committed to energy conservation and
15 is subject to FEECA. FPU has offered cost-
16 effective conservation programs consistent with
17 Commission-established goals since 1996, and was
18 stated earlier, had programs prior to that as well.

19 FPUC focuses its conservation and DSM
20 resources on customer education that puts the
21 emphasis on zero-cost or low-cost energy-efficiency
22 and conservation measures.

23 Our most-effective programs have been our
24 residential heating and cooling program, a
25 residential energy-survey program, and our

1 commercial reflective-roof program.

2 For this goal-setting process, we believe that
3 the RIM test and the participant test are the
4 appropriate tests upon which FPUC's goals should be
5 set, and based on the analysis completed by Nexant,
6 there are no achievable potential for new
7 residential or commercial/industrial energy-
8 efficiency measures for FPUC. This includes
9 renewable-energy systems as well.

10 So, FPC -- FPUC asks the Commission not
11 establish numeric conservation goals for FPUC, or
12 set them at zero. FPUC does believe that at least
13 some of its current programs, when updated, can
14 continue to provide cost-effective opportunities
15 for our customers to participate in conservation
16 efforts.

17 Moreover, these programs provide opportunities
18 for our most-vulnerable cust- -- customers to
19 manage their energy costs; therefore, FPUC is
20 asking that it be allowed to submit a DSM plan
21 following this proceeding that would consist of
22 updated versions of its existing programs, if
23 proven to remain cost-effective.

24 While goals should not be set for the company,
25 given that no measures demonstrate achievable

1 potential, FPUC's ability to offer cost-effective
2 programs would be of great benefit to our customers
3 and fulfill the underlying intended purpose of
4 FEECA.

5 MS. KEATING: Thank you, Mr. Ranck.

6 FPUC tenders the witness for cross.

7 CHAIRMAN GRAHAM: Okay. Ms. Christensen?

8 MS. CHRISTENSEN: Good morning.

9 EXAMINATION

10 BY MS. CHRISTENSEN:

11 Q Good morning, Mr. Ranck. I have a few
12 questions for you this morning. And if I heard you
13 correctly, through your introduction, FPUC is not
14 proposing any DSM measures be set for the company; is
15 that correct?

16 A Would you repeat that?

17 Q Certainly. FPUC is not proposing any DSM
18 measures be set for the company; is that correct?

19 A You mean, as far as the goals?

20 Q Correct.

21 A That's correct.

22 Q Okay. And FPUC is proposing to continue -- or
23 is it correct that FPUC is proposing to continue its
24 current DSM programs?

25 A Yes, it is.

1 Q Okay. And is it also correct that FPUC does
2 not have specific programs for low-income customers, but
3 that many of your customers, or current customers using
4 the current DSM programs, are low-income?

5 A That would be correct.

6 Q Okay. And the current DSM programs produce
7 DM -- DSM megawatts savings; is that correct?

8 A They have for the last ten years.

9 Q Okay. And would you agree that the megawatts
10 associated with the DSM programs should be added or
11 should be included as part of your 2020-to-2029 DSM
12 goals?

13 A We are seeking no goals to be set for this.

14 MS. CHRISTENSEN: I have no further questions.

15 Thank you.

16 CHAIRMAN GRAHAM: Thank you.

17 Ms. Wynn, any questions of this witness?

18 MS. WYNN: No, Mr. Chairman.

19 CHAIRMAN GRAHAM: Kelley?

20 MS. CORBARI: No questions.

21 CHAIRMAN GRAHAM: SACE?

22 MR. MARSHALL: No questions.

23 CHAIRMAN GRAHAM: Staff?

24 MR. KING: Yes, we have a few questions.

25 Thank you, Chairman.

1

EXAMINATION

2 BY MR. KING:

3 Q Mr. Ranck, my name is Andrew King. I'm with
4 Commission staff. I've got a few questions for you.

5 Do you have that handout packet from staff?

6 A Yes, I do.

7 Q Okay. Hopefully we won't need it, but just in
8 case, you'll have it there.

9 So, we've already gone through that FPUC is
10 requesting zero conservation goals and that's because no
11 measure was found to be cost-effective under the RIM
12 test; that's correct?

13 A That's correct.

14 Q Okay. But -- and we've also established FPUC
15 wants to update its existing conservation programs and
16 continue offering them?

17 A Yes, that's correct also.

18 Q Okay. And you believe that, when considered
19 as a whole, these updated programs will be marginally
20 cost-effective; is that correct?

21 A Yes, sir.

22 Q Okay. How can these updated programs be
23 marginally cost-effective if none of the measures within
24 the programs are, themselves, cost-effective?

25 A We feel like the -- the tests that were done

1 were looking at individual pieces, basically, equipment,
2 and so forth, where a plan would have to be developed
3 around it.

4 We already have considerable ratepayer dollars
5 invested in the development of our current programs,
6 including like a robust website where customers can file
7 for their rebates, et cetera. And it would be a shame
8 to waste all those dollars and just say, stop it.

9 And the customers benefit. We've had over
10 2,000 participants in our programs, and we're only
11 looking at a customer base of 28,000. So, that's pretty
12 good involvement.

13 **Q Okay. So, is there the possibility that these**
14 **updated programs would not be cost-effective?**

15 A We won't know that until we hear what happens
16 in this proceeding and then we do some number-crunching
17 on the back side to see if we can make it work.

18 **Q Okay. If -- if that ends up being true, that**
19 **none of the updated programs are cost-effective, will**
20 **you still desire to implement those programs?**

21 A We would. We're a very customer-centric
22 company as well. And prior to my promotion to this
23 role, I was in the trenches. I mean, I -- I was going
24 out, doing the energy audits, speaking at conferences,
25 educating people. And it's -- we don't get credit for

1 the behavior changes, but they're hugely significant.

2 **Q Okay. Can you explain why FPUC's customers**
3 **should pay for these programs, if they end up not being**
4 **cost-effective?**

5 A It seems to me that our customer base, in many
6 ways, is like a -- a smaller family. And one -- one
7 example I'll give you -- even though, most of the time,
8 our commercial programs have not met the objectives --
9 overall we meet it with all our programs.

10 A couple of years ago, up in Jackson County,
11 we provided an investment-grade audit for the Jackson
12 hospital. Out of that came a chiller upgrade that
13 allowed us to actually meet our conservation goal for
14 that -- that particular year, in 2016. But this past
15 year, they also put on a reflective roof on -- on the
16 entire hospital, which is a big energy savings.

17 But when I look at that particular case, those
18 upgrades benefit that entire commun- -- community. It's
19 not just one customer. So, it's -- it's hard to put a
20 number on some of that stuff, but we feel like our
21 programs provide value to our customers.

22 **Q Okay. Thank you.**

23 **We're going to switch gears a little bit and**
24 **turn to free-ridership. FPUC used a two-year payback**
25 **screening to account for free riders in this proceeding;**

1 is that correct?

2 A That's correct.

3 Q Did FPUC consider using any alternative
4 methods to account for free riders, such as surveys or
5 historical data?

6 A Is -- no surveys were done and, in previous
7 testimonies, we heard that they looked at the one- and
8 three-year consideration. We also did, but settled on
9 the two-year, as what's been done by the Commission,
10 pretty much all along.

11 Q Okay. And so, just to follow up on that last
12 statement, why does FPUC believe that the two-year
13 payback screening is the best method to screen for
14 free-ridership?

15 A It just seems like that's the logical cutoff
16 point for where you're going to eliminate the free
17 riders, and other customers still can benefit using that
18 two-year payback.

19 Q Okay. And I think just a couple more
20 questions and staff will be done.

21 Is it true that the total conservation cost-
22 recovery amount FPUC will collect in the calendar year,
23 2019, is approximately \$650,000?

24 A That sounds correct.

25 Q Okay. And is FPUC's estimated total expense

1 for the full current FEECA goals-setting proceedings,
2 including consultant fees, legal expenses, and others,
3 approximately 350,000?

4 A That sounds correct, also.

5 MR. KING: Okay. Thank you, Mr. Ranck.

6 Staff is done.

7 CHAIRMAN GRAHAM: Thank you.

8 Commissioners?

9 Redirect?

10 MS. KEATING: Just a couple, Mr. Chairman.

11 CHAIRMAN GRAHAM: Sure.

12 REDIRECT EXAMINATION

13 BY MS. KEATING:

14 Q Mr. Ranck, just to follow up and clarify a
15 point that you discussed with staff, if you don't have
16 goals, would FPUC still be able to achieve energy
17 savings from DSM programs, if allowed to maintain them?

18 A We believe so.

19 Q And one other clarification point: Did
20 Nexant's analysis review FPUC's DSM programs?

21 A No, they did not.

22 MS. KEATING: Okay. Thank you, Mr. Ranck.

23 CHAIRMAN GRAHAM: Exhibits -- you have none.

24 MS. KEATING: We have none.

25 CHAIRMAN GRAHAM: Staff?

1 MR. KING: We have --

2 CHAIRMAN GRAHAM: Okay.

3 MR. KING: We have none.

4 CHAIRMAN GRAHAM: Okay. We're good.

5 MS. KEATING: May Mr. Ranck be excused?

6 CHAIRMAN GRAHAM: He may, sure.

7 Your next witness.

8 MS. KEATING: Mr. Chairman, our next witness,
9 Robert Camfield. The parties all stipulated that
10 Mr. Camfield's testimony and exhibits could be
11 entered into the record without cross.

12 CHAIRMAN GRAHAM: Okay.

13 MS. KEATING: And Mr. Camfield was excused
14 previously from attendance at the hearing.

15 CHAIRMAN GRAHAM: Okay. So, at this time, we
16 will enter his prefiled direct testimony into the
17 record as though read.

18 (Whereupon, Witness Camfield's prefiled direct
19 testimony was inserted into the record as though
20 read.)

21

22

23

24

25

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 DOCKET NO. 20190017-EG

3 IN RE: COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS

4 (Florida Public Utilities Company)

5 DIRECT TESTIMONY OF ROBERT J. CAMFIELD

6 ON BEHALF OF FLORIDA PUBLIC UTILITIES COMPANY

7 I. INTRODUCTION

8 **Q. Please state your name and business address.**

9 A. My name is Robert J. Camfield. My business address is 800 University Bay Drive,
10 Suite 400 Madison, WI 53705.

11
12 **Q. By whom are you employed and in what capacity?**

13 A. I am employed by Christensen Associates Energy Consulting, LLC in the capacity of
14 Senior Regulatory Consultant.

15
16 **Q. Please describe your background and professional responsibilities.**

17 A. My professional background is concentrated in electricity and gas utility services.
18 This work has focused predominantly on the numerous issues associated with
19 resource decisions and the process of determining prices for utility services, as set
20 by regulatory authorities.

21
22 **Q. Please describe Christensen Associates Energy Consulting, LLC.**

23 A. Christensen Associates Energy Consulting is an integral part of Laurits R. Christensen
24 Associates. Our consulting group is a full-service consulting firm focused on applied
25 economics, with four practice areas including transportation, energy, litigation

1 support, and analytical support for the U.S. Postal Service. We have served the
2 electricity and natural gas industry since 1976, and our senior staff has decades of
3 experience including testimony and official reports on a variety of topics, as filed
4 before numerous state and federal regulatory authorities in the U.S. as well as
5 regulatory authorities overseas including Canada.

6
7 **Q. Have you provided testimony before the Florida Public Service Commission?**

8 A. I have testified before Florida regulators regarding a variety of topics including
9 power supply agreements, projections of electricity demand, cost allocation,
10 escalation rates of resource inputs, and cost of capital.

11
12 **Q. Please state your educational background and experience.**

13 A. I have many years of experience in the energy industry and the economics of
14 regulation including resource decisions, regulatory governance and incentive plans,
15 market restructuring, cost allocation, energy contracts, cost of capital, and
16 performance benchmarking. I have testified on a host of topics including cost of
17 capital and rate of return, demand for electricity, resource planning, transmission
18 congestion, rate of return incentives, wholesale power agreements, cost
19 benchmarking and corporate performance, power procurement processes, electric
20 and natural gas rate design, and regulatory phase-in plans. I have assisted electric
21 utilities to determine Open Access Transmission Tariff (OATT) prices for regulatory
22 filings and the commercial terms of power supply agreements. I have served in the
23 capacities of System Economist for Southern Company and Chief Economist for the
24 New Hampshire Public Utilities Commission. I have also published articles in *The*
25 *Electricity Journal*, *CIGRE (International Council on Large Electric Systems)*, *IEEE*

1 *Transactions on Power Systems*, and contributed sections to *Pricing In Competitive*
2 *Markets* and *Electricity Pricing In Transition*, Kluwer Academic Publishers. My
3 management experience includes numerous projects involving retail and wholesale
4 markets in the U.S. and abroad. I have served as the program director for Edison
5 Electric Institute's (EEI) Transmission and Wholesale Markets summer program. I
6 am a graduate of Interlochen Arts Academy and hold an M.A. in Economics from
7 Western Michigan University. My resume is attached as Exhibit No. 4 __ (RCJ-4).

8

9 **Q. What is the purpose of your testimony in this proceeding?**

10 A. The purpose of my testimony is to discuss Florida Public Utility Company's (FPUC)
11 avoided costs, as utilized by Nexant Consultants for purposes of economic and
12 achievable conservation and demand-side evaluations. The testimony which follows
13 summarizes FPUC's projections of avoided costs and discusses the underlying
14 methodology.

15

16 **Q. Please describe how the testimony content is organized.**

17 A. The testimony which follows is organized into several sections including I.
18 INTRODUCTION; II. CONTEXT: MARKETS SERVED BY FLORIDA PUBLIC UTILITIES
19 COMPANY; III. AVOIDED COSTS: DEFINITION AND STRUCTURE; IV. SUMMARY OF
20 FINDINGS AND AVOIDED COST RESULTS; V. DISCUSSION OF METHODOLOGY.

21 Three exhibits are sponsored with my testimony, including Exhibit No. 1 _ [RJC-1] in
22 support of the Summary section, and Exhibit No. 2 _ (RJC-2) in the Result Details
23 section. A copy of my resume is presented in Exhibit No. 3 _ [RJC-3].

24

25

1 II. CONTEXT: MARKETS SERVED BY FLORIDA PUBLIC UTILITIES COMPANY

2 **Q. Please describe Florida Public Utilities Company and arrangements for power**
3 **supply.**

4 A. Florida Public Utilities Company is an electricity distributor. FPUC provides electric
5 service to more than 28,000 customers in two non-contiguous service territories,
6 referred to as the Northeast and Northwest Divisions. The Northeast Division serves
7 retail consumers on Amelia Island, located in the far Northeast corner of Florida and
8 including the City of Fernandina Beach. The Northwest Division serves consumers in
9 the City of Marianna and the surrounding area including portions of Calhoun,
10 Jackson, and Liberty counties, located in Florida's panhandle region. Combined,
11 FPUC's two electricity divisions serve non-coincident peak loads of 170 MW and
12 energy consumption of 706,300 MWh, stated annually for 2018.

13
14 Rather than producing generation services from resources internal to the Company,
15 FPUC has in place power supply agreements with regional wholesale suppliers for
16 generation services, and purchases transmission services under the Open Access
17 Transmission Tariffs (OATT) of the respective transmission service providers. Under
18 the power supply agreements—sometimes referred to as full requirements
19 services—FPUC purchases wholesale power and accompanying transmission
20 services from Florida Power & Light (FPL) and Gulf Power Company. For its
21 Northeast Division, Florida Public Utilities Company also purchases power from the
22 new Eight Flags Combined Heat and Power (CHP) facility. In addition, FPUC's
23 Northeast Division obtains intermittent power supply from two large industrial
24 consumers, Rayonier Advanced Materials and West Rock Paper and Packaging
25 Products.

1 The estimates of avoided costs presented below are for Florida Public Utilities
2 Company's Northeast Division. The avoided cost outlook for FPUC's Northwest
3 Division has not been estimated, as FPUC's power supply agreement with the
4 Southern Company, which currently serves the Northwest Division, is nearing end-
5 of-term. New commercial terms for generation and transmission supply will soon
6 be put into place, possibly calling for major revisions in supply costs, both as a
7 matter of level and of configuration.

8
9 III. AVOIDED COSTS: DEFINITION AND STRUCTURE

10 **Q. What is avoided cost and how are estimates of avoided costs used?**

11 A. "Avoided cost" refers to the resource cost savings associated with changes in the
12 services provided. Sometimes referred to as marginal costs, avoided costs are
13 particularly important to infrastructure industries such as electricity and gas utility
14 services. By definition, avoided costs reflect cost savings at the margin: the
15 reduction in the total cost incurred by service providers with respect to a change
16 (decrease) in the level of services provided. Avoided costs are typically measured as
17 \$/MCF in the case of gas services, and \$/MWh in the case of electricity. The avoided
18 cost estimates presented below are for electricity services.

19
20 Resource cost savings—i.e., avoided costs—are highly specific to the timeframe in
21 which services are provided to consumers. For this immediate proceeding before
22 the Florida Public Service Commission (Florida PSC), the relevant application of
23 avoided costs is electricity demand side resource options including demand side
24 management (DSM), distributed energy resources (DER), and tariff design in the
25 form of static and dynamic pricing options, together referred to as demand

1 response (DR). As an example, a large industrial customer selects a dynamic pricing
2 option with hourly day-ahead prices. Off-peak prices based on avoided costs are
3 typically \$35/MWh (3.5 cents/kWh), whereas peak hour prices may reach well
4 above \$200/MWh (20.0 cents/kWh). Compared to the standard tariff, we can
5 expect that electricity consumption will rise somewhat during off-peak hours
6 increasing costs by \$35/MWh, offset by consumption decreases during on-peak
7 hours, thus reducing total costs by \$200/MWh.

8
9 In brief, avoided costs serve as the cost benchmark by which supply - and demand -
10 side resource options are gauged. The selection of demand-side options often
11 involves long-term commitments, much like supply options. Accordingly, the
12 process of resource assessment employs estimates of avoided costs over extended
13 future years. To this end, FPUC's avoided cost estimates reach forward through
14 2038.

15
16 **Q. What is the structure of forward-looking avoided costs and how are they**
17 **estimated?**

18 **A.** Avoided costs reflect the underlying resource technologies used in the production
19 and transport of electricity from locations where it is produced to locations where it
20 is consumed. Given technologies, avoided costs are determined by the costs of
21 inputs including fuel, capital, and operating expenditures for labor, materials, and
22 outside services. Until the recent appearance of battery storage at viable cost
23 levels, electricity could not be readily stored at a sizable scale. Hence, electricity
24 production must match demand exactly, in real time. Cost arbitrage across

1 timeframes (off-peak, peak) is not readily possible; as a consequence, avoided costs
2 can vary dramatically over the course of hours or from one day to another.

3

4 Electricity services are generally defined according to commonly recognized
5 functional activities including generation, transmission, and distribution services.
6 Avoided costs are organized in similar fashion: the costs of generation and power
7 delivery are estimated for energy and capacity dimensions, where energy costs
8 within power delivery account for the costs associated with physical losses in
9 transmission and distribution circuits and transformers.

10

11 **Q. What is the perspective of FPUC with respect to avoided costs?**

12 A. For the immediate purposes, avoided costs reflect the input costs that are expected
13 to be paid for the generation and transmission services received under FPUC's
14 power purchase agreement with FPL, referred to as Native Load Firm All
15 Requirements Power and Energy Agreement (power supply agreement). This
16 presents a potential challenge for avoided cost estimates: the charges paid for
17 power—that is, the private costs incurred by FPUC for power supply—may vary
18 inordinately from the economic costs of producing and delivering electricity. While
19 unlikely, it is possible for substantial differences to arise because of several
20 contributing factors such as the exercise of market power, the use of financial costs
21 as the basis to set contract prices, or major resource imbalances. For FPUC, these
22 conditions do not appear to hold: that is, the underlying prices paid by FPUC for
23 power supply appear to reasonably approximate the underlying incremental costs
24 (marginal costs) used by FPL to provide generation and transmission services.

25

1 Estimates of avoided cost for FPUC are projected for off-peak and peak load hours
2 for individual months. Estimates of avoided costs are developed for, and thus align
3 with—the three major components specified within FPUC’s power supply
4 agreement with FPL. These cost components are covered two service categories,
5 referred to as Intermediate Block Service (IBS) and Load Following Service (LFS).
6 Avoided transmission services cover the transmission services provided by FPL, as
7 well as the conventional suite of ancillary services covered within FPL’s OATT.
8 Estimates of avoided generation and transmission costs are adjusted for estimates
9 of power delivery line and transformer losses, including losses for distribution
10 services.

11
12 IV. SUMMARY OF FINDINGS AND AVOIDED COST RESULTS

13 **Q. Please discuss Florida Public Utility Company’s projections of avoided costs for**
14 **use in the FEECA evaluation studies.**

15 A. Exhibit RJC-1 summarizes FPUC’s estimates of avoided costs over years 2019-2038.
16 Reported in nominal dollars for selected years, avoided costs are presented for off-
17 peak and peak timeframes according to season and cost component. The seasonal
18 definitions include the winter season covering the months of November through
19 March, the off-peak season including the months of April and October, and the
20 summer season covering the months of May through September. As discussed
21 above, cost components align with the structure of the commercial terms of FPUC’s
22 power supply agreement with FPL and include separate charges for energy and non-
23 fuel operations and maintenance (O&M) and referred to as *Non-Fuel Energy Price*,
24 under both Intermediate and Load Following service categories and charged on a
25 \$/MWh basis; and charges for generation capacity under Load Following Service

1 and billed as \$-kW-month demand charges. As described above, avoided
2 transmission capacity and energy costs (losses) take account of the transmission
3 services provided under FPL's OATT, where charges for services are billed as \$/kW-
4 month demand charges under several transmission schedules.

5
6 A close review of Exhibit 1 gives rise to several observations. First, the overall
7 average avoided costs rise by 3.0% annually through 2028, though fuel costs are
8 expected to rise only modestly, from \$2.90/MMBTU in 2019 to \$3.17/MMBTU in
9 2028, an annual rate of change of 1%. In other words, avoided costs are rising at
10 approximately 3 times faster than fuel costs, even though fuel charges are the
11 major cost element within avoided costs. This difference in escalation between
12 avoided costs and fuel costs is a consequence of the expected ongoing increases in
13 electricity usage by FPUC's customers which, by assumption, are expected to rise
14 1% annually. Essentially, the progressively higher load levels over time result in
15 sizable increases in the number of hours where LFS fuel charges are on the margin,
16 in lieu of IBS fuel charges. This matters in a significant way: Stated on a \$/MWh
17 basis, as the input energy content (BTU) underlying LFS fuel charges are nearly 50%
18 above input energy content for IBS fuel charges.

19
20 Second, projected generation capacity costs remain unchanged for years 2019-
21 2028, per the FPU-FPL power supply agreement for LFS. For years beyond 2028
22 through 2038, projected capacity costs are declining, from \$11.09/MWh to
23 \$10.15/MWh—a decrease of approximately 0.9% annually. This path of declining
24 costs reflects the expectation of utility-scale solar power assuming a prominent
25 position in FPL's portfolio of generation supply which, with battery storage

1 capability, assists in the provision of capacity under LFS. Should these years beyond
2 2028 not include steadily increasing solar energy in the provision of capacity, on the
3 margin, the baseline avoided cost scenario, overall, rises somewhat more rapidly, as
4 charges for LFS capacity are higher. This condition holds, providing that the costs for
5 the solar/storage resource bundle is less than the costs of natural gas supply.
6 Analysis suggests that if capacity is satisfied exclusively with natural gas resources
7 (single cycle combustion turbine technologies) in isolation of the solar/battery
8 resource bundle, capacity costs under LFS can be expected to rise at approximately
9 2.6% annually.

10
11 Expectations of transmission charges are set according to the recent historical
12 experience of FPL with respect to investment and operations and maintenance
13 expenditures in transmission, stated on a \$/mile of facilities basis. This history
14 suggests that transmission OATT charges will rise by 2.5% annually over the forward
15 period through 2038.

16
17 Taken as a whole, FPUC anticipates that its overall avoided costs for generation and
18 transmission (G&T) charges will rise from \$46.61/MWh in 2020 to \$73.03/MWh in
19 2038, an average annual rate of escalation of 1.6%, and somewhat less than the
20 expected overall price inflation across the U.S. economy. Nonetheless, it goes
21 without saying: the evolution of wholesale prices for generation and transmission
22 services paid by FPUC can assume a different path. Indeed, the long-term history of
23 electricity prices reveals noticeable variation in the trends in electricity prices paid
24 by consumers.

25

1 V. DISCUSSION OF METHODOLOGY

2 **Q. Please describe the notion of avoided costs.**

3 A. As alluded to above, avoided costs are a variant of marginal supply costs. By
4 definition, marginal costs—and thus avoided costs—refers to the change in total
5 supply cost with respect to a change in the quantity of supply. The quantity of
6 supply—or the quantity of output supplied—refers to the production and delivery
7 of goods and services. With few exceptions, costs are a positive function of supply:
8 total costs rise with increases in supply and decline as supply decreases.

9

10 **Q. Are avoided costs different from marginal costs?**

11 A. No. Avoided electricity costs are a specific application of marginal costs and,
12 apparently, originate with the Public Utility Regulatory Policies Act (PURPA) of 1978
13 and incorporated in rules by the Federal Energy Regulatory Commission in 1980.
14 Avoided costs are *internal costs not incurred* (or foregone) by service providers as a
15 consequence of reductions in load *or* increases in alternative supply such as the
16 purchase of power from qualifying facilities defined under PURPA or renewable
17 resources. Marginal costs are similarly defined: the incremental (decremental) cost
18 impact arising from an increase (decrease) in the services provided by electricity
19 service providers (utilities).

20

21 More generally, avoided costs capture the decremental cost impact resulting from a
22 decrease in services provided by conventional utilities resources (generation,
23 transmission, possibly distribution). In the context of the immediate analysis, the
24 decrease in utility services provided as a result of DSM, would be supplanted by
25 demand side resources. If demand side resources are available at lower costs than

1 the internal economic costs associated with the provision of services, as provided
2 by utilities, total costs decline. Depending on the relative position of average prices
3 set according to financial costs and avoided costs, average prices can rise as the
4 employment of demand side resources increases. An exception to this general
5 observation is the well-known two-part tariff application of time-varying pricing,
6 which is often the structure for implementing dynamic pricing.

7
8 **Q. Please discuss the features of electricity services and how electricity**
9 **characteristics impact avoided costs?**

10 A. The costs of producing goods and providing services is specific to the technologies
11 and processes of supply. This is particularly the case of electricity services, where
12 avoided and marginal costs are highly differentiated by timeframe—and also by
13 location. This feature of electricity services is a direct consequence of power system
14 supply technologies. Power systems constitute highly integrated systems for the
15 production and transport of electricity from locations where it is produced to
16 locations where it is consumed. Electricity services are provided as a continuous
17 flow, with only occasional interruption to supply.

18
19 Power systems have unusual characteristics and features. First, demand and supply
20 must be balanced in real time in order to avoid system collapse—a sudden, near-
21 instantaneous loss of supply. Thus, the production of electricity is virtually identical
22 to demand within each moment of time, as electricity cannot be stored on a sizable
23 scale—notwithstanding battery storage technologies. Non-storability also means
24 that inventories cannot readily serve as a means of cost arbitrage. Second,
25 electricity flows within power delivery circuits follow, exactly, physical laws.

1 Together, these power supply features mean that operators of power systems, in
2 addition to ensuring real-time balance of production and demand, carefully monitor
3 flows within transport systems including high voltage transmission and distribution
4 circuits. Indeed, power flows across circuits must remain strictly within pre-defined
5 operational boundaries set by the North American Electric Reliability Corporation
6 (NERC).

7
8 Features of electricity supply have major cost implications. Avoided and marginal
9 costs are highly sensitive to near-term availability of supply. As electricity loads
10 approach supply constraints, costs can vary dramatically: over the course of a single
11 day—or between a high load-high cost day and a normal load day—costs can vary
12 by a factor of 10 to 1 or greater. On occasion, hourly avoided costs can range from
13 well over \$1000/MWh to less than \$30/MWh, though typical peak period avoided
14 costs approximate \$65/MWh, or 6.5 cents/kWh.

15
16 **Q. Please describe how FPUC's estimates of avoided costs are developed, and**
17 **identify the major inputs used in the estimation process.**

18 A. Estimates of forward-looking avoided costs are developed using simulation
19 methods. Avoided cost estimates, simulated for 2019-2038, are based on known
20 parameters, observed market prices where relevant, observed electricity demand,
21 historical cost data, and various cost studies, reports, and surveys, as follows:

- 22 • *Known parameters* reflect the commercial terms of the FPUC's ten-year
23 power supply agreement with Florida Power and Light;

- 1 • *Observed market prices* refer to the records of daily spot natural gas prices
2 at Florida Gas Transmission's Zone 3 hub, and Henry Hub futures contracts
3 traded on the Chicago Mercantile Exchange;
- 4 • *Observed demand* refers to the measured hourly loads of FPUC's Northeast
5 Division;
- 6 • *Historical cost data* refers to the detailed historical cost experience of FPL as
7 reported within the public domain;
- 8 • *Cost studies and reports* refer to the Regional Load and Resource Plan of the
9 Florida Reliability Coordinating Council and the long-term projections of
10 energy supply costs based on simulation tools, as reported in the *Annual*
11 *Energy Outlook* published by the Energy Information Administration; and,
- 12 • *Cost surveys* refer to surveys of observed or estimated costs of power
13 technologies including single cycle combustion turbine (CT) and solar power
14 generation (stated on a \$/MWh basis); historical labor costs (wages and
15 salaries) reported by the Bureau of Labor Statistics; and the costs of
16 renewable resources reported by the National Renewable Energy
17 Laboratory.

18

19 **Q. Can you please describe the approach utilized to estimate Florida Public Utilities**
20 **Company's avoided costs?**

21 A. Estimates of FPUC's avoided costs draw upon *short-* and *long-run* marginal cost
22 concepts. The most relevant definition for cost analysis and program evaluation—
23 including efficient pricing of electricity services—is *short-run cost*, estimated for
24 either near-term or longer-term forward periods, and including energy and
25 reliability. As a practical matter, however, short-run reliability costs are not directly

1 observable. Fortunately, estimates of *long-run costs* can often serve as viable
2 proxies for forward-looking short-run marginal costs.

3

4 Avoided cost estimates follow directly from estimates of the service quantities
5 (customer loads), and the underlying costs of the resources available to serve loads.
6 Florida's assessment of demand-side resources under FEECA involves avoided cost
7 estimates over an extended forward period—approaching 2040. Accordingly,
8 avoided cost estimates were developed for this long-term forward timeframe. In
9 the case of loads, FPUC's avoided cost estimates are based on the 2018 hourly loads
10 of FPUC's Northeast Division, served by FPL.

11

12 **Q. Can you please discuss the service quantities that support FPUC's estimates of**
13 **avoided costs?**

14 A. For our purposes, the relevant loads for estimation of avoided costs are the hourly
15 purchases of energy and capacity (generation, transmission) by FPUC under the
16 power supply agreement and FPL's OATT. This load definition is net load delivered
17 at FPUC's 138 kV transmission substation, constituting the sum of the hourly
18 consumption of electricity of customers served by the Northeast Division under its
19 retail tariff, minus power supply produced by on-site cogeneration facilities and the
20 Eight Flags generator (approximately 20 MW).

21

22 The Northeast Division's net hourly purchases of energy and capacity are projected
23 to rise by a modest 0.2% annually through 2028. As a matter of assumption, the
24 Northeast Division's load levels (net purchases) are held constant at the 2028 level
25 over the remaining forecast period for avoided cost estimates, 2029-2038. Pages 1

1 and 2 of Exhibit RJC-2 present the net hourly loads of the Eastern Division, shown as
2 average hourly load profiles for 2018 and previous years for the months of January
3 and July.

4
5 **Q. Please discuss the process for determining resource costs included in FPUC's**
6 **avoided cost estimates.**

7 A. As alluded to above, FPUC's estimates of forward-looking avoided costs are
8 structured in a manner similar to the FPUC-FPL power supply agreement covering
9 generation services and, separately, transmission services. As mentioned, the
10 charges for generation services include energy costs and capacity costs, as defined
11 in the commercial terms of the IBS and LFS. The starting point is hourly load level,
12 which determines whether IBS or LFS charges are on the margin.

13
14 Avoided energy costs include fuel costs and non-fuel operations and maintenance
15 (O&M) costs, which are specific to IBS and LFS. Avoided capacity costs reflect LFS
16 capacity charges. In the case of fuel costs, charges are differentiated according to
17 heat rates. If the hourly load is equal to or less than 10.0 MW, IBS-based fuel and
18 O&M cost estimates determine avoided costs; if the hourly load is greater than 10.0
19 MW, LFS-based fuel and O&M cost estimates coupled with LFS capacity costs
20 determine hourly avoided costs. (Note, however, that avoided capacity costs do not
21 necessarily appear in all hours where LFS resource costs are on the margin.)

22
23 **Q. How has FPUC estimated avoided fuel costs?**

24 A. Avoided fuel costs are driven by estimates of the natural gas purchase costs FPL,
25 including pipeline transportation charges and commodity charges. Currently, the

1 charges paid by FPL for gas transportation, relevant for FPUC'S estimates of avoided
2 costs, are approximately \$0.95/MMBTU under the pipeline tariff of Florida Gas
3 Transmission (FGT). Under IB and LFS terms, gas commodity prices are set according
4 to FGT Zone 3 wholesale gas prices. Analysis of daily gas prices over recent months
5 suggest that, often, Zone 3 gas prices closely follow Henry Hub gas prices. This is a
6 convenient result for purposes of avoided cost estimation: Henry Hub prices serve
7 as a proxy for Zone 3 prices. In short, owing to the close parallel between Zone 3
8 and Henry Hub prices, FPUC's estimates of avoided fuel costs are based on Henry
9 Hub gas futures prices, as settled on the Chicago Mercantile Exchange for monthly
10 deliveries through year 2028, plus observed transportation charges.

11
12 Projections of natural gas prices for years 2029-2038 are based on forecast natural
13 gas prices, as reported within the 2019 Annual Energy Outlook (AEO) published by
14 the Department of Energy (DOE). For purposes of avoided cost estimation, FPUC
15 has attenuated the annual rates of natural gas price escalation reported by DOE.
16 The concern is potential forecast bias within AEO's projections of natural gas prices
17 over recent years—an issue which is being further discussed.

18
19 **Q. Please discuss the methodology for estimating the non-fuel O&M cost component**
20 **of FPUC's avoided energy costs.**

21 **A.** For supply provided under both IBS and LFS, projections of non-fuel O&M cost
22 components, stated on a \$/MWh basis, are specified through 2028 under the power
23 supply agreement. Beyond 2028, non-fuel O&M costs for IBS and LFS supply are
24 based on projections of non-fuel O&M costs for FPL's fleet of natural gas
25 generators. Rates of non-fuel cost escalation are based on expected inflation,

1 according to the difference between observed interest rate yields on 10-year U.S.
2 Treasury Constant Maturity and Inflation Protected securities of approximately
3 2.00% ($2.48\% - 0.54\% = 1.94\%$). Avoided non-fuel energy costs are, as a matter of
4 assumption, separated into two components: external contract service and internal
5 costs. For years beyond 2028, external costs escalation is set at 2.00%. The internal
6 cost component incorporates two adjustments: an upward adjustment of 1.06
7 percentage points to account for economy-wide differences between labor costs
8 and inflation, as observed historically; and a downward adjustment of 0.50
9 percentage points for expected productivity gains within FPL's gas generation
10 function.

11
12 **Q. Please review FPUC's methodology for estimating avoided generation capacity**
13 **costs.**

14 A. Avoided generation capacity costs are LFS cost components and are specified as
15 \$/kW-month demand charges with the power supply agreement through 2028.
16 For years 2029-2038, avoided costs are determined by the weighted combination of
17 natural gas and solar/storage resource costs. The weights are determined by the
18 relative shares of natural gas and solar/storage resources within FPL non-nuclear
19 generation supply. The relative shares reflect the baseline scenario of FPL's future
20 generation mix, as estimated. In turn, FPL's baseline generation mix, projected for
21 2029-2038, are determined by the all-in projected costs of FPL's natural gas supply
22 and solar/storage technology costs, stated in terms of \$/MWh.

23
24 For solar/storage technology, the path of future costs assumes a declining logistic
25 function. Under the baseline scenario of FPL's generation mix, projected

1 solar/storage technology costs are \$49/MWh in 2029, declining to \$44/MWh in
2 2038. The projected all-in costs of the counterpart electricity supply technology,
3 gas-fueled generation, are \$62/MWh and \$73/MWh for 2029 and 2038
4 respectively. Owing to its inherent cost advantage under the baseline scenario for
5 FPL, solar/storage assumes a progressively rising share of FPL's generation mix.
6 Under the scenario, levels of natural gas supply reach a maximum of 99 TWh in
7 2025, declining to 66 TWh in 2038. This result appears to be fully in accordance with
8 other long-term projections of generation mix, including recent editions of the
9 Annual Economic Outlook.

10
11 Once determined, avoided capacity costs are distributed to hours of each month
12 according to the likelihood that individual hourly loads would be the maximum
13 hourly load for determining monthly capacity costs, as billed. This approach is non-
14 linear and tends to distribute \$/kW-month capacity costs across peak hourly loads.
15 The outstanding issue is whether capacity should be distributed narrowly or broadly
16 across hours. FPUC's estimates of avoided costs takes the latter approach: capacity
17 costs are distributed fairly broadly across peak load hours, based upon a
18 parameterized non-linear max function.

19
20 **Q. Please review FPUC's methodology for estimating avoided transmission capacity**
21 **costs.**

22
23 **A.** Avoided transmission capacity costs are based on projections of FPL's OATT prices for
24 transmission services. The estimates of OATT prices reflect projections of FPL's all-in
25 financial costs for transmission services for 2020-2038. Transmission cost projections are

1 based on FPL's historical cost records for transmission, as reported in its FERC Form 1
2 reports for years 1994 through 2016. These historical costs serve as a basis to determine
3 trends in transmission cost expenditures, both capital and operating. Once estimated, the
4 trends in cost experience are extended over future years which, reflected in OATT prices for
5 transmission services, are expected to rise at 2.49% annually.

6
7 Avoided transmission capacity costs, stated on \$/kW-month basis, are distributed to hourly
8 peak loads in a manner similar to that used for generation capacity costs. Transmission
9 capacity costs are distributed somewhat more narrowly than generation capacity costs.

10 Also, FPL's charges for transmission services under its OATT cover the resource
11 costs associated with the conventional suite of ancillary services including
12 Scheduling (AS1), Reactive Power and Voltage Support (AS2), Regulation Services
13 (AS3), Energy Imbalance Services (AS4), and Spinning and Supplemental Reserves
14 (AS5, AS6).

15
16 **Q. You have mentioned that avoided costs can vary substantially according to
17 timeframe. Please elaborate?**

18 A. As discussed, FPUC's avoided cost methodology takes account of time varying
19 nature of resource costs, for electricity services. To this point, Exhibit RJC-3 presents
20 the hourly profile of all-in avoided costs, estimated for the months of January and
21 July for 2024. As shown, hourly avoided costs vary by approximately 2 to 1, *on*
22 *average*. However, the hourly variation is dramatically higher—the hourly
23 maximum avoided costs reaches over \$600/MWh, for several hours. For this
24 reason, properly designed dynamic pricing options provide the capability to provide
25 major reductions in total resource costs.

1 Q. Is it your opinion that the appropriate avoided cost inputs were provided to
2 Nexant for use in the Market Potential Study done for FPUC?

3 A. Yes.

4

5 Q. Does this conclude your testimony?

6 A. Yes. It does.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

1 CHAIRMAN GRAHAM: And --

2 MS. KEATING: Thank you, Mr. Chairman.

3 And Mr. Camfield's exhibits are already marked
4 on staff's exhibit list as Exhibits 36 through 39.

5 CHAIRMAN GRAHAM: And if I have no objections,
6 we will enter Exhibits 36 through 39 also into the
7 record.

8 (Whereupon, Exhibit Nos. 36 through 39 were
9 entered into the record.)

10 MS. KEATING: Thank you, Mr. Chairman.

11 And with that, that is the last of FPUC's
12 witnesses in this proceeding. There was no
13 intervenor testimony in FPUC's docket, and thus, no
14 rebuttal testimony, in FPUC's docket.

15 As such, Mr. Chairman, we would respectfully
16 request that FPUC be excused from the remainder of
17 this proceeding, including Counsel.

18 CHAIRMAN GRAHAM: You don't want to be here to
19 spend time with us? I'm a little offended.

20 MS. KEATING: I'll be back. I'll be back.

21 (Laughter.)

22 CHAIRMAN GRAHAM: Yes, you can be excused.
23 Thank you.

24 MS. KEATING: Thank you, Mr. Chairman.

25 CHAIRMAN GRAHAM: Okay. Duke.

1 MR. BERNIER: Thank you, Mr. Chairman. Duke
2 Energy calls Ms. Lori Cross.

3 EXAMINATION

4 BY MR. BERNIER:

5 Q **Ms. Cross, you were previously sworn; is that**
6 **correct?**

7 A Yes.

8 Q **Thank you.**

9 **Could you please identify yourself for the**
10 **record and provide your business address.**

11 A My name is Lori Cross. My business address is
12 299 First Avenue North, St. Petersburg, Florida 33701.

13 Q **Thank you.**

14 **And did you prepare and cause to be filed**
15 **direct testimony and exhibits in this docket?**

16 A Yes, I did.

17 Q **And do you have any corrections to make to**
18 **your prefiled direct testimony or exhibits?**

19 A No.

20 Q **And if I were to ask you the same questions**
21 **today, would your answers be the same?**

22 A Yes, they would.

23 MR. BERNIER: Thank you.

24 Mr. Chairman, at the time, we -- DEF would ask
25 that Ms. Cross' direct testimony be entered into

1 the record as though read.

2 CHAIRMAN GRAHAM: We will enter Ms. Cross'
3 direct testimony into the record as though read.

4 MR. BERNIER: Thank you.

5 (Whereupon, Witness Cross' prefiled direct
6 testimony was inserted into the record as though
7 read.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **DUKE ENERGY FLORIDA**
2 **DOCKET NO. 20190018-EG**
3 **DIRECT TESTIMONY OF**
4 **LORI CROSS**

5

6 **INTRODUCTION AND QUALIFICATIONS**

7 **Q. Please state your name and business address.**

8 A. My name is Lori Cross. My business address is 299 First Avenue North, St.
9 Petersburg, Florida 33701.

10

11 **Q. By whom are you employed and in what capacity?**

12 A. I am employed by Duke Energy Florida, LLC (“Duke Energy Florida,” “DEF,” or
13 “the Company”) as Strategy and Collaboration Director in the Customer
14 Planning and Analytics Department.

15

16 **Q. Please describe the duties and responsibilities of your position with the**
17 **Company.**

18 A. My responsibilities include the regulatory planning, support and compliance of
19 the Company’s Demand-Side Management (“DSM”) programs. This includes
20 support for development, implementation and training, budgeting, and
21 accounting functions related to these programs. By DSM, I mean both

1 dispatchable (demand response or direct load control) and non-dispatchable
2 (energy efficiency) types of programs.

3

4 **Q. Please summarize your educational background and professional**
5 **experience.**

6 A. I have a Bachelor of Science degree in Business from the University of South
7 Florida. I have over thirty (30) years of experience in the electric industry. My
8 experiences include roles in DSM Program Support, Rates, Regulatory
9 Planning, Financial Planning, Accounting, and Treasury.

10

11 **Q. Have you previously testified before the Florida Public Service**
12 **Commission?**

13 A. Yes. I have provided testimony to the Florida Public Service Commission
14 (“FPSC” or the “Commission”) on behalf of the Company on numerous
15 occasions in support of the Company’s DSM programs and Energy
16 Conservation Cost Recovery clause filings.

17

18 **Q. What is the purpose of your testimony?**

19 A. The purpose of my testimony is to present Duke Energy Florida’s proposed
20 numerical DSM goals for 2020-2029 for Commission review and approval.
21 DEF’s proposed goals are based upon the analysis completed by the Company
22 in accordance with the requirements set forth by Staff in the Order Establishing

1 Procedure in this docket. Additionally, the goals proposed in this proceeding
2 are supported by the results of a new Technical Potential (TP) study completed
3 by Nexant, Inc.

4
5 **Q. Are you sponsoring any Exhibits to your testimony?**

6 A. Yes, I have prepared or supervised the preparation of the following exhibits to
7 my direct testimony:

8 1. Exhibit No. __ (LC-1): Duke Energy Florida's Residential and Non-
9 Residential Annual Potential RIM Evaluation for 2020-2029 at the
10 generator.

11 2. Exhibit No. __ (LC-2): Duke Energy Florida's Residential and Non-
12 Residential Annual Potential TRC Evaluation for 2020-2029 at the
13 generator.

14 3. Exhibit No. __ (LC-3): Duke Energy Florida's Avoided Cost Assumptions.

15 4. Exhibit No. __ (LC-4): Duke Energy Florida's Fuel and Carbon Price
16 Sensitivities.

17 5. Exhibit No. __ (LC-5): Summary of Achievements of Existing DSM
18 Programs.

19 6. Exhibit No. __ (LC-6): Measures Included in Economic Potential Based on
20 RIM and TRC Evaluations.

21 7. Exhibit No. __ (LC-7): Projected RIM and TRC Portfolio Costs and
22 Residential Customer Rate Impacts

1

2 **Q. Please summarize your testimony.**

3 A. My testimony presents the Company's proposed goals for the 2020-2029
4 period for Commission review. I describe the process that was used to develop
5 the proposed DSM goals and provide a summary of those results. My
6 testimony includes the estimated average residential customer bill impacts
7 based on both the Rate Impact Measure ("RIM") evaluation and the Total
8 Resource Cost ("TRC") evaluation. I also discuss the current DSM programs
9 and provide an explanation for the differences in the proposed goals and the
10 current goal levels.

11

12 **Q. What was the process used to determine DEF's proposed goals?**

13 A. DEF, along with the other FEECA utilities, contracted with Nexant, Inc., to
14 develop a new comprehensive Technical Potential ("TP") study of all available
15 demand-side conservation and energy efficiency measures, including
16 renewable energy systems, to support this goals setting process. To maintain
17 modeling consistency, DEF also contracted with Nexant to develop the
18 economic and achievable potential.

19

20 The FEECA utilities worked collaboratively with Nexant and interested parties
21 to develop a list of measures and assumptions for potential demand and energy
22 impacts for each of the measures included in the TP. The results of that effort

1 and a discussion of that process are included in the Market Potential Study
2 Report (“MPS”) presented in Exhibit No. ___ (JH-4) to Mr. Herndon’s testimony.
3 This report includes a summary of the measures eliminated or added compared
4 to the 2014 TP study and discusses changes associated with building codes
5 and standards.

6

7 DEF then developed the avoided cost assumptions for the base case (no CO2
8 pricing) and the high and low fuel sensitivities and carbon sensitivity as
9 requested by Staff. The assumptions that support each of these cases are
10 provided in Exhibit No. ___ (LC-3) and Exhibit No. ___ (LC-4).

11

12 DEF then determined the cost effectiveness of each measure included in the
13 TP study based on both a RIM and TRC evaluation. DEF evaluated the cost
14 effectiveness for the base case, the fuel and carbon sensitivities, and the 1-
15 and 3-year payback sensitivities for free ridership. DEF provided the list of
16 passing measures for the base case and each sensitivity for the both the RIM
17 and TRC scenarios to Nexant for the Economic Potential (“EP”) analysis. The
18 list of passing measures for the base case and each sensitivity are provided in
19 Exhibit No. ___ (LC-6).

20

21 Nexant then developed the EP for the base case and each of the sensitivities
22 utilizing the results of the RIM and TRC scenarios. Nexant then developed the

1 Achievable Potential (“AP”) for the base case for both a RIM and TRC portfolio.
2 A detailed discussion of the process to develop the EP and AP is included in
3 Nexant’s MPS report.

4
5 DEF reviewed the results of the AP analysis for reasonableness by comparing
6 the results to historical actual achievements and analyzing the potential
7 impacts of changes in savings and incentive levels on future participation for
8 similar measures. Consistent with the methodology used to develop the
9 currently approved goals, DEF’s proposed goals are based on the results of
10 the RIM AP.

11

12 **Q. What are Duke Energy Florida’s proposed residential and non-residential**
13 **DSM goals for the 2020 through 2029 time period?**

14 A. DEF requests the Commission approve the proposed cumulative numeric
15 goals for 2020-2029 presented in Table 1 below. The annual goals that
16 comprise the proposed cumulative goals are provided on Exhibit No. __ (LC-
17 1). This Exhibit also provides a breakdown of the RIM annual goals into the
18 energy efficiency and demand response components that reconcile to the EE
19 achievable potential and DR achievable potential presented in the MPS. These
20 proposed DSM goals have been developed in accordance with the
21 requirements of Commission Rule 25-17.0021(3), Florida Administrative Code,
22 which directs utilities to propose goals “... based upon the utility’s most recent

1 planning process, of the total, cost effective, winter and summer peak demand
 2 (KW) and annual energy (KWH) savings reasonably achievable in the
 3 residential and commercial/industrial classes through demand-side
 4 management.” These goals are based on measures that are cost effective
 5 based on both the RIM and Participant cost effectiveness tests. The
 6 conjunction of these tests captures all of the relevant costs and benefits that
 7 should be evaluated when considering an efficiency or load reduction program.
 8 RIM ensures that non-participating customers will not subsidize participating
 9 customers and reasonably limits overall rate impacts to customers. The
 10 Participant test ensures that the energy efficiency measures provide benefits
 11 to participants. Goals based on the both the RIM and Participant tests ensure
 12 that the benefits and costs are considered from the perspective of participants
 13 as well as ratepayers to ensure the rate impact for non-participants is
 14 appropriately considered.

15 **Table 1**

DUKE ENERGY FLORIDA - PROPOSED RIM GOALS 2020-2029			
	Winter Peak MWs	Summer Peak MWs	GWH's
Residential	78	108	115
Non-Residential	121	135	51
Total	199	243	166

16
 17
 18
 19 **Q. What would the goals for 2020-2029 period be if the goals were based on**
 20 **a TRC evaluation?**

1 A. The residential and non-residential goals based on a TRC evaluation are
 2 provided in Table 2 below. The annual goals that comprise the cumulative TRC
 3 goals are provided in Exhibit No. __ (LC-2). This Exhibit also provides a
 4 breakdown of the RIM annual goals into the energy efficiency and demand
 5 response components that reconcile to the EE achievable potential and DR
 6 achievable potential presented in the MPS.

7
 8 **Table 2**

DUKE ENERGY FLORIDA - PROPOSED TRC GOALS 2020-2029			
	Winter Peak MWs	Summer Peak MWs	GWH's
Residential	89	122	194
Non-Residential	131	172	238
Total	220	294	432

9

10

11 **Q. Are the Company's proposed goals based on an adequate assessment of**
 12 **the full technical potential of all available demand-side conservation and**
 13 **efficiency measures, including demand-side renewable energy systems,**
 14 **pursuant to Section 366.82(3), F.S.?**

15 A. Yes, the TP, that is the basis for the proposed goals, includes an evaluation of
 16 all potential demand-side conservation and efficiency measures and demand-
 17 side renewable energy systems. Demand-side renewable energy systems
 18 were evaluated based on the same cost effectiveness standards that were
 19 used to evaluate other energy efficiency measures. No renewable measures

1 were found to be cost-effective and therefore, none are included in the AP
2 results.

3

4 **Q. Do the proposed goals adequately reflect the costs and benefits to**
5 **customers participating in the measure, pursuant to Section 366.82(3)(a),**
6 **F.S.?**

7 A. Yes. The proposed goals are based on measures that pass the Participant
8 Cost Test. This test compares the incremental cost to participants to the
9 participant benefits (bill savings). This ensures that the measures provide net
10 benefits to participants.

11

12 **Q. Do the proposed goals adequately reflect the costs and benefits to the**
13 **general body of ratepayers, including utility incentives and participant**
14 **contributions, pursuant to Section 366.82(3) (b), F. S.**

15 A. Yes, the proposed goals do adequately reflect the costs and benefits to the
16 general body of ratepayers as a whole because the goals are based on
17 measures that pass both the Rate Impact Measure (RIM) and Participant tests.
18 The Participant and RIM tests, in tandem with each other, effectively ensure
19 both participants and non-participants benefit.

20

1 **Q. What are the projected 2020-2029 annual bill impacts for residential**
2 **customers assuming usage of 1200 kWh/month for both the RIM**
3 **achievable and the TRC achievable portfolio?**

4 A. The residential bill impacts for both the RIM achievable and TRC achievable
5 portfolio are presented in Tables 3 and 4 below. These impacts include all of
6 the normal components that comprise a residential bill, namely, base rates,
7 recovery clauses, customer charges, and gross receipts taxes. These costs
8 also include the costs for maintaining the existing level of load management on
9 the system as well as the costs of the residential and commercial energy audits.
10 The results of these analyses show an estimated total cost for a 1200
11 kWh/month residential bill for the ten year period for the RIM portfolio of
12 \$20,622 and \$20,656 for the TRC portfolio. This difference is due entirely to
13 the differences in incentives and program management costs for the energy
14 efficiency programs. The assumptions for incentives and program
15 management costs for the demand response programs are the same in both
16 the RIM and TRC analysis. The TRC portfolio costs are 9% higher on average
17 on an annual basis than the RIM portfolio costs. The projected annual RIM and
18 TRC portfolio costs along with the projected energy conservation clause
19 recovery rate for a residential 1200 kwh bill are provided on Exhibit No. ____
20 (LC-7).

21

**TABLE 3
RIM PORTFOLIO
PROJECTED ANNUAL RESIDENTIAL BILL - MONTHLY USAGE OF 1200 KWH'S**

Total	2020	2021	2022	2023	2024	2025	2026	2027	2028	2029
\$20,622	\$1,882	\$1,891	\$1,941	\$1,985	\$2,031	\$2,078	\$2,127	\$2,178	\$2,227	\$2,279

1

2

**TABLE 4
TRC PORTFOLIO
PROJECTED ANNUAL RESIDENTIAL BILL - MONTHLY USAGE OF 1200 KWH'S**

Total	2020	2021	2022	2023	2024	2025	2026	2027	2028	2029
\$ 20,656	\$ 1,887	\$ 1,896	\$ 1,945	\$ 1,990	\$ 2,035	\$ 2,082	\$ 2,130	\$ 2,181	\$ 2,229	\$ 2,281

3

4

5 **Q. Please describe how the Base Case for the avoided costs was developed.**

6 A. The Base Case was developed using the same integrated resource planning
7 model and assumptions for customer winter and summer demand, annual
8 energy for load and fuel prices that were the basis for the 2019 Ten Year Site
9 Plan filing with two exceptions. The first exception is that the Base Case
10 assumes no new DSM after 2018 and the second exception is that, in
11 accordance with the directions in the Order Establishing Procedure, the Base
12 Case also excludes any costs for carbon dioxide emissions. This process
13 identified a portfolio of potential units required to meet future capacity
14 requirements. The next combustion turbine unit in the resource plan was
15 identified as the avoided unit for purposes of evaluating the cost effectiveness
16 of potential DSM measures. Please see Exhibit No.____ (LC-3) for a summary
17 of the avoided cost assumptions resulting from this process.

1

2 **Q. Provide a detailed description of how the sensitivities were developed**
3 **and compared to the Base Case, including forecasts for fuel prices.**

4 A. The assumptions for projected fuel prices for the high and low fuel sensitivities
5 were based on the NYMEX forward price curves and data published by the
6 U.S. Energy Information Administration (“EIA”) in the 2018 Annual Energy
7 Outlook report. DEF used the NYMEX high and low forward price curves for
8 the near term projections. The projected fuel prices for the high and low cases
9 for the out years assumed the same relative spread above and below the base
10 case as between the EIA high and low fuel cases and the EIA base case.

11

12 DEF also analyzed the impact of the cost of carbon emissions on the RIM and
13 TRC economic potential. As directed in the Minimum Filing Requirements
14 (Order No. PSC-2019-0062-PCO-EG), DEF worked with Florida Power and
15 Light (“FPL”) to develop a consistent assumption for the projected cost of
16 carbon emissions. The carbon cost used in the carbon sensitivity represents
17 the average of DEF’s and FPL’s projected cost of carbon emissions. DEF’s
18 carbon cost used to calculate the average is consistent with the carbon
19 assumption included in DEF’s 2019 TYSP.

20

21 **Q. How are supply-side efficiencies incorporated into DEF’s planning**
22 **process?**

1 A. DEF evaluates supply-side alternatives and develops the optimal plan as an
2 integral part of its Integrated Resource Planning (“IRP”) process. DEF employs
3 the IRP process to determine the most cost effective mix of supply and
4 demand-side alternatives that will reliably satisfy customers’ future demand
5 and energy needs. DEF’s IRP process evaluates a wide range of future
6 generation alternatives and cost effective conservation and dispatchable
7 demand-side management programs on a consistent and integrated basis.

8

9 **Q. How do supply-side efficiencies impact DEF’s DSM Programs?**

10 A. DEF develops projects that will contribute to the overall fleet efficiency and
11 screens these projects in the IRP process. DEF’s IRP process includes
12 modeling for both capital optimization as well as detailed modeling of
13 production cost impacts. The selected plans are identified based on the lowest
14 overall life cycle costs including operational efficiencies. The cost of demand-
15 side projects are measured against the avoided supply-side costs in
16 determining program measures that will achieve the most cost effective
17 integrated demand and supply-side portfolio.

18

19 **Q. Should the Commission establish supply-side efficiency goals in this**
20 **proceeding?**

21 A. No. DEF continuously identifies and evaluates conservation and efficiency
22 improvement opportunities for generation, transmission, and distribution in its

1 planning processes (including TYSP and need determinations). Accordingly,
2 there is no need to set goals for such supply-side efficiencies in this proceeding.

3

4 **Q. Do the proposed goals adequately reflect consideration of free riders?**

5 A. Yes, the proposed goals are based on measures that have greater than a two-
6 year payback period. A two-year payback period is a reasonable time period
7 in which to limit measures and assume that customers will adopt them absent
8 a utility incentive. This time period has been recognized by the Commission in
9 past proceedings as a reasonable proxy to eliminate free riders. Since 1991, a
10 payback of two years or less has been recognized by the Commission as an
11 appropriate threshold to reduce free ridership and maximize cost effectiveness.

12

13 **Q. Do DEF's proposed goals adequately reflect the costs imposed by state
14 and federal regulations on the emissions of greenhouse gases?**

15 A. Yes. Given the uncertainty of future carbon regulation, it is reasonable to
16 exclude the cost of carbon emissions in this goals setting process.


17

18 **Q. Do the Company's proposed goals adequately reflect the need for
19 incentives to promote both customer-owned and utility-owned energy
20 efficiency and demand-side renewable energy systems, pursuant to
21 Section 366.82(3)(c), F.S.?**

22 A. Yes. DEF does not believe there is currently a need for incentives to promote

1 demand-side renewable energy systems as the demand-side renewable
 2 market has continued to mature and there has been significant growth in
 3 customer sited demand-side renewable energy systems. Florida currently
 4 ranks among the top ten states based on the cumulative amount of solar
 5 electric capacity installed. The cost to install solar has dropped significantly in
 6 recent years, and with that, DEF is seeing continued growth in the number of
 7 customers installing demand-side renewable systems on their own, without
 8 incentives from the utility. In 2018, DEF added an average of 400 net metered
 9 customers each month. The chart below shows the growth in the number of net
 10 metered customers and installed capacity for 2010 through 2018.

11



12

13

14 **Q. What goals, if any, should be established for increasing the development**

1 **of demand-side renewable energy systems, pursuant to Section**
2 **366.82(2), F.S.?**

3 A. Given that renewable systems were not deemed cost effective under the RIM
4 test, it would not be appropriate to establish goals for demand-side renewable
5 systems in this goals setting proceeding. Demand-side renewable systems
6 were evaluated using the same criteria as were used for other energy efficiency
7 measures. Programs that provide incentives to customers who install
8 renewable systems would result in cross subsidies between participants and
9 non-participants and increase rates to all customers.

10

11 **Q. Describe the demand-side management programs DEF currently offers to**
12 **residential customers?**

13 A. DEF's residential programs currently include the home energy audit program,
14 a residential energy efficiency program, and a residential demand response
15 program, and two programs targeted to low income customers. A brief
16 summary of each of these programs is provided below and the actual winter
17 kW, summer kW, and gWh achievements for 2015 through 2018 are provided
18 in Exhibit No. ____ (LC-5):

19

20 • **Home Energy Check** – DEF provides walk-through audits, online
21 audits, phone-assisted audits and Home Energy Rating audits to
22 residential customers. DEF performs approximately 30,000 audits each

1 year. These audits provide the opportunity for DEF to inform customers
2 about energy saving opportunities and encourage customers to install
3 energy saving measures in their homes.

- 4
- 5 • **Residential Incentive Program** - This program provides incentives to
6 customers who install energy efficient measures that are above the
7 baseline requirements of codes and standards. DEF currently provides
8 incentives for high efficiency heat pumps, duct repair, ceiling insulation,
9 energy efficient windows, and energy star qualifying new homes
10 through this program.

- 11
- 12 • **Neighborhood Energy Saver Program** - This program is designed to
13 benefit low income customers. DEF targets approximately 4500
14 residential customer homes annually and directly installs energy
15 efficiency measures and equipment at no cost to the customer. These
16 measures include energy efficient lighting, ceiling insulation, duct
17 repair, HVAC tune-ups, water heater wraps, refrigerator thermometers,
18 wall plate thermometers, HVAC filters, weather stripping, door sweeps,
19 caulking, and foam insulation.

- 20
- 21 • **Low Income Weatherization Assistance Program** – This program is
22 also designed to benefit low income customers. DEF partners with local

1 low income weatherization providers and other agencies to provide
2 energy saving measures in homes of qualifying customers. DEF
3 provides incentives for water heater insulation and pipe wrap, faucet
4 aerators, low flow showerheads, HVAC tune-ups, high efficiency heat
5 pumps, duct repair, ceiling insulation, weather stripping, door sweeps,
6 caulking, and foam insulation and energy star refrigerators.

- 7
- 8 • **Energy Wise** – This is a residential demand response program. This
9 program provides bill credits to residential customers who allow DEF to
10 control their heat pumps, water heaters, and pool pumps in periods of
11 peak demand. Currently approximately 435,000 residential customers
12 participate in this program.

13

14 **Q. Describe the demand side management programs DEF currently offers to**
15 **commercial customers.**

16 A. DEF currently offers a commercial audit program, a prescriptive commercial
17 energy efficiency program, a custom energy efficiency program, and demand
18 response programs to commercial customers. A brief summary of each of
19 these programs is provided below and the actual participation rates, winter kW,
20 summer kW, and gWh achievements for 2015 through 2018 are included in
21 Exhibit No. ____ (LC-5).

22

- 1 • **Business Energy Check** – DEF provides energy assessments to
2 commercial customers through this program. DEF analyzes energy usage
3 and provides recommendations on measures that can be implemented to
4 improve energy efficiency of the facilities and operations.
5
- 6 • **Better Business Program** – DEF provides incentives to customers for
7 energy efficiency measures through this program. These measures
8 currently include:
- 9 ○ Building Envelope Improvements – Cool Roof, Ceiling Insulation,
10 Roof Insulation
- 11 ○ Heating and Cooling Measures – HVAC Equipment Replacements,
12 Demand Control Ventilation, Duct Test, Duct Repair, Energy
13 Recovery Ventilation, HVAC Coil Cleaning, Roof Top Unit
14 Recommissioning, HVAC Tune-ups
15
- 16 • **Custom Incentive Program** – This program is designed to provide
17 incentives to commercial customers for cost effective energy efficiency
18 measures not covered by the prescriptive measures included in the Better
19 Business Program. DEF works directly with customers to evaluate the
20 potential savings and cost effectiveness of energy efficiency
21 improvements. Projects that are cost effective based on the RIM cost
22 effectiveness evaluation are eligible for incentives.

1

2

- **Stand-by Generation** – This is a demand response program. DEF provides bill credits to customers who allow DEF to control their on-site generation facilities in periods of peak demand. The stand-by generation capacity must be at least 50 kW to qualify for this program.

3

4

5

6

7

- **Interruptible Program** – This is a demand response program. DEF provides bill credits to customers who allow them to interrupt their service during periods of peak demand.

8

9

10

11

- **Curtable Program** – This is a demand response program. Customers receive bill credits for agreeing to curtail their load during periods of peak demand.

12

13

14

15

Q. Has DEF made any modifications to these programs since the last goals setting proceeding?

16

17

A. Yes. DEF reviews its processes and procedures and looks for opportunities to improve customer satisfaction and cost effectiveness of its programs on an ongoing basis. DEF has made a number of changes since the last goals setting proceeding to encourage participation, provide additional savings to customers, and ensure alignment with building codes and standards. These

18

19

20

21

1 changes include modifications to its low income programs, commercial custom
2 program, and commercial energy efficiency program.

3

4 Specifically, beginning in 2016, DEF increased the targeted participation for its
5 Neighborhood Energy Saver low income program from 3,000 to 4,500 homes
6 annually and added measures for duct repair, ceiling insulation, heat pumps
7 tune-ups, and home energy reports. Then in 2018, DEF further modified the
8 program to begin providing LED lightbulbs instead of CFL's and increased the
9 number of lightbulbs provided to customers. These changes significantly
10 increased the savings opportunity for low income customers at no cost to
11 program participants.

12

13 Additionally, DEF made modifications to the commercial custom incentive
14 program to streamline the application process and encourage participation.
15 DEF modified the customer application and approval process by providing
16 information to customers through its external website about the types of
17 projects that typically qualify for incentives and streamlined the application
18 process by allowing customers to submit applications online. DEF also
19 changed the program standards to align the eligibility requirements with the
20 prescriptive commercial incentive program. These changes have resulted in
21 an increase in program applications and incentives to customers.

22

1 DEF also made several changes to its commercial energy efficiency program
2 to ensure that the eligibility requirements and reported impacts aligned with
3 building codes and standards.

4

5 **Q. Describe how DEF informs customers about low-cost and no-cost**
6 **energy efficiency measures that will provide bill savings?**

7 A. DEF informs customers about low cost and no cost energy efficiency measures
8 in a number of ways, including through residential and commercial energy
9 audits, community meetings, home shows, bill stuffers, emails, direct mail,
10 home energy reports, and through its website.

11

12 DEF provides information to customers about low cost and no cost measures
13 during the residential and commercial audits. These audits provide
14 opportunities to help customers understand their specific energy usage, inform
15 customers about programs and rebates that are available for energy efficiency
16 measures, and educate customers about behavioral changes and low cost and
17 no cost measures that will provide energy savings. DEF tracks customer
18 satisfaction for its home energy audit program and these results show that in
19 2018 97% of customers surveyed ranked the home energy audit program
20 between an 8 and 10, on a scale of 1 to 10.

21

1 DEF also provides educational material about energy savings and low cost and
2 no cost measures to customers through both of its low income programs. DEF
3 actually installs several low cost measures in customer homes through the
4 Neighborhood Energy Saver (NES) program. DEF invites all of the customers
5 who live in the targeted low income neighborhoods to a community kick-off
6 event to explain the benefits of the NES program and to share information
7 about low cost and no cost steps the customers can take to reduce their energy
8 usage. DEF also provides Home Energy Reports to these customers. These
9 reports provide customers with information about their own specific energy
10 usage and compares their use to peer homes that are similar in size, age, and
11 geography. The reports provide recommendations and tips about low cost and
12 no cost measures and behavioral changes that will provide bill savings and
13 seasonal reminders about how to save energy.

14

15 DEF also provides educational material about energy efficiency and low cost
16 measures and behavioral changes that will provide bill savings to customers
17 through the agencies that it partners with for the Low Income Weatherization
18 Assistance Program.

19

20 **Q. How do the proposed residential goals for the 2020-2029 period compare**
21 **to the goals established in the previous goals setting proceeding?**

1 A. Although the proposed RIM GWH goal for the residential sector for 2020-2029
2 is relatively close to the goal established in the previous goals setting period,
3 the proposed winter and summer RIM MW goals for the residential sector are
4 significantly lower than the goals established in the previous goals setting
5 proceeding. The decrease in the MW goals is primarily due to a decrease in
6 projected achievements for the residential demand response program. The
7 residential demand response program was implemented in 1981 and currently
8 approximately 435,000 residential customers, representing 27% of DEF's total
9 residential customers, already participate in the program. Despite significant
10 marketing efforts over the past few years, DEF has not been able to achieve
11 the level of participation anticipated in the last goals setting proceeding. DEF
12 believes this is primarily due to market saturation issues. Nexant factored the
13 impact of the existing level of residential demand response into their
14 determination of the achievable potential for the 2020-2029 period which
15 resulted in reduced goals. Based on actual recent experience, DEF believes
16 that this adjustment is appropriate and that the proposed residential demand
17 response goals for the 2020-2029 period represent a reasonable assessment
18 of the achievable potential.

19

20 **Q. How do the proposed commercial goals for the 2020-2029 period compare**
21 **to the goals established in the previous goals setting proceeding?**

1 The summer and winter MW goals are higher than the goals established in the
2 last goals setting proceeding, however the GWH goal is actually lower than the
3 goal from the previous proceeding. This is due to a combination of factors.
4 The increase in summer and winter MW goals is primarily due to an increase
5 in the achievable potential for the commercial demand response programs.
6 The decrease in the GWH goal is primarily due to the fact that the next avoided
7 unit is farther out in the future than during the last proceeding which has
8 influenced the cost effectiveness of commercial measures causing a change in
9 the mix of measures included in the RIM portfolio.

10

11 **Q. How are the measures included in the proposed RIM goals expected to**
12 **impact program offerings to customers?**

13 A. The demand and energy efficiency savings included in the RIM goals are
14 primarily comprised of measures that reduce heating and cooling load which is
15 reasonable as the TP for heating and cooling end uses makes up 59% of the
16 total TP for residential and 35% of the total TP for commercial. Programs that
17 target heating and cooling end uses can reduce peak demand requirements
18 while providing significant bill savings for customers. Similar to the programs
19 currently offered to residential and commercial customers today, DEF expects
20 to continue to offer programs that impact heating and cooling such as, high
21 efficiency heating and cooling, insulation, duct repair, and efficient windows.

1 The details of the exact measures and the appropriate level of incentive are yet
2 to be determined and will be addressed in the program design phase.

3

4 DEF also plans to continue to support the low income programs. Here, again,
5 the exact program offerings are yet to be determined. DEF will consider overall
6 program costs and value to customers as we work this process.

7

8 DEF also plans to continue to provide opportunities for residential and
9 commercial customers to participate in load management programs. These
10 programs provide bill credits to customers who allow DEF to shut off or curtail
11 a portion of their load during peak times. These programs provide savings as
12 they can defer the need for additional generating resources.

13

14 CONCLUSION

15

16 **Q. What is the proposed DSM goal that is reasonably achievable during the**
17 **2020-2029 period?**

18

DUKE ENERGY FLORIDA - PROPOSED RIM GOALS 2020-2029			
	Winter Peak MWs	Summer Peak MWs	GWH's
Residential	78	108	115
Non-Residential	121	135	51
Total	199	243	166

19

20

1

2 **Q. Have these goals been determined through a sound and reasonable**
3 **process?**

4 A. Yes. These goals were determined after a comprehensive analysis of the
5 technical potential of all available demand-side and supply-side conservation
6 and efficiency measures, including demand-side renewable energy systems,
7 pursuant to Section 366.82.

8

9 **Q. Do the Company's proposed goals adequately reflect the costs and**
10 **benefits to customers participating in the measure, pursuant to Section**
11 **366.82(3)(a), F.S.?**

12 A. Yes. These goals are based on measures that are cost effective under the
13 Participants test. This test considers the costs and benefits to customers
14 participating in the measure.

15

16 **Q. Do the Company's proposed goals adequately reflect the costs and**
17 **benefits to the general body of ratepayers, including utility incentives and**
18 **participant contributions, pursuant to Section 366.82(3)(b), F. S.?**

19 A. Yes. The proposed goals appropriately consider the effects of free ridership
20 and are based on measures that are cost effective under the RIM test.
21 Application of the RIM test ensures that the measures provide benefits to the

1 general body of ratepayers, to ensure the rate impact of non-participating
2 customers is appropriately considered.

3

4 **Q. Should Duke Energy Florida's proposed goals for 2020-2019 be**
5 **approved?**

6 A. Yes. Duke Energy Florida's proposed goals meet the requirements of both the
7 rules and the statute, are cost effective, and are reasonably achievable.

8

9 **Q. Does this conclude your testimony?**

10 A. Yes, this concludes my testimony.

1 BY MR. BERNIER:

2 Q And Ms. Cross, have you prepared a summary of
3 your prefiled direct testimony?

4 A Yes, I have.

5 Q Thank you.

6 Can you please provide your brief summary at
7 this time?

8 A Sure.

9 Good morning, Commissioners.

10 CHAIRMAN GRAHAM: Morning.

11 THE WITNESS: My testimony presents and
12 supports DEF's cost-effective demand-side
13 management and energy-efficiency goals for the
14 planning period. These goals were developed in
15 compliance with the FEECA statute, the Commission
16 rules, and past precedent. Our goals are
17 reasonable and meaningful and should be adopted.

18 I am available to answer any questions that
19 you may have. Thank you.

20 MR. BERNIER: Thank you, Ms. Cross.

21 DEF tenders Ms. Cross for cross.

22 CHAIRMAN GRAHAM: Ms. Cross, I have to say
23 that that, by far, was the best summary I've ever
24 heard in my life.

25 THE WITNESS: Thank you.

1 (Laughter.)

2 CHAIRMAN GRAHAM: OPC.

3 EXAMINATION

4 BY MS. FALL-FRY:

5 Q Good morning.

6 A Good morning.

7 Q I just have a couple of questions for you.

8 According to your testimony, you only used RIM
9 in conjunction with the PCT to set your DSM goals,
10 correct?

11 A That's correct.

12 Q And Duke has low-income residential DSM
13 programs, correct?

14 A That's correct.

15 Q And your low-income programs include measures
16 that would not pass RIM, correct?

17 A They currently include programs that don't
18 pass RIM; that's correct.

19 Q Okay. The current ones.

20 And some of these measures in the low-income
21 DSM programs included less than a two-year payback,
22 correct?

23 A The current programs, yes.

24 Q And you're planning to retain these programs?

25 A We haven't actually gotten into the program-

1 design phase, but we will most likely retain some of
2 those measures, maybe not all of them because we really
3 haven't gone through that yet.

4 **Q And you agree that the megawatts associated**
5 **with your low-income programs should be included in your**
6 **2029 DSM goals -- or would be, if you con- -- if you --**

7 A To the --

8 **Q -- your design?**

9 A -- extent they are included in our programs
10 that we're -- once we design our programs, we'll submit
11 our program plans to the Commission for approval. To
12 the extent those measures are included and those plans
13 approved, then yes.

14 **Q Okay. So, just to clarify, when you testified**
15 **in your rebuttal about these programs, you were**
16 **referring only to current programs, not for future**
17 **design.**

18 A I actually -- you know, I'm not -- I'm
19 actually only answering questions about my direct
20 testimony right now. So, I don't have my rebuttal here.

21 MS. FALL-FRY: Okay. Thank you.

22 EXAMINATION

23 BY MR. MOYLE:

24 **Q Good morning. I just have a -- a question or**
25 **two. But just want to confirm that, over the years,**

1 historically, Duke has provided interruptible,
2 curtailable, and standby generation programs that have
3 served the customers and company well; isn't that
4 correct?

5 A That's correct.

6 MR. MOYLE: That's all I have.

7 CHAIRMAN GRAHAM: Ms. Wynn?

8 MS. WYNN: Thank you, Mr. Chairman.

9 EXAMINATION

10 BY MS. WYNN:

11 Q Morning, Ms. Cross. Let me direct you to the
12 handout that was marked -- that's Exhibit No._LC5, Duke
13 Energy Florida summary of historical achievements. This
14 is a copy of an exhibit that was attached to your direct
15 testimony, correct?

16 A Just a minute. Let me look at it.

17 Yes, it is.

18 MS. WYNN: I would like to mark this -- are we
19 at 314?

20 CHAIRMAN GRAHAM: We are at 316.

21 MS. WYNN: Oh, sorry.

22 (Whereupon, Exhibit No. 316 was marked for
23 identification.)

24 BY MS. WYNN:

25 Q Okay. I have one clarifying -- quick

1 clarifying question for you. These historical
2 achievements in this table -- they are incremental from
3 the last goal-setting case, correct?

4 A That's correct.

5 MS. WYNN: Okay. Thank you. No more
6 questions.

7 CHAIRMAN GRAHAM: Okay. SACE.

8 EXAMINATION

9 BY MR. MARSHALL:

10 Q Good morning.

11 A Good morning.

12 Q If I could direct your attention to the
13 exhibit with the description "Excerpt No. 12 from DEF
14 response to SACE's first set of interrogatories, Nos. 1
15 through 65" -- do you see that?

16 A Yes.

17 MR. MARSHALL: And this would be Exhibit --

18 CHAIRMAN GRAHAM: -- 317.

19 MR. MARSHALL: 317.

20 (Whereupon, Exhibit 317 was marked for
21 identification.)

22 BY MR. MARSHALL:

23 Q And do you -- if I could direct your attention
24 to Interrogatory No. 12.

25 A Yes.

1 **Q You sponsored the answer to this**
2 **interrogatory?**

3 A I did.

4 **Q And the -- so, the discount rate used to**
5 **assess cost-effectiveness for Duke was 7.1 percent?**

6 A That's correct.

7 **Q And what is a discount rate?**

8 A It's -- it's measuring the -- the -- the cost.
9 It's our weighted-average cost of capital.

10 **Q And how is that used as -- as part of the**
11 **process here, is what I'm getting at.**

12 A It's part of the process that's used to bring
13 all of the costs back to present-day dollars.

14 **Q And if I could direct your attention to the**
15 **document with the description that says, "Batch TMF 15**
16 **SEER central AC from DEF response to SACE's POD 16 from**
17 **SACE's first set of PODs."**

18 A Yes, I have that.

19 MR. MARSHALL: Okay. And this would be
20 Exhibit 318.

21 CHAIRMAN GRAHAM: Correct.

22 (Whereupon, Exhibit No. 318 was marked for
23 identification.)

24 BY MR. MARSHALL:

25 **Q Duke ran its own economic-potential measures**

1 screening in this case, right, to determine the cost-
2 effectiveness of the measures?

3 A Yes, we did.

4 Q And -- and so, for each measure, Duke actually
5 calculated the TRC score, the RIM score, and
6 participant-test score?

7 A That's correct.

8 Q And so, I'd like to -- looking at Exhibit 318,
9 did -- did -- basically, did Duke create a -- batch
10 files for each one -- for each measured permutation?

11 A Yes, we did.

12 Q And so, here would be an example of those --
13 some of those test-result scores for a specific measure.

14 A Yes.

15 Q And the discount rate used is represented in
16 the discount-rate-used column.

17 A Yes.

18 Q And so, that 7.1 percent discount rate was
19 also used as part of the participant test?

20 A Yes, it was.

21 Q And in this example, based on the batch file
22 name, this would be for a 15 SEER central air
23 conditioner for a multi-family turnover segment?

24 A I'm sorry. I'm not seeing where it says that
25 here.

1 Q At the top of the page, it should have the
2 file name.

3 A Oh, I see it.

4 Q At the very top, center.

5 A Yes, that's correct.

6 Q And so, the participant test score for this
7 measure was 0.99.

8 A That's correct.

9 Q If I could direct your attention to the next
10 exhibit, it should say: DEF response to SACE POD No. 2,
11 count DEF Nexant EE summary, base few- -- fuel, 0328-19
12 res tab.

13 A Yes.

14 MR. MARSHALL: All right. And this will be
15 Exhibit 319.

16 CHAIRMAN GRAHAM: That is correct.

17 What is that description again?

18 MR. MARSHALL: DEF response to SACE's POD
19 No. 2, count DEF Nexant EE summary-base fuel- --

20 CHAIRMAN GRAHAM: I gotcha.

21 MR. MARSHALL: Yeah.

22 (Whereupon, Exhibit No. 319 was marked for
23 identification.)

24 BY MR. MARSHALL:

25 Q Do -- do you recognize this spreadsheet?

1 A I do.

2 Q And what is it?

3 A It's the Ex- -- it's our Excel file where we
4 summarize the results of the cost-effectiveness
5 evaluation for each of the different measured
6 permutations.

7 Q And so, just to -- to make sure we're reading
8 this correctly, if I could direct your attention to
9 Page 2 of that Excel file, you can actually see the
10 multi-family turnover 15 SEER central AC measured
11 permutation.

12 A Yes, I found it.

13 Q And if you -- I know it's probably hard to
14 follow on -- on -- on this sheet, but --

15 A Actually, give me a minute --

16 Q Sure.

17 A -- because I -- I'm still looking for the
18 specific measure.

19 You're on -- on the second page?

20 Q Yes, so, it's -- it should say Page 2 at
21 bottom -- bottom right.

22 A It does say Page 2.

23 Q It should be towards the -- the top with the
24 15 SEER central ACs.

25 A Okay. Got it.

1 Q And I know it's hard, but if you -- if you
2 follow it across the page, there's three columns
3 actually that have the RIM, TRC, and participant scores.

4 A Yes.

5 Q And those scores match for that measure what's
6 on Exhibit 318?

7 A Correct.

8 Q And so, for that measure, it actually passed
9 TRC and RIM.

10 A That's correct.

11 Q But because it failed the participant test, it
12 was dropped from further analysis?

13 A That's correct.

14 Q If a different discount rate was used, could
15 it have potentially passed the participant test?

16 A I don't know. I mean, we didn't evaluate this
17 based on a different discount rate.

18 Q Okay. Do you have reason to believe that a
19 different discount rate wouldn't have changed the
20 outcome?

21 A I think a different discount rate could have
22 changed the outcome. I don't know whether or not it
23 would have passed.

24 Q All right. And if I could direct your
25 attention to the next exhibit: DEF response to SACE's

1 **POD No. 3, DEF Nexant EE summary, year 12020-with CCs-no**
2 **CO2-base fuel ACH, pro cost, 032819 res tab?**

3 A Yes, I have that.

4 MR. MARSHALL: And this will be Exhibit 320.

5 CHAIRMAN GRAHAM: That is correct.

6 (Whereupon, Exhibit No. 320 was marked for
7 identification.)

8 BY MR. MARSHALL:

9 Q **Do you recognize this spreadsheet?**

10 A Yes, I do.

11 Q **And what is it?**

12 A This is the summary that we provided to Nexant
13 of all of the results of the -- our economic screening.

14 Q **And -- let's see. Do you know if there were**
15 **several measures that failed the participant test, but**
16 **passed the TRC, under Duke's analysis?**

17 A There were some, yes.

18 Q **And also, included here on Exhibit 320 are net**
19 **present value program costs; is that right?**

20 A Yes.

21 Q **And -- and you know, you might have heard us**
22 **refer to with other utilities as to administrative**
23 **costs. Would -- would this include administrative costs**
24 **for Duke?**

25 A Yes.

1 Q And this was based on -- Duke's program costs
2 were based on 0.049 dollars per kilowatt-hour savings;
3 is that right?

4 A 0.49 -- it was cents, yes. Yes. Okay.

5 Q And do you -- do you know if that was a -- a
6 lot less than the value that Nexant calculated for --
7 for the administrative costs that they provided to
8 utilities?

9 A I don't know what -- you're asking me what
10 Nexant used for other utilities or --

11 Q Well, I'm just asking you if you know whether
12 Duke's value was -- was significantly lower than
13 Nexant's?

14 A I don't know what values were for the other
15 utilities, no.

16 Q But -- but Duke did use its own -- own value.

17 A These values are based off of our historical
18 costs, yes.

19 Q And so, if you look down to the 14 SEER air
20 source heat pump from base electric resistance heating,
21 it includes less than \$50 of net present value program
22 costs?

23 A I'm sorry. You'll have to help me find that
24 on this page.

25 Q Sure. It's on -- towards the bottom of

1 Page 1.

2 A Yes, that's correct.

3 Q And turning to the next page, Page 2, the 21
4 SEER air source heat pump from base electric resistance
5 heating has less than \$150 of program costs.

6 A Page 2 -- can you help me?

7 Q Sure. It's -- it should be in -- towards the
8 middle of the page, the 21 SEER air source heat pump
9 from base electric resistance heating.

10 A I'm sorry. You're -- yeah, let me -- I'll
11 have to figure out which column it is. The headings
12 aren't on there.

13 Q Yeah, I do -- the spreadsheets don't always
14 translate well to paper.

15 A Okay. Found it.

16 Can you repeat your question?

17 Q Sure. The -- the program costs for the 21
18 SEER air source heat pump from base electric resistance
19 heating had less than \$150 of program costs assigned.

20 A That's correct.

21 Q And looking at the bottom of that page, the
22 program costs for -- for light bulbs range from zero up
23 to \$3?

24 A That's correct.

25 Q And turning to the next page -- this would be

1 Page 3 at the bottom, to the two-speed pool pump, which
2 would be about two-thirds of the way down the page.

3 A Okay.

4 Q That had program costs of \$51.

5 A Correct.

6 Q And then for -- last example, down to the
7 faucet aerator, also on that page, towards the bottom --
8 that had program costs ranging from 1 to \$3?

9 A Correct.

10 Q And Duke believes that these are -- are
11 reasonable program costs?

12 A So, they're our best estimate based off of
13 historical, actual costs is what -- is what we used.
14 So, you know, as part of this process, we have to come
15 up with an estimate of program costs. And we thought
16 this was a reasonable approach.

17 MR. MARSHALL: If I could direct your
18 attention to the next exhibit, this is: DEF
19 response to staff's second set of interrogatories,
20 No. 35. And this will be Exhibit 321.

21 CHAIRMAN GRAHAM: Correct.

22 (Whereupon, Exhibit No. 321 was marked for
23 identification.)

24 BY MR. MARSHALL:

25 Q And you sponsored the answer to Interrogatory

1 **No. 35 -- oh, I'm sorry. Mr. Borsch sponsored the**
2 **answer to Interrogatory No. 35.**

3 A Yes.

4 Q **And he's with Duke Energy?**

5 A Yes.

6 Q **And -- and looking at the attachment to**
7 **Interrogatory No. 35, Duke was asked about natural-gas**
8 **price forecasting here?**

9 A I'm sorry. Could you repeat that?

10 Q **Duke was asked about natural-gas price**
11 **forecasting here?**

12 A That's correct.

13 Q **And according to the attachment, five years**
14 **out, Duke had an average error rate of 48 percent?**

15 A That's correct.

16 MR. MARSHALL: If I could direct your
17 attention to the next exhibit, this is: DEF
18 response to SACE's third set of interrogatories,
19 No. 118. And this will be Exhibit No. 322.

20 CHAIRMAN GRAHAM: Correct.

21 (Whereupon, Exhibit 322 was marked for
22 identification.)

23 BY MR. MARSHALL:

24 Q **And you did actually sponsor the -- the answer**
25 **to the answer to 118?**

1 A I did.

2 Q And so, Duke has not conducted any evaluation,
3 measurement, and verification analyses for its low-
4 income programs?

5 A No.

6 Q Duke also provided some answers regarding
7 its -- its -- its load forecasting in response to the
8 Southern Alliance for Clean Energy?

9 A Is that --

10 Q They're not -- they're not in front of you?

11 A Not in front of me? Okay.

12 Q Do you remember providing those answers?

13 A Yes.

14 Q And so, just to be clear, Duke's load forecast
15 does not assume that there won't be additional adoption
16 by customers of energy-efficiency measures above
17 baseline codes and standards.

18 A That's correct.

19 Q And it was Duke's load forecasting that was
20 provided to Nexant as part of the technical-potential
21 stage of the analysis?

22 A We provided the load forecasts that supported
23 the 2017 ten-year site plan.

24 Q And Duke does contend that its load
25 forecasting is accurate.

1 A We contend that, yeah, we're making our best
2 effort to accurately forecast load and energy.

3 **Q If I could direct your attention -- I think**
4 **this is two ahead in the little stack here --**

5 A Uh-huh.

6 **Q -- to DEF response to staff's second's set of**
7 **interrogatories, No. 40.**

8 A Right, I have that.

9 MR. MARSHALL: All right. This will be
10 Exhibit No. 323.

11 CHAIRMAN GRAHAM: That is correct.

12 (Whereupon, Exhibit No. 323 was marked for
13 identification.)

14 BY MR. MARSHALL:

15 **Q And you sponsored the answer to Interrogatory**
16 **No. 40?**

17 A Yes, I did.

18 **Q And so, just to be clear, Duke only considered**
19 **the payback method as the method to address free-**
20 **ridership in this proceeding?**

21 A That's correct.

22 MR. MARSHALL: All right. If I could next
23 direct your attention to the exhibit that says:
24 DEF response to staff's 11th set of
25 interrogatories, No. 122. And this will be

1 Exhibit 324.

2 CHAIRMAN GRAHAM: That is correct.

3 (Whereupon, Exhibit No. 324 was marked for
4 identification.)

5 BY MR. MARSHALL:

6 Q And you sponsored the answer to Interrogatory
7 No. 122?

8 A Yes, I did.

9 Q And so, Duke has not conducted a survey to
10 assess the percent and number of free-rider customers
11 participating in its DSM programs?

12 A That's correct.

13 Q All right. Do you have your testimony with
14 you?

15 A I do.

16 Q If I could direct your attention to your
17 Exhibit LC-7 -- if you could, let me know when you're
18 there.

19 A I'm there.

20 Q Okay. And so, Exhibit LC-7 presents the
21 projected RIM and TRC portfolio costs; is that right?

22 A Yes.

23 Q And this would be based on the achievable
24 potential?

25 A Yes.

1 Q And so, the RIM projected total costs over --
2 and this would be over the next ten years.

3 A Okay.

4 Q And so, the RIM projected total costs for
5 the -- for the goals-setting period was \$960.4 million?

6 A Yes.

7 Q And for that cost, that -- that would be for
8 the -- well -- well, Duke's energy-savings goal,
9 proposed goal, under the RIM-achievable potential, is
10 166 gigawatt hours?

11 A Just a minute. I'll have to check.

12 Q Sure.

13 A That's correct.

14 Q So, if we were to figure out how much cost it
15 will be per gigawatt-hour savings and divided that 960.4
16 by that 166, subject to check, that would be about
17 \$5.8 million of cost per gigawatt hour of energy
18 savings?

19 A Subject to check.

20 Q And just by comparison, the TRC total
21 achievable-potential cost over the goals-setting period
22 was \$1,048.1 million [sic]?

23 A That's correct.

24 Q And the TRC achievable potential was 432
25 gigawatt hours of energy savings?

1 A Correct.

2 Q And so, the cost per gigawatt hour of energy
3 savings under the TRC achievable potential, doing that
4 same division again, subject to check, would be about
5 2-point -- about \$2.4 million per gigawatt hour.

6 A Subject to check, yes.

7 Q And so, that would be less than half the cost
8 of the RIM savings on a per gigawatt-hour basis?

9 A True -- correct.

10 MR. MARSHALL: Thank you. I have no further
11 questions.

12 CHAIRMAN GRAHAM: Okay. Staff.

13 MS. CORBARI: I'm sorry, Chairman? Just for
14 the record, FDACS has no questions.

15 CHAIRMAN GRAHAM: Okay.

16 Staff.

17 MR. KING: Thank you, Mr. Chairman.

18 EXAMINATION

19 BY MR. KING:

20 Q Morning, Ms. Cross.

21 A Morning.

22 Q I've just got a few questions. Hoping to be
23 pretty quick. DEF used a two-year payback screening to
24 account for free riders in this FEECA proceeding,
25 correct?

1 A Yes.

2 **Q Did DEF consider using any alternative methods**
3 **to screen for free riders such as surveys or historical**
4 **data?**

5 A No. We don't have that information, but we
6 did do a one- and three-year sensitivity.

7 **Q Okay. And last question: Why does DEF**
8 **believe that the two-year payback screening is the**
9 **best -- best method to address free-ridership?**

10 A We believe that it's a reasonable method to
11 address free-ridership. We think it's reasonable to
12 assume that, you know, customers -- not all customers,
13 but you know, some customers will, you know, adopt
14 measures that have less than a two-year payback.

15 Also, you know, it's -- part of the reason we
16 did it is based on precedent. It's, you know, what
17 goals have been approved on -- been used to approve
18 goals by the Commission, you know, back since the
19 mid-1990s.

20 And -- and when you look at the difference
21 between the results for the RIM portfolio, the
22 difference between the two-year payback and the one- and
23 three-year payback, there was no difference for
24 residential; there was a minor difference for
25 commercial, but no difference for residential.

1 MR. KING: Okay. Thank you. That's all from
2 staff.

3 CHAIRMAN GRAHAM: Commissioners.
4 Commissioner Brown.

5 COMMISSIONER BROWN: Question about a
6 statement you made on Page 15 of your direct. You
7 said that: Florida currently ranks among the top
8 ten states, based on the cumulative amount of solar
9 capacity installed.

10 THE WITNESS: Uh-huh.

11 COMMISSIONER BROWN: Are you -- where did you
12 get that information? Where did you base that
13 statement from?

14 THE WITNESS: It was -- oh, I think that was
15 in -- based on information from FSEC. I believe
16 that's where it came from.

17 COMMISSIONER BROWN: Do you know is that to
18 date or is that from --

19 THE WITNESS: That was the most-current
20 information, I think, available at the time that we
21 did -- you know, that I prepared this testimony.

22 COMMISSIONER BROWN: Because I -- I think
23 you're talking about the demand-side renewables in
24 this area, but I --

25 THE WITNESS: Yes.

1 COMMISSIONER BROWN: -- assume that talks
2 about the supply -- that includes supply side.

3 THE WITNESS: No, that -- that statement was
4 only -- I think I was only looking at the demand
5 side.

6 COMMISSIONER BROWN: So, Florida is ranked
7 10th --

8 THE WITNESS: Among the top ten --

9 COMMISSIONER BROWN: In the top ten states on
10 customer-owned renewables.

11 THE WITNESS: I'm sorry. I don't -- I'll have
12 to go back to my reference there. I'm -- I'm not
13 sure. I'm sorry.

14 COMMISSIONER BROWN: It -- it's okay. I've
15 seen so many different rankings and numbers.

16 THE WITNESS: Yeah.

17 COMMISSIONER BROWN: I just want to --

18 THE WITNESS: I have to go back and look. I'm
19 sorry. Yeah.

20 COMMISSIONER BROWN: It -- and I mean, it
21 constantly is changing.

22 THE WITNESS: Uh-huh.

23 COMMISSIONER BROWN: So, I just wanted to see
24 if that -- that's the most accurate, for my own
25 edification.

1 Regarding your low-income -- the two programs
2 that you offer on the residential side -- I know
3 you do an outreach to low-income communities. When
4 do you do that?

5 THE WITNESS: When do we do that?

6 COMMISSIONER BROWN: What time of year?

7 THE WITNESS: We do it throughout the year,
8 all throughout the year. We go from -- it's
9 neighborhood to neighborhood. We usually -- you
10 know, we evaluate at -- be- -- before the big --
11 the first of the year, what neighborhoods we are
12 going to try to address during the -- that current
13 year. And usually, for each of those
14 neighborhoods, about 2,000 homes included.

15 And then, you know, as we complete one
16 neighborhood, we move on to the next neighborhood.

17 COMMISSIONER BROWN: That -- that's
18 impressive, the numbers.

19 Have you seen an increase in the participants
20 in the low-income pro- -- with the low-income
21 programs since last goal-setting proceeding since
22 2014.

23 THE WITNESS: Yes, because we are targeting
24 more homes every year. I think, prior to 2014, we
25 were targeting about 3,000 homes a year; now, we're

1 trying to get to 4,500 homes a year.

2 COMMISSIONER BROWN: Now, in those -- those
3 two programs -- are they deemed cost-effective
4 under the RIM test and participant's test?

5 THE WITNESS: They are currently cost-
6 effective because we bundle measures. So, we have
7 measures in there that aren't cost-effective under
8 RIM and measures included that have less than a
9 two-year payback, but because those programs
10 include other measures that are cost-effective
11 under RIM, the program, in total, is cost-
12 effective.

13 COMMISSIONER BROWN: Got it. Okay.

14 Regarding the demand-side renewables -- and
15 you -- you talk about what the company is doing and
16 it -- it sounds pretty consistent with what the
17 other utilities are doing, but has Duke off- --
18 contemplated a next-gen type of offering to -- with
19 regard to demand-side renewables to its customers?

20 THE WITNESS: I think we're always looking at
21 things, but I don't think we have proposed anything
22 yet, but we're always looking at things. And we'll
23 continue to evaluate, you know, as things change,
24 as, you know -- as, you know, battery storage
25 becomes more cost-effective -- you know, over time,

1 as things change, we will continue to evaluate
2 our -- our program offerings.

3 COMMISSIONER BROWN: I think that's a prudent
4 course.

5 And what would you state is the efforts that
6 Duke is doing to encourage, though, the supply
7 side -- I mean, pardon me -- the demand-side
8 renewables, under the statute.

9 THE WITNESS: I think that, you know, we're
10 providing information to our customers, you know,
11 as far as the benefits under interconnection, you
12 know, being net-metered, those benefits. So, I
13 think that, you know, we're -- we're providing all
14 of that information for our customers, which is a
15 huge benefit to those, you know, who decide to
16 install their own solar.

17 COMMISSIONER BROWN: Thank you for your
18 testimony.

19 CHAIRMAN GRAHAM: Redirect?

20 MR. BERNIER: None, Mr. Chairman.

21 CHAIRMAN GRAHAM: Exhibits.

22 MR. BERNIER: At this time, we'd ask to enter
23 Ms. Cross' prefiled exhibits, which I believe are
24 Exhibits 40 through 46 on staff's comprehensive
25 exhibit list.

1 CHAIRMAN GRAHAM: If there's no objections to
2 entering 40 through 46, we will enter that into the
3 record.

4 (Whereupon, Exhibit Nos. 40 through 46 were
5 entered into the record.)

6 CHAIRMAN GRAHAM: SACE.

7 MR. MARSHALL: We move that 317 through 324 be
8 entered.

9 CHAIRMAN GRAHAM: If there's no objection --

10 MR. BERNIER: No objection.

11 CHAIRMAN GRAHAM: -- to 317 through 324, we'll
12 enter those into the record.

13 (Whereupon, Exhibit Nos. 317 through 324 were
14 entered into the record.)

15 CHAIRMAN GRAHAM: And 316?

16 MS. WYNN: Yes, Mr. Chairman, we'd move that
17 Exhibit 316 be entered into the record.

18 MR. BERNIER: No objection.

19 CHAIRMAN GRAHAM: If there's no objection to
20 316, we'll enter 316 into the record as well.

21 MS. WYNN: Thank you.

22 (Whereupon, Exhibit No. 316 was entered into
23 the record.)

24 CHAIRMAN GRAHAM: Okay. Thank you.

25 Thank you, Ms. Cross.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

THE WITNESS: Thank you.
(Transcript continues in sequence in Volume

4.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF FLORIDA)
COUNTY OF LEON)

I, ANDREA KOMARIDIS, Court Reporter, do hereby
certify that the foregoing proceeding was heard at the
time and place herein stated.

IT IS FURTHER CERTIFIED that I
stenographically reported the said proceedings; that the
same has been transcribed under my direct supervision;
and that this transcript constitutes a true
transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative,
employee, attorney or counsel of any of the parties, nor
am I a relative or employee of any of the parties'
attorney or counsel connected with the action, nor am I
financially interested in the action.

DATED THIS 22nd day of August, 2019.



ANDREA KOMARIDIS
NOTARY PUBLIC
COMMISSION #GG060963
EXPIRES February 9, 2021