


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In the Matter of : UNDOCKETED
:
WORKSHOP CONCERNING NON-FIRM :
ELECTRIC SERVICE PROVIDED BY :
PENINSULAR FLORIDA INVESTOR-OWNED :
UTILITIES. :

*
* ELECTRONIC VERSIONS OF THIS TRANSCRIPT *
* ARE A CONVENIENCE COPY ONLY AND ARE NOT *
* THE OFFICIAL TRANSCRIPT OF THE HEARING *
* AND DO NOT INCLUDE PREFILED TESTIMONY. *
* *



PROCEEDINGS: WORKSHOP

BEFORE: CHAIRMAN JOE GARCIA
 COMMISSIONER J. TERRY DEASON
 COMMISSIONER SUSAN F. CLARK
 COMMISSIONER E. LEON JACOBS, JR.

DATE: Monday, February 14, 2000

TIME: Commenced at 10:00 a.m.
 Concluded at 1:35 p.m.

PLACE: Lakeland City Commission Chambers
 City Hall
 228 South Massachusetts Avenue
 Lakeland, Florida

REPORTED BY: JANE FAUROT, RPR
 Chief, Bureau of Reporting

1 IN ATTENDANCE:

2 ROBERT ELIAS, FPSC, Division of Legal Services

3 JOE JENKINS and REESE GOAD, FPSC Division of

4 Electric & Gas.

5 THOMAS PAIGE, representing the Governor's

6 Office.

7 JOHN EMERSON, representing Jones Hardie Building

8 Products.

9 JOHN McWHIRTER, representing Florida Industrial
10 Power Users Group (FIPUG).

11 DONALD HIRSCH, Consultant.

12 KERRY TEMOIN, representing International Paper

13 Company.

14 ROB AYERST, representing International Paper

15 Company.

16 HUEY GREENE, representing Kendall Copmpany.

17 DAVE HINES, representing Coronet Industries.

18 RICHARD PARTYKA, representing Lafarge Florida,

19 Inc.

20 GEORGE McFADDEN, representing Praxair

21 Corporation.

22 ED WHITE, representing Mulberry Corporation.

23

24 CERTIFICATE OF REPORTER

128

25

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN GARCIA: Good morning. We are going to take care of some preliminaries very quickly. First, I want to introduce the Commissioners that are here. To my right is Terry Deason; and to the right of Terry, not politically, but just sitting there is Leon Jacobs. And I am to the extreme left of both of them.

We are going to listen to a presentation that staff is going to make, and then there are two other presenters that have some facts to give us. Clearly this is fact finding for the Commission. Obviously what we do here will be seen by the Commissioner that is not present. And probably to some degree by the newly-appointed Commissioner, which is Ms. Lila Jaber, which was appointed I believe last week, Friday.

So we are going to hear what you have to say. After we finish these presentations, we are going to have the Public Counsel's Office in the form of Mr. Beck, who works for Jack Shreve who represents the citizens of the State of Florida, call up witnesses and we will hear what you have to say, what your comments are.

Clearly we are here because we have heard there is a problem. And we want to hear from those people who have the problem. And clearly we have heard it from different corners of the state, not only from the people

1 who have the problem, but from the politicians who answer
2 to the people who have the problem. So clearly we want to
3 be sensitive to those needs and to make sure we are doing
4 right by all Floridians.

5 And, finally, I want to introduce -- by the
6 way, let me also say that Commissioner Clark is scheduled
7 to be here. The flights from Tallahassee were delayed
8 because of fog this morning entering Orlando, or leaving
9 Tallahassee, I don't know which, so she will probably be
10 here shortly.

11 Finally, I want to introduce the Governor's
12 representative here. Mr. Villamil could not make it due
13 to some budgeting concerns that he had to take care of
14 with the Governor's Office as they prepare for the session
15 that is coming up. So Mr. Thomas Paige, who is the
16 General Counsel to Enterprise Florida -- Mr. Paige, will
17 you stand up.

18 MR. PAIGE: Good morning.

19 CHAIRMAN GARCIA: Enterprise Florida is, in
20 essence, the Department of Commerce/Economic Development
21 Agency for the entire state of Florida, and he is
22 representing the governor as well as Mr. Villamil, who is
23 the Secretary for Economic Development and Tourism in our
24 state. It is the Office of OTTED. And with that we are
25 going to hand it over to Mr. Goad, who is going to present

1 staff's summary of where we stand on some of the issues
2 that are before us.

3 MR. GOAD: Good morning. I would like to
4 welcome everybody. Again, my name --

5 CHAIRMAN GARCIA: You may need to get to a mike
6 of some sort.

7 MR. GOAD: Is this one working? We will try it.
8 If you guys can't hear me, if you can't hear me, just let
9 me know. We will make sure we speak up. We had some
10 handouts earlier. I hope everybody got one. If you
11 didn't, make sure you give me your business card and I
12 will provide you a handout, or mail it to you, however we
13 need to do to get it to you.

14 Basically, we are here to discuss the status of
15 non-firm service in Florida today. My presentation will
16 give a general overview of that status of non-firm
17 service.

18 First and foremost is exactly what is a non-firm
19 customer. Essentially, a non-firm customer is a customer
20 who accepts interruptible service for a reduced bill. You
21 can see by the flashing light bulb, I think it has gone
22 out already, but non-firm service is not absolute.

23 There are basically three types of -- let me
24 stop here. If you guys have any questions, raise your
25 hand and we will stop and take them up during the

1 presentation.

2 There are three basic type of non-firm service,
3 the, first being interruptible service. This service is
4 where the company has full control over the customer's
5 load or a contracted amount of load, and they cut service
6 off on fairly short notice.

7 The second type being curtailable service is
8 where the local utility will request generally by a phone
9 call, maybe by electronic device, they will request the
10 customer reduce load to a predetermined amount. If the
11 customer fails to do so, a penalty will be imposed on a
12 subsequent bill.

13 The third type of non-firm service is load
14 management. Load management, generally used by smaller
15 customers, is where the company controls specific devices
16 or possibly specific load.

17 SPEAKER: Excuse me, do you include real time
18 power as a form of interruptible service?

19 MR. GOAD: No, I would not. There are
20 approximately 16,000 commercial/industrial non-firm
21 customers being served by the three peninsular
22 investor-owned utilities. These customers make up about a
23 thousand megawatts of interruptible load. As you can see,
24 it may not be absolutely clear, but FPL serves well over
25 15,000 of those 16,000 customers. However, they only

1 represent about 40 percent of the load. On the other end
2 of that scale, TECO has 258 megawatts of load with only 57
3 non-firm customers.

4 A term I'm sure we will discuss today that we
5 have heard sometimes or will be used, it seems to be a
6 buzz word or a buzz term is reserve margin. Reserve
7 margin is fairly simple, the way we use it and the way the
8 Commission uses it and the utilities uses it. It is the
9 amount of megawatts or capacity above and beyond firm
10 load. You can see it represented between the dotted
11 lines. On the right you have total available capacity,
12 which is available generation plus purchases. And on the
13 left you have firm load. As you can see in the red block,
14 non-firm load simply operates within this margin.
15 Non-firm load and firm load make up the systems total
16 load.

17 It is important to note that utilities don't
18 plan reserve for non-firm load. They plan reserve for
19 firm load and that is how we assess generation adequacy.
20 If non-firm customers were, in fact, firm load, in other
21 words, the total load was the firm load of the system,
22 reserve would obviously be significant less.

23 In fact, we have taken some historical data for
24 the three peninsular investor-owned for the past six
25 years, the red bar indicates what reserves would have been

1 had we determined those relative to total load. As you
2 can see in 1999 for all three peninsular investor-owned
3 it would have be in the single digits. The yellow bar
4 represents what we actually do look at for assessing
5 generation adequacy. As you can see, mid to high teens in
6 1999, somewhat higher in prior years.

7 As I have said earlier, customers receive a bill
8 reduction or a reduced bill in exchange for interruptible
9 service. That reduction ranges anywhere from 19 to 27
10 percent. That is for a typical industrial customer using
11 250,000 kilowatt hours.

12 SPEAKER: Question.

13 MR. GOAD: Yes.

14 SPEAKER: Is it also true that because
15 interruptible customers use available power when
16 significant amounts of power are available, for instance
17 in the middle of the night, that in addition to them
18 receiving a lower bill they also play a beneficial role in
19 the cost of power to the other ratepayers on the system?

20 MR. GOAD: I would probably agree with that
21 statement; yes, sir. You are saying the benefit that they
22 provide to the utility is increased capacity factor, yes,
23 I would agree with that.

24 SPEAKER: So it is increased revenue and also
25 reduce the costs for the other ratepayers?

1 MR. GOAD: Yes, I would agree with that
2 statement. Yes, sir.

3 SPEAKER: Thank you.

4 MR. GOAD: During the past six years we have
5 noticed a trend of increased interruptions on an annual
6 basis. As you can see represented by the blue bars, there
7 has been an increasing trend as far as the number of days
8 customers have been interrupted. Now, this isn't very
9 scientific. Simply what it is is just a calculation of
10 any day in the calendar year that an interruption on one
11 of the three utilities occurred. They may be overlapping.
12 It is not necessarily all interruptible clients, it is
13 just simply a tabulation.

14 While at the same time we have seen that
15 increasing trend, we have seen a decline trend in
16 peninsular reserves. You can see it's down to 17 percent
17 in 1999. We expect these trends will subside by the
18 summer of 2004 when the peninsular investor-owned
19 utilities have agreed to increase their planning reserves
20 to 20 percent.

21 CHAIRMAN GARCIA: Just so I understand, Reese,
22 the back line is the reserve margin that we calculate as a
23 state. In other words, the dark -- I'm sorry, I'm looking
24 at it in black and white. The red is the margin reserve
25 that we as a Commission calculate. The blue in the front

1 is the number of interruptions?

2 MR. GOAD: Yes, sir.

3 CHAIRMAN GARCIA: So there seems to be some
4 correlation in type.

5 MR. GOAD: Yes, sir. The red is -- actually it
6 is calculated by the FRCC and reviewed by us for the
7 peninsular.

8 CHAIRMAN GARCIA: You might want to say who the
9 FRCC is.

10 MR. GOAD: The FRCC is the Florida Reliability
11 Coordinating Council. It is made up of the utilities in
12 Florida. I believe every utility -- in fact, there are
13 other out-of-state entities that serve on that committee,
14 and they just review things; also generation planning,
15 transmission planning, things of that nature.

16 COMMISSIONER JACOBS: In '97 there was a
17 particularly significant increase in interruptions. Do
18 you have any information on what led to that?

19 MR. GOAD: The only speculation I can have is in
20 looking at the dates that added up to those 88 days, the
21 majority were in the summer. It seemed to be a very high
22 frequency in the summer. And just from personal
23 recollection I know that summer was very hot. So it
24 seemed that the utilities were using the non-firm service.
25 And, again, I will point out that may not have been the

1 interruptible service. It may have been the load
2 management, something of that nature. And it is just
3 commercial/industrial that we have looked at. But I think
4 it occurred because of weather in the summer.

5 COMMISSIONER JACOBS: Thank you.

6 MR. GOAD: Where are we? Okay. There is a
7 provision available to customers that will help mitigate
8 interruptions called a buy-through provision. A
9 buy-through provision is where the utility will actually go
10 out and buy power on the interruptible or non-firm
11 customers -- I think it is limited to interruptibles. No,
12 curtailable, too -- will go out and buy power on the
13 customer's behalf in lieu of an interruption.

14 In other words, if the utility knew they were
15 going to have to interrupt a customer, they would go out
16 and search the market, maybe in-state, out-of-state and
17 try to buy power for them. That power is passed on
18 directly at the purchased price plus a small handling
19 charge.

20 Currently those customers have to indicate
21 whether or not they are willing to except buy-throughs up
22 front. In other words, when service is initiated they
23 sign a waiver where the company has the ability to go out
24 and purchase the power. And there is no specification of
25 price, it is just a blanket statement of buy the power if

1 you can and avoid my interruption.

2 Recently customers have indicated that they
3 would like to know on a case-by-case basis what the
4 purchased price is. Because it may be critical that they
5 could just stop operations on an economic basis or they
6 could go forward, and that would be determined based on
7 the purchased price.

8 And, finally, where do we go from here? Well,
9 that is why we are here. We need to get input on
10 everybody's feelings on this and maybe get some ideas. At
11 this point, have I got any questions?

12 SPEAKER: Just a question about sales of
13 wholesale power.

14 MR. GOAD: Yes, sir.

15 SPEAKER: How are wholesale power sales treated
16 in the calculation of your reserve margins?

17 MR. GOAD: If it is a firm contract commitment
18 by the utility it is part of the firm demand.

19 SPEAKER: So your earlier slide that shows in
20 the case of '97, a 22 percent return margin, did you look
21 at all at the amount of off-system sales that were made
22 during those years and compare it to the interruptions
23 that occurred?

24 MR. GOAD: No, sir, I did not.

25 CHAIRMAN GARCIA: I do want to point out, you

1 said 22 percent return. That is reserve. I just didn't
2 -- because if we were allowing 22 percent, we wouldn't be
3 here. All right.

4 MR. GOAD: Yes, sir.

5 SPEAKER: You present your information in terms
6 of three major utilities, yet this one slide we are
7 looking at as far as interruptions are concerned, we are
8 only seeing a composite there. Do you have that
9 information available on the three independent utilities
10 that you used?

11 MR. GOAD: I did not prepare in that manner, and
12 I can tell you it would be a little different. It did
13 vary utility to utility. Again, for example, the 88 days,
14 there may be a day where all three companies interrupted
15 customers. There may be a day where only one company
16 interrupted customers. So it would be difficult to
17 compare. It may be close to that same number for a given
18 utility because of the overlapping nature. But I did not
19 prepare it in that manner, no, sir.

20 If I could turn it over to the Chairman.

21 CHAIRMAN GARCIA: Very good. Mr. Goad will be
22 here to answer questions along with the rest of the staff,
23 and Mr. Jenkins, who is the director of our electric
24 division is also here. Most of you will probably be able
25 to stump some of us up here, but you won't be able to

1 stump Joe. And what we are going to do is -- Mr. Beck,
2 why don't you come up here, since there are two formal
3 presentations that are going to be given.

4 Mr. Goad, you might want to give Mr. Beck the
5 names of those so that he can call them up.

6 MR. GOAD: Mr. McWhirter, would you like to be
7 first?

8 MR. McWHIRTER: Mr. Emerson wanted to go first.
9 We may get a little lengthy.

10 MR. GOAD: Very well.

11 MR. EMERSON: Okay. Can everybody hear me,
12 because I'm not used to talking into microphones? First,
13 I would like to thank the Commission for allowing me to
14 talk. My name is John Emerson. I'm the plant manager of
15 the James Hardie Building Products firm. I'm a nervous
16 type guy, so if I can walk a little bit I would feel a lot
17 more comfortable.

18 Like I said, my name is John Emerson. I am the
19 plant manager for the James Hardie Building Products firm
20 in Plant City. We are the largest, or if not the largest,
21 one of the largest fiber cement manufacturing plants in
22 the world. We produce an exterior siding product, we also
23 produce a tile, a ceramic tile, a laminate product.

24 We ship throughout the U.S. and Canada. Our
25 company is actually Australian-based. We just recently

1 moved our headquarters to Southern California. We are a
2 publicly-held firm. We are the largest fiber cement
3 company in the world.

4 Just to give you a base, we are located in the
5 TECO service area. And since last year we have had a lot
6 of issues with our power and that is why I would like to
7 at least like to say a few things. Our plant in Plant
8 City employs 215 people with benefits. We average about
9 \$50,000 an employee in wages, wages and benefits. We
10 operate 24 hours a day, 365 days a year. We bring to the
11 community -- we spend within the State of Florida over
12 \$50 million a year.

13 So, our problems with power really started last
14 April. Now, we signed an interruptible contract, which we
15 understand one of the benefits of signing an interruptible
16 contract is some discounts on the cost of power. When we
17 actually signed that contract, it was back in '93. We
18 started our plant in '94. We operate under a very similar
19 contract in Southern California, also at a manufacturing
20 facility in Texas. All of those sites as well as one in
21 Tacoma, Washington. All four of us have interruptible
22 contracts with the utilities.

23 We took a very close look at that because with
24 fiber cement we operate with cement, we pump cement around
25 in pipes. And when you stop pumping cement, it gets

1 hard. When it gets hard, you don't run very well. And
2 not only do you not run, you then subject your employees
3 to doing very difficult cleaning tasks. We use 10,000 PSI
4 water, which is very dangerous. So when our power stops,
5 we have problems.

6 So we looked at the agreement, the tariff very
7 closely to see what we could expect in interruptions.
8 TECO gave us previous information on what we could expect
9 from interruptions. And based on the information that
10 they gave us and the discussions that we had, we felt very
11 comfortable that there would be a chance of interruptions,
12 they would be infrequent in nature and short in duration.

13 Now, what we have had since April of last year
14 has not been infrequent or short in duration. Since
15 April of '99, we also buy -- we also take the pass-through
16 power. Since April of '99, we have actually had
17 pass-through power, the power they purchase for us over
18 850 hours worth of time.

19 Now, prior to that, you know, it was very rare,
20 very rare that we purchased power. We had close to fifty
21 hours of curtailment in 1999. Now, prior to that, it
22 was -- you know, if it was five hours I would say that
23 would be a very large number. In fact, several years we
24 didn't have any curtailable. The only time we actually
25 had blips in our power was with our very common electrical

1 storms.

2 As an example, I would like to show you just two
3 bills. What I have, and it is very small, I'm sorry it
4 wouldn't fit on the overhead. But essentially what I
5 would like to show you is the amount of money that we
6 actually paid as part of our pass-through power. Our
7 normal bill, to give you an idea per month, is about 160,
8 140, \$180,000 a month. In August of last year our bill
9 was \$284,000. And all of that was due to pass-through
10 power charges.

11 So you can say that we get a discount. But if
12 we have to buy power, pass-through power plus the couple
13 of mils that they charge on as a handling charge, that
14 very quickly is not a very economical thing. So, maybe we
15 want to get off that rate. Well, part of the issue with
16 that is it is a five-year wait. If you want to get off of
17 it in less than five years, then you pay a very high
18 penalty. So essentially, we are stuck, for a better word.

19 Now, one of my biggest concerns is not
20 necessarily what happened last year, although it was a
21 very painful time. My biggest concern is actually the
22 future. Now we have already purchased power nearly 48
23 hours and we are just barely in a month and a half of
24 2000. So things aren't stabilizing. Things are
25 continuing to get worse, in my mind. And that has a huge

1 impact on me and our business moving forward.

2 Now, I would like to -- we are in the process of
3 at least thinking about expanding. We want to spend
4 another \$30 million-plus in growing some new product
5 basis. We are currently looking at our Plant City
6 facility as well as some others in Central Florida. But
7 we are also looking in Alabama and Georgia. And I can
8 tell you right now a large reason for that is due to the
9 reliability and the cost of power.

10 From my standpoint as being the plant manager, I
11 would like it to be in Plant City. It would be a good
12 thing for my facility. I think it would be a great thing
13 for Plant City. I think it would be a great thing for
14 Florida. So I'm pushing very strongly to have it in Plant
15 City.

16 But our board of directors and our upper
17 management are the ones that will make that decision. So
18 one of the things -- we are very autonomous, so I pretty
19 much operate the facility with very little restrictions
20 from our corporate. And I felt that the response and the
21 willingness of TECO to help mitigate this problem was not
22 very good. And after repeatedly trying to work through
23 things, we could come to no resolution.

24 So, we actually filed a suit based on we felt
25 that we were unfairly taken advantage of. And we are

1 currently in litigation on that based on what we were told
2 when we signed our contract and what we have now. And
3 that is unreliable power.

4 CHAIRMAN GARCIA: Can I ask you a question?
5 When you take on the buy-though portion, do you have a
6 clue of what that price is going to come down like?

7 MR. EMERSON: We usually get -- our customer
8 service rep will usually send us a piece of paper shortly
9 before the bill comes and tell us this is how much it is
10 at the end of the month. But absolutely not. We have no
11 idea how much it is, or how much they are paying for it or
12 anything else.

13 CHAIRMAN GARCIA: Does your company have any
14 other plants in the U.S., did you say?

15 MR. EMERSON: Yes, we have four plants
16 altogether. We have a plant in Cleburne, Texas, which is
17 near Dallas/Fort Worth. We have one in Fontana,
18 California, which is in Southern California. We also have
19 one in Tacoma, Washington. All of those have
20 interruptible power contracts. None of them have
21 experienced anything like what we have experienced.

22 COMMISSIONER JACOBS: On the buy-though
23 provisions, you said you get a note but it is after the
24 purchase has been made. Do you know what the terms or
25 conditions or anything of that power?

1 MR. EMERSON: No. In fact, that August bill
2 there, that 200-something, \$100,000 more than what we
3 normally pay, we got that the day we actually got the
4 statement. So, no, we don't know during the day when they
5 purchase it or anything else.

6 CHAIRMAN GARCIA: Your power usage, does it
7 fluctuate a lot?

8 MR. EMERSON: Very little. We run pretty much
9 straight through day and night.

10 CHAIRMAN GARCIA: TECO can pretty much forecast
11 what your usage is going to be as a general rule, and you
12 know also the fluctuations that you may have beforehand
13 usually?

14 MR. EMERSON: Yes. It varies very little. Less
15 than maybe 6 percent month-to-month.

16 COMMISSIONER DEASON: I have a question. Do you
17 understand or was it made clear to you at the time the
18 contract was signed that capacity is not planned for or
19 built to serve your load?

20 MR. EMERSON: Actually I will have to answer
21 that in two ways. I didn't actually -- I was not actually
22 here when we signed the contract. But based on the notes,
23 and the plant manager that is Tacoma, Washington actually
24 was here building the plant. He made the agreement.
25 Based on my conversations with him, no, he didn't

1 understand that part at all.

2 COMMISSIONER DEASON: Did you review the tariff
3 provisions on file with the Public Service Commission?

4 MR. EMERSON: I'm not sure what you mean by --
5 we understood, we looked at multiple tariffs and chose
6 that one based on what we thought was a reasonable
7 expectation of the reliability of the power and the cost.

8 COMMISSIONER DEASON: And you say during the
9 early years that you experienced little if any
10 interruption at all?

11 MR. EMERSON: From '94 through last April we had
12 very, very few interruptions. We had relatively few
13 buy-throughs, very small.

14 COMMISSIONER DEASON: So you essentially had
15 firm service at a discounted rate?

16 MR. EMERSON: We had some interruptions that
17 were short in duration and they were infrequent. So I
18 guess if you consider that, yes, we did get a discount.
19 And we do have a straight base or a relatively constant
20 load during peak and off-peak times all the same, so we
21 have a base load that goes all the time.

22 COMMISSIONER JACOBS: Did you track the
23 interruptions across time?

24 MR. EMERSON: No. Up until last year we never
25 had any issues about power. So it was one of those things

1 that we never really worried about, which I would say is a
2 normal expectation.

3 COMMISSIONER JACOBS: What about last year, you
4 say they started in April?

5 MR. EMERSON: Since April we track it very
6 closely now.

7 COMMISSIONER JACOBS: Are they consistent or do
8 they vary over time?

9 MR. EMERSON: The interruptions?

10 COMMISSIONER JACOBS: Yes.

11 MR. EMERSON: When you look at the data, it
12 doesn't look like there is any type of consistency there.
13 It's just a lot of --

14 COMMISSIONER JACOBS: By peak. So you are
15 mostly getting in -- I guess my question goes to --

16 MR. EMERSON: You mean as far as throughout the
17 year?

18 COMMISSIONER JACOBS: If you look at a major
19 peak, you can pretty much guarantee there is going to be
20 an interruption, is that what you are saying?

21 MR. EMERSON: You know, I don't feel comfortable
22 answering that because I haven't actually looked at it
23 versus weather data or that sort of thing. As we looked
24 at it over all of last year and last fall, we actually
25 had -- we thought the interruptions would stop sometime in

1 September when the weather broke. We had interruptions
2 all the way through December.

3 COMMISSIONER JACOBS: That's it.

4 CHAIRMAN GARCIA: Mr. McWhirter, I think you are
5 up.

6 MR. McWHIRTER: My name is John McWhirter, and
7 I'm an attorney that has represented industrial consumers
8 of electricity for about thirty years. Prior to that time
9 I was an employee of the Public Service Commission and
10 kind of learned how things operated from inside of that
11 organization.

12 When this workshop was announced, a group of
13 non-firm customers got together to discuss the issues and
14 especially the questions that were posed in Chairman
15 Garcia's letter, and they shared experiences. And it has
16 been very interesting to go through these experiences. I
17 don't think -- we may not have time to do it all this
18 morning, so before I start I would like to introduce the
19 people who participated in that group and their companies
20 in case you don't get to them today. And I will go up the
21 rows. And if I miss somebody, I hope they will stand up
22 and say that they were missed. And I would also suggest
23 to you that they can tell their story much better than I.
24 I'm just kind of making an opening statement, and I would
25 hope that it will be very short.

1 In the first row we have Mr. Roger Yot
2 (phonetic), who is with Air Products Corporation. He
3 came down from Harrisburg, Pennsylvania to be here today.
4 In the third row there is Mr. George McFadden, and Mr.
5 McFadden came from Tonawanda, New York. And he can tell
6 you what happens around the United States. In the next
7 row we have Mr. Kevin Tennison (phonetic), who is with
8 Kendall Corporation, which makes medical equipment for
9 medical companies.

10 MR. GREENE: John, Kevin is not here. I'm the
11 plant manager.

12 MR. McWHIRTER: I'm sorry, Huey Green. Huey
13 Green, and I apologize. And I'm still on the right-hand
14 side. We have Richard Parteka (phonetic) and Steve
15 Jeffries, they are customers of Florida Power & Light and
16 Tampa Electric Company. They are in the cement industry.
17 Their company is known as Lafarge. Mr. Yot is a customer
18 of Florida Power Corporation. Mr. McFadden is a customer
19 of Florida Power & Light.

20 In the next row we have Roger Fernandez, who is
21 with Cargill Corporation (phonetic). In this row we have
22 the reticent Mr. Muhlhan, who is with Ameristeel, who used
23 to be a customer of Tampa Electric, and he used to be
24 customer of Florida Power & Light, and is now a customer
25 of JEA. And I asked him to come and tell you why that

1 was, but he is so reticent he may not do it.

2 Right behind him we have people from
3 International Paper. Mr. Rob Ayerst (phonetic) is here
4 from Memphis, Tennessee, and Mr. Kevin Demoyne (phonetic)
5 is here all the way from Plant City. Behind him is Henry
6 Lilley with CF Industries. Further back I see Steve Davis
7 who is with International Minerals and Chemicals. And I
8 probably missed somebody that I have overlooked. Is there
9 anybody that is going to talk in our group that I missed?
10 I think Ed Marlowitz (phonetic) was supposed to be here,
11 and David Heinz is here from Coronet Industries. He came
12 all the way from Plant City.

13 Our first speaker today is going to be Doctor
14 Hirsch, and he has been involved in the electric industry
15 since shortly before Thomas Edison was born. And he has
16 been in California on the east coast and in Florida, so he
17 has a vast historical experience of the electrical
18 industry from the industrial side of it.

19 The group last week said we have all talked
20 about this and we all know what we want to say and the
21 experiences of our company, but we would like you,
22 McWhirter, to prepare a learned paper on the subject which
23 would be our position paper, and kind of summarize our
24 positions and your understanding of what has happened in
25 the industry.

1 And, of course, with your experience with me,
2 you know it will not be a learned paper and you will find
3 that the utilities will find that most of the things I say
4 in here are woefully inaccurate and I would hope that they
5 will come and explain where they are. I mean, what the
6 real facts are.

7 The learned paper I won't go into, and it may
8 give you a headache to read it, but I will identify the
9 problem as we perceive it. And the problem is high
10 electric rates. And you will see Florida sticks out like
11 a sore thumb, and what that is telling you is that the
12 industrial rates in Florida -- I can't read that, but you
13 can see it in your position paper -- it goes from five to
14 six cents.

15 And the problem with those industrial rates is
16 that Florida competes with other states. And the states
17 that this industry competes with are located right here.
18 And they are located down here in the Caribbean basin and
19 they are located in China, and in Europe, and in India.

20 And when the people in Florida have high
21 electric rates, the industry has high electric rates, they
22 have a problem, and they have to address that problem. It
23 was not a problem until 1974. Until 1974 there was
24 competition. You don't realize that, but there was
25 competition in the electric industry in Florida. And the

1 utilities were far apart, but they were growing together
2 and they were trying to get the customers. And the big
3 customers were apparently desirable to the utilities and
4 they would compete in price.

5 And finally in the '60s, Florida Power and Tampa
6 Electric said what we will do is have a favored nations
7 clause. And we can fight for these industries, but
8 whichever one of you decide -- whatever one utility
9 charges, the other one can match that price. So that was
10 wonderful for the industries. They liked that. And they
11 liked the fact that they had been in the generation
12 business and Tampa Electric and Florida Power had taken
13 them out.

14 Tampa Electric bought their generators at more
15 than they paid for them. Florida Power bought their power
16 lines at more than they paid for them. And that was a
17 good deal, and the industry was very happy about that.
18 And they were happy about the competitive rates, and
19 Florida was growing and everything was going fine.

20 But then the OPEC crisis came in the '70s, and
21 Mr. McGinnis at Tampa Electric and Mr. Higgins at Florida
22 Power sat down in the back room over bourbon and branch
23 water and entered into a noncompete agreement with one
24 another. And that was a problem because that violated the
25 Antitrust Act.

1 And the Department of Justice came to Florida
2 and complained about them violating the Antitrust Act, so
3 that was resolved by legislation in 1974 that permitted
4 noncompetitive territorial agreements.

5 They divided up the territories and from that
6 point on rates began to go up. And the only source of
7 competition at that time was self-generation, which was a
8 significant source of competition, but the Fuel Use Act
9 was in place and oil prices were going up and interest
10 costs were going up. And the industry at that point in
11 time was not in a position to go to its number one
12 competitor, self-generation. That changed somewhat later.

13 The problem was high rates. And rates started
14 going up in the '70s. And when rates went up in the '70s,
15 industrial rates were soaring, utilities were very
16 concerned about the industry because they new that it
17 could -- it would still have to remain competitive, and so
18 it was very concerned about it.

19 And the industry was concerned about the
20 electric utilities. They gave them all the support they
21 possibly could in revenue procedures, and said we
22 understand you need the money, and we will help you in
23 that respect and they did help industry in that respect.

24 So, Florida Power came up with the idea, it went
25 to its competitive rate customers who were firm customers

1 at that time and said we have got a new deal in order to
2 keep your rates low. We will come up with what we will
3 now call the interruptible rate. But you don't have much
4 problem with the interruptible rate because our growth has
5 been going at something like 12 percent per year and now
6 that OPEC has come about, electric prices are going up and
7 demand has dropped as a result of those prices. And what
8 has happened to us is that we have got plenty of capacity
9 and we have new capacity in construction and you probably
10 won't have to worry too much about interruption.

11 In 1984, the old IS-1 schedule was dropped
12 because it was determined not to be cost-effective to the
13 utilities. And at that time they opened up the IS-3 rate.
14 Those customers were told that they would be
15 interruptible. But they were told that by a mutual funds
16 salesman, who said, look at our history and you will see
17 no interruptions in the history, no sweat. And so they
18 hadn't been sweating it until last year.

19 The other aspect of the problem is on Exhibit 3,
20 which is going to surprise you because you can't read it.
21 But what this is is a comparison of residential electric
22 bills. A Florida residential bill is right here. And I
23 have broken it down to Florida state average, and then
24 FPL, FPC, Gulf, and TECO. Fortunately, Gulf is in the
25 state and it brings down the state average.

1 Florida Power & Light, Florida Power, and TECO,
2 these are 1997 figures. They were published by the Energy
3 Information Agency of the Department of Energy. The
4 Energy Information Agency took the number of residential
5 customers, they took the revenues that the utilities get
6 from residential customers, they took the kilowatt hour
7 sales that they get from residential customers, and then
8 they took the cents per kilowatt hour. And they have all
9 of this information on reports that are given.

10 I'm not good at computers, but I went ahead and
11 added some other columns. And it was kind of interesting.
12 I took the rates times the average consumption of the
13 various companies -- states, and came up with what the
14 annual actual bills are. And you can see this in your
15 position paper. You can't see it very well here. But
16 what we find is that Florida residential customers have
17 the highest bills in the United States. These are
18 residential customers in the peninsular of Florida when
19 you leave Gulf out of it. And that is a problem.

20 When you see reports from the utilities, they
21 compare Florida's residential electric rates to other
22 states. And other states have higher rates. But if you
23 will go back to the eighth grade and remember those very
24 difficult word problems you had where the train left
25 Cleveland and it went to Cincinnati, and it was traveling

1 at a rate of thirty miles an hour, and it took so much
2 time, and you were able to figure out the distance. Well,
3 the same thing happens when you are dealing with electric
4 bills for residential customers. It is a rate times time
5 equals not distance, but bill.

6 And these states that have the high rates that
7 are considered to be much higher than Florida, they have
8 less time in the purchase of electricity because for some
9 reason or another their climates are milder. And so when
10 they say that, compare San Diego, California and show that
11 its bill is 24 percent higher, the average residential
12 bill, and instead of using the actual consumption they use
13 1000 kilowatt hours, it makes San Diego look a lot worse
14 than Plant City.

15 But in truth and fact, San Diego has a very mild
16 temperature, and the average customer in San Diego,
17 California only has a monthly bill of around \$60. So what
18 happens is a Florida Power & Light customer's bill is
19 really 30 percent higher than California where the rates
20 are high.

21 So why do we as industrial customers get
22 concerned about high residential bills? The reason we get
23 concerned is residential customers want to do something
24 about their high bills, also. And they were offered an
25 opportunity through the conservation surcharge. A

1 resident can reduce his bill if he will agree to have his
2 heating turned off in the wintertime when it is cold and
3 his air conditioning turned off in the summer time when it
4 is hot. And that was a highly successful program for
5 Florida Power Corporation. They signed up 532,000
6 customers, residential customers who wanted to reduce
7 their electric bill.

8 You say, well, these people are interested in
9 conservation and the greenness and so forth. But the fact
10 is if they were interested in that they could have done
11 the same thing by turning up their thermostat or turning
12 off the lights. What they were interested in, they were
13 elderly retired people, and they are interested in low
14 electric bills. This was an opportunity to lower their
15 electric bills. And so they went after it in droves.

16 Almost half of Florida Power Corporation's
17 non-firm or residential customers are on this non-firm
18 rate. So you don't plan plant for them. And they are
19 part of the reserve margin. The only problem with that is
20 that in the summer of 1998 when they cut off the air
21 conditioning, those people didn't like it. Sixty thousand
22 of them departed the program. And they can do that with
23 thirty days notice. So when you rely on that for
24 long-term, non-firm service, that is a problem.

25 We have had mild winters. Can you imagine half

1 a million residential, elderly residential customers in
2 the west coast of Florida up to DeLand not having heat if
3 we have a ten-day cold spell? That is going to be a
4 serious problem.

5 And it brings up problem number two, which is
6 what has happened in the interim. Well, what has happened
7 in the interim is these conservation surcharges that
8 utilities are allowed to keep are designed to stop
9 constructing new power plants. They are designed to stop
10 constructing new power plants. And that is part of our
11 conservation program.

12 The beauty of it for the utility is that under
13 your procedure a utility can get firm rates for providing
14 non-firm service. He can get firm rates for providing
15 non-firm service. What they do is they give a discount to
16 the customers who are willing to become non-firm, half of
17 them, and then they charge all the other customers a
18 surcharge and keep the money.

19 So what happens is they are getting firm rates.
20 You wouldn't want to build a power plant if you could get
21 the price that you get for having a power plant without
22 having to build it. So that is nice. And customer growth
23 has come up. And the large capacity margin that we had in
24 the late part of the '70s, and as late as 1984 when Tampa
25 Electric Big Bend unit came on and we had a 40 percent

1 excess capacity has now evaporated. And that reserve
2 margin has gotten slimmer, and we have seen the light. It
3 is kind of like a talk I give sometimes about the canary
4 in the mines. The canary are the non-firm customers and
5 it is not chirping anymore, it is beginning to gag. And
6 we have gagged a lot.

7 So what if you took the -- put all the non-firm
8 customers back into the mix, what would you have? And
9 Exhibit 4 will show you what we have, and how Florida
10 compares with the rest of the United States. Now, Florida
11 has the Florida Reliability Council. And if you bring in
12 all the customers' demands we will find that the
13 generating plant available to Florida from all sources has
14 a reserve margin of 2.7 percent.

15 Now, these aren't generating plants that run all
16 the time, they are generating plants that run 75 percent
17 of the time. They are generating plants that are
18 approaching the end of their useful life. They are thirty
19 years old. They are nuclear plants with which we have had
20 problems. And they are big plants. So when a big plant
21 goes down, it must have problems.

22 How do we stand with the rest of the United
23 States when you take total demand? Florida is worst. The
24 FRCC has Florida with only. Our neighbor to the north is
25 SERC and you will see how they are. So your power out of

1 state is going to come from SERC to that. But, my guess
2 is that that may be a problem, too.

3 A problem with this number is that major Florida
4 power plants are located in Georgia that are part of the
5 installed capacity. So those power plants may be called
6 on by Georgians, as they can do under Georgia law in the
7 event of a power emergency, and you won't even get what
8 our installed capacity is.

9 Now, let's look at Exhibit 5.

10 COMMISSIONER DEASON: Which plant is that? Are
11 you talking about Plant Scherer?

12 MR. McWHIRTER: Yes.

13 COMMISSIONER DEASON: What is the Florida
14 capacity of that plant?

15 MR. McWHIRTER: I think it is 400 megawatts.

16 COMMISSIONER DEASON: How does that compare to
17 all the capacity in the state?

18 MR. McWHIRTER: That is 1 percent, I guess.

19 COMMISSIONER DEASON: One percent?

20 MR. McWHIRTER: Yes. But if you are dealing
21 with 2.7 percent, that is half of what you've got. And
22 the question is are the others going to work. Put up 4,
23 please. I mean 5. Now, the numbers at the top are
24 extracted from Florida Power & Light's ten-year site plan.
25 And the columns, it doesn't look likes it fits on the

1 form, but the columns on the black shows the total demand
2 of that company's customers. And the column on the left
3 shows Florida Power & Light's owned capacity.

4 Now, I don't want to mislead you and let you
5 think that the demand is presently far exceeding the
6 capacity of Florida Power & Light.

7 CHAIRMAN GARCIA: I'm sorry, I missed you. On
8 the bottom graph --

9 MR. McWHIRTER: Okay. Look at 1999. The left
10 column, and the left column on each one of the years is
11 Florida Power & Light's installed capacity.

12 CHAIRMAN GARCIA: Okay.

13 MR. McWHIRTER: The one on the right is the
14 demand of all of Florida Power & Light's customers, firm
15 and non-firm. It doesn't have the installed capacity to
16 meet them. It has to go out and buy --

17 CHAIRMAN GARCIA: Does that include
18 interruptible customers?

19 MR. McWHIRTER: That includes interruptible and
20 includes DSM, it includes all of their customers.

21 CHAIRMAN GARCIA: Okay.

22 MR. McWHIRTER: And so Florida Power & Light
23 buys power elsewhere to serve that total demand, if it
24 can. Go to Schedule 6, if you will.

25 COMMISSIONER CLARK: Mr. McWhirter, just so I'm

1 clear, when you say it goes and buys from other sources if
2 it can, are you saying it is non-firm power?

3 MR. McWHIRTER: We think it is firm power. It
4 is represented as firm power. I will get to that in just
5 a minute.

6 CHAIRMAN GARCIA: Let me just introduce
7 Commissioner Clark, who just got out of Orlando. But I
8 told you she would be here and here she is.

9 MR. McWHIRTER: I would like to hasten to say
10 that you are not going to see a lot of indignant Florida
11 Power & Light customers at this meeting because Florida
12 Power & Light's customers have had a good experience in
13 the last few years. They have not been interrupted, they
14 have only been subjected to modest buy-throughs, and their
15 rates have benefited quite substantially because Florida
16 Power & Light is selling power to Florida Power and Tampa
17 Electric at high prices. And the Florida Power & Light
18 customers are getting lower bills as a result of those
19 credits. Unfortunately, Tampa Electric's customers are
20 getting much higher bills.

21 But here we are for Florida Power Corporation,
22 and you will see that the Florida Power Corporation's
23 installed and owned capacity is woefully insufficient. It
24 must rely on power from other sources. Okay. If you will
25 give us the next one, please, sir. Here is Tampa

1 Electric. Once again, the left column is what Tampa
2 Electric owns, and the right column is what all the
3 customers, including the non-firm customers would demand
4 if the forecasts are right and if the customers want to
5 get served rather than be cut off. So that is Tampa
6 Electric.

7 Each of these three utilities, which provide
8 somewhere between 80 and 87 percent of all the power in
9 the state, don't have enough capacity to meet their own
10 load. They have to buy it from somewhere else.

11 Where is it they buy it from? Well, let's go to
12 Exhibit 8, please. This is taken from the FRCC study that
13 was filed in August of last year and it shows you all of
14 the capacity of Florida utilities. And you will see that
15 Florida Power & Light is big; and JEA is big; and Orlando
16 is pretty big. Seminole is kind of big. Florida Power,
17 of course, is big, and Tampa Electric. There are the big
18 three.

19 But these other municipal utilities are the
20 other utilities in the state. And do they have the
21 capacity to provide for the shortfall? Probably not.
22 They might not have the capacity to supply their own needs
23 and they may be calling on the big three for power.

24 If you will slip that up a little bit you will
25 see where the power comes from. It comes from non-utility

1 generating facilities, 2,076 megawatts which is a fairly
2 substantial percentage of the total capacity in the state.
3 I'm using the left column rather than the right column
4 because the left column shows the summer peak period. And
5 in the summertime the generators are less efficient than
6 they are in the wintertime. But the problem is in the
7 summertime is when the big, continuous, persistent demand
8 goes on, and these generators are called upon to perform.
9 Let's see what Exhibit 9 is.

10 COMMISSIONER CLARK: Just so I'm clear, Mr.
11 McWhirter, on the non-utility generating facilities, are
12 those QFs?

13 MR. McWHIRTER: As far as -- all that says is
14 non-utility, but I think they are primarily QFs. And now
15 that you have raised that question, QFs provide power and
16 they have firm contracts, and they --

17 CHAIRMAN GARCIA: Just because we have a bigger
18 audience, I know we are sort of the audience, but you
19 might want to just explain what QFs are real quick.

20 MR. McWHIRTER: A QF is a qualifying facility.
21 In the Public Utilities Regulatory Policies Act of 1978,
22 Congress determined that they had to do something about
23 energy problems because prices were high in 1978; much
24 higher than they are today, in fact. And what they did
25 was they wanted to encourage a conservation of the energy.

1 And so they said if an industrial customer can use steam
2 both for its process and use the waste heat for making
3 electricity, or vice versa, then we will call you a
4 cogenerator and we will require the utilities to buy your
5 electricity at the price they say it would cost them to
6 produce it.

7 So these companies went out and they invested in
8 non-utility generators. And in the last 15 years, and
9 this is just an estimate on my part, and I hope you will
10 check it, I think the vast majority of new capacity that
11 has been built in the state has been built by industrial
12 cogenerators as opposed to utility companies.

13 COMMISSIONER CLARK: When you have -- would that
14 figure relate to the figure you have on Exhibit 5 in the
15 column "purchased capacity"?

16 MR. McWHIRTER: With the time constraints I have
17 not tried to reconcile the numbers. And the numbers come
18 from different sources. And that's why I would really
19 like it if the utilities would come and explain why it is
20 that I am lying to you.

21 COMMISSIONER CLARK: You have installed
22 capacity, and that is what the utilities own and generate
23 from.

24 MR. McWHIRTER: Yes, ma'am.

25 COMMISSIONER CLARK: And then you have purchased

1 capacity. Can we assume that purchased capacity would be
2 the same as non-utility generating facilities or not?

3 MR. McWHIRTER: No. I think that is the vast
4 majority of it. But there are also other contracts. And
5 the main difference between a PURPA contract and the other
6 contracts is the degree of scrutiny that you give to the
7 contracts. You are very careful with PURPA contracts.
8 There are big penalties for an industrial customer that
9 doesn't produce the energy that it promises to produce.
10 But any electricity that comes from another source, I'm
11 not sure what consideration, if any, your Commission gives
12 to that.

13 CHAIRMAN GARCIA: We will certainly ask staff to
14 look in and answer that question for us. I'm sure the
15 companies will be more than happy to dispute your numbers.

16 COMMISSIONER JACOBS: Mr. McWhirter.

17 MR. McWHIRTER: Yes.

18 COMMISSIONER JACOBS: That category would also
19 include this growing trend of subsidiaries of companies
20 that have generation, nonregulated independent
21 subsidiaries. Would that be in that latter category, as
22 well?

23 MR. McWHIRTER: Oh, yes, I would think so. If
24 you have Hardee Power that sells to Tampa Electric, then
25 that is -- some people would call it a merchant plant, I'm

1 not sure what Tampa Electric calls it. Mr. Long appeared
2 before the Supreme Court last week, and he said something
3 that was very encouraging to me in answer to one of the
4 Justice's questions. They said, "How is Tampa Electric in
5 its merchant operations different than the merchant plants
6 that these other people have?" And he said, "Well, the
7 main difference is before we build something we have to
8 show a need for it. And it is subject to the Public
9 Service Commission's demand for the retail class. And our
10 power can be recalled."

11 Now, I may be misstating what Mr. Long said.
12 And I would hope you would look at the video. But if
13 that is the case, I think that will be something that you
14 really could do for the benefit of Tampa Electric's
15 hurting customers, recall some of the wholesale sales. Of
16 course that might hurt some of the other utilities in the
17 state, and so you have got a problem.

18 Why is it that we are so upset? Well, Florida
19 Power had a bad year last year when its two big coal
20 plants, one and two at Crystal River, were down. But here
21 is what happened in 1999 for Tampa Electric. This is
22 something that it filed with you. And these are the times
23 when customers, some of its customers didn't receive any
24 power at all. If you go to Exhibit 10 you will see the
25 impact of TECO's shortfall on customers in 1999. And this

1 is taken from a report that it files with you. You will
2 see that customers as a whole paid \$49 million extra for
3 purchased power from other utilities during Tampa
4 Electric's inability to serve from its own generation or
5 from its contracts. And interruptible customers paid
6 9.8 million. Together they paid \$59 million in extra
7 purchased price costs.

8 Interruptible customers paid about 10 percent of
9 the 49, and that is the 5.4 million down here. They paid
10 all of the 9.8. So these 57 customers that your staff
11 told you about last year paid \$15.2 million more for
12 electricity because Tampa Electric was unable to serve it.

13 COMMISSIONER DEASON: How does that compare to
14 the discounts they have enjoyed over the years, Mr.
15 McWhirter?

16 MR. McWHIRTER: Well, I'm glad you used the word
17 discount. Because what are you talking about? If it is a
18 discount from a high industrial rate that is higher than
19 anywhere in the state --

20 COMMISSIONER DEASON: Mr. McWhirter, you know
21 our rates are cost-based in the state based upon what it
22 costs to produce it. If it costs more to produce it here,
23 so be it. But I don't understand -- what is the
24 relevance of what the other states charge? I know there
25 is a relevance in the sense of where companies have to

1 make economic decisions to where they locate or expand.
2 I'm certainly aware of that. But the fact is is that we
3 set the rates based upon what it cost. And you have been
4 through rate cases, and there is always lots of issues and
5 people debate as to what the cost is. But I think we all
6 agree that we try to base it on cost. There is a lot of
7 issues as to what cost is. So I'm trying to understand
8 what the relevance is.

9 MR. McWHIRTER: When you use the term discount,
10 I presume you are referring to the price difference
11 between the firm industrial rate and the interruptible
12 industrial rate.

13 COMMISSIONER DEASON: Yes.

14 MR. McWHIRTER: I would suggest to you that none
15 of the large customers would go to the firm industrial
16 rate. They would do what Mr. Muhlhan's company has done
17 and leave the territory. They would do what other
18 companies have done and not locate in Florida. They would
19 do what most of the phosphate industry has done and
20 self-generate. They can self-generate and pay for the
21 self-generator in a period of three or four years and get
22 substantially cheaper power for the remaining useful life
23 of that plant.

24 Some companies, the small people that are going
25 to talk to you today, can't self-generate. Their energy

1 cost is not such a major portion of their power that they
2 cannot still be competitive and pay firm rates. They
3 would like to go back, but they can't.

4 What has happened with interruptible customers
5 who don't want to pay the firm rates and had to pay
6 interruptible to get competitive, and for the residential
7 customers who wanted to get a lower bill, we now have the
8 non-firm service, it is somewhere between 60 and 80
9 percent of the reserve margin. Mr. Yot prepared an
10 exhibit for me from the utility's ten-year site plan
11 filings, which is Exhibit 13, and he concludes that the
12 reserve margin totally eats up the total demand of the
13 customers. That appears on -- come back down again. Here
14 you are.

15 The first column is FPL in '99 and 2008. It
16 still has an 8 percent reserve margin in 1999 according to
17 Mr. Yot's extraction of information from the ten-year site
18 plan on Line 13. Neither Florida Power Corporation nor
19 Tampa Electric could meet the total demands of all their
20 customers in the peak periods. Of course, the
21 interruptions frequently occur in the nonpeak periods when
22 you can't interrupt the residential class, because the big
23 generators are down for maintenance, and another generator
24 goes down.

25 And that is Exhibit 11. Here is a typical

1 Indian summer day for Tampa Electric. This column shows
2 its installed capacity. This column shows the installed
3 capacity that is unavailable. This column shows that it
4 had a bunch of capacity down for maintenance on
5 October 20th, and then it had a forced outage of another
6 925 megawatts.

7 Now this is a normal day, this is not unusual.
8 If you look at that exhibit and examine it carefully, and
9 I'm taking too much time so I'm not going to go into it,
10 but on that day Tampa Electric was selling a substantial
11 amount of power on the wholesale market and then buying
12 back power. They still came up 300 megawatts short and
13 interrupted their customers.

14 And this happened, as we see in the earlier
15 exhibit, quite a number of times last year. It portends
16 to happen even more this year unless something dramatic
17 happens, because the FUMPA contract is now going to be
18 satisfied, 165 megawatts is going to be satisfied from the
19 Tampa Electric native capacity along with 149 megawatts of
20 Big Bend. And we found when Florida Power Corporation
21 filed its FERC filing for the merger with CPL it has got a
22 long-term contract of 60 megawatts from Tampa Electric
23 that wasn't even mentioned anywhere else.

24 So we think we have a problem. And I'm going to
25 wind it up now unless you have questions for me, and ask

1 some of our people to talk to you. And the first one is
2 Doctor Don Hirsch, Thomas Edison's good friend.

3 COMMISSIONER CLARK: Mr. McWhirter, let me just
4 ask you a question. You mentioned that FPL sells to
5 Florida Power Corporation. At what price do they sell
6 that power? You said it was a high price. How is that
7 price set?

8 MR. McWHIRTER: Well, they filed a rate case
9 with FERC back about four years ago, and they said, wait a
10 minute, it looks like we, Florida Power & Light, are the
11 reserve standby capacity for the rest of the state. They
12 said Tampa Electric is not maintaining its system well,
13 and they are calling on us for this capacity. And so we
14 don't want to have to sale that capacity, we want Tampa
15 Electric to do right.

16 And so the Commission responded and Florida
17 Power and Tampa Electric responded and said, you are
18 right, we won't require Florida Power & Light to sell at
19 the regular price to serve your interruptible customers
20 because they are part of your reserve margin for the
21 state.

22 COMMISSIONER CLARK: Let me ask you this. Is it
23 a cost-based rate?

24 MR. McWHIRTER: I think it is a market-based
25 rate. It's what they call an opportunity cost rate. They

1 said we don't want to sell at Schedule A or Schedule B,
2 which is emergency power, we want the opportunity cost
3 rate.

4 COMMISSIONER CLARK: But at any given time they
5 can't say today we are going to sell it at X amount, it is
6 in their tariff what they will sell it for.

7 MR. McWHIRTER: I will defer to Mr. Waters on
8 that. He can tell you how they charge for that. We know
9 that they got \$100 million. We also know --

10 COMMISSIONER CLARK: Where does that money go
11 back -- does it flow back to the retail rates of FPL?

12 MR. McWHIRTER: It flows from the Tampa Electric
13 customers to the FPL customers.

14 COMMISSIONER CLARK: So that the FPL customers
15 are not paying for the reserves of the Tampa Electric
16 customers, isn't that the logic behind it?

17 MR. McWHIRTER: I guess that is a wonderful way
18 to put it. All we know is that we paid --

19 COMMISSIONER CLARK: Would that be correct?

20 MR. McWHIRTER: -- another 15 million that we
21 didn't expect to pay.

22 COMMISSIONER CLARK: Would that be correct?
23 That way if you didn't sell it, if you sold it such that
24 the FPL customers were paying for that extra margin of
25 reserve, then they would be paying for the reserve margin

1 that Tampa Electric customers would use. Would that be
2 correct?

3 MR. McWHIRTER: Yes, I think that is right, yes.
4 So, I guess -- but what has happened from the
5 interruptible viewpoint, customers' viewpoint is that his
6 risk -- he is not at risk just to serve the Tampa Electric
7 load now, he is at risk to serve the Florida Power & Light
8 load. And since we are moving from a winter peaking state
9 to a summer peaking state, the circumstances are far
10 different in the summertime. And Florida Power & Light
11 needs it power maybe for its own customers with its aging
12 system.

13 Now, one of the issues -- I'm glad you delayed
14 me from quitting -- is merchant plants. What I have
15 talked to you about is we have gone from problem number
16 one, which was high rates, to problem number two, ways to
17 avoid high rates as interruptible service. And so now we
18 don't have adequate capacity. What is the answer to that?
19 The obvious short answer is build more power plants.

20 The next question is who should build the power
21 plants? And that is a decision that you made last year
22 when you said it makes some sense to have merchant plants
23 build them. And we think that probably makes sense,
24 because those plants won't go into rate base as the
25 Florida Power & Light reserve would. And if they don't

1 have to -- if they don't have to put it them in the rate
2 base and only use it when the power is cheaper than the
3 home-produced power, to us that makes a lot of sense.

4 We may not understand all the issues, but on the
5 surface the whole thing is controlled by the law of supply
6 and demand. And there is a great benefit to utilities to
7 have a low supply if they think deregulation is coming.
8 It is a great benefit to them to build up a fence at the
9 border of Florida to keep other capacity from coming in.
10 So capacity needs to be built in Florida and the question
11 is who builds it. Doctor Hirsch --

12 CHAIRMAN GARCIA: Thank you, Mr. McWhirter.

13 MR. MCWHIRTER: You're welcome.

14 CHAIRMAN GARCIA: Yes, sir.

15 MR. GANDA: Tom Ganda (phonetic), Vice
16 President of Regulatory Affairs with Tampa Electric, and I
17 would very much enjoy to engage Mr. McWhirter on some of
18 the misinformation and mischaracterizations. But the only
19 thing I would like to clarify, Mr. Chairman, is the
20 characterization of the Hardee Power Plant as a merchant
21 plant. A hundred percent of that capacity is under
22 contract by both Tampa Electric and Seminole Electric.
23 But I will address that later.

24 CHAIRMAN GARCIA: Very good. And let me just
25 say that I expect -- clearly we probably won't have time

1 here today, because we are scheduled to end this today at
2 1:00 o'clock. But I would expect that in our Tampa
3 hearing, which is on the 27th, that TECO and the other
4 companies that wish to can address some of the issues that
5 have been brought up here. I think it is a good
6 opportunity to discuss that and get that on the record
7 that we are going to be look at.

8 MR. GANDA: Rather than doing that here, we need
9 to wait until the meeting --

10 CHAIRMAN GARCIA: If we run out of time here.
11 We are going to be running tight on time, and we knew it
12 from the get-go. But part of the issue isn't necessarily
13 your fault, it's that we need to get back to Tallahassee
14 for agenda tomorrow to do other issues. But I think we
15 have got -- hopefully we will have ample time at the Tampa
16 hearing. And there is one more hearing that we just
17 haven't found a date for which is going be in FPL's
18 service area. Sir.

19 DR. HIRSCH: Thank you. First, as Mr. McWhirter
20 said, I am here to try to put this into some kind of
21 historical perspective. But first let me introduce myself
22 and give my background. I'm Donald Hirsch, I have a B.S.
23 in Mechanical Engineering, and a Ph.D. in Chemical
24 Engineering and --

25 CHAIRMAN GARCIA: Doctor Hirsch, you will

1 probably be heard better if you sit down and take the mike
2 and look at us. You may have given them your back, but you have
3 got a presentation and that way they will hear you.

4 DR. HIRSCH: Very good. That is more
5 comfortable for me.

6 CHAIRMAN GARCIA: Great.

7 DR. HIRSCH: I retired in 1991 from the position
8 of Director of Technical Services at IMC. And since then
9 I have been consulting. I first became intimately
10 involved in cogeneration and self-generation when I joined
11 American Potash in Trona, California back in 1962 to head
12 their process engineering group. And later as a technical
13 assistant to the President of Kerr McGee (phonetic), and
14 then chief process design engineer.

15 I was part of a group that was responsible for
16 the design, construction, and startup of a \$275 million
17 plant in Trona that included two 32-megawatt coal-fired
18 generating units. The first coal-fired units that had
19 ever met California's very strict environmental
20 regulations. I joined IMC in '81, and have been active
21 since then in Florida cogeneration matters, both within
22 IMC and before the Public Service Commission.

23 When electricity became indispensable to
24 industry in the late 19th century, there were no utilities
25 to provide it. Electricity was made available either

1 through entrepreneurs building independent plants to serve
2 a small community or by self-generation in the industry
3 itself. Sometimes the industry also provided electrical
4 service to the neighboring communities.

5 When the American Potash plant was built in the
6 early part of the 20th century in California, there was
7 neither electrical service nor railroad access nearer than
8 80 miles. So the company built its own railroad and its
9 own electrical generation system. The company provided
10 electricity for the company town as well as for the plant
11 itself. And it wasn't until 1954 when they sold off the
12 company town that there was a utility line into the valley
13 at all.

14 The plant continues to generate its own
15 electricity today as being the most reliable and the least
16 expensive source available. And in the same manner, IMC's
17 predecessor company provided power from their own
18 generators to the people of Mulberry. IMC continued to do
19 so until TECO brought their lines east and took over the
20 service in 1924.

21 There were good economic reasons why the
22 investor-owned utilities took over the responsibility of
23 building and operating generation plants to serve the
24 communities and the industrial and commercial
25 establishments. They could bring to bear the latest in

1 technology which combined with the economy of scale
2 allowed them to produce and distribute electricity far
3 cheaper than the small independent or industrial
4 facilities.

5 Moreover, with the multiplicity of generating
6 facilities, the diversity of loads, the interconnected
7 distribution systems, they offered a high level of
8 reliability.

9 Because generating, transporting, and delivering
10 electricity appeared to be a natural monopoly, the '50s
11 and '60s saw the spread of regulation of the utilities,
12 and the early '70s saw the zenith of the electrical
13 utilities. Fuel costs were at an all time low in constant
14 dollars. The shine had not yet come off the atomic
15 plants. And new and modern plants were being installed
16 with all the bells and whistles that technology could
17 provide. Electricity was being generated at heat rates
18 lower than ever before achieved. Costs were low,
19 reliability high.

20 But then came OPEC's moves in the early '70s.
21 Fuel prices soared and things have been downhill since
22 then. Small cars became the rage. With the encouragement
23 of the new FERC rules, the industry began to look at
24 becoming a qualified facility and doing some
25 self-generation or cogeneration. The utilities fought

1 back with some price concessions and special rates, but
2 mostly in the courts. In many states laws were passed
3 that permitted self-generation only if all of the output
4 was sold to the utility for a price based on their
5 marginal rate and then repurchased from the utility at the
6 full rate.

7 By the early '70s and early '80s, most of the
8 states' public service commissions had led the way through
9 this legal and emotional minefield to come up with some
10 compromises. Non-firm rates were introduced,
11 self-generation rules were established. Florida saw
12 non-firm rates embraced and self-generation pop up in
13 almost every industry, principally citrus, sugar, and
14 phosphate. The controversy still goes on.

15 The bottom line is economics, and how economics
16 has to consider both cost and reliability. The lowest
17 priced electricity is of absolutely no value if it is not
18 reliable. An idle plant is not economic. Therefore, if
19 industry can find a way to reduce their energy costs
20 and/or increase the reliability of their service, they
21 will. If the utilities, with the backing or urging of the
22 Florida Public Service Commission, cannot solve the
23 problem, then industry will have to do it by themselves.

24 Industry has no government protection. Its
25 customers are not prohibited from buying from another

1 producer. It is not guaranteed a profit. It has
2 competitors in other states and abroad. Foreign
3 competition is in many cases our most serious threat.
4 They must keep their costs low and their quality high.

5 Some will run to other parts of the country or
6 the world where reliable power is available at lower cost.
7 Several companies have shut down and moved out of Florida.
8 For others, like the phosphate fertilizer industry, that
9 alternative, although available, is not nearly as
10 attractive. They must first turn to self-generation or
11 other sources of electricity.

12 There have been some doubters saying that
13 industry will not really do this, but they will. For
14 example, in the mid-'80s, IMC was often generating more
15 electricity at the New Wales plant than could be consumed
16 within the plant. Because the value placed on this excess
17 electricity was so low, we tried to get TECO to wheel our
18 excess electricity to a nearby mill to reduce their costs,
19 the mill's costs, and minimize outages.

20 I announced at a Florida Public Service
21 Commission meeting where we were trying to get this
22 limited wheeling approved that if wheeling could not be
23 made available we would install a tie line to that mill.
24 Both TECO and the Florida Public Service Commission
25 members said they thought I was bluffing. Wheeling was

1 denied, and we built the tie line. It is in still in use
2 today.

3 I chose these examples to illustrate what
4 industry must do to remain competitive. And they will do
5 it whenever it is necessary. They have chosen to take
6 interruptible service in spite of the possibility of
7 interruption. The obvious question is if interruptible
8 has become so unreliable as to approach the intolerable,
9 why don't the large industries take firm power?

10 The answer is a few might elect to do that if
11 they were not prevented by the five-year limit. But the
12 large industries for whom power is a large fraction of
13 their costs simply can't afford to do it. The phosphate
14 industry could not survive with power costs of that level.
15 Its principal best competitors are in Idaho where power
16 costs a third less than in Florida. Actually, firm in
17 Idaho is about the same as Florida's interruptible
18 according to a recent DOE report.

19 Foreign competitors are even better situated.
20 No, those that would stay in business probably would go to
21 self-generation completely. Alternatively, they would
22 contract directly with power marketers if that opportunity
23 were to become available. Industry is not promoting power
24 marketers, or any other single solution to their problem,
25 and they do have a problem. The phosphate industry's

1 eroding profits testify to this. The loss of good paying
2 jobs hurts all of us in Polk County. Indeed, all of
3 Florida.

4 The industry is looking at everything they can
5 do to regain their competitive edge and get back to
6 economic health. Electrical costs are high. And as more
7 and more people are depending upon electricity for their
8 quality of life, it is becoming more and more expensive.
9 Based on '97 FERC reports, the average Florida residential
10 customer's utility bill is higher than in any other state
11 in the union except Hawaii and Texas.

12 True, the Florida customers consume more
13 electricity, but they have nowhere else to turn. If
14 natural gas were available, it is probable that many of
15 them would opt for gas stoves and furnaces. Perhaps
16 ammonia cycle refrigerators or even air conditioners would
17 become popular. I know in Maine when they shut down the
18 atomic plants, I have a summer home up there, and the
19 electricity tripled in value. And every one of us put in
20 oil furnaces. We just simply could not continue to heat
21 with electricity.

22 We seem to be coming full cycle. The cost of
23 electricity is high and reliability is being eroded as
24 demand increases and reserve capacity is being taken up by
25 contracts to supply power outside of the system. Current

1 costs are attracting venture capital to compete with
2 utilities just as happened, but in the opposite direction,
3 in the early years of the last century. The direction is
4 back to the independent power producer, that is the
5 merchant plant, and to industry self-generation. In fact,
6 several states, driven by high consumer electric bills,
7 but not as high as Florida's, have deregulated the
8 generation of electricity completely. The latest is
9 Maine, where this takes effect in March.

10 I would like to close with a quote from the
11 Maine Public Utilities Commission's web site. They
12 publish a web site guide for those of us who have to
13 respond to this deregulation, and they say this, quote,
14 "Maine is opening up its electricity supply to a
15 competitive market. These changes are a result of state
16 legislation passed in 1997 in which Maine joined more than
17 a dozen states currently restructuring their electrical
18 markets. Electric restructuring is an important issue for
19 Maine and New England, since we have some of the highest
20 electric rates in the country," end of quote. The article
21 closes by saying that competition will, quote, "encourage
22 greater efficiency in electric generation."

23 Non-firm service does not appear to be doing as
24 good a job of reducing rates as was hoped at its
25 inception. Higher than ever frequency of interruption,

1 increasing cost of buy-though power adds to the serious
2 erosion of the industry's ability to compete in today's
3 markets. Industry is suffering and layoffs and plant
4 closures are occurring here in Polk County. There may be
5 other factors, but energy costs are significant.

6 It is most encouraging that the Public Service
7 Commission is aware of these problems; is favorably
8 considering merchant power producer to increase the
9 generating capacity in Florida; and is also conducting
10 these workshops to seek a solution. Now, I will pass it
11 on to my colleagues now to talk about their details of the
12 problem.

13 CHAIRMAN GARCIA: Thank you very much.

14 MR. McWHIRTER: Mr. Chairman, our next witness
15 is Kerry Temoin with International Paper Company.

16 MR. TEMOIN: Good morning. Again, my name is
17 Kerry Temoin. I'm facility manager for International
18 Paper Company in Plant City. Our facility has --

19 CHAIRMAN GARCIA: Hold your mike up.

20 MR. TEMOIN: Our facility is located at 2104
21 Henderson Way in Plant City, Florida. Our electrical
22 supplier is Tampa Electric, and we are part of their IS-3
23 rate. At our peak demand we are just over about a
24 3-megawatt facility.

25 The facility opened in 1992 employing 125 team

1 members. The primary purpose of the business to service
2 the packaging needs of the fresh orange juice market here
3 in Florida. Our business has continued to grow. And in
4 1997 International Paper embarked on a plant expansion
5 which doubled the size of the facility to 300,000 square
6 feet. We currently employ over 200 team members with an
7 annual payroll of over \$6 million.

8 Much of our frustrations with the utility is
9 that we are not informed about the critical state of the
10 electrical power here in Florida. Had we known what we
11 know today, perhaps we would not have made the expansion
12 here in Florida. To the minimum, we would at least have
13 devised the expansion to allow us to deal with and
14 mitigate the interruptions that have occurred,
15 particularly in the last 12 months.

16 The primary reason why our business has grown is
17 due in part to our ability to develop an inventory system
18 with our customers here in Florida to try to live to a
19 just-in-time type of material supply. Our customers are
20 dependent on our facility to service their immediate needs
21 for packaging as our warehouse is really an extension of
22 their facility.

23 To service our customers we operate the plant 24
24 hours a day, five days a week. As such, we do not have
25 the ability to move production to those off-peak hours.

1 We are the only gable top (phonetic)
2 manufacturer remaining in Florida, although our direct
3 competition ships into Florida every day. We compete in
4 an extremely competitive environment with other types of
5 packaging systems. This forces us, as it should, to
6 continually improve the process to fulfill our present and
7 future needs of our customers. This is the primary reason
8 we invested an additional \$30 million into our plant over
9 the last two plus years in expansion and additional
10 capacity.

11 The current condition of dependable electrical
12 power has changed significantly since we first signed our
13 IS-3 tariff with TECO in 1992. TECO has failed to keep
14 the pace with their responsibilities to service the
15 growing demand for power in terms of both installed
16 capacity and reliability. In particular, the level of
17 reserve margin and how it is comprised has changed
18 dramatically over the last eight years to the extent that
19 it has placed the non-firm users into a compromising
20 position. To add to this condition, the cost of
21 third-party purchases has hit obscene rates that we are
22 unable to do anything about. I am gravely concerned with
23 what is in store for the IS-3 customers in 2000.

24 In 1999, we experienced numerous demands for
25 mandatory curtailment as well as power interruptions. The

1 Plant City facility lost over 300 hours of equipment down
2 time due to TECO's inability to manage their system.
3 These production outages impact our ability to not only
4 service our customers, but to allow many of our Plant City
5 team members a safe opportunity to earn a full weeks
6 wages.

7 To add to this situation, in 1999 we were
8 charged an additional 16 percent to our total electrical
9 bill for third party purchases. This is four times what
10 it was in 1998 and ten times what it was in 1997. So far
11 in 2000 this trend continues to increase at an alarming
12 rate.

13 The only solution TECO has offered is for us to
14 formally request to be switched to a firm rate and wait
15 five years to qualify or pay three-quarters of a million
16 dollars in penalties to get off the IS-3 rate.

17 Another option that was offered was from one of
18 their affiliate companies to install backup generation at
19 a cost of over a million dollars. We are in the business
20 to make packaging for our customers, not generate
21 electricity. Many of my customers have long-term
22 contracts to purchase their packaging from International
23 Paper Company. Even with contracts, they have options to
24 go elsewhere if we fail to perform. We do not have the
25 same options with our electrical vendor.

1 The IS-3 tariff signed eight years ago does not
2 reflect the condition of electrical service currently in
3 Florida. All we are asking for is the opportunity to be
4 treated by the utilities as a customer instead of just a
5 user.

6 Thank you for your time. And I hope that these
7 proceedings will lead to some resolution to the needs that
8 we have here in Florida.

9 CHAIRMAN GARCIA: Commissioners.

10 COMMISSIONER CLARK: You operate 24 hours a day,
11 five days a week; is that year-round?

12 MR. TEMOIN: Yes, it is.

13 COMMISSIONER CLARK: Okay.

14 CHAIRMAN GARCIA: Commissioners. Thank you very
15 much for coming.

16 MR. McWHIRTER: Our next witness is Mr. Rob
17 Ayerst with International Paper.

18 CHAIRMAN GARCIA: If I could ask staff, could we
19 get a report from the company on the customers that
20 testify before us on what the interruptions look like, is
21 that possible?

22 MR. JENKINS: Yes, we can do that.

23 CHAIRMAN GARCIA: Can you do that,
24 Mr. Hernandez?

25 MR. HERNANDEZ: Yes, sir.

1 CHAIRMAN GARCIA: Thank you.

2 MR. AYERST: Good morning. My name is Rob
3 Ayerst, and I work for International Paper and your buyer
4 of electricity. I have responsibility for electric
5 purchases in 14 states; that includes Florida, New York,
6 the Carolinas, Tennessee, Kentucky, and the Midwest. My
7 responsibilities include 77 facilities that purchase
8 \$64 million a year of electricity.

9 As some of you may well know, International
10 Paper is the world's largest pulp and paper forest product
11 company with sales in excess of \$24 billion, operations in
12 nearly 50 countries, and more than 100,000 employees
13 worldwide. In spite of our size, our presence in Florida
14 is quite small. We only have six manufacturing facilities
15 in the state with just under 1,300 employees. We recently
16 moved our Arizona Chemical global headquarters from Panama
17 City to Jacksonville, Florida.

18 The bulk of our manufacturing operations in
19 Florida are the chemical plants that are located in the
20 panhandle region. Down in the Florida peninsular region
21 we only have two small plants, Plant City and Auburndale.
22 You have heard from Kerry about Plant City. Our
23 Auburndale plant, which is nearby, is a corrugated box
24 plant. They have a load of approximately 1.4 megawatts,
25 an annual billing of about \$300,000, and about 175

1 employees. They have also been impacted by the issue with
2 non-firm service. And they are a customer of Tampa
3 Electric.

4 Throughout the past two years the level of
5 service under the non-firm contracts have become an issue
6 for our company. Therefore, I have been asked to provide
7 assistance to these two facilities. What I want to share
8 with you today are some of my thoughts as well as our
9 position on a few of the 11 items that you have requested
10 comments on from non-firm customers.

11 In reference to Item 11 on the correlation
12 between reserve margins and interruptions, I am very
13 concerned about the lack of public awareness or concern
14 over the low reserve margin that this state is facing.
15 John McWhirter showed you some numbers from the FRCC on
16 the 1999 summer predictions. They recently reported for
17 the 1999/2000 winter season that the reserve margin was
18 15.9 percent.

19 However, when you really look at the numbers, 70
20 percent of the reserve margin is made up of interruptible
21 and demand-side management customers. And the remaining
22 30 percent is made up of purchased power. None of the
23 reserve margin is made up of generation equipment.

24 The result is that the interruptible customers
25 are the first line of defense if and when generation

1 equipment experiences any kind of outage, as opposed to
2 being the second line of defense that is practiced
3 elsewhere in the U.S. For example, in the Southeastern
4 Electric Reliability Council to our north they have a
5 capacity margin of about 20 percent. And the
6 interruptible and demand-side management customers only
7 represent 21 percent of their reserve margin, as opposed
8 to the 70 percent I referenced in Florida.

9 I appreciate the Commission's recent ruling that
10 requires the utility to increase their reserve margin from
11 15 to 20 percent. However, my facility cannot afford to
12 wait years for this to occur, they need answers today. We
13 support the Commission's position on the approval of
14 merchant plants to be built in this state. We feel that
15 this situation can be corrected without having to subject
16 utility ratepayers to potential stranded costs if the
17 utilities were required to make these kind of investments.

18 I also would like to recommend that the PSC
19 consider guideline of some nature that would limit the
20 amount of firm -- I'm sorry, non-firm and demand-side
21 management load make up no more than 25 percent of the
22 reserve margin. We may not do that today, but it could be
23 a goal to go through for ten years.

24 The second point I want to make is in reference
25 to Item 10.

1 COMMISSIONER DEASON: Let me interrupt you just
2 a second and ask you a question on that point. Then we
3 should limit -- if there are customers who want to become
4 interruptible customers, tell them they can't do that
5 because the reserve margin may be made up of more than 25
6 percent by interruptible customers?

7 MR. AYERST: They are already limited today.

8 COMMISSIONER DEASON: So there should be a
9 limit, and in your opinion it should be 25 percent of the
10 reserve margin should be made up of interruptible?

11 MR. AYERST: I'm not sure I want to call it a
12 limit. I would prefer it to be a goal to improve
13 reliability.

14 COMMISSIONER DEASON: So you would just want
15 them --

16 MR. AYERST: What I want to focus on is the
17 generation side of the equation, not the non-firm load
18 side.

19 COMMISSIONER DEASON: Okay.

20 MR. AYERST: In reference to Item 10 regarding
21 the charge and time frames to return to firm service, we
22 think we should have the ability to establish short-term
23 firm -- I'm sorry, short-term non-firm agreements and the
24 ability to switch back to firm service with two years
25 notice or less without penalty. Many of my colleagues

1 agree when I state the companies requiring five years
2 notice to move from non-firm to firm is just plain too
3 long. The lead time for new generation equipment is
4 approximately two years.

5 Also, based on my observation of what I have
6 heard over the last year or so, we have seen capacity
7 margins change from a surplus to a deficit. The utilities
8 have changed the way they operate, and there is plenty of
9 evidence to the non-firm customer that the rules have
10 changed in the middle of the game. And all of these rule
11 changes have been unfavorable to the non-firm customer.

12 CHAIRMAN GARCIA: Give me an example, when you
13 say the rules have changed.

14 MR. AYERST: For example, a lot of these
15 contracts were signed back when there was a surplus. The
16 capacity margin was much greater than we see today. We go
17 and run our business and we wake up one day and we find
18 out that we are not only being curtailed but we are the
19 lion's share of the reserve margin. I don't see this
20 anywhere else in the country.

21 The third point. And this is just a suggestion.
22 I would like to see the ability to transfer part of our
23 load from non-firm to firm service behind the meter. This
24 should facilitate our problem at Plant City. Right now
25 you are pretty much limited to 100 percent firm or 100

1 percent non-firm. There are some rules and regulations in
2 place that prevent that from happening. In other words,
3 we have a 3-megawatt load, and we could remain on non-firm
4 for 2 megawatts and be firm for a megawatt. Then when we
5 get curtailed we can cut back to a megawatt, and we can
6 have the flexibility behind the meters to determine at the
7 plant manager's discretion which load he wants to run with
8 that one megawatt. We can't do that today.

9 CHAIRMAN GARCIA: That would obviously, though,
10 require that you would keep the company to some degree
11 more informed than you do now. Because clearly if you
12 could switch back and forth it would be impossible for
13 them to put you within their planning spectrum.

14 MR. AYERST: I'm sorry, I didn't follow the
15 line.

16 CHAIRMAN GARCIA: The utility would have to have
17 under the present scenario, and now we are talking all
18 things remaining equal, and I think we are all trying to
19 solve a problem as it moves, but that you would have to
20 inform -- the utility would have to have some knowledge of
21 how that flexibility would work because they couldn't plan
22 for you if you were switching back and forth.

23 MR. AYERST: I don't mean we would switch back
24 and forth. I would say we would --

25 CHAIRMAN GARCIA: For a percentage of your load.

1 MR. AYERST: -- we would remain at a firm load
2 of X megawatts and we would cut back to that level. I
3 want to share with you, we have that option in some of our
4 other paper mills.

5 CHAIRMAN GARCIA: But that strikes me, I know --
6 for example, I think the University of Miami runs part on
7 a firm load and part on an interruptible load. You can't
8 do that in your --

9 MR. AYERST: That might be called a curtailable
10 service, and that is not what I'm advocating. I'm
11 advocating that we pay for firm service for a portion of
12 our load and interruptible for the remainder, and it's all
13 done through the same meter. If we were to separate the
14 meter, it would be very expensive in terms of rewiring the
15 plant to set up firm load for part of the plant. And then
16 he wouldn't have the discretion as to which load he wants
17 to run. Because you can only have firm load that is wired
18 to that equipment.

19 COMMISSIONER CLARK: Well, clarify for me, under
20 a curtailable rate does it say it can be curtailed X
21 megawatts and not completely interrupted?

22 MR. AYERST: I can't answer about the
23 curtailable rate, because I'm not familiar with it. I
24 just know from the presentation that was made that they
25 pay a penalty to remain on firm service as opposed to

1 paying just the firm rate.

2 COMMISSIONER CLARK: Right. I guess the issue
3 would be whether or not they could confirm that you had
4 reduced your consumption by the 2 megawatts.

5 MR. AYERST: I believe the technology has
6 approved today where real time data is available on a very
7 inexpensive basis.

8 COMMISSIONER CLARK: Do any of your plants
9 outside of Florida have those real time meters?

10 MR. AYERST: Yes.

11 COMMISSIONER CLARK: And they offer you the kind
12 of service you would like, they offer you the ability to
13 curtail part of your load?

14 MR. AYERST: Yes. We get the notice --

15 COMMISSIONER CLARK: What states --

16 MR. AYERST: We get the notice and we can drop
17 our load down to our firm level. The plant can exercise
18 where they want to run that load behind the meter.

19 COMMISSIONER CLARK: What states give you that
20 opportunity?

21 MR. AYERST: Wisconsin. The fourth point, and
22 I'm not going to belabor it, but industrial rates in
23 Florida are high for industrial customers. We have spoken
24 well on that, and that is one of the reasons why many of
25 us have to choose non-firm service. For example, we have

1 facilities of similar size to Plant City in Alabama and
2 Georgia that are paying rates that are comparable to the
3 non-firm rates in Florida but they are getting firm
4 service. It becomes an issue when reliability is a
5 question.

6 COMMISSIONER CLARK: Mr. Ayerst, let me ask you
7 about Georgia. When you located your plant there, did you
8 have a choice of suppliers initially?

9 CHAIRMAN GARCIA: Did you say Georgia or
10 Alabama?

11 COMMISSIONER CLARK: Georgia.

12 MR. AYERST: No, I don't believe so.

13 COMMISSIONER CLARK: You are not aware of the
14 fact --

15 MR. AYERST: You're talking about a choice when
16 we located the plant?

17 COMMISSIONER CLARK: Right. That when you
18 located, when you first signed up for power you had a
19 choice of what entity to take that power from?

20 MR. AYERST: When we site a plant that is one
21 things we look at is utility rates.

22 COMMISSIONER CLARK: No, what I'm asking you is
23 whether or not anywhere you locate it you could choose any
24 producer in Georgia. You could have chosen Southern
25 Company, you could have -- I'm sorry, Gulf Power, you

1 could have chosen Oglethorpe. You didn't have that
2 ability to do that?

3 MR. AYERST: No, ma'am.

4 COMMISSIONER CLARK: Okay. I was under the
5 impression that you could initially, I think, and lock it
6 in for five years, choose your supplier.

7 MR. AYERST: I don't have Georgia -- I can't
8 speak for my Georgia --

9 COMMISSIONER CLARK: Okay.

10 CHAIRMAN GARCIA: Maybe you can file something
11 with us. Have Mr. McWhirter file something with us about
12 whether you could make those choices.

13 MR. McWHIRTER: That is the way the Georgia law
14 reads. You have the initial choice and then you are stuck
15 with it.

16 COMMISSIONER CLARK: For how many years, five
17 years?

18 MR. McWHIRTER: I'm not sure. I thought it was
19 permanent.

20 COMMISSIONER CLARK: Okay. Well, we will find
21 that out.

22 SPEAKER: Five kw or greater, you are stuck with
23 it forever.

24 COMMISSIONER CLARK: Okay.

25 CHAIRMAN GARCIA: Keep going.

1 MR. AYERST: In reference to Item 2 on your
2 list, notice for buy-through rates. The current practice
3 of giving us the buy-through price after the fact is
4 unacceptable and unworkable because the rates have gone up
5 in the past several years. Again, one of our facilities
6 in Wisconsin gets a notice every 15 minutes when they are
7 buying through what the price of that power will be. And
8 then they can elect whether or not they want to buy that
9 power. Again, new technology, I believe, allows for that,
10 and we would like to see that in Florida.

11 And then my final point is that on Item 9
12 requiring utilities to recall power sales to the wholesale
13 market before curtailing native load non-firm service.
14 The notion that utilities are allowed to sell power to the
15 wholesale market at a higher priority over native load
16 non-firm third customer in my opinion is discriminatory.

17 These customers don't have a choice but to
18 purchase power from their native utility and yet the
19 utility should not be allowed to interrupt service in
20 order to sell at the wholesale market at market
21 opportunity prices. I believe there should be an
22 additional level of scrutiny by the Public Service
23 Commission to ensure that the utilities are not using
24 their non-firm customers in order to make short-term
25 market opportunity transactions.

1 That concludes my presentation and I appreciate
2 the opportunity.

3 CHAIRMAN GARCIA: Thank you. Commissioners.
4 Thank you very much.

5 MR. McWHIRTER: Our next witness is Mr. Huey
6 Greene with the Kendall Company.

7 CHAIRMAN GARCIA: All right, Mr. Greene.

8 MR. GREENE: Hello, Commission. My name is Huey
9 Greene, I'm the plant manager for the Kendall Company,
10 which is a division of Tyco Health Care and Tyco
11 International. Tyco International is a \$26 billion global
12 company. Kendall has 26 plants in the United States, and
13 we have a large manufacturing plant in DeLand, Florida,
14 which makes medical needles and syringes.

15 We entered into a non-firm agreement with
16 Florida Power because it was an economic advantage for our
17 business to do so in May of 1995. We have 800 employees
18 with a payroll of \$26 million in DeLand, with also a
19 \$12 million purchasing base within the city limits of
20 DeLand. And as you are aware, there is a tremendous
21 pressure on the medical industry today to reduce cost.
22 And we, being a manufacturer of needles and syringes
23 throughout the world, we have to do all we can to lower
24 our costs to remain competitive.

25 Our product cost is divided, as you might

1 expect, into labor, materials, and overhead. And the
2 utility cost is a large piece of our overhead. Our
3 electric bills are around \$2.5 million for our annual
4 cost. Prior to 1998 -- and I think this was touched on by
5 Mr. Emerson -- prior to 1998, we had very few
6 interruptions with minimal time down. Starting in early
7 1998, there were 16 interruptions in the first part of the
8 year, 25 percent of which basically came with no warning.

9 From the period of June 1998 to June 1999, we
10 had 102 hours of plant down time because of interruptions.
11 The cost for that one-year period of down time was
12 \$225,000 in lost wages to our employees, \$245,000 in
13 equipment failures and maintenance cost. And also
14 one million units of lost production during that time
15 frame.

16 We cannot afford to have many interruptions
17 throughout the year because we have to make that time up.
18 And this hurts our business, our customers, and probably
19 more importantly, our employees. Having to run overtime
20 to make up for lost production is not a sound business
21 practice. In our business we have also gone to inventory
22 controls and we carry very little finished goods
23 inventory. And being a medical manufacturer, we cannot
24 afford disruptions, because when we do hospitals are
25 impacted.

1 The DeLand area is a rural community in west
2 Volusia County. Kendall is the largest manufacturer and
3 offers some of the best wages and benefits in all of
4 Central Florida. We have been there for forty years and
5 have been the largest employer during that time. When we
6 lose power we have to send our people home with no pay,
7 and we have many single parents that work in our plant.
8 They live payday-to-payday and this creates a significant
9 financial burden for those people. Hundreds of employees
10 and their families have been effected when our power is
11 interrupted. And over the past one to two years we have
12 had hundreds of employees voice their concerns and
13 displeasure with this situation.

14 We have heard there is a 25 percent capacity
15 shortage of power, and that the interruption frequencies
16 will most likely increase in the future. If this is true,
17 this will most definitely have an adverse impact on the
18 business decisions concerning the future of the DeLand
19 plant.

20 The DeLand plant has an aggressive expansion
21 program for the future. But frankly the interruptible
22 power situation will have an adverse impact on our ability
23 to expand. Our other plants in Nebraska, South Carolina,
24 Georgia, Alabama, Mexico, and Puerto Rico will get strong
25 consideration.

1 In closing, we would like to say if there is a
2 capacity shortage and there are no plans to offer relief
3 to the interruptible group by the utilities by adding more
4 plants or by allowing merchant plants to operate in
5 Florida, the adverse consequences mentioned earlier more
6 than likely will prevail. Thank you.

7 COMMISSIONER CLARK: How many days a week and
8 how many hours a day do you operate?

9 MR. GREENE: We are a five-day-a-week,
10 three-shift operation. We operate 24 hours a day, five
11 days a week and about two weekends per month.

12 COMMISSIONER CLARK: Do you know if any of your
13 other plants, if they have real time pricing?

14 MR. GREENE: I think the one in Nebraska does,
15 and I'm not sure about some of the other ones.

16 COMMISSIONER CLARK: In the places where you
17 have real time pricing, have you shifted any of your
18 production to take advantage of lower cost power?

19 MR. GREENE: Well, all I can say on that right
20 now, because it is not really public is that there are
21 some consolidation efforts in place. And there is a
22 strategic analysis going on about where to shift some
23 future expansion.

24 COMMISSIONER CLARK: Is the level of your
25 production the same all day long?

1 MR. GREENE: Yes. And a large portion of that
2 operation is injection molding. And we run 55 injection
3 machines around the clock every day. So we pretty much
4 know what our power usage is throughout the year.

5 COMMISSIONER CLARK: Do you have back-up power
6 on-site?

7 MR. GREENE: We have a small generator.

8 COMMISSIONER CLARK: And how long and how much
9 power does that deliver to you?

10 MR. GREENE: You know, I'm not quite sure. We
11 could isolate some of the high -- I think the high
12 visibility, high impact injection molding machines to
13 operate for a period of time, but it certainly couldn't
14 serve anywhere near 25 percent of our needs.

15 COMMISSIONER CLARK: Okay. But when these
16 interruptions occur, you have to send people home because
17 you have to suspend your manufacturing?

18 MR. GREENE: That's correct.

19 COMMISSIONER JACOBS: So you don't have
20 buy-though provisions, then?

21 MR. GREENE: No.

22 CHAIRMAN GARCIA: Thank you, Mr. Greene. We
23 appreciate it.

24 MR. McWHIRTER: Our next witness is Mr. Dave
25 Hines with Coronet Industries.

1 CHAIRMAN GARCIA: Mr. Paige, I would assume you
2 are going to develop a lot of leads here for Enterprise
3 Florida, all of these businesses thinking about
4 relocating.

5 MR. PAIGE: I'm taking copious notes.

6 CHAIRMAN GARCIA: Go ahead.

7 MR. HINES: Mr. Chairman, distinguished
8 Commissioners, thank you very much for this opportunity to
9 voice our company's concerns about these issues. I am
10 David Hines in charge of government and community
11 relations, and also the added pleasure of overseeing our
12 utility purchases, which are mainly electricity and
13 natural gas.

14 Coronet Industries is one of three major U.S.
15 companies that manufacture a defluorinated animal feed
16 phosphate supplement. Our company's sole manufacturing
17 location is Plant City. We are serviced by TECO. We
18 employ 162 people at a payroll of nearly \$8 million
19 including fringe benefits. Our annual approximate
20 electrical demand is 27 million megawatt hours at a cost
21 of about \$1.2 million.

22 Coronet Industries, unlike our two competitors
23 who do have cogeneration, we do not have the capability of
24 installing cogeneration. In October of 1993, as part of
25 an asset purchase agreement, Coronet Industries assumed

1 the non-firm agreement that our predecessor had with TECO.
2 During the due diligence in which I participated for that
3 asset purchase in '93, the assumption of the non-firm
4 service seemed practical for two reasons. One was the
5 cost, and secondly there was no history of any -- or I
6 should say very few, if any, interruptions.

7 Retrospectively, it could be said that the
8 practice of pass-through costs for supplementary high peak
9 period market rates to non-firm customers was not an issue
10 in '93 at the time that Coronet Industries assumed the
11 prior agreement with TECO.

12 In 1999 we were hit with a total of 13
13 interruptions for 87.43 hours. Combined with the loss of
14 income from the loss of production and the cost of
15 reprocessing offgrade because we had to go down and then
16 come back up, along with the times that we did not go down
17 but we did have to pay premium cost for power that was a
18 pass-through at market rates, we are looking at almost
19 \$123,000 of additional cost.

20 Besides those costs that we can quantify, there
21 are some impacts on our business that we know they haven't
22 been able to cost impact but they are difficult to
23 quantify. For instance, we have five major manufacturing
24 units. All of them are lined with refractory, brick. We
25 heat those units up to about 2,700 degrees Fahrenheit.

1 When we are forced to shut them down or put them on idle
2 because of curtailment or because of interruption, that
3 cooling and then reheating of the brick, the refractory is
4 very closely. It just reduces the life of the brick.

5 We almost constantly have outside contractors
6 working in our plant doing various maintenance and
7 repairs. Whenever they are shut down, that affects their
8 operation and those costs to them are passed through to
9 us. Our own workers we have to reschedule every time. We
10 have to reschedule their work every time we are shut down
11 or curtailed.

12 A very unsettling aspects of these
13 above-mentioned impacts is that during a meeting last
14 October, TECO management matter-of-factly told us that the
15 lack of capacity is expected to be worst next year. Well,
16 this year 2000 now. Also, they said we should expect the
17 capacity problem to continue for the next three to five
18 years. That is unsettling.

19 Whenever we have an interruption or loss of --
20 or curtailment which means a loss of production, a loss of
21 product, especially for this year 2000, we have the
22 capability of selling our plant out, which means working
23 at minimal finished product inventories. So unplanned
24 power outages by TECO cause production delays and loss
25 leading to lost sales and decreased revenues. Lost sales

1 can mean lost customers. Please keep in mind our two
2 competitors do have cogeneration, we do not.

3 Attempting to pass on these unplanned costs of
4 third-party premium power and down time is a dilemma for
5 us. Under idealistic conditions we could pass on our
6 increased costs to our customers. However, since almost
7 all of our business is contracted on an annual basis,
8 increasing prices during the contract term is neither
9 feasible nor is it competitive. Those increased costs
10 negatively impact our bottom line, which in turn
11 negatively affects, among many things, our ability to
12 attract and maintain a quality work force and maintain
13 customers.

14 Coronet believes that in light of the serious
15 interruptions and excessive power costs that we have
16 discussed today, the Florida Public Service Commission
17 must act to encourage and implement changes to the manner
18 in which interruptible customers are served. We are
19 encouraged by the Commission's convening of this workshop
20 to address these matters.

21 At this early juncture, Coronet believes that
22 the possible changes that the Commission has identified
23 all merit examination. Given the different factors
24 present on each public utility, one or a combination of
25 several of the proposed changes may be appropriate for

1 each utility either on a generic or case-by-case basis.

2 With respect to specific comments on the
3 proposed changes, Coronet would like to make the following
4 general observations. One, a key for industrial
5 customers, such as Coronet, is having adequate lead time
6 in advance of a potential interruption and sufficient
7 information on which to make an informed choice on its
8 power options. For instance, length and timing of
9 interruption, price of alternative buy-through power. At
10 this point I might say that last year in 1999 there were
11 three times that we were told that we would be -- there
12 would be an interruption. We consequently idled all of
13 our units and there was no interruption.

14 This is very costly and for no reason except
15 that -- well, I don't know, I wouldn't want to speculate
16 on why it never happened. And it might as well have
17 happened because we were shut down anyway. Placing a
18 limit on the total interruptions per year in conjunction
19 with a review of the manner in which a utility calculates
20 its generating reserve margin to ensure that adequate
21 reserves do exist should be considered regardless of
22 whatever other changes are implemented.

23 Thirdly, interruptible customers should have the
24 option of dealing directly with marketers to obtain power
25 in lieu of interruption. However, this option is feasible

1 only if there are steps taken to ensure that there exists
2 sufficient capacity to allow these alternate supply
3 arrangements to occur. Towards this end, Coronet supports
4 the listing of interruptible customers on a central web
5 site to assist marketer/customer communication and
6 facilitate such alternate arrangements well in advance of
7 potential interruptions.

8 And last, Coronet strongly supports a Commission
9 requirement that a utility recall all in-state and/or
10 out-of-state wholesale sales prior to interrupting any
11 Florida non-firm customer. Utilities should not be
12 permitted to overextend their wholesale sales capability
13 at the expense of their interruptible customers.

14 CHAIRMAN GARCIA: Thank you very much.
15 Questions? We are going to -- our stenographer has been
16 going for awhile now. We are going to take -- is ten
17 minutes all right? Five minute break and then we will
18 reconvene promptly, because we are running on short time.

19 (Recess.)

20 CHAIRMAN GARCIA: Because I'm dieting and the
21 other Commissioners are amenable, we may stay a little bit
22 longer than 1:00 o'clock if we can all hold on and not
23 have lunch.

24 COMMISSIONER CLARK: You know what, I just want
25 to point out -- Terry pointed out that you have reneged on

1 your promise when we elected you Chairman that you were
2 going to give us lunches.

3 But that is fine with me since I was late.

4 CHAIRMAN GARCIA: I have lost weight since I
5 became Chairman, so that is important, too.

6 All right. Mr. McWhirter, we will take your
7 next client.

8 MR. McWHIRTER: Our next witness is Mr. Richard
9 Partyka with Lafarge Cement Company. Let me get some
10 water, just go ahead.

11 MR. PARTYKA: Good morning. My name is Richard
12 Partyka. I'm the operations manager for Lafarge Florida,
13 Inc. We are located in -- I'm sorry, 2001 Maritime
14 Boulevard in Port of Tampa. Our operation operates 24
15 hours a day. Lafarge has inherited the IST rate from
16 General Portland during a takeover. General Portland met
17 with TECO to discuss the cost of power. The offshoot of
18 that discussion was to put part of the plant on an
19 interruptible rate. It was presented to the plant that
20 the interruptions would be extremely rare. This move was
21 required for the Tampa plant to remain an economically
22 viable business unit.

23 When Tampa has a no-notice interruption it costs
24 us as much as \$4,000 to manually evacuate our system prior
25 to being able to restart, not including the off-spec

1 product made at each incident. Taking this into account,
2 the additional costs incurred depending on the product
3 type may range from 26 to \$30,000. As a result we prefer
4 a planned shutdown when we receive notice of an impending
5 interruption. This gives us more equipment downtime than
6 actual interruption time.

7 In 1999 we had 13 interruptions. The obvious
8 answer is to go to a firm rate, but we have received an
9 unequivocal cost of \$2.7 million to do that. Economically
10 this is not an option for Lafarge in Tampa as an increase
11 of this dimension would force Lafarge to move assets out
12 of the area.

13 Originally only our mills were on interruptible
14 power. Four to five years ago we brought the remainder of
15 the plant on interruptible power for a couple of reasons.
16 The factors weighed were our history of interruption,
17 TECO's claim that our history would be indicative of our
18 future, save catastrophic events, and the obvious economic
19 benefit. We were told of 20 percent reserve margins in
20 the beginning, but now learn that these reserves have
21 eroded down to what level depends on whom you listen to.
22 Where are these reserves now and why are the rules
23 allowed to change without recourse to us as a customer?

24 When the power is interrupted at the Lafarge
25 Tampa plant, we have circumstances that exist that affect

1 not only our operation but that of our customers, as well.
2 Our customers, particularly on the bulk side of our
3 business, use Lafarge as their warehouse for just-in-time
4 inventories. Interruptions cause construction sites
5 dependent on Lafarge around Central Florida to close down.

6 When the masons are unable to work, this has
7 caused complaints from our trades not being able to work
8 due to the masons not being on schedule. This has the
9 potential of Lafarge losing clients as a result of not
10 meeting our customer needs.

11 Of less operational impact, but of a far greater
12 financial impact is a third party buy-through clause. If
13 any business is to survive, it must manage its costs.
14 The management of our power costs is not possible under
15 TECO's arrangement. There are plants in Lafarge's system
16 using third-party power management from the plant. We are
17 appalled that we have no option but to pay rates that are
18 undisclosed until after the fact. If TECO is unable to
19 provide power to Lafarge, we recommend there be a
20 mechanism in place to allow Lafarge to buy power from a
21 merchant plant. Thank you. Any questions?

22 CHAIRMAN GARCIA: Thank you very much. No.
23 That's it. Thank you very much.

24 MR. McWHIRTER: Our next witness is Mr. George
25 McFadden with Praxair Corporation.

1 MR. McFADDEN: Good morning. Thank you for this
2 opportunity. I appreciate it very much. I am a manager
3 of engineering for Praxair, we are an international
4 industrial gas company. We produce oxygen, nitrogen, and
5 argon. And specifically in Florida oxygen for NASA's
6 requirements at the Cape. We spend in excess of
7 \$2 million a year with Florida Power & Light. We have
8 on-site generation for 300 kW to handle our critical power
9 requirements, be it computers and other critical
10 requirements, safety requirements for the plant. We are
11 on the CILC rate.

12 We are the third largest industrial gas company
13 in the world, the largest in the U.S. and South America.
14 We are a \$4.6 billion corporation, and we operate in 42
15 countries. Praxair Service Technology in North Miami
16 resurfaces aircraft blades and coating services for
17 industry and employs 66 people.

18 CHAIRMAN GARCIA: Could you bring the mike a
19 little bit closer.

20 MR. McFADDEN: The location in Mims employs 22
21 people. We have sales offices in Tampa, Miami,
22 Jacksonville, and Lakeland, which employs 20 people. The
23 Mims plant has served NASA requirements since the Mercury
24 program in the early '60s. The plant is highly energy
25 intensive and energy represents approximately 70 percent

1 of its production costs. We have a 9-megawatt demand and
2 operate in excess of a 90 percent load factor. It is a
3 seven-day-per-week year-round operation.

4 NASA as a customer requires a low-cost product.
5 We have two major competitors in Orlando, and they both
6 enjoy interruptible rates. The only means to keep our
7 power competitive, our product competitive is through
8 interruptible service. Air separation is one of the very
9 few industrial processes that can take interruptions. We
10 provide a valuable resource to the utility in terms of
11 managing system peak, and the value we receive is
12 reflected in the discount to the demand charge.

13 When I say discount, I also want to build upon
14 Mr. McWhirter's earlier comments. I define credit as a
15 cost-based credit to the cost of providing that capital
16 resource to us.

17 The early version of the interruptible service
18 included no notice and shut down. And this is one of the
19 first locations and practice areas worldwide that gave the
20 utility total control of the process without prior notice.

21 What I'm saying here is that we are a very flexible
22 process, very price responsive to power costs and the
23 process is designed to best match the requirements of that
24 utility.

25 The Mims plant is cable of interrupting on

1 limited or no notice requirements, but cannot withstand
2 extended interruptions during NASA peak activities.
3 Recent hurricanes have caused extended outages, but not to
4 the utilities invoking the interruption.

5 In the mid-1980s, Florida Power & Light rates,
6 the predecessor to the current CILC were much higher than
7 neighboring FPC rates. Our two principle competitors both
8 have enjoyed new plants at advantageous rates at that
9 time.

10 Praxair, a division of Union Carbide, sued FPL
11 to wheel power from FPC. The suit was eventually
12 dismissed, and Praxair, independent from Union Carbide
13 since 1992 has become a CILC customer. Our relationship
14 with FP&L improved and the pricing disadvantage has
15 disappeared.

16 Now in an era of declining capacity reserve
17 margin the value of interruptible is even greater then in
18 the 1980s when loads were smaller, new base load was being
19 built, and coal by wire supplemented native generation .

20 Because of extraordinary growth in
21 residential/commercial customers, the need for new base
22 load units is significant. Some of the new capacity can
23 be satisfied through new merchant plants and the rest with
24 the traditional utility construction. Additional
25 purchased power can be obtained on the wholesale market

1 from neighboring utilities to satisfy peak needs.
2 Interruption of current interruptible customers should
3 only be invoked at a time of system peak when it is more
4 advantageous to the utility control area to back off the
5 interruptible customers rather than bring on a peaker.

6 Economic interruptions, that is off-system sales
7 at the expense of interruptible customers don't provide
8 any benefits to the customers generally, are a major
9 disadvantage to interruptible customers who are
10 subsidizing the system and benefitting the utility's
11 bottom line only.

12 If new plants are built to alleviate the
13 capacity shortage, there may be opportunities for non-firm
14 customers to buy-though at times when the host utility
15 calls for interruption. Of course, the buy-though price
16 is likely much higher than the host's system tariff, but
17 the industrial customer may have no choice, no other
18 choice if his own customers demand this product. This is
19 perhaps the only example of customer choice in the
20 traditional regulated system.

21 Real time pricing, another rate available on the
22 Southern Company and another utility systems whereby the
23 customer has the option to interrupt or buy-though on a
24 day ahead price signal from the utility. This requires a
25 high degree of operating flexibility on the part of the

1 customer. Special contracts in some instances are
2 opportunities to tailor fit special contracts to customers
3 on a nondiscriminatory basis. Whether it be for
4 interruptible, economic development, or otherwise. And
5 these examples vary from utility-to-utility.

6 For Praxair, the current interruptible tariff is
7 satisfactory, and we are fully capable of performing under
8 the tariff. There is no reason to modify the contract to
9 make it less attractive and therefore more disadvantageous
10 to the customer. In the big picture, Florida will need
11 new capacity to serve its growing population, but it will
12 always need the margin of interruptible capacity to
13 provide additional operating flexibility for the
14 utilities. Thank you very much.

15 COMMISSIONER CLARK: Did I hear you correctly
16 that you have not been interrupted by FPL?

17 MR. McFADDEN: We have been interrupted. Not to
18 the extent other customers here have identified earlier
19 today.

20 COMMISSIONER CLARK: When you became independent
21 from Union Carbide, when was that?

22 MR. McFADDEN: 1992.

23 COMMISSIONER CLARK: And you negotiated an
24 interruptible rate at that time?

25 MR. McFADDEN: CILC rate, yes.

1 COMMISSIONER CLARK: And how many times have you
2 been interrupted since then?

3 MR. McFADDEN: On average, once per year.

4 COMMISSIONER CLARK: For how long?

5 MR. McFADDEN: The past seven years.

6 COMMISSIONER CLARK: I'm sorry. How long has
7 the interruption, each interruption been?

8 MR. McFADDEN: Three to six hours in duration.

9 COMMISSIONER CLARK: And does that interrupt
10 your -- it does interrupt your manufacturing process?

11 MR. McFADDEN: It does. But every plant in the
12 U.S. except for two is on real time or interruptible type
13 power supplies. It is an integral part of our business
14 structure. We design plants around being interrupted. We
15 study the tariff and design the plant to fit the
16 requirements, the anticipated requirements of the utility
17 for the interruption.

18 COMMISSIONER CLARK: Within your company, do you
19 have -- what other facilities besides the one in Florida
20 do you have?

21 MR. McFADDEN: We have two carbon dioxide
22 facilities; one in Miami and one in Jacksonville. And the
23 coating services location in Miami, as well.

24 COMMISSIONER CLARK: You don't have any in other
25 states?

1 MR. McFADDEN: Oh. In other states, yes, we
2 have 337 locations throughout the U.S. And large plants
3 like the Mims plant is in excess of 10 megawatts, about 45
4 or 47 plants of that size.

5 COMMISSIONER CLARK: Within your company do you
6 have a single person that sort of reviews and manages
7 electric purchases?

8 MR. McFADDEN: I'm one of five people for
9 Praxair worldwide that have that responsibility. I have
10 South America, North America, and part of Canada.

11 COMMISSIONER CLARK: Are there offerings in
12 those other states or countries that you would like to see
13 happen here?

14 MR. McFADDEN: Yes, very definitely. I think
15 special contracts mentioned earlier, I think each person
16 here can live by a different standard for interruptible
17 service. We all can live under the same basic criteria.
18 The limitations of frequency and duration, for example,
19 and advanced notice provided are three dimensions that can
20 vary from customer to customer. We have elected to take a
21 zero notice condition for an optimum economy. Also, real
22 time power which has been a growing product in many
23 markets, I don't feel has been fully developed by FPL yet.
24 I think further dimensions of that rate need to be built
25 by that utility.

1 COMMISSIONER CLARK: Did you say you get real
2 time power from Georgia Power?

3 MR. McFADDEN: Not Georgia Power, no. TVA, for
4 example, Sante Cooper (phonetic), Carolina Power and
5 Light, Kansas City Power and Light.

6 COMMISSIONER CLARK: And let me ask a question.
7 Do you vary your manufacturing depending on the price of
8 the power, then?

9 MR. McFADDEN: Oh, yes. We are very much
10 responsive to price. And certain markets -- we don't have
11 pipeline delivery customers. It is all liquid produced
12 product that is a real market-based driven price. We have
13 been very responsive to price in the marketplace. And we
14 fill more tanks and less tanks to compensate for running
15 during low cost hours and building increased inventories.

16 COMMISSIONER CLARK: Okay.

17 MR. McFADDEN: Thank you.

18 CHAIRMAN GARCIA: Thank you very much.

19 MR. McWHIRTER: Mr. Chairman, our next witness
20 is Mr. Ed White of the Mulberry Corporation.

21 MR. WHITE: Good afternoon. I am Ed White,
22 manager of business planning for the Mulberry Corporation.
23 Thank you all for coming down to Central Florida to see us
24 and listen to our gripes.

25 Mulberry is a phosphate producer. We have a

1 plant in Mulberry in TECO's area where we purchase about 9
2 megawatts. We have an adjacent cogen facility where we
3 sell about 9 megawatts to Florida Power & Light. We have
4 a separate fertilizer facility in Manatee County in FPL's
5 territory, right across the street from Port Manatee. And
6 then a phosphate mine in FPL's territory. Each of the FPL
7 units buy about 9 megawatts. So we are buying a total of
8 27 rough megawatts when we are running at capacity. We
9 would employ about 500 people at capacity. Right now we
10 are totally down for soft market reasons.

11 As we look at the problem with the interruptible
12 question, I think part of the problem goes back to,
13 apparently goes back to the rule that existed when we
14 signed up or our understanding. I know the question has
15 been asked. For about 25 years Rule 25.6035 was about one
16 sentence long, and it said that the utilities will provide
17 enough power -- the words are right up there -- to meet
18 all reasonable demands for service and provide a
19 reasonable reserve for emergencies. That was the extent
20 of that paragraph when we signed up. And the words all
21 reasonable demands for service is certainly what strikes
22 us. The reserve for emergencies would imply that there is
23 a little more.

24 From that what we assumed at the time we signed
25 up and really pretty much today is that we would expect an

1 interruption if the Tampa temperature goes above about 97
2 degrees in the summertime, below about 30 degrees in the
3 wintertime. Perhaps for a couple of months before
4 capacity expansion starts up because we can't forecast
5 demand growth accurately five years in the future. And
6 perhaps for some unusual event, and that is what we expect
7 as an interruptible customer. Understanding there is no
8 way you are going to build enough plants to meet the
9 potential demand when the temperatures goes to 16 degrees,
10 as you well know the winter problems as well as the summer
11 problems. You just can't build that much capacity or
12 nobody wants to pay for that. So we are willing to take
13 some. That is what we really expect.

14 I think in 1996 the rule changed. And the first
15 paragraph starts off the same way. And it still says to
16 meet all reasonable demands for service and provide a
17 reasonable reserve for emergencies. And that sounds okay
18 to us as we just read it to right there.

19 It then added some language about a reserve
20 margin, a 15 percent planned reserve margin. And that is
21 to achieve an equitable sharing of reserves among the
22 utilities. That is something that the utilities are doing
23 between themselves, not between the utility and the
24 customer. That is my interpretation of that paragraph.
25 And I may be wrong in my interpretation of what we were

1 setting out to do at that time.

2 We then added a part of treatment of non-firm
3 load. It says the utility shall be required to make such
4 reserves available to maintain the firm service
5 requirements of other utilities. I think that's where we
6 gave up something or it was given up for us to the other
7 utility and we are not really being compensated for that.
8 I don't think in TECO's area that is much of a concern
9 that we are giving it up.

10 But apparently we can be curtailed to meet firm
11 service throughout the state for all the utilities and
12 nothing was done to compensate us for that. And I don't
13 know that that is bad public policy. I'm just commenting
14 that is what we are now facing which is not what we
15 thought when we got into this game.

16 Number five, buy-through power for the
17 interruptible customer. It starts off saying interruption
18 of service to a noninterruptible customer is not an
19 emergency. In my facility those are fighting words.
20 Interruption of service to a non-firm customer is not an
21 emergency. We think it is. Now, it goes on to say that
22 means that you are not going to use your emergency clause
23 of the pricing mechanism. But that word emergency is the
24 same word that is up in that first paragraph and now it
25 says that they are not going to provide a reasonable --

1 all of a sudden the words, "All reasonable demand for
2 service and provide a reasonable reserve for emergencies,"
3 is beginning to say that we are not going to build plants
4 for the interruptible customers.

5 COMMISSIONER DEASON: Sir, let me ask you a
6 question there. I thought it was never contemplated that
7 the utilities would plan for or build plants to serve
8 interruptible customers. And you are telling me just the
9 opposite.

10 MR. WHITE: To my understanding we were going to
11 interrupted to prevent those true unusual spikes that you
12 really can't take care of.

13 COMMISSIONER DEASON: Well, you should have
14 heard the very adequate and convincing testimony Mr.
15 McWhirter would provide in utility rate cases when he
16 said, "Utilities don't plan and build plants for our
17 customers, therefore don't allocate the costs to my
18 customers."

19 MR. WHITE: I think the -- my understanding, and
20 I have not been a client of Mr. McWhirter for very long,
21 and what he said three or four years ago certainly did not
22 represent me, I can assure you.

23 MR. McWHIRTER: People say that all the time.

24 MR. WHITE: I think that if we are talking about
25 an unusual event, we are talking about interruptible

1 customers, I think we are talking about conservation
2 people, too. And if we don't build the plant at some
3 point, you are not going to have a plant to meet the need.

4 And it is one thing to be a little tight, the
5 above 97-degree question or whatever is honest, if we are
6 late in getting a plant built, we are willing to take that
7 hit. We are willing to take that multiple three-standard
8 deviation problem.

9 If there is -- out here somewhere you will never
10 have enough to be 100 percent sure. And we will take
11 that, that is okay. But you can't walk away from what is
12 10 percent, 5 percent, whatever it may be of your total
13 business during peak periods. This is a peak hour problem
14 that we are talking about. It is peaking capacity rather
15 than total. That is just my observations on this at this
16 point. I think it is food for a lot of thought as you go
17 forward.

18 The summary of the capacity and demand forecast,
19 this was in the ten-year site plan last year that I think
20 you have seen all the numbers, and it basically says three
21 lines from the bottom or two lines from the bottom,
22 looking at it on a total demand basis there is not much
23 margin, whatever it may be. I have added a line on the
24 bottom, the capacity of the three largest generating units
25 as a percent of total capacity. For TECO that is about 35

1 percent of their capacity. There is a Big Bend, I think,
2 3, 4 and 5 are each about 12 percent of their capacity.
3 Florida Power, their largest three is about 24 percent,
4 and for FPL is 13.

5 The Florida Power and Florida Power & Light
6 plants are gas/nuclear plants that probably tend to run
7 when they are scheduled to run. The TECO plants are all
8 coal, they have a very different reliability factor. And
9 that reliability, if one of TECO's plants goes down, it is
10 worth 12 percent of their capacity. And you are doing
11 that at a time when you have a 6 percent total margin on
12 your total requirements.

13 So as soon as one of their plants goes down, you
14 are 6 percent short supplying the power they need. And
15 the plants typically are going to be down during daylight
16 hours for maintenance. A similar event at FP&L would only
17 knock off 4 percent of their load, which is no big deal
18 for them. And that 4 percent would be a nuclear plant
19 which tends to run.

20 Now, I think that is just something I think that
21 is said that the margins should be different for your
22 various utilities, and I think that is part of the reason
23 why. Nobody every addresses it quite that way.

24 As I see the cause of the generating shortage
25 that we had last year, I think TECO ignored the summer

1 crisis in '98 in the midwest when we had the spiking
2 demand. I didn't see much reaction to that. Florida
3 Power that summer here had some problems that I was aware
4 of. I didn't see us run and start building plants.

5 On September the 14th of 1998, the Tampa Tribune
6 had an article in their business section on the cover that
7 said the nights the lights went out in Tampa Bay may come
8 sooner than you think, and that forecast supply problem is
9 in two years. Eleven months later was when we were having
10 our severe problems. And during that 11 months I didn't
11 see much action to build capacity.

12 The Tampa Tribune pointed out to us that we have
13 got a problem coming. And the forecast that the ten-year
14 site plan that TECO submitted this last year that I got a
15 copy of talked about their summer peak demand. In 1998 it
16 was 3444 megawatts. They forecast 3426, a decline
17 year-to-year.

18 August, the month of August, there is a chart in
19 there that shows that it was projected to go down 1.48
20 percent. And then they showed a very small growth in
21 their total consumption. If you are going to forecast
22 that your volume goes down year over year as your starting
23 point, you are going to have problems. And that is where
24 the problem is. They forecast the August peak to go down
25 50 megawatts. If they forced it to go up 100 megawatts,

1 we would be looking at a little different situation.

2 Electricity pricing. I think it is true, we
3 picked the interruptible rate because we can save about 20
4 percent, roughly \$40 a megawatt hour over a 50 firm. I'm
5 not positive that that firm is really real. I question of
6 large consumers how many people are really paying it or is
7 it just a rate schedule that exists that nobody uses.
8 TECO tells you guys and us we get a bargain. We get
9 interruptible power, 20 percent savings. We don't have
10 very many interruptions. We should be happy.

11 I had a merchant plant developer visit me last
12 week that quoted 28 to \$35. He says if he can put in a
13 plant he can sell it to me somewhere in that range. Now,
14 he may be pulling my leg, but that is what he keeps
15 telling me. He is not the only one that tells me. That's
16 what they say, 28 to \$35. They tell me they are more
17 reliable than my existing supplier.

18 I know the IMC Agrico wants to build a plant
19 because they think they can make money. They think they
20 can beat TECO's prices. Cogeneration that we sell, we are
21 offered practically nothing, \$20. We get two weeks to
22 decide on these offers, which we can't put much together.
23 We are at 9 megawatts. We were thinking about putting
24 cogen into this Piney Point facility several odd years
25 ago, and I think we were in a surplus at that time. And I

1 went around looking. And TECO was offering us I think
2 \$18. I went to FUMPA, and that was the time that they
3 were entertaining offers. And we didn't want to deal with
4 them, it was going to be too much work to try to put
5 something together. But they claimed that they were going
6 to get \$20 for a multi-year contract from TECO, which I at
7 the time understood was below the cost of this new coal
8 plant that TECO was building.

9 The Lakeland Ledger right here in November of
10 1997, there is an article that says that they have offered
11 their customers, their largest customers special rates of
12 \$27 a megawatt hour if they sign up for interruptible
13 service for ten years. We are about four miles outside of
14 Lakeland's territory. I don't know what the story is. It
15 doesn't matter, we can't deal with them. They have a 50
16 percent reserve margin. They have got plenty of
17 electricity.

18 CHAIRMAN GARCIA: That is what, an economic
19 development tariff that they offer?

20 MR. WHITE: I think they did this as a shield
21 against competition coming, and the city council that
22 manages that allowed them to do that, and I think there
23 are economic rates that are secret for these other
24 utilities, so those rates may be available. I don't know.
25 I don't know what TECO is offering to people because their

1 economic riders are secret as I understand it. Now,
2 during these periods when we have this buy-though power --

3 CHAIRMAN GARCIA: Just so I understand, because
4 maybe I'm missing something here. Staff, could you answer
5 that? What are we talking about, the CISR rate or what?

6 MR. JENKINS: That is correct. The CISR rate is
7 confidential. Tampa Electric has one or two customers --
8 one customer on that.

9 CHAIRMAN GARCIA: All right. So besides that
10 one customer --

11 MR. JENKINS: All rates are standard and
12 published.

13 MR. WHITE: Okay. And I think Gulf Power has
14 that also, and the other utilities. But there are secret
15 rates that I understand are lower than what we see. I
16 don't know what they are, I just know that they exist.

17 CHAIRMAN GARCIA: If I'm not mistaken, though,
18 there as I criterion for testing that, right, Joe?

19 MR. JENKINS: For testing a CISR rate?

20 CHAIRMAN GARCIA: Yes.

21 MR. JENKINS: That is correct. The customer,
22 one, has to be at risk as defined by the utility. And,
23 two, the rate has to cover incremental cost, however
24 defined.

25 CHAIRMAN GARCIA: And, again, I want to tell you

1 they are very limited. I mean, we said TECO has one. I
2 believe --

3 MR. JENKINS: Gulf, I think, has two.

4 CHAIRMAN GARCIA: Two, if not three. Two. And
5 that is about it, right, on those?

6 MR. JENKINS: That's it.

7 MR. WHITE: All right. As a DAP producer
8 (phonetic), I will pull some industry costs out to show
9 that in the normal conditions in 1997 if we spent \$40,
10 which is what our industry publications tell us, at \$40 a
11 megawatt hour we use about 236 kilowatt hours to make a
12 ton of DAP, that is a roll-through of the mining cost and
13 phosphoric acid, all the costs, all the energy put
14 together. That is about \$9 a ton of DAP. We purchase
15 some sulfur, ammonia, and we have other costs to have a
16 \$141 cost.

17 When we start having these high-priced power, I
18 chose the \$290 power, at that rate our purchased raw
19 materials plus our electricity adds up to \$130. That is
20 approximately what the market price is today, \$130. We
21 can't pay any labor, taxes, materials if we are paying
22 \$290 for power for an hour.

23 During a spike -- during a spike, what I will
24 call a true spike, the power may go to \$550. And at that
25 rate we will be paying \$130 a ton of DAP in electricity in

1 and of itself. At that point if we need the power company
2 to prevent a spike, cut us off for economic reasons, we
3 have got no problem. Somebody has got to stop the spikes,
4 if the spikes are a problem. And I think this is true of
5 everybody, that if you are going to pay a lot of money for
6 power at some point it is economic to not buy it. And I
7 want to share that with you, with the TECO people, and let
8 them see a little bit about what our cost structure is.

9 The buy-through option that TECO has, first, it
10 doesn't really appear to us to be an option. When the
11 power was curtailed or when they did the buy-through 47
12 days in July and August of last year, they had to go
13 outside of their system on 47 days to get the electricity.
14 That is basically every day Monday through Friday in the
15 afternoon they were having to buy power. If we had not
16 wanted the buy-through we would have to shut down every
17 day. I think there was 165 hours in July and 220-odd in
18 August by our records of how often that was going on.

19 I don't think it is an option because one buyer,
20 one person who says don't do the buy-through suddenly
21 becomes the most interrupted customer in TECO's territory.
22 If they are 10 megawatts short, that's who gets
23 interrupted. And there is about 200-odd megawatts I think
24 of interruptible load. And it is quite different to be
25 part of 200, or should be different to be part of 200

1 versus the first 10.

2 CHAIRMAN GARCIA: Your allegation is that if you
3 say you don't want to buy-through, you are the only one
4 that is cut off.

5 MR. WHITE: I will be the first one every time.
6 If they were 15 short, they would be obligated to cut me.

7 COMMISSIONER CLARK: You know that for a fact
8 that you would be the first interrupted rather than
9 everybody being interrupted the same and somebody chooses
10 to buy-through?

11 MR. WHITE: Well, if not they would be -- they
12 are not going to curtail the other people, they are going
13 to buy for the other people. And if they are buying for
14 the other people and I'm running, that would be unfair.

15 COMMISSIONER CLARK: But they would have been --
16 they chose to buy-through, so they are getting power from
17 a different source.

18 MR. WHITE: If the utility were going to be 10
19 megawatts short, that is all, they are 10 megawatts short,
20 and I say, "Don't buy-through," shouldn't I be curtailed?

21 COMMISSIONER CLARK: I don't think so. I think
22 it would be --

23 MR. WHITE: I should receive power and somebody
24 else should have to do the buy-through?

25 COMMISSIONER CLARK: What is your understanding

1 of what happens in a buy-though? You think that you will
2 be the one interrupted?

3 MR. WHITE: I think so.

4 COMMISSIONER CLARK: I think we need that
5 clarified, because I don't think that is correct.

6 MR. WHITE: I think it's an interesting game of
7 chicken that I don't really want to play. Because I think
8 if I tell them to do that and they then have 10 megawatts
9 left, if they come back with ten megawatts left, if I can
10 point to their generators and say there is a total of 10,
11 start me back up, I think they are supposed to do that.
12 And out of a system in TECO's territory of 33,000 that is
13 a heck of a number.

14 COMMISSIONER CLARK: What does your tariff
15 provide with respect to if they need X amount of power,
16 say they need 30 megawatts, but they have 100 megawatts of
17 interruptible power. What does the tariff say in terms of
18 how they would interrupt power?

19 MR. WHITE: I don't recall their interruption
20 procedures. I thought that they were interrupting part of
21 the interruptible loads on a rotating basis. Now, that is
22 not the problem that we have had this summer, but
23 certainly that's what we should do is go through on some
24 rotating basis.

25 COMMISSIONER CLARK: So if it then rotated to

1 somebody, the next interruptible customer, if he chose to
2 buy-through he could buy-through, but he would still --

3 MR. WHITE: I think if the buy-throughs come
4 after -- before or after the interruption. What is
5 happening right now to everybody is that we get the
6 buy-throughs. To my understanding everybody says do the
7 buy-through, which is a very simple thing. If we don't
8 have enough capacity, do you want us to do a buy-through?
9 And conceptually the answer to that is yes. It is a very
10 -- if the price becomes reasonable, the answer is yes.
11 Right now we don't get to vote on price. It's a yes or
12 no. And if the price is reasonable, obviously yes. If
13 the price is unreasonable, then the answer starts to
14 become why are we doing this?

15 I think we need to improve that. I think we are
16 going to improve that. I think TECO wants to improve
17 that. I just don't see that I truly have the option in
18 light of all of this. If I'm one person, I think I get
19 treated differently. If everybody else goes one way and I
20 go another, I'm concerned about how that works. It's a
21 situation we have never ever faced. Buy-through hours
22 versus deficient hours, I'm not sure they are the same.

23 What TECO is doing, and if they are deficient
24 and in order to buy the power in the most economic
25 fashion, apparently they will buy it for a block of time,

1 perhaps a day ahead for a longer period of time. And that
2 may mean that we buy power into a period that we are not
3 deficient, maybe. The pricing mechanics of how this
4 buy-though is working, I don't believe are fair. We have
5 got this day ahead versus spot problem. If they buy a day
6 ahead for the interruptible customer because they know it
7 is going to happen, then something else happens. That
8 relatively cheap power is going to roll into the firm base
9 and we are still now stuck paying the high price on the
10 day in question. We are going to pay for the spikes.

11 The price spike is going to the customer who has
12 already identified himself as being the most price
13 sensitive person there is. I have already said I'm
14 willing to take a supply interruption. I have already
15 said that. I am sensitive. But yet any price spike tends
16 to flow to me. I think the 12-hour block for one hour of
17 need is going to mask the problem, shift the dollars
18 around a little bit.

19 The monthly average technique that is being used
20 means there is no point in us curtailing during a price
21 spike or a price shortage. Right now if we know the price
22 is high during this hour, we know the price is going to be
23 high to buy outside electricity, we might as well continue
24 to take it because the price is going to be averaged over
25 the full month. We don't have this -- that is not a --

1 CHAIRMAN GARCIA: You mean TECO doesn't give you
2 an incentive to make that decision with them?

3 MR. WHITE: That's right. It is averaged over
4 the entire month, and I think that -- either they need to
5 do it or we need to do it.

6 CHAIRMAN GARCIA: You can imagine the people who
7 are more sensitive to price, and then they would get stuck
8 with the bill every time.

9 MR. WHITE: Yes. I think if we go to real time
10 pricing that some people want to talk about, and you tell
11 me of the price is going to be \$500, you also have to
12 allow me to stop. And right now it's not a question if I
13 -- right now it goes into the monthly average. So there
14 is no motivation to stop even if I know TECO is going to
15 pay a lot of money because it gets spread. And I think
16 that from a public policy standpoint to prevent price
17 spikes somebody has got to stand there. The pricing is
18 allocated, the electricity is allocated by vendor or by
19 rate schedule, if you will.

20 I think as TECO is paying the higher prices to
21 get us power in the open market, as I understand it the
22 cost to produce power is about maybe \$25 of variable cost
23 and \$5 for fixed for a total of around thirty bucks. That
24 is about what the cost to make power is. If we are
25 talking about somebody that is going to produce power as a

1 peaking unit, they may pay 75 for their fuels because they
2 are very inefficient, they may pay a high fixed cost. I'm
3 hard pressed to know who it is as the price goes over
4 \$125, who is it that is going to generate that power. And
5 I don't think anybody is.

6 I think the only thing we are trying to do is to
7 drive the price up and reallocate the power out of
8 Georgia. That is the only possible thing we are doing is
9 reallocating power, not generating it. And I just don't
10 believe there is very many generating facilities that
11 can't take advantage of a \$125 price. I don't know. If
12 there are, then we need to raise the price to get to them.
13 But once TECO's offering price exceeds that amount, they
14 are not buying that power necessarily for me, they are
15 buying it for their firm customer. The firm customer may
16 be willing to pay large sums of money.

17 CHAIRMAN GARCIA: Wait a minute. Take me back
18 through that, because it seemed to make sense towards the
19 end there. Walk me through why is it that you would say
20 that because TECO had to market themselves for their firm
21 customers you are then on the back end of that, so you are
22 being forced into this narrow tight market?

23 MR. WHITE: When they go into the market, then
24 they are going to offer prices for tomorrow's power,
25 today's power, or whatever for their customers, which is

1 including us. And they start offering sums of money for
2 that one hour, not for that period, when they can mask it.

3 If they buy it for 16 hours at \$100, that is really one
4 hour at \$600. When they start coming off and saying for
5 that one hour I'm going to pay over some amount of money
6 that I think is fairly low, they are offering enough that
7 anybody that has a generator ought to be willing to sell
8 at that price, unless they think they can sell it for a
9 higher amount. That's why they would hold it back. Or
10 they need it for their own cities and so forth.

11 I'm sure that if you hold the power back, if you
12 know TECO is going come in tomorrow and buy 50 megawatts,
13 why would you sell it? Why would you sell it for 100 if
14 you know they will pay 170? You are going to sit.

15 COMMISSIONER DEASON: And who is it in your
16 scenario that is holding it back, who is this?

17 MR. WHITE: I think whoever has the power.

18 COMMISSIONER DEASON: Another investor-owned
19 utility, a qualifying facility?

20 MR. WHITE: Well, let me get to the next chart.
21 This chart here shows your interruptible customers in this
22 last column paid \$147. That was the charge for the power
23 that was bought for us. What was purchased for the fuel
24 clause exclusive of what came out of the Hardee, and
25 cogen, and prior monthly adjustments was \$59. So what

1 TECO bought for the firm customer was \$148, what it
2 bought -- excuse me, for the interruptible customer was
3 148 and for the fuel it is 59. And I'm price sensitive.

4 CHAIRMAN GARCIA: Go back, go back. No, don't
5 worry, I don't want to set that thing off. Keep going I
6 will look at it later.

7 COMMISSIONER CLARK: Do you know from whom they
8 bought the buy-though power?

9 MR. WHITE: Yes. That is going back. The
10 interruptible customers, the buy-though power for
11 interruptible customers in August is 47,000 megawatt hours
12 for \$147 a megawatt hour.

13 COMMISSIONER CLARK: From whom did they purchase
14 that?

15 MR. WHITE: That is the next chart.

16 COMMISSIONER DEASON: So what? I mean, you are
17 saying that you should be -- yours should be averaged in
18 with everyone elses, even though you are the one, the last
19 on the margin to supply power to you?

20 MR. WHITE: Yes, with the exception of that
21 clause. And I think when we start talking about \$147, I
22 know there is some in there that is more than that. I
23 know there is more. Now, let me go to the next chart.
24 This is a very hard chart to read, but it came out of one
25 of the exhibits in the reserve margin case, A-1. The

1 energy authority is on Line 1. And I can't read that
2 either, but they are the largest supplier. I believe the
3 interruptibles got 12,000 megawatts hours from the energy
4 authority versus firm at 1,800 for a total of 14,000 at
5 whatever that number is. Can you read the number? 188
6 per megawatt hour. All of those purchases were allocated
7 that way.

8 Line 2, the City of Lakeland sold -- it was the
9 second biggest supplier to the interruptible. Cook is the
10 third line. Morgan Stanley, FPL, Tallahassee. Aquila
11 (phonetic) down there, for some reason the data that I had
12 showed that they purchased 1,600 megawatt hours and they
13 were only purchasing for two hours. That would be 800 per
14 hour, which is a lot for a 200-megawatt load. If you
15 slide all the way down, during those hours I thought they
16 were buying for a total of 220 hours. They bought an
17 average of 215 that they allocated to us at those amounts.

18 The lower half of the table is their outside
19 purchases from other suppliers. And if you can read it, a
20 lot of those things -- JC under Florida Power and so
21 forth, I understand that is a rate schedule, Schedule JC,
22 as opposed to these that are, I think, JA, I believe is
23 what it is called. And what is happening, the difference
24 between those rate schedules is largely the difference
25 between \$150 and \$50. If that is our intent, that is what

1 we are doing. If that is not our intent, that is not what
2 we need to be doing.

3 What I would like to see, or what we would like
4 to see just to simply it, I would be very happy if I could
5 just have a five-year purchased contract for \$30 a
6 megawatt hour flat from somebody, I don't care who,
7 delivered. No questions asked, no special items, just
8 simple. If we need to have interruptions, okay. The
9 first eight hours a year, none. Next 16, give me 100
10 bucks, give me something. Give me liquidating damages and
11 let's be done with it. I think --

12 COMMISSIONER DEASON: Well, you want a firm
13 service at \$30 a megawatt is what you want.

14 MR. WHITE: No, I will give you liquidating
15 damages if you can't supply the power. If you were to cut
16 me off eight hours a year, no problems. Next 16, just
17 give me 100 bucks per megawatt hour that you were unable
18 to deliver. Next 24, give me 200. I don't care whether
19 you buy the power or make the power, just deliver the
20 power. If you can't buy it for that amount, shut me down,
21 that's okay.

22 COMMISSIONER DEASON: So you want the equivalent
23 of firm service, but you want liquidating damages.

24 MR. WHITE: No, this is interruptible.

25 COMMISSIONER DEASON: That is interruptible?

1 MR. WHITE: Yes. They can interrupt me for
2 eight hours with no penalty; they can interrupt me for the
3 next 16 at only a \$100 penalty. Their choice.

4 COMMISSIONER CLARK: But they would have to have
5 or build capacity to assure that you could not be
6 interrupted more than the eight hours, is that correct?

7 MR. WHITE: Unless they have a big bank account
8 to pay those liquidating damages, yes.

9 COMMISSIONER CLARK: Then you would be a firm
10 customer except for eight hours a year?

11 MR. WHITE: Except for receiving liquidating
12 damages. They don't have to provide me with any power,
13 just pay the damages.

14 CHAIRMAN GARCIA: Which in your contention is
15 that it is cheaper than what they are buying it for you
16 anyway?

17 MR. WHITE: I mean, I think they could go out in
18 the open market and buy power at a reasonable price in a
19 competitive market. Let them go do it.

20 CHAIRMAN GARCIA: Because you're saying --

21 MR. WHITE: If I go into competition this is the
22 kind of deal I want. I mean, we are going to have
23 liquidating damages. If they can't supply me with power,
24 they are going to pay me. Now, we may negotiate what they
25 are, but I wouldn't buy my power from somebody that is

1 going to promise to deliver with no backup if they can't.

2 CHAIRMAN GARCIA: But you did. You did in this
3 case.

4 MR. WHITE: You didn't give me a choice.

5 CHAIRMAN GARCIA: I did. It was just too
6 expensive, according to you.

7 MR. WHITE: Yes.

8 COMMISSIONER CLARK: Would it be okay with you
9 if every customer got to negotiate an acceptable
10 interruption? I mean, given the fact that some
11 manufacturing can stand interruptions and some can't, and
12 they would probably get a better rate if they can
13 withstand more interruptions?

14 MR. WHITE: I will say I would be hesitant if
15 you try to do something quickly, because we don't have
16 enough capacity in the state right now. But if you give
17 the people lead time and say, let's go, and here is us
18 some lead time. But whoever wants to buy power is fine,
19 however we do it.

20 COMMISSIONER CLARK: Are you suggesting that the
21 utility have the ability to tailor an interruptible
22 schedule to the needs of particular customers?

23 MR. WHITE: At a point, sure.

24 COMMISSIONER CLARK: Assuming it was on the same
25 basis. If you contract for eight hours a year and

1 somebody else contracts for that --

2 MR. WHITE: If we get to competition -- as we go
3 to competition, I would like to go all the way to
4 competition. I think when we try to get our little toe in
5 is where we are going to get hurt. When you do a little
6 bit, it's a problem. I think this stuff right now we are
7 heading in there, we are doing this 80/20 revenue split so
8 that we can kind of incentivize the utility to do stuff
9 out here and kind of become competitive and do this, and I
10 think we are opening a lot of doors. It's tough to
11 manage.

12 Managing, which I'm going to get in just a
13 second, if you had -- what you have got is a planned
14 economy, that's what we are, except we are so darn
15 convoluted. We have got the federal law, the state law,
16 we have got munies in the way. You guys don't manage the
17 whole system, you manage a small part. And you have got
18 to do the legislative side versus here.

19 And even if we were to set out how we are going
20 to plan to run the electric business, if it is not a
21 profit-making entity this is not what we would have. I
22 grew up in Memphis, Tennessee, which is a municipal buy
23 from TVA and you do that. And I thought that utilities
24 was part of the government as I grew up. And that you can
25 run. You can run that business. You can't run it when

1 you start having investor-owneds sitting next to munies
2 sitting in the federal thing, and people are trying to
3 make money and not. And that convoluted piece is a
4 tremendous, tremendous problem, and you all face it. I
5 mean, it is a tough thing to do, as you well understand.

6 COMMISSIONER CLARK: You are not suggesting we
7 municipalize all the utilities, are you?

8 MR. WHITE: I don't have a problem with that. I
9 have suggested that to my customer service rep. I find
10 that the munies have the capacity, they have got a 50
11 percent reserve margin. It's better than what we have got
12 now. At least as I understand.

13 Let me go forward. What I would really like, I
14 think they have overcharged me on last years buy-though
15 premium, I would like about half of that back and we won't
16 have to worry with it. Retail competition, I would like
17 everybody to just go and support putting it effective
18 January 1, 2005. I would like the Commission to study the
19 debt/equity ratio and the cost of service methodology.

20 I think we are heading into competition
21 debt/equity ratio. I think you ought to have a lot more
22 debt on the regulated utility. They are carrying more --
23 the debt/equity is kind of tilted between the regulated
24 side and the total. I'm looking at a municipal that is
25 carrying 100 percent debt. If we are going to be

1 regulated, I go back to my upbringing and I don't
2 understand why we don't have 100 percent debt if we are
3 going to guarantee the return. That is going to cut the
4 bill.

5 In California, I think what we did was increased
6 the debt burden on those utilities. We called it stranded
7 cost and did some fancy thing. If the only reason we are
8 going to have competition is to increase the debt on the
9 utilities, we might as well just increase the debt.

10 COMMISSIONER DEASON: That was securitization,
11 where basically the government came in and guaranteed it.

12 MR. WHITE: Yes, yes.

13 COMMISSIONER DEASON: But what we hear is that
14 with more competition that the utilities that we regulate,
15 so they indicate to us, is that they need more equity
16 because they are in a riskier position. When things were
17 fully regulated and there was no competition, they could
18 carry higher debt because it was a less risky business.

19 MR. WHITE: Well, they are regulated today. So
20 I'm saying if indeed -- and I have suggested here, if we
21 could study what is here, I'm suggesting that if they are
22 regulated today, then we can go for more debt. And these
23 merchant developers, if they try to talk to them, they are
24 going to talk about using debt. And if they are
25 competitive and you need more equity, that is a different

1 story. I will say yes, when you go that way you are
2 probably going to have more equity than debt.

3 It would help to review, have your staff review
4 the cost of service methodology. Sooner or later we are
5 going to get into it, and I think it would be good to know
6 whether or not we like the rules before we go use them. I
7 don't know of anything wrong with them, but I don't know
8 anything about them.

9 The benefits of competition I think are --
10 include that there is going to be efficient generation
11 decisions made. That's easy. Everybody is going to build
12 gas turbines today. We know that. We are not going to
13 have to worry about questions about converting coal plants
14 and how we pay for them. Is there a disconnect between
15 what is the lowest cost way to produce power and how you
16 get paid for it? Through an environmental clause, not an
17 environmental clause if you all are going to face that
18 issue. You don't have been to worry about it. The
19 decision will be made. Whatever is the best will be done.

20 Optimal return on equity. Somebody that wants
21 to get in the business with a 9.5 percent return on
22 equity, they can get in the business. If you don't like
23 9.5, you won't be in the business.

24 Reduced administration. I think we are spending
25 a lot of money on people. Lawyers, lobbyists, Mr.

1 McWhirter, all of these lobbyists that are trying to find
2 a hole in the system. They are trying to corner us to
3 talk about one issue, talk about that to the benefit of
4 the owners of that regulated investor-owned utility.
5 We've spent a lot of money doing it, but that makes sense
6 because that is what the incentive is.

7 CHAIRMAN GARCIA: You said that you don't want
8 to stick our little pinky in the water. Do you think that
9 what we did on merchant plants is wrong? We should have
10 just kept the system as it is and not allowed merchants?

11 MR. WHITE: I think at that level at that point
12 that should be fine. I think they are taking some degree
13 of a risk, because I don't know who they are going to sell
14 it to.

15 CHAIRMAN GARCIA: That's not your problem.

16 MR. WHITE: But, I mean, hey, if somebody wants
17 to sink \$160 million, that is their business not mine. I
18 would like to help them by buying some of it. And I think
19 the real -- you can do a lot of things, but I really
20 believe that competition is going to beat your planned
21 economy. I really believe that. And that goes beyond
22 everything else. We aren't anywhere near being able to
23 even take the planned side of this thing and optimize a
24 planned economy.

25 Okay. I'm done.

1 CHAIRMAN GARCIA: Could you give a copy of that
2 to our staff before you take off, or send it to us?

3 MR. WHITE: We will send it to someone.

4 CHAIRMAN GARCIA: Great. We have sort of
5 exhausted our time, Mr. McWhirter. Can I ask you to
6 continue with those witnesses in our Tampa hearing, which
7 I think in my letter it is scheduled for Hillsborough
8 County Commission Board Room, County Center, 601 East
9 Kennedy Boulevard, Tampa, Florida, on March 27th at 10:00
10 a.m. it is going to begin.

11 MR. McWHIRTER: We will ask them to come, sir.

12 CHAIRMAN GARCIA: Very good. Thank you very
13 much for coming. Likewise, I hope that TECO and FPC in
14 particular will be there to make presentations to us,
15 also.

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)
:
COUNTY OF LEON)


CERTIFICATE OF REPORTER

I, JANE FAUROT, RPR, Chief, FPSC Bureau of Reporting
FPSC Commission Reporter,

DO HEREBY CERTIFY that the undocketed workshop held February 14, 2000 in Lakeland Florida, was heard by the Florida Public Service Commission at the time and place herein stated; it is further

CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed by me; and that this transcript, consisting of 127 pages, constitutes a true transcription of my notes of said proceedings.

DATED this 23rd day of February, 2000.



JANE FAUROT, RPR
FPSC Division of Records & Reporting
Chief, Bureau of Reporting