

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In the Matter of : DOCKET NO. 990649-TP
: :
INVESTIGATION INTO PRICING :
OF UNBUNDLED NETWORK :
ELEMENTS. :

*
* ELECTRONIC VERSIONS OF THIS TRANSCRIPT *
* ARE A CONVENIENCE COPY ONLY AND ARE NOT *
* THE OFFICIAL TRANSCRIPT OF THE HEARING *
* AND DO NOT INCLUDE PREFILED TESTIMONY. *
*

PHASE TWO
VOLUME 7

Pages 1003 through 1129



PROCEEDINGS: HEARING
BEFORE: CHAIRMAN J. TERRY DEASON
COMMISSIONER E. LEON JACOBS, JR.
COMMISSIONER LILA A. JABER
DATE: Tuesday, September 19, 2000
TIME: Commenced at 9:30 a.m.
PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida
REPORTED BY: KORETTA E. STANFORD, RPR
Official Commission Reporter
FPSC Bureau of Reporting

DOCUMENT NO.
11924
9-21-00

1 APPEARANCES:

2 JIM LAMOUREUX, 1200 Peachtree Street NE, Atlanta,
3 Georgia, 30309, appearing on behalf of AT&T.

4 DONNA McNULTY, MCI WorldCom, 325 John Knox Road,
5 Tallahassee, Florida 32303, appearing on behalf of
6 MCI WorldCom.

7 RICHARD MELSON, Hopping, Green, Sams & Smith,
8 123 South Calhoun Street, Tallahassee, Florida 32314,
9 appearing on behalf of MCI WorldCom and Rhythms Links.

10 JOSEPH McGLOTHLIN and VICKI GORDON KAUFMAN,
11 McWhirter, Reeves Law Firm, 117 South Gadsden Street,
12 Tallahassee, Florida 32301, appearing on behalf of Florida
13 Competitive Carriers Association (FCCA) and Z-Tel.

14 NANCY B. WHITE, BENNETT ROSS, and KIP EDENFIELD,
15 c/o Nancy Sims, 150 South Monroe Street, Suite 400,
16 Tallahassee, Florida 32301, appearing on behalf of
17 BellSouth Telecommunications, Inc.

18 JEFFRY WAHLEN, Ausley & McMullen, 227 South Calhoun
19 Street, Tallahassee, Florida 32302, appearing on behalf of
20 ALLTEL.

21 JOHN FONS and Charles Rehwinkel, P.O. Box
22 2214, Tallahassee, Florida 32316-2214, appearing on
23 behalf of Sprint-Florida, Incorporated.

24 SCOTT SAPPERSTEIN, One Intermedia Way,
25 M.C. FLT.HQ3, Tampa, Florida 33647-1752, appearing

1 on behalf of Intermedia Communications, Inc.

2 MICHAEL A. GROSS, 310 North Monroe
3 Street, Tallahassee, Florida 32301, appearing on
4 behalf of Florida Cable Telecommunications
5 Association, Inc.

6 KAREN CAMECHIS, 214 South Monroe Street,
7 2nd Floor, Tallahassee, Florida, appearing on behalf
8 of Time Warner, LP.

9 FLOYD SELF, Messer, Caparello & Self, 215 South
10 Monroe Street, Suite 701, Tallahassee, Florida 32302-1876,
11 appearing on behalf of AT&T Communications of the Southern
12 States.

13 JEREMY MARCUS, Blumenfeld & Cohen, 1625
14 Massachusetts Avenue, Suite 300, Washington, D.C. 20036,
15 appearing on behalf of Rhythms Links.

16 CATHERINE F. BOONE, 10 Glenlake Parkway, Suite 650,
17 Atlanta, Georgia 30328-3495, appearing on behalf of Covad
18 Communications.

19 MICHAEL BRESSMAN, 5 Corporate Centre, 801 Crescent
20 Centre Drive, Suite 600, Franklin, Tennessee 37067,
21 appearing on behalf of BlueStar Networks.

22 MICHAEL SLOAN, Swidler Berlin Shereff Friedman,
23 3000 K Street, N.W., Suite 300, Washington, D.C.
24 20007-5116, appearing on behalf of Broadslate Networks,
25 Inc., Incorporated, Cleartel Communications, and Florida

1 Digital Network.

2 BETH KEATING, DIANA CALDWELL and WAYNE KNIGHT, FPSC
3 Division of Legal Services, 2540 Shumard Oak Boulevard,
4 Tallahassee, Florida 32399-0850, appearing on behalf of
5 the Commission Staff.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I N D E X

WITNESSES

NAME:

PAGE NO.

ALPHONSO J. VARNER

Stipulated Prefiled Direct Testimony
Inserted7
1096Stipulated Prefiled Rebuttal Testimony
Inserted~~1099~~
1100

EXHIBITS

NUMBER:

ID

ADMTD.

60 Official Recognition List

1021

1095

61 BST's Responses to Discovery

1021

1095

62 AT&T's Reponses to Discovery

1021

1095

63 AT&T/MCI's Joint Responses to
Discovery

1021

1095

64 AT&T/MCI's Joint REsponses to
Discovery

1021

1095

65 Bluestar's Resonnes to Discovery

1021

1095

66 Covad's REsponses to Discovery

1021

1095

67 Rhythms' Responses to Discovery

1021

1095

68 BlueStar, Cova, Rhythms' Joint
Responses to Discovery

1021

1095

69 Broadslate, Cleartel, FDN's
Joint Responses to Discovery

1021

1095

70 Broadslate, Cleartel, FDN's
Joint Responses to Discovery

1021

1095

1 INDEX OF EXHIBITS CONTINUED:

2	NUMBER:	ID	ADMTD.
3	71 Broadslate, Cleartel, FDN's Joint Responses to Discovery	1021	1095
4	72 BST's Letters/Status Reports on Cost Model Changes	1021	1095
5	73 FCCA's Responses to Discovery	1021	1095
6	74 FCTA's Responses to Discovery	1021	1095
7	75 Spring's Responses to Discovery	1021	1095
8	76 Sprint's Responses to BST Discovery	1021	1095
9	77 (Confidential) BST's Responses to Discovery	1021	1095
10	78 (Confidential) Sprint's Responses to Discovery	1021	1095
11	79 (Confidential) AT&T/MCI's Joint Responses to Discovery	1021	1095
12	80 BST's Responses to the Coalition Discovery	1021	1095
13	81 Caldwell's Deposition Transcript and Exhibits	1021	1095
14	82 Milner's Deposition Transcript and Exhibits	1021	1095
15	83 (Confidential) Page's Deposition Transcripts and Exhibits	1021	1095
16	84 Page's Deposition Transcript and Exhibits	1021	1095
17	85 Reid's Deposition Transcript and Exhibits	1021	1095
18			
19			
20			
21			
22			
23			
24			
25			

1 INDEX OF EXHIBITS CONTINUED:

2	NUMBER:	ID	ADMTD.
3	86 King's Deposition Transcript and Exhibits	1021	1095
4			
5	87 Donovan/Pitkin's Deposition Transcript and Exhibits	1021	1095
6	88 Murray's Deposition Transcript and Exhibits	1021	1095
7			
8	89 Riolo's Deposition Transcript and Exhibits	1021	1995
9	90 Stegeman's Deposition Transcript and Exhibits	1094	1095
10			
11	91 Varner's Deposition Transcript and Exhibits	1094	1095
12	92 Exhibits Attached to Varner's Direct and Rebuttal Testimony	1096	1096
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN DEASON: Call the hearing to order.

Could I have the notice read, please.

MR. KNIGHT: Notice was given on August 21st, 2000, in docket number 9900649, which is the investigation into the pricing of unbundled network elements that a hearing would be held at this time and place for the purpose set forth in the hearing.

CHAIRMAN DEASON: Thank you. I'm going to now request appearances, and I'm going to ask you to go slowly, because by the time we get through everyone, my hand's going to be tired.

MS. WHITE: Okay. Nancy White, Bennett Ross, and Kip Edenfield for BellSouth Telecommunications.

CHAIRMAN DEASON: Thank you.

MR. WAHLEN: Good morning, Commissioners; Jeff Wahlen on behalf of Alltel Communications, Inc.

MR. FONS: Mr. Chairman, I'm John Fons. I'm appearing on behalf of Sprint Communications Company Limited Partnership. Also appearing is Charles Rehwinkel.

CHAIRMAN DEASON: Thank you.

MR. SLOAN: Commissioner, I'm Michael Sloan with the law firm Swidler Berlin Shereff Friedman appearing on behalf of Broadslate Networks, Incorporated, Florida Digital Network, Incorporated, and Cleartel

1 Communications.

2 CHAIRMAN DEASON: Thank you.

3 MR. SELF: Good morning, Mr. Chairman. I'm
4 Floyd Self of the Messer, Caparello & Self law firm
5 appearing on behalf of AT&T Communications of the Southern
6 States. I would also like to enter an appearance for Jim
7 Lamoureux of AT&T's office in Atlanta.

8 MR. MCGLOTHLIN: My name is Joe McGlothlin of
9 the McWhirter, Reece law firm appearing for the Florida
10 Competitive Carriers Association. I'm also authorized to
11 enter an appearance on behalf of Z-Tel Communications
12 Incorporated. I'd like to enter the appearance also of
13 Vicki Gordon Kaufman of the firm.

14 CHAIRMAN DEASON: Thank you.

15 MR. MELSON: Commissioner, Richard Melson of the
16 law firm Hopping, Green, Sams & Smith appearing on behalf
17 of Worldcom, Inc. and also on behalf of Rhythms Links,
18 Inc. I'd like to enter an appearance on behalf of
19 Worldcom for Donna McNulty and an appearance for Rhythms
20 Links on behalf of Jeremy Marcus of the law firm of
21 Blumenfeld & Cohen.

22 CHAIRMAN DEASON: Sorry. Marcus is appearing on
23 behalf of whom?

24 MR. MELSON: Rhythms Links, Inc.

25 CHAIRMAN DEASON: Thank you.

1 MS. BOONE: Good morning, I'm Catherine Boone.
2 I work for Covad Communications Company and will be
3 appearing on Covad's behalf.

4 MR. BRESSMAN: I'm Michael Bressman, and I work
5 for BlueStar Net --

6 CHAIRMAN DEASON: Your last name again?

7 MR. BRESSMAN: Bressman.

8 CHAIRMAN DEASON: Could you spell that, please.

9 MR. BRESSMAN: "B," as in boy, R-E-S-S-M-A-N.

10 CHAIRMAN DEASON: Thank you.

11 MR. BRESSMAN: And I work for BlueStar Networks,
12 Inc. and appearing on their behalf.

13 MR. GROSS: Good morning. I'm Michael Gross,
14 and I'm appearing on behalf of the Florida Cable
15 Telecommunications Association. Thank you.

16 MR. SAPPERSTEIN: Good morning, Mr. Chairman,
17 Commissioners. I'm Scott Sapperstein representing
18 Intermedia Communications. I'd also ask that the
19 Commission allow Joe McGlothlin to make an appearance on
20 our behalf. He's indicated his willingness and request
21 that I can be excused at the end of today.

22 CHAIRMAN DEASON: Very well.

23 MR. SAPPERSTEIN: Thank you.

24 MS. CAMECHIS: Good morning, Karen Camechis on
25 behalf of Time Warner Telecom of Florida LP.

1 CHAIRMAN DEASON: Thank you.

2 MR. SLOAN: One other. I'd like to enter an
3 appearance on behalf of Thomas Lotterman also with the
4 Swidler Berlin law firm on behalf of the three clients I
5 mentioned earlier.

6 CHAIRMAN DEASON: You're Mr. Sloan, right?

7 MR. SLOAN: Yes.

8 COMMISSIONER JABER: Thomas -- what was the last
9 name?

10 MR. SLOAN: Lotterman, L-O-T-T-E-R-M-A-N.

11 CHAIRMAN DEASON: Could you name your clients
12 again, please?

13 MR. SLOAN: Broadslate Networks of Florida,
14 Incorporated, Cleartel Communications, Incorporated,
15 Florida Digital Network, Incorporated.

16 CHAIRMAN DEASON: Okay.

17 MR. KNIGHT: And Diana Caldwell, Beth Keating,
18 and Wayne Knight on behalf of the Commission Staff.

19 CHAIRMAN DEASON: Okay. Preliminary matters?

20 MR. KNIGHT: There are several outstanding
21 motions in this docket. First, on September 11th, 2000,
22 BellSouth filed a motion for leave to file corrected
23 testimony and a corrected exhibit. BellSouth wishes to
24 correct an omission in two areas in witness Page's
25 testimony and the Exhibit JHP-3.

1 CHAIRMAN DEASON: Okay, any objection to this
2 motion? Hearing no objection, the motion is granted.
3 Next item.

4 MR. KNIGHT: Okay. BellSouth also filed an
5 emergency motion to compel discovery responses from
6 several parties. This motion has been addressed as it
7 pertains to BlueStar, Covad, and Rhythms. The motion was
8 still outstanding as it relates to Supra. Supra, however,
9 has withdrawn from the proceedings, so the motion would be
10 moved as for that.

11 CHAIRMAN DEASON: So, there's no need to take
12 any action at this point.

13 MR. KNIGHT: Correct.

14 CHAIRMAN DEASON: Very well. Next item.

15 MR. KNIGHT: On September 13th, 2000, the
16 Coalition, which is Broadslate, Cleartel, and Florida
17 Digital, filed a motion for leave to file a corrected
18 exhibit. They request leave to correct witness McPeak's
19 Exhibit EM-6 to reflect the correct formulas in Column E
20 of the spreadsheet. We have not had any responses to
21 date.

22 CHAIRMAN DEASON: Any objection? Hearing no
23 objection, show the motion's granted. Next item.

24 MR. KNIGHT: On September 15th, the Coalition,
25 again, filed a motion for late-filed discovery responses

1 to Staff. The Coalition states that a change in attorneys
2 handling the case resulted in the late service.

3 CHAIRMAN DEASON: Any objection? Hearing none,
4 show that that is also granted. Next item?

5 MR. KNIGHT: Commission Staff filed a motion to
6 compel Supra Telecom to respond to Staff's set of
7 interrogatories. Again, that motion would be moved as to
8 Supra at this time.

9 CHAIRMAN DEASON: Very well. Next item.

10 MR. KNIGHT: The Coalition, Broadslate,
11 Cleartel, and Florida Digital, filed a request for
12 qualified representative for Thomas Lotterman and Michael
13 Sloan.

14 CHAIRMAN DEASON: Any objection? Hearing none,
15 show that motion granted. And are there any other
16 outstanding motions we need to address at this time?

17 MR. WAHLEN: I don't have a motion,
18 Commissioner, but on behalf of Alltel, I'd like to be
19 excused from the hearing. We don't have a witness, I have
20 no cross. We're going to brief the case based on the
21 record developed and would like to be excused from the
22 hearing at this time.

23 CHAIRMAN DEASON: You're going to auction off
24 your seat at the front panel?

25 MR. WAHLEN: Actually, there are others who

1 would like to leave, too, but I would like permission to
2 be excused.

3 CHAIRMAN DEASON: Very well.

4 MR. WAHLEN: Thank you.

5 MR. ROSS: Mr. Chairman, Bennett Ross on behalf
6 of BellSouth. There's one matter I don't believe that I
7 heard Mr. Knight mention, but BellSouth has filed a motion
8 to revise Mr. Varner's testimony and exhibit.
9 Mr. Varner's testimony has been stipulated into the
10 record, and that was filed on September 5th, 2000.

11 CHAIRMAN DEASON: Okay. So, when we stipulate
12 that testimony into the record, you will be moving a
13 corrected version; is that correct?

14 MR. ROSS: Yes, sir. It will correct --
15 primarily, just the exhibit itself will be corrected, and
16 we've already filed that corrected exhibit with the
17 Commission and served the parties with that corrected
18 exhibit.

19 CHAIRMAN DEASON: When we get to that point,
20 just clarify that's what you're doing to make sure the
21 record is clear.

22 MR. ROSS: Thank you.

23 CHAIRMAN DEASON: It should not be a problem.
24 Other preliminary matters?

25 MR. KNIGHT: There's also testimony and exhibits

1 of certain witnesses that have been stipulated and that
2 will be entered into the record as being stipulated
3 without cross examination and the parties, they wish to
4 have those witnesses excused, if possible. We have a list
5 of witnesses that are subject to possible stipulation. We
6 may want to put an agreement on the record as to that.

7 CHAIRMAN DEASON: Let's begin with the BellSouth
8 witnesses. There's three; is that correct?

9 MR. KNIGHT: Correct.

10 CHAIRMAN DEASON: Witnesses Page, Reid, and
11 Varner? Any parties have any objection stipulating that
12 testimony and accompanying exhibits? Staff has no
13 objection. Commissioners? Okay. When we get to the
14 correct stage of the hearing we will enter that testimony
15 into the record, but for now those witnesses may be
16 excused, will not have to appear.

17 FCCA, Mr. Gillan, any objection? Hearing no
18 objection, likewise, he will be treated in the same
19 manner.

20 Witnesses Pitts and Darnell for AT&T and MCI.
21 Hearing no objection, that testimony then, likewise, will
22 be stipulated into the record.

23 Witness Ford appearing for Z-Tel, any objection?
24 Hearing none, same treatment.

25 Witness Barta for FCTA. Hearing no objection,

1 same treatment there.

2 And three witnesses on behalf of Sprint:
3 Sichter, McMahon, and Cox; any objection?

4 MR. FONTS: I believe, Mr. Chairman, witness
5 Dickerson for Sprint, BellSouth has agreed to stipulate
6 Mr. Dickerson and waive cross.

7 CHAIRMAN DEASON: Mr. Ross, is that correct?

8 MR. ROSS: That's correct, Mr. Chairman.

9 CHAIRMAN DEASON: Okay. Then, we can add
10 Dickerson to that as well. You trying to leave, too,
11 Mr. Fons?

12 MR. FONTS: I'm getting there.

13 CHAIRMAN DEASON: Okay. No, objection then,
14 that treatment also will be afforded for those witnesses.
15 We will take care of that in a moment when we get to that
16 phase of the hearing, we'll actually insert that testimony
17 into the record.

18 MR. KNIGHT: Okay.

19 CHAIRMAN DEASON: But all those witnesses, as
20 we've just described, can be excused for the remainder of
21 the hearing.

22 Other preliminary matters?

23 MR. KNIGHT: There are also several requests for
24 confidential treatment by BellSouth and AT&T since the
25 prehearing conference. Staff plans to prepare orders for

1 the prehearing officer addressing these outstanding
2 requests before the recommendation on this matter is
3 brought to agenda.

4 At this time, there are a number of stipulated
5 exhibits --

6 CHAIRMAN DEASON: Let's back up for a moment.
7 This information has been requested confidential treatment
8 and will be afforded such treatment until there is a
9 disposition one way or the other, correct?

10 MR. KNIGHT: Correct.

11 CHAIRMAN DEASON: Okay. Very well.

12 MR. KNIGHT: There are also a number of
13 stipulated exhibits, which can be marked for the record at
14 this time. The numbering will pick up where Phase I of
15 the proceedings left off. Similarly, the hearing
16 transcript will take up the last page number from the
17 Phase I transcript.

18 CHAIRMAN DEASON: Okay. The next hearing
19 exhibit is Exhibit 60; is that correct?

20 MR. KNIGHT: Correct. And first, we'd like to
21 enter the Official Recognition List for this proceeding.
22 Staff recommends that it be marked as hearing Exhibit 60
23 and in lieu of reading this rather extensive list into the
24 record.

25 CHAIRMAN DEASON: Do all the parties have this

1 list?

2 MR. ROSS: No, Mr. Chairman.

3 CHAIRMAN DEASON: Don't have the list.

4 MR. ROSS: I don't believe so.

5 CHAIRMAN DEASON: Okay. I think, it would
6 probably be advisable to make that list available to
7 everyone. I would anticipate the parties need some time
8 to review this. What we will do, we will identify this as
9 Exhibit 60. We will not move it into the record until
10 parties have had a chance to review it.

11 And I would also ask, parties, that if there are
12 items not on the list, which you wish to have included on
13 that list, please, make a note of that, and we will modify
14 Exhibit 60 to include those items, if there are no
15 objections to including them. And we'll have one exhibit,
16 which includes all of the items which will be officially
17 recognized.

18 MR. KNIGHT: Okay. Next is Stip 1, which
19 contains BellSouth's responses to discovery. And we ask
20 that that exhibit be marked as Exhibit 61.

21 CHAIRMAN DEASON: We've got a long, long list of
22 stipulated exhibits. Staff, have you made this list
23 available to the parties? Are there any objections to the
24 stipulated exhibits as identified by Staff?

25 And I know that stipulated Exhibit 16, which is

1 number 17 on Staff's list, that that will no longer be
2 needed because of Supra's withdrawal, but with that
3 objection, it would be much simpler just simply to
4 identify these in mass and move them in mass.

5 MS. KEATING: Mr. Chairman, if I could just
6 point something out. We did e-mail it to the parties
7 yesterday, but I think some people were in transit. So,
8 I'm not sure that everybody has actually seen the list.
9 And in addition, there is one other exhibit that we'd like
10 to substitute for, I believe, it's Stip 16 that was
11 identified as Supra's responses to discovery.

12 CHAIRMAN DEASON: Okay. Let's make that change
13 to your list. And then, what we will do is we'll make the
14 list available to everyone, and we will identify all of
15 the exhibits as you have them identified and at some
16 future time we'll move them. What is the change that you
17 wish to make?

18 MS. KEATING: The change would be to change Stip
19 16 from Supra's responses to discovery request to Sprint's
20 responses to BellSouth's discovery request. And just to
21 be clear, we handed out a cover sheet a few minutes ago
22 that identified that as Stip 21, but I think if we just
23 substitute it for Stip 16, which will be eliminated
24 because Supra has withdrawn, I think, that will keep the
25 numbering a little bit clearer.

1 CHAIRMAN DEASON: Okay. So, then, that would
2 not necessitate any changes to the numbering system that
3 you have, everything should flow.

4 MS. KEATING: That's correct, it should flow.

5 CHAIRMAN DEASON: Okay. We need to make this
6 list available to the court reporter as well. And what I
7 will do is as you have these items identified on your
8 list, they will be identified for purposes of the record
9 with the hearing exhibit numbered as you have identified
10 in parens following the item.

11 And after all parties have had an opportunity to
12 review the list and indicate if there are any objections,
13 then we will deal with those objections. If there are no
14 objections at that time, then, all of these identified
15 exhibits will be admitted into the record in mass.

16 MR. MELSON: Chairman Deason, can you tell me
17 what the last number is on that list?

18 CHAIRMAN DEASON: Yes. My list shows Exhibit
19 89. So, it would be Exhibits 60 through 89.

20 MR. MELSON: Thank you.

21 (Exhibits 60 through 89 marked for
22 identification.)

23 CHAIRMAN DEASON: Okay. Staff, just remind me
24 at some future time, maybe after a break or whatever, we
25 can address Exhibit 60 through 89.

1 MS. KEATING: Certainly.

2 CHAIRMAN DEASON: Okay. I believe, we are
3 prepared to have opening statements, unless parties have
4 other preliminary matters.

5 MR. ROSS: Mr. Chairman, one additional
6 preliminary matter. At the prehearing last week, I
7 believe, there was a discussion that was had about a
8 demonstration that some of the parties wished to do to
9 demonstrate loop conditioning. We discussed at that time
10 with Commissioner Jacobs our desire to reserve the right
11 to do a demonstration of our own.

12 What we have done is we have done a videotape of
13 a loop conditioning project, actually in the field, that
14 was performed within the last couple of weeks in south
15 Florida. The videotape itself is -- the work took over
16 four hours from start to finish. The videotape itself is
17 about an hour and 15, an hour and 20 minutes of actual
18 work being done. Some of it can be fast-forwarded for the
19 convenience of the Commission.

20 We believe that it's important for the
21 Commission to get a sense of really what is involved in a
22 project from start to finish, which we don't believe can
23 accurately be depicted in a sterile hearing room, but we
24 understand the time constraints under which the Commission
25 and all the parties are operating.

1 And what we would suggest is that the videotape
2 be viewed, possibly during a lunch break at some point and
3 time in the hearing so the Commission can, you know, have
4 lunch, but at the same time see the video and see what the
5 work involved in this process actually, is.

6 CHAIRMAN DEASON: I'm not going to do that.

7 MR. ROSS: Okay.

8 CHAIRMAN DEASON: If you want to identify that
9 video as an exhibit and give me a copy of it, I'll look at
10 it at my leisure, but I'm not going to use my lunch hour
11 to look at your video, okay?

12 MR. ROSS: Could we have permission to use 15
13 minutes of the video or a portion of the video on cross
14 examination of the individual who would be performing the
15 demonstration on behalf of the ALECs?

16 CHAIRMAN DEASON: You want to use your video in
17 cross examination?

18 MR. ROSS: Yes, sir. And we have the individual
19 who can authenticate it, if that becomes an issue, who was
20 there when it was done and who can attest to the fact that
21 it accurately depicts what was done at a particular job,
22 if that is an issue.

23 CHAIRMAN DEASON: Well, I don't know if that's
24 ever been done before. Parties, you've heard the
25 suggestion. I'm open for feedback.

1 MR. MELSON: Commissioner, I would like to think
2 about it. My initial reaction is that we probably do not
3 have an objection to that. Using it in cross may actually
4 be better, because it would allow our witness to point out
5 any aspects to the video that he feels may not be
6 representative, so that may be a good solution. It may be
7 -- we have not seen the video. Maybe, if we could arrange
8 with Mr. Ross to see a copy of it before we have to make a
9 final -- take a final position.

10 CHAIRMAN DEASON: Mr. Ross, which witness will
11 you utilize this video during your cross?

12 MR. ROSS: I believe, the witness for the ALECs
13 is Mr. Riolo, who was planning on doing the demonstration.

14 MR. MELSON: Commissioner, he is unlikely to be
15 on the stand before Thursday, I would guess.

16 CHAIRMAN DEASON: Okay. Well, that should give
17 us sufficient time, then, for Mr. Melson and whoever else
18 wishes to preview the video to do that before cross
19 examination takes place and maybe you all can reach an
20 accommodation and help the chairman understand how you
21 foresee this proceeding.

22 MR. MELSON: Thank you.

23 MR. ROSS: If it becomes an issue, Mr. Chairman,
24 we're happy to do it as part of our direct case. We don't
25 want to, you know, affect the flow of the case at all. If

1 the other parties prefer that we introduce it as part of
2 our direct case, we're happy to do that as well.

3 CHAIRMAN DEASON: All right. Well, you all work
4 it out and bring a resolution to the Commission, and we
5 will make an accommodation. Other preliminary matters?

6 MR. BRESSMAN: Mr. Chairman?

7 CHAIRMAN DEASON: Mr. Bressman.

8 MR. BRESSMAN: BlueStar has transcript copies of
9 a number of the depositions that we took, and I wanted to
10 know if this would be the appropriate time to move them
11 into the record?

12 CHAIRMAN DEASON: Staff, have those depositions
13 been identified in your list anywhere?

14 MR. BRESSMAN: They have not been, I don't
15 believe.

16 MS. KEATING: No, sir. The only deposition
17 transcripts that we have marked are the ones for the
18 depositions that we actually took.

19 CHAIRMAN DEASON: Have you identified the
20 parties of your desire to have these depositions
21 identified as an exhibit and entered into the record?

22 MR. BRESSMAN: Excuse me?

23 CHAIRMAN DEASON: Have you discussed this with
24 the other parties as to your desire to have these
25 depositions identified and entered into the record?

1 MR. BRESSMAN: Yes, I have. And, I believe,
2 there was no objection.

3 CHAIRMAN DEASON: Okay. Do you have a list
4 prepared of those depositions?

5 MR. BRESSMAN: I don't have a list prepared at
6 the time, but I could give you some of them at the moment.
7 We're still waiting for some of the other copies from
8 court reporters.

9 CHAIRMAN DEASON: You prepare your list and you
10 identify it with enough specificity that we can make sure
11 the record is complete, and then we will go through the
12 process just like I did with the Staff, giving them a
13 number. And if there's no objection, at the appropriate
14 time, we'll admit those into the record. Just remind me
15 in case I forget.

16 MR. BRESSMAN: Thank you.

17 CHAIRMAN DEASON: All right.

18 MR. SELF: Mr. Chairman?

19 CHAIRMAN DEASON: Yes.

20 MR. SELF: We also have two deposition
21 transcripts. We have the copies. We've discussed this, I
22 believe, with the parties in advance. If we could go
23 ahead and identify and give those numbers now.

24 CHAIRMAN DEASON: I know it's only two items,
25 but I want a list from you as well, Mr. Self, and we'll go

1 through that process.

2 MR. SELF: Thank you.

3 MR. ROSS: Mr. Chairman, BellSouth would also
4 like to introduce into the record the depositions of the
5 four Sprint witnesses whose testimony has been stipulated
6 to, and we will provide a list.

7 CHAIRMAN DEASON: Yes, you learn quick. Okay.
8 Other preliminary matters?

9 Okay. I understand there's been 20 minutes per
10 side allocated for opening statements, is that correct?

11 MR. MCGLOTHLIN: That's correct.

12 CHAIRMAN DEASON: Okay. Mr. McGlothlin, are you
13 going be handling that or is it going to be allocated to
14 various --

15 MR. MCGLOTHLIN: On the ALEC side of the table,
16 we've allocated that among five attorneys. Commissioner
17 Deason, I would expect or my anticipation was that the
18 opening statements would proceed in the same order as the
19 witnesses and that BellSouth would go first. We'll -- at
20 your pleasure, but --

21 CHAIRMAN DEASON: I'm just trying to determine
22 who is going to be arguing at this point, Mr. McGlothlin.
23 Who is the five, yourself and --

24 MR. MCGLOTHLIN: I will be the first to argue,
25 then Jim Lamoureux of AT&T, Rick Melson, John Fons, and

1 Michael Gross.

2 CHAIRMAN DEASON: Okay. And that's the order in
3 which --

4 MR. MCGLOTHLIN: That's correct.

5 CHAIRMAN DEASON: Okay. BellSouth?

6 MR. ROSS: Mr. Chairman, I'll be doing the
7 opening statement.

8 CHAIRMAN DEASON: The entire 20 minutes?

9 MR. ROSS: Well, we were thinking about
10 spreading it, but I couldn't delegate.

11 CHAIRMAN DEASON: Okay. Before you begin,
12 Mr. Ross and Mr. McGlothlin, I'll address this to you, and
13 I don't know if you're the appropriate one or someone else
14 in your list there; at some point, I want you, both sides,
15 to address the effect of the Eighth Circuit's decision,
16 what, in fact, it has on the proceeding.

17 Primarily, I'm interested in whether the effect
18 of what we do here today, over the next several days, and
19 the process we go through and the decision that we make,
20 what meaning does it have? What impact does it have? How
21 lasting it going to be? Or are we here at an exercise
22 that is simply going to have to be redone in a short
23 period of time?

24 And if that is the case, I'm going to ask the
25 question as to why are we doing this now? And I want very

1 specific answers to those questions. I want guidance.
2 We're taking a lot of time and resources. And I don't
3 mind taking that time and resources, if what we're doing
4 has meaning and impact and some lasting effect. And if
5 that is not the case, I'm going to want an explanation as
6 to why we're here.

7 And, Mr. Ross, if you did not anticipate
8 addressing that, I will give you some latitude to give you
9 a few more minutes of your 20, but if you can incorporate
10 it within your 20, I would appreciate that.
11 Mr. McGlothlin, the same with you or whomever is going to
12 address that.

13 MR. MCGLOTHLIN: Okay.

14 CHAIRMAN DEASON: Very well.

15 MR. ROSS: Thank you, Mr. Chairman. I'll try to
16 address your concerns in the scope of my opening.

17 Mr. Chairman, Commissioners, the purpose of this
18 proceeding is to establish just and reasonable rates for
19 unbundled network elements that the ALECs may want to
20 purchase from BellSouth in the state of Florida.

21 Every party in this proceeding acknowledges the
22 importance of the task that faces this Commission. The
23 establishment of just and reasonable rates is critical to
24 the continued development of local competition in the
25 state of Florida.

1 The establishment of just and reasonable rates
2 for unbundled network is a balancing act. On the one
3 hand, the Commission must balance -- must ensure that
4 BellSouth is fairly compensated for the use of its
5 facilities. On the other hand, the Commission must ensure
6 that ALECs pay no more than BellSouth's forward-looking
7 cost of such facilities.

8 There's no question as a result of the Eighth
9 Circuit's decision that there is some uncertainty as to
10 certain aspects of the legal standard that controls the
11 outcome of this case. The statute, however, is quite
12 clear. And the Telecommunications Act of 1996,
13 specifically, requires and provides guidance to this
14 Commission in establishing rates. And it sets forth a
15 standard that requires that rates be just and reasonable
16 and that those standards be based on cost and that they
17 may include a reasonable profit and that they be
18 nondiscriminatory.

19 The FCC has taken that statute and adopted rules
20 of its own that set forth specific requirements that the
21 FCC felt were appropriate in establishing cost-based
22 rates. Some of the FCC's rules are relatively
23 noncontroversial in the sense that most of the party, all
24 the parties, really, to this proceeding, agree that costs
25 must be forward-looking.

1 The disagreement was on the question of from
2 who's perspective must costs be forward-looking? The FCC
3 had adopted what we commonly refer to as the hypothetical
4 most efficient provider standard so that the Commission's
5 task under the FCC's rules was to develop costs using the
6 most efficient technology limited only by the existing
7 wire center locations.

8 Everything else was to be structured, what we
9 call the scorch node approach, from the ground up using
10 really the most efficient technology and assuming the most
11 efficient provider in the marketplace. The Eighth Circuit
12 said that that hypothetical standard was wrong, that the
13 FCC had violated the Telecommunications Act of 1996,
14 because the cost must actually be the cost that the
15 incumbent is actually going to incur on a going-forward
16 basis.

17 So, instead of looking at the hypothetical
18 standard under the Eighth Circuit's view, the Commission's
19 task is to establish rates that actually reflect
20 BellSouth's actual forward-looking cost. The status of
21 the Eighth Circuit's rule, of course, the ruling is
22 somewhat up in the air as several parties have correctly
23 pointed out, the Eighth Circuit has not actually issued
24 its mandate. Several parties, including several
25 incumbents in the FCC, have asked for a stay of the FCC's

1 mandates so that the issue can be appealed to the United
2 States Supreme Court.

3 The common view is that the Supreme Court will
4 be inclined to grant certiorari, if for no other reason,
5 than the Supreme Court is already looking at the FCC's
6 pricing rules in the context of a decision from the Fifth
7 Circuit on the universal service case.

8 But, of course, it's impossible to predict
9 what's going to happen, whether the Eighth Circuit will
10 grant a stay, whether the Supreme Court will take cert,
11 what will happen ultimately if the Supreme Court does
12 review the decision.

13 From BellSouth's perspective, however, the
14 uncertainty that does exist with respect the status of the
15 FCC's pricing rules does not effect the importance of this
16 proceeding. The task before this Commission -- this
17 Commission has looked at rates before, and it is engaged
18 in the balancing act that I have described. It did it
19 first in 1996, which seems like a lifetime ago to many of
20 us in the context of the original AT&T and MCI
21 arbitrations.

22 And as you'll recall, there was uncertainty at
23 that time about the FCC's pricing rules, but on
24 jurisdictional grounds. Now, the Commission looked at
25 costs again in April of 1998, again, in the context of the

1 AT&T and MCI arbitration, to look at additional network
2 elements, and to establish rates for collocation. So, I
3 believe that the Commission, you know, since the
4 Telecommunications Act of 1996, as a result of litigation,
5 there has been uncertainty inherent as part of this
6 process.

7 Chairman Deason, your question about the lasting
8 effect of a decision by this Commission, I can't tell you
9 with certainty that a decision by the Commission in this
10 proceeding will have lasting effect. It certainly will
11 have an effect in the sense that the Commission must
12 establish rates for certain elements for which this
13 Commission has not established rates.

14 The best example would be the new elements that
15 BellSouth has been required to unbundle as a result of the
16 FCC's 319 order. This Commission has yet to establish
17 cost-based rates for those particular elements and, by
18 law, we're required to offer those elements to ALECs in
19 the state of Florida and have been for some time, but we
20 need guidance from the Commission as to the appropriate
21 rates to establish for those elements.

22 It may -- it could be months, it could be years
23 before the dust finally settles on the Eighth Circuit's
24 proceeding and the effect of the Eighth Circuit's ruling
25 on the FCC pricing rules. But, I believe, the view of

1 BellSouth and, I believe, the view of most of the parties
2 here is that cost-based rates are important. We need to
3 have appropriate rates in place for competition to
4 continue to flourish in the state of Florida. And none of
5 us want to have to go through this process more than once
6 every several years, but it is uncertain at this time as
7 to exactly how the Eighth Circuit ruling will bear out in
8 terms of this proceeding.

9 At the very least, and Ms. Caldwell and Mr.
10 Stegeman, on behalf of BellSouth will address this in more
11 detail, that the original cost studies were designed to
12 comply with the FCC's pricing rules. And from BellSouth's
13 standpoint, the FCC's pricing rules essentially set the
14 floor, if you will, for appropriate rates.

15 The Eighth Circuit's decision, in our view,
16 essentially holds that the rate level should be above the
17 floor as set by the FCC. BellSouth has indicated, and we
18 reiterate today, that we are willing to live with what we
19 believe would be the lower rates under the FCC's view than
20 if rates were set in compliance with the standard adopted
21 by the Eighth Circuit. But at some point and time,
22 depending on what happens with the Supreme Court, the
23 rates will need to be revisited.

24 COMMISSIONER JABER: Mr. Ross, may I ask you a
25 question on the legal effect of the stay? You made

1 reference that the parties have asked for a stay of the
2 Eighth Circuit's decision. If that stay is granted,
3 what's the legal effect? And how is the state Commission
4 affected by that decision?

5 MR. ROSS: If the stay is granted, Commissioner,
6 the FCC's pricing rules will remain in force as they exist
7 today. And really, that would not affect this proceeding
8 at all, because as I indicated earlier, BellSouth has
9 designed its cost studies in order to comply with the
10 FCC's pricing rules. So, if those pricing rules continue
11 in effect, a stay would not have an affect on this
12 proceeding, in BellSouth's view.

13 Although, it's hard to tell from the mountain of
14 paper that's been filed in this case. The task facing
15 this Commission, actually, is somewhat easier than the
16 task that the Commission has faced in prior cost
17 proceedings.

18 And the reason that is, is because here you do
19 not have a case of dueling cost studies. As you may
20 recall from prior proceedings, AT&T and MCI would come out
21 with their model, BellSouth would come with its model, and
22 the Commission would have to make a decision as to which
23 model was more appropriate.

24 Here, you don't have that decision to make. The
25 parties have, essentially, agreed to use BellSouth's cost

1 studies. And all of the pricing proposals that the
2 parties will make in this proceeding are based on
3 BellSouth's cost studies.

4 The task facing this Commission also is a little
5 easier this time around because of the fact that you have
6 some guidance, you've looked at costs for unbundled
7 network elements before. And if I could, I'd like just to
8 pass out a couple of charts Ms. White will hand out in
9 just a minute.

10 And what these exhibits will do is just to give
11 you a frame of reference to compare some of the pricing
12 proposals that you will see. And this is just one element
13 out of literally hundreds for which the Commission is
14 being asked to establish rates.

15 But this will give you a frame of reference to
16 determine the rate the Commission has already established
17 for the element and looking simply at a 2-wire voice-grade
18 loop contrasting that with the rate proposed by BellSouth
19 and the rate being proposed by AT&T and MCI.

20 Now, I should state at the outset here that AT&T
21 and MCI is the only party that has actually made a
22 comprehensive rate proposal, other than BellSouth for all
23 of the various elements. The pricing proposals that you
24 will see from the data ALECs are limited primarily to the
25 loops and subloop elements for which these companies are

1 interested in for providing xDSL service.

2 So, the contrasting rates that you see on the
3 chart marked 2-wire voice-grade loop, those are really the
4 only two specific proposals that are before the Commission
5 on a price for this element.

6 And as you see, the Commission-approved rate for
7 this 2-wire voice-grade loop is \$17. And this was
8 established in 1996 in the AT&T/MCI arbitration.
9 BellSouth's statewide average recurring proposal is \$20.35
10 versus \$8.00 from AT&T and MCI. And you can see the
11 difference in the nonrecurring rate proposals as well.

12 Now, even though all of the ALECs use
13 BellSouth's cost studies as the basis for their pricing
14 proposals, it's difficult to recognize BellSouth's cost
15 studies by the time the ALECs have finished with their
16 adjustments to BellSouth's cost studies.

17 And if you look at the chart that's labeled loop
18 conditioning, this is an element for which the Commission
19 must establish rates that's part of the FCC's 319 order.
20 And as you'll hear in the testimony when we talk about
21 loop conditioning, you're talking about essentially
22 removing load coils and removing bridge tap from a copper
23 loop in order to make it capable supporting an xDSL
24 service.

25 You can see in the far left-hand column,

1 BellSouth's proposed rates. AT&T and MCI propose that
2 BellSouth recover nothing when it performs loop
3 conditioning. The Coalition has their proposed rates
4 ranging from \$9.76 for removing load coils on short loops
5 to \$31 on long loops.

6 The Data ALECs would, again, propose that
7 BellSouth recover nothing. Now, in fairness, although I
8 didn't see it in their testimony, the prehearing order
9 suggests that the Data ALECs would propose certain rates
10 if, in the Data ALECs' words, the Commission
11 inappropriately establishes a rate for line conditioning.
12 Again, it's not in the testimony, but the prehearing order
13 does contain a couple proposed rates, and I did want to
14 be fair to the ALECs and not suggest there's no rate
15 proposal at all.

16 As you can tell from the proposals for loop
17 conditioning, the ALECs want to pay as little as possible,
18 and in some cases nothing at all, for the use of
19 BellSouth's facilities. However, make no mistake about
20 it, just and reasonable rates are not necessarily
21 synonymous with cheap.

22 As the Commission well knows, getting into the
23 local telephone business is not an inexpensive
24 proposition. It's not easy. Adopting the rate proposals
25 that are being put forth by the ALECs, in this case, would

1 not result in just and reasonable rates. It would result
2 in artificially low rates that would -- such that ALECs
3 would have absolutely no incentive to invest in
4 telecommunications infrastructure in the state of Florida.

5 The best example I can give you of that is under
6 AT&T's and MCI's proposal, the basic, most basic,
7 voice-grade loop that you can purchase in the state of
8 Florida under AT&T and MCI's proposal, they would be able
9 to buy in Miami for just over \$4.00.

10 Now, if you can buy a loop from BellSouth for
11 just over \$4.00, who, in their right mind, would ever
12 invest to put in a loop of their own to serve customers?
13 And the answer is nobody.

14 Adopting the rate proposal of the ALECs also
15 would result in subsidizing competitive entry on the backs
16 of BellSouth's retail ratepayers and its stockholders.
17 These things cost money, and somebody's got to pay for
18 them.

19 Just to give you a quick overview of the case.
20 Daonne Caldwell, who has appeared before you several
21 times, will sponsor BellSouth's cost studies. Some of
22 these studies are familiar to the Commission, others are
23 new. One of the new studies, new models, that BellSouth
24 is introducing in this case is the BellSouth
25 Telecommunications loop models, also known as the BSTLM.

1 Mr. Jim Stegeman, who is one of the individuals primarily
2 involved in developing the BSTLM will discuss the model,
3 and he will also refute some of the proposed changes to
4 the BSTLM advocated by AT&T and MCI.

5 As a result of the FCC's 319 order, BellSouth
6 must meet certain additional unbundling obligations. You
7 will hear from Ron Pate, Jerry Latham, and Keith Milner on
8 behalf of BellSouth, who will address BellSouth's efforts
9 to satisfy these additional obligations.

10 Finally, one of the most hotly-contested issues
11 in this case will be nonrecurring costs, the work
12 activities, and the work times also involved in
13 provisioning unbundled network elements for the ALECs.
14 You'll hear from H.B. Greer, on behalf of BellSouth, who
15 will indicate that those work activities and the work
16 times underlying BellSouth's cost studies are reasonable.

17 Finally, Mr. Chairman, Commissioners, it's
18 important to understand that some of the issues in this
19 proceeding involve much more than costs. And, in fact,
20 there are service-affecting issues that the Commission
21 needs to keep in mind in deliberating some of the issues.
22 And I will give you a couple of quick examples about that.

23 Some of the carriers who are interested in
24 providing xDSL service will tell you that a loop is a loop
25 and that BellSouth should not have different options for

1 its various xDSL-capable loops. As the Commission knows
2 from establishing rates, BellSouth has a variety of
3 flavors of xDSL-capable loops that it offers ALECs to
4 purchase.

5 It's important from BellSouth's perspective that
6 ALECs and ALECs end users understand, on the front end,
7 what it is they can expect to get from BellSouth. And
8 when BellSouth provides an xDSL-capable loop, it designs
9 that loop to make sure it meets certain design criteria so
10 that everybody knows on the front end what the loop is
11 capable of doing.

12 BellSouth does not want to be in the position,
13 and I don't think the Commission wants end users to be in
14 the position, of having a service that doesn't work
15 because the loop that they bought doesn't do what they
16 want it to do. The only way to avoid that problem is so
17 everybody understands on the front end what's being
18 purchased.

19 Another example is loop conditioning. And I've
20 given you the proposals, rate proposals, for loop
21 conditioning. An issue in this case will be should
22 BellSouth condition 10-pair at a time, 25, or 50-pair?
23 The parties agree that you should be conditioning,
24 typically more than -- if a Data ALEC wants one loop
25 condition, it doesn't make sense to just condition that

1 one loop, that some multiple ought to be conditioned at
2 the same time for efficiency purposes, but there is a
3 disagreement as to what that number ought to be.

4 You will hear from H.B. Greer who will tell you
5 that there are service-affecting issues associated with
6 the removal of load coils and bridge tap and that customer
7 service can be affected if BellSouth simply opens up a
8 binder group and starts removing load coils and bridge
9 tap, simply to artificially reduce the cost of loop
10 conditioning as urged by some of the ALECs in this case.

11 Finally, you will have to deal with the issue of
12 access to subloops. This is an issue that you've actually
13 dealt with before in the context of the MediaOne
14 arbitration in which this Commission rightfully, in
15 BellSouth's view, determined that there are technical
16 feasibility issues associated with direct access to
17 subloop elements.

18 Make no mistake about it, direct access is
19 cheaper in terms of cost, and that's why it's being
20 advocated by some of the ALECs in this case, but low cost
21 has service-affecting trade-offs. And you will hear from
22 Mr. Milner, who will go into great detail about the
23 difficulties of inventory and quality control and network
24 reliability that are inherent in the proposal for direct
25 access advocated by some of the ALECs in this proceeding.

1 All of these factors, the cost issues, the
2 service-affecting issues, must be taken into account by
3 this Commission in establishing just and reasonable rates
4 for the various elements in this proceeding. BellSouth's
5 cost studies are reasonable, the inputs that they have
6 used are appropriate, and BellSouth submits that the
7 Commission should use those studies and those inputs in
8 establishing just and reasonable rates in this proceeding.

9 Thank you, Mr. Chairman, Commissioners.

10 CHAIRMAN DEASON: Thank you. Mr. McGlothlin?

11 MR. MCGLOTHLIN: Commissioners, I think, I will
12 begin by addressing Chairman Deason's question. And after
13 I give my answer to that, we will return to our prepared
14 comments, which we have attempted to coordinate.

15 In terms of considering the impact, if any, of
16 the Eighth Circuit's decision on this proceeding, it's
17 important to bear in mind that within the universe of
18 possible cost model or study methodology, the FCC has
19 basically two choices, embedded or forward-looking. And
20 it chose a forward-looking cost model standard.

21 The Telric theory is an example of a
22 forward-looking cost model. In its decision, the Eighth
23 Circuit endorsed the use of forward-looking cost for the
24 FCC's purposes. As a matter of fact, it said that the FCC
25 was within its discretion to adopt forward-looking costs

1 and that the forward-looking costs were consistent with
2 the intent of the '96 act, which was to encourage
3 competition.

4 The problem that the Court had with the Telric
5 was with respect to the degree to which the Telric
6 methodology optimizes the network. And so, my point is
7 that the Telric study falls within the family or the
8 category of forward-looking costs, which the Court
9 endorsed, and that the issue or the aspect of the Telric
10 with which the Court found fault was a technical
11 refinement of the forward-looking methodology.

12 Now, in terms of the application of that court
13 decision to our exercise, there are legal considerations,
14 there are technical considerations, and there's some
15 practical considerations.

16 Mr. Ross has talked about the legal
17 considerations, and that is, basically, we don't know what
18 course the legal proceedings would take from here, but we
19 can be confident that it's going to be two years, possibly
20 three, possibly longer, before this all plays out and
21 there's finality as to whether the decision of the Eighth
22 Circuit stands or is modified after everything is said and
23 done.

24 As a practical matter, we've dealt with this
25 consideration in the context of motions to bifurcate and

1 to suspend that GTE and Sprint filed some time back. And
2 in those motions, the moving parties tried to make the
3 case that the priority of this Commission should be to
4 take no action until we had that finality in place and
5 until this is resolved.

6 But we argued that when you consider the
7 importance of this case to the development of competition,
8 it's more important to go forward now. And you can go
9 forward now with the knowledge that the Telric model is an
10 example of a forward-looking cost study, and you may
11 comfortably assume that you can use it for the exercise in
12 this case.

13 And the worse thing that could happen, if after
14 everything is said and done, two years or more later, if
15 the result is that a different standard comes out of all
16 of that, the worse that can happen is that you revisit and
17 modify or adjust the effort in this case. And we think
18 that is a far wiser course and to hold everything in
19 abeyance and risk the possibility that two or three years
20 may go by before taking action needed to develop
21 competition in Florida.

22 COMMISSIONER JABER: Mr. McGlothlin, is it as a
23 matter of law that we would revisit the finding or would
24 -- is it a matter of law that we apply new law
25 prospectively?

1 MR. McGLOTHLIN: Well, in terms of the
2 worst-case scenario, I think, there would be a prospective
3 application of whatever stand results from that exercise.
4 And in one more point, as to the technical impact of the
5 decision. In his testimony, Joe Gillan addresses this.

6 And he makes the point that from the standpoint
7 of a cost analyst applying the cost methodology of the
8 impact of the Eighth Circuit's decision is to tell the
9 analyst that the network elements that were optimized in
10 the Telric example suddenly become no longer variable.

11 And for that reason, are no longer germane to the setting
12 up of the resolution of the cost and setting of prices.

13 So, he makes the point that if you apply a Telric study to
14 this exercise, that sets the ceiling permissible rates in
15 this case.

16 Now, granted BellSouth's witness takes issue
17 with that, as a matter of dispute, and there's evidence
18 addressing this, and among other things that you'll
19 consider, you'll consider which witness is right on that
20 question. But whether you conclude that the rates coming
21 out of a Telric model represent the ceiling of permissible
22 rates, and the only direction you can go is down after
23 that or whether you conclude that it's at the low point,
24 and the only place to go is up, in either event, the
25 witnesses agree that, as a starting point, from a

1 technical matter, you can use a Telric cost study properly
2 applied with appropriate adjustments that we're going to
3 recommend as a vehicle for setting rates in this case all
4 because the Telric example is an example of a
5 forward-looking cost study, which the Eighth Circuit says
6 is appropriate for rate setting in this exercise.

7 COMMISSIONER JABER: Let me ask you the same
8 question I asked BellSouth. If the parties are granted a
9 stay of the Eighth Circuit decision, what legal effect
10 does that have on the parties? Basically, what's the
11 status of the law? And second, what affect does it have
12 on the state Commissions?

13 MR. McGLOTHLIN: I think, I agree with
14 Mr. Ross's answer. If there is a stay in effect, then the
15 FCC's rules continue in effect, and we go on course until
16 something different effects that.

17 CHAIRMAN DEASON: Do you agree with Mr. Ross
18 that their cost study complies with FCC rules? I know
19 that there are ways of -- you disagree with inputs and
20 some of the -- and I'm not saying that you agree with
21 everything in it, but do you agree that the Telric -- that
22 their model is a Telric model and that it would meet the
23 definition under the FCC rules?

24 MR. McGLOTHLIN: With your permission, I'm going
25 to defer that to one of counsel who follow me, because

1 there are others who have been closer to that subject than
2 I.

3 CHAIRMAN DEASON: Very well.

4 MR. MCGLOTHLIN: And I hope, if the other
5 counsel have any additional remarks on that subject, you
6 will allow them a little discretion as well.

7 Commissioners, we agree that this is an
8 important case, but for various different reasons than
9 those that Mr. Ross described. As FCCA witness, Joe
10 Gillan, says in his testimony, the rates for unbundled
11 network elements or UNEs that you set in this case will
12 determine the level, breadth, and focus of competition in
13 Florida's local market.

14 In December of 1998, the FCCA and other parties
15 filed a petition in which we stated that a general
16 investigation of the high level of UNE prices is critical
17 to making facilities-based competition feasible in
18 Florida.

19 More than a year and a half later, exorbitantly
20 high UNE rates are still in place. And statistics show
21 that there is still virtually no competition in the local
22 market in Florida. The tables attached to Mr. Gillan's
23 testimony make this point.

24 Based on those tables, ALECs have something like
25 2/10 of 1% of the residential lines in Florida and maybe

1 1/2 of 1% of the business lines. And more to the point,
2 if anything, ALECs are losing ground, not gaining ground,
3 to the ILECs in terms of who's adding lines.

4 When you contrast this with recent experience in
5 New York and Texas where ALECs are using the UNE platform
6 to make real headway in market penetration in a local
7 market, you have to ask what's wrong with this picture?
8 We ask for an opportunity to demonstrate that based on
9 experience and based on better information than was
10 available when you first set rates, we can demonstrate
11 that UNE rates are overstated in Florida and are impeding
12 competition.

13 Getting to the point of a hearing on BellSouth's
14 UNE rates has been a long and arduous process. But now
15 the evidence is in, and the evidence vindicates our
16 assertion that competition in Florida has been stifled by
17 unjustifiably high nonrecurring charges, high switching
18 rates, and other competition-crippling features.

19 BellSouth's present and proposed UNE rates are,
20 we know, an impediment, but now that the evidence is in,
21 we also know that they are not cost-based. The ALECs
22 participating in this case agree with the proposition that
23 correctly implemented with proper inputs, the new
24 BellSouth cost model can be used as a basis for setting
25 rates in this case.

1 The question is not whether the model can be
2 used, but whether -- what are the proper inputs to the
3 model. And in this regard, one of our witnesses observed
4 a revealing paradox about BellSouth's presentation.

5 On the one hand, as a result of what we agree
6 are internal improvements to the new model, the new
7 BellSouth model constructs a network with much less plant
8 than did the former version of the model. Yet, the UNE
9 rates that BellSouth proposes in this case are about as
10 high as they ever were.

11 So, let's see, we've got lower plant investment,
12 but we have rates as high as ever. It's clear that
13 something does not compute. The analyses performed by the
14 ALEC witnesses that you will consider this case prove
15 again, as it were necessary, that what comes out of a
16 computerized study is only as reliable and only as worthy
17 of use as the quality of the assumptions and the data that
18 are given to the model.

19 The counsel who follow me are going to describe
20 several specific instances in which BellSouth has
21 overstated the results of the cost study by inflating
22 costs through inappropriate and self-serving assumptions
23 which, when corrected, result in significantly lower
24 costs.

25 Once you have reviewed the competing testimony,

1 I'm confident you will conclude that the record demands
2 the rates proposed by BellSouth be lowered dramatically.
3 And as you take the actions afforded by the record
4 developed in this case, you can have confidence that your
5 decision will foster the growth of competition in Florida.
6 Thank you.

7 CHAIRMAN DEASON: Thank you, Mr. McGlothlin.

8 MR. LAMOUREUX: Good morning. I'm Jim Lamoureux
9 of AT&T. Let me begin by addressing one other aspect of
10 the Eighth Circuit's decision.

11 First, I want to reiterate what both Bennett and
12 Joe said; that is, as of today, because the mandate has
13 not issued from the Eighth Circuit, the FCC's rules remain
14 in effect and remain binding on this Commission. And
15 unless and until that mandate issues, that will continue
16 to be the case. So, if a stay is granted and the mandate
17 does not issue, then the FCC rules will remain in effect
18 and will remain binding on this Commission.

19 And also, I want to just make clear what the
20 legal effect of the Eighth Circuit decision is with
21 respect to what this Commission has to do. This
22 Commission is not within the jurisdiction of the Eighth
23 Circuit, if an appeal were to take place of this
24 Commission's decision, as in an interconnection agreement
25 type proceeding. The effect -- the legal effect of the

1 Eighth Circuit's decision is to remove the binding effect
2 of the FCC rules that the Eighth Circuit vacated. So, if
3 the mandate were to issue --

4 COMMISSIONER JABER: What does that mean?
5 Doesn't federal law preempt state law? And I understand
6 we're not under the jurisdiction of the Eighth Circuit,
7 but in the grand scheme of things, aren't we going to
8 follow -- aren't we required to follow what the Court's
9 interpretations of the FCC rules are?

10 MR. LAMOUREAUX: Yes. And I want to make clear,
11 the effect of the Eighth Circuit decision is to remove the
12 binding effect of the FCC rules on this Commission and all
13 Commissions.

14 However, this Commission is still obligated to
15 follow the Act. And the Act requires the establishment of
16 rates for UNEs based on a standard set forth in the Act.
17 Although the Commission is no longer obligated to follow
18 the FCC's rules, interpretations, of what's in the Act,
19 this Commission still has its own authority to interpret
20 what the Act means and could very well determine, on its
21 own authority, that the Act requires Telric pricing as set
22 forth in the FCC rules.

23 If this Commission made that decision, and an
24 appeal took place of that decision, that would go up to
25 the Fifth Circuit -- oh, I'm sorry, the Eleventh Circuit.

1 The Eleventh Circuit is not required to follow the Eighth
2 Circuit's interpretation of the Act. Or did I get the
3 circuits mixed up?

4 COMMISSIONER JABER: Right. So then, we might
5 have conflicting circuit court opinions.

6 MR. LAMOUREAUX: Which happens all the time.
7 One circuit is not obligated to follow the other circuit's
8 interpretation of the Act. And the only way to resolve
9 that would be a Supreme Court decision.

10 CHAIRMAN DEASON: Let me ask the question at
11 this point.

12 MR. LAMOUREAUX: Go ahead.

13 CHAIRMAN DEASON: I'm a little confused. You've
14 indicated that this Commission, the Florida PSC, has the
15 authority to interpret the Act. I think that makes a lot
16 of sense, but what I've been told is no, if the FCC
17 interprets the Act, then it doesn't matter what you think
18 the act says, you've go to do what the FCC says the Act
19 says.

20 MR. LAMOUREAUX: I should have added that point.
21 This Commission is obligated to interpret the Act within
22 the constraints of whatever existing FCC rules are out
23 there.

24 CHAIRMAN DEASON: Okay. And you're saying the
25 current rules are now in effect, and they will stay in

1 effect unless the Court's decision reverses those rules;
2 is that right?

3 MR. LAMOUREAUX: Until the mandate of the Eighth
4 Circuit issues, which vacated that one FCC rule, that's
5 right.

6 CHAIRMAN DEASON: Okay. And how does that
7 happen? What triggers that?

8 MR. LAMOUREAUX: It's a procedural process of
9 the Eighth Circuit. The Eighth Circuit has handed down
10 its decision, but then there's a further administrative or
11 procedural process, if you will, called the issuance of
12 the mandate of that Eighth Circuit. Essentially, it's a
13 piece of paper that the Eighth Circuit issues to the FCC
14 officially directing the FCC to vacate that rule. And
15 that --

16 CHAIRMAN DEASON: Now, let me ask you this.
17 Does that mean, then, that the FCC just doesn't apply that
18 rule for that jurisdictional area of that court or --

19 MR. LAMOUREAUX: No. The Eighth Circuit -- it's
20 important to remember how we got to the Eighth Circuit.
21 That was a multi-district consolidation. There were
22 numerous appeals, originally, of the FCC's rules. And
23 there's a lottery process that when you've got a lot of
24 different rules pending and you consolidate that into one
25 circuit, you conduct a lottery, and it happened that the

1 Eighth Circuit won or lost that lottery, depending on your
2 perspective. And so, the Eighth Circuit's jurisdiction
3 over the FCC rules is binding everywhere.

4 CHAIRMAN DEASON: Okay. So, that if that
5 happens, if that procedural item goes forward, well, then,
6 the FCC has to vacate its rule.

7 MR. LAMOUREAUX: If that mandate issues, that's
8 right.

9 CHAIRMAN DEASON: Okay.

10 COMMISSIONER JABER: We don't expect that the
11 mandate won't issue. Isn't it really a ministerial
12 function?

13 MR. LAMOUREAUX: If a stay is granted, the
14 mandate will not issue. And I agree with what Mr. Ross
15 said about percurrent procedural posture before the Eighth
16 Circuit, which is who knows? A request for stay has been
17 filed. Some of the ILECs, including Verizon, have filed
18 officially that they do not oppose a stay.

19 I cannot read the tea leaves any better than
20 anyone else whether the Eighth Circuit will stay its
21 mandate or whether it will go ahead and issue its mandate,
22 I just don't know. But all I know is as of today the
23 mandate has not issued. Because the mandate has not
24 issued, the FCC rules remain binding and in effect on this
25 Commission.

1 COMMISSIONER JACOBS: The request for stay is
2 pending appeal to the Supreme Court, correct?

3 MR. LAMOUREAUX: The request for stay is before
4 the Eighth Circuit. It's asked the Eighth Circuit to stay
5 its own decision.

6 COMMISSIONER JACOBS: But pending appeal to --

7 CHAIRMAN DEASON: Well, now, are you asking us
8 to go forward with the hearing today to follow FCC rules
9 that could be vacated any day?

10 MR. LAMOUREAUX: Yes and no.

11 CHAIRMAN DEASON: Okay. Clarify that for me.

12 MR. LAMOUREAUX: As set forth by Mr. McGlothlin
13 and Mr. Gillan's testimony, technically, what we're asking
14 you to do, I don't think it makes a difference whether you
15 debate the philosophy of whether it's the FCC rule or
16 whether it's just the forward-looking cost standard
17 post-Eighth Circuit. We believe that what we have
18 submitted really would be true under either standard.

19 Having said that, I also believe that it is
20 within this Commission's authority to interpret the state
21 act, even though the Eighth Circuit has vacated the FCC
22 rule, this Commission has its own authority to believe
23 that that rule really does make sense and really does
24 interpret the Act the way it should be interpreted and can
25 follow that on its own authority.

1 You know, if someone could appeal that decision,
2 that would go up to the appropriate federal circuit. They
3 may believe the Eighth Circuit's decision is persuasive
4 and may disagree and overrule. But as of today, the
5 Commission has its own authority to interpret the Act, to
6 find that the equivalent of the FCC rule is a reasonable
7 interpretation of what's in the Act.

8 Two courts have, on similar issues, reached the
9 same conclusion. If you remember, the Eighth Circuit not
10 only vacated that one FCC pricing rule, but also what we
11 call Rule "C" through "F" dealing with the combinations.
12 There have been a couple of cases where a couple
13 Commissions out in the west have required U S West to
14 combine elements for various CLECs and relied upon "C"
15 through "F" as the basis for doing that.

16 Well, U S West brought that before the Ninth
17 Circuit and said the Eighth Circuit has vacated these
18 rules. The Ninth Circuit had said that the Commission
19 remained free to require U S West to do that, even though
20 the FCC rules were no longer binding on that Commission.

21 COMMISSIONER JACOBS: In doing so, and that's an
22 important point, because I want to figure out just how we
23 get there; and I read through the Eighth Circuit decision,
24 and they announce, in some manner, something that I would
25 like for you to give me your opinion on.

1 I don't know what page of the opinion this is,
2 but this is in the Court's opinion, it says, "We reiterate
3 that a forward-looking cost calculation methodology that
4 is based on the incremental cost and an ILEC actually
5 occurs or will incur in providing the interconnection to
6 its network or the unbundled access to a specific network
7 elements requested by a competitor will produce rates that
8 comply with statutory requirements of Section 252, sub D,
9 sub 1, that an ILEC recover its cost of providing shared
10 items."

11 Now, that is my understanding as what the Eighth
12 Circuit is saying the FCC should have adhered to when it
13 adopted its rule. And in vacating those rules, it's
14 obviously saying that the Telric, in some way, form, or
15 fashion did not. And what I hear you saying is that a
16 state, pursuant to statute, could endeavor to meet this
17 standard, which ostensibly, the Eighth Circuit would then
18 agree with.

19 MR. LAMOUREAUX: Yes. The Commission, and any
20 state Commission, at least outside the jurisdiction of the
21 Eighth Circuit, has its authority to interpret what it
22 believes is required under the Act. It could determine
23 that it absolutely agrees with what the FCC rule was and
24 that that's the proper interpretation of the Act.

25 It could also determine that it's read the

1 Eighth Circuit decision and it believes the Eighth
2 Circuit's interpretation of the Act is the correct one of
3 the Act and follow that.

4 COMMISSIONER JABER: What could you cite me to
5 with respect -- let's say, we go forward based on your
6 recommendation that it's within our legal purview to do
7 that, what can you cite me or direct me to, to support the
8 notion that any changes in the law or any future appeals
9 would not result in our going backwards and revisiting the
10 pricing issues, but rather applying new changes in the law
11 or new interpretations prospectively? That's what I need
12 to understand.

13 MR. LAMOUREAUX: Okay. Let me try to answer
14 that in two parts. First, I would give you the cites for
15 these two decisions that I referred to out west. And the
16 first one is -- it's MCI Telecommunications Corp. v U S
17 West 204 F3rd 1262. The other is a district court
18 decision. It's U S West Communications v Hicks, civil
19 action number 97-D, as in dog, dash 152 from the district
20 of Colorado June 26th, 2000.

21 And again, what I would rely upon those
22 decisions for is that even in the absence of an FCC rule
23 on a particular subject or even an FCC rule to vacate if
24 the state retains jurisdiction and authority to interpret
25 the Act and apply, essentially, the equivalent of those

1 rules from the FCC that have been vacated as their own
2 interpretation of the Act.

3 So, I'm not even sure there'd be a question of
4 the Commission having to do something prospective, unless
5 there was an appeal and the circuit that this Commission
6 sits in happened to agree with the Eighth Circuit and
7 said, no, the Commission couldn't do that. Now, I'm not
8 aware of any decision, specifically, that said if that
9 were to happen --

10 COMMISSIONER JABER: Let me make sure I
11 understand what you just said. Are you saying if the
12 Eighth Circuit reaches a decision that's not consistent
13 with whatever the Florida Commission does that that Eighth
14 Circuit's decision is not binding on the Florida
15 Commission?

16 MR. LAMOUREAUX: It's binding as to removing the
17 binding effect of the FCC rules on this Commission.

18 COMMISSIONER JABER: And isn't -- aren't those
19 rules what we are relying on to interpret the Act?

20 MR. LAMOUREAUX: Absolutely, but this Commission
21 still has its own authority within the constraints of
22 whatever FCC rules exist to also interpret what's in the
23 Act. And if an FCC rule has been vacated, you know, it's
24 not binding on this Commission, this Commission can
25 essentially fill in that gap under its own authority by

1 saying we believe that FCC rule, or the equivalent, is a
2 valid interpretation of the Act, and we believe that's the
3 right interpretation.

4 COMMISSIONER JACOBS: And indeed, doesn't the
5 Eighth Circuit make that point in its decision? Well, it
6 makes it a point in terms of the FCC. The way I read the
7 Court's decision, it acknowledges that cost, the term cost
8 is ambiguous and that the rule was an attempt to field
9 such a gap. And what it, essentially, says is the FCC
10 steered off path in its attempt to field that gap.

11 MR. LAMOUREAUX: That's right. And although
12 that FCC rule is gone as a result of the Eighth Circuit's
13 decision, this Commission can fill that gap, if you will,
14 with its interpretation of the Act and its interpretation
15 could be the same as the rule that was vacated, because
16 this Commission, again, although it's not obligated to
17 follow the FCC rule, it still has authority to interpret
18 the Act unless and until the circuit, in which this
19 Commission sits, says it did it wrong.

20 COMMISSIONER JACOBS: This is an important
21 point. We may want to allow BellSouth to come back at
22 this, but the argument here is that the preemptive effect
23 of the rule, while valid, once that rule is removed, the
24 preemptive effect that is likewise -- I don't want to say
25 removed, but held in abeyance at least, whatever effect

1 there was in the preemption that came pursuant to the FCC
2 rule is, at minimum, held in abeyance until the status of
3 that rule is dealt with.

4 In that vacuum -- the argument is in that
5 vacuum, whether that rule is in abeyance, a state can or
6 arguably cannot, step in and exercise authority under the
7 statute.

8 MR. LAMOUREAUX: That's right. And I believe
9 that -- maybe, correct me if I'm wrong, but I believe
10 NARUC has essentially issued a memorandum that has held
11 the same thing. And I want to make clear also, if this
12 goes to the Supreme Court and the Supreme Court interprets
13 the Act in exactly the same way as the Eighth Circuit,
14 obviously, that eliminates any leeway for any Commission
15 anywhere to do something different. The Supreme Court is
16 the final arbiter of the interpretation of what's in the
17 Act.

18 COMMISSIONER JACOBS: Now, is our state
19 mentioned specifically in this statute?

20 MR. LAMOUREAUX: Somewhere, I'm sure. In the
21 cost standard, it's very specific that the state that has
22 the obligation to establish a just and reasonable rate for
23 interconnection in unbundled network elements that must be
24 based on the cost determined without reference of a rate
25 of return. It's clear that in the statute, in the Act,

1 it's the state that has the obligation.

2 CHAIRMAN DEASON: Why did the FCC ever adopt a
3 rule to begin with, then?

4 MR. LAMOUREAUX: Because the Act also imposes
5 obligations to promulgate regulations interpreting the
6 Act.

7 MR. MELSON: Commissioner Deason, before we pick
8 back up with the originally scheduled oral argument, can I
9 address the effect of the Eighth Circuit's decision just
10 briefly?

11 CHAIRMAN DEASON: Please do.

12 MR. MELSON: I think, it may come better now
13 than trying to work it into what I wrote.

14 Don't lose sight of the fact that the Eighth
15 Circuit vacated one subparagraph of the FCC's rules. The
16 rule is entitled, "Forward-looking Economic Cost." The
17 requirement for total element long run incremental cost
18 remains the only thing that got or that would be deleted
19 is the provision saying that the network that you look at
20 should be based on the use of the most efficient
21 telecommunications technology currently available and the
22 lowest cost network configuration.

23 All of the other Telric principles,
24 forward-looking, allocation of common costs, inability to
25 consider embedded costs, all of those other provisions

1 remain in effect, in any event.

2 The BellSouth cost study is really driven by its
3 assumptions. We don't believe that as filed the BellSouth
4 cost study and the results it produced complied with the
5 FCC rules, and our testimony said as much.

6 And we don't believe that with the BellSouth
7 inputs the result complies with the FCC rules that would
8 remain in effect. However, the cost study with the proper
9 adjustments and with the proper inputs is probably capable
10 of producing a result that complies, either with the full
11 panoply of the FCC rules or with the FCC rules with this
12 one provision stayed.

13 And what we're asking you to do in this hearing
14 is to listen to the testimony of our witnesses, to listen
15 to the adjustments that we believe need to be made and
16 then to come up with a result that is consistent, at least
17 with all of the provisions of the FCC rules that clearly
18 remain in effect.

19 And yes, there may be some work for you to do in
20 the future on a prospective basis two to three years down
21 the road once the dust settles, but I'm not sure that with
22 a cost study that looks at the time frame 2000 and 2002,
23 that your decision here would have much life beyond that
24 time period in any event. I think, you're always going to
25 be coming back to look at some point.

1 CHAIRMAN DEASON: Let me make one thing clear.
2 If we're talking about establishing rates for two years in
3 telecommunications, that's a lifetime, okay?

4 MR. MELSON: Yes, sir.

5 CHAIRMAN DEASON: I mean, if we do something
6 here today that's going to last for two years, it will be
7 time well spent.

8 MR. MELSON: I agree. And in a practical sense,
9 I think, you're doing that, because I think the rates you
10 set here will go into the next round of interconnection
11 agreements.

12 CHAIRMAN DEASON: I don't want to see a
13 situation where we make a decision before our order is
14 issued, we're confronted with petitions for
15 reconsideration deciding some standard that's changed
16 because of a court decision or FCC decision or whatever
17 and we're trying to page our decision in midcourse.

18 MR. MELSON: Commissioner, I don't think any of
19 the parties to this proceeding anticipate that you would
20 be asked to change your decision until the Supreme Court
21 has ruled and the dust has settled to that extent. And I
22 can't guarantee many things, but I would be willing to
23 guarantee that isn't going to happen before you reach your
24 decision.

25 CHAIRMAN DEASON: Let me ask you another

1 question. You indicated that BellSouth's study is a
2 framework that can be utilized under whatever standard we
3 adopt, because it's forward-looking. I mean, we know that
4 we're going to have to adopt a forward-looking standard.
5 I don't think that's an issue. The question is what do
6 you mean by forward-looking?

7 MR. MELSON: Right.

8 CHAIRMAN DEASON: You accept the BellSouth study
9 as a framework. The real driver is the inputs that go
10 into that study. And, I think, you also indicated that
11 with the proper inputs that BellSouth's study would even
12 meet the FCC standard; is that right?

13 MR. MELSON: I believe, it would.

14 CHAIRMAN DEASON: Okay. Now, does that mean,
15 though, that if we were to adopt your inputs 100% and you
16 say that would meet the FCC standard, then, would we be in
17 violation of the Eighth Circuit's decision?

18 MR. MELSON: I don't think so, for the same
19 reasons the other counsel have told you. You -- if that
20 rule, if the mandate issues in that rule is vacated,
21 you're not obligated to follow that provision of the rule.
22 But until the Supreme Court definitively answers the
23 question, you have the discretion to interpret the Act as
24 you're going to apply it in Florida.

25 CHAIRMAN DEASON: Mr. Ross, do you agree or

1 disagree with that?

2 MR. ROSS: Yes, thank you, Chairman Deason.

3 CHAIRMAN DEASON: I hate for the interruption,
4 but I'm trying to understand here.

5 MR. ROSS: And I will confine my discussions
6 only to the legal issues that have been discussed this
7 morning. The one point that I think has been overlooked
8 by the counsel here is the Florida Public Service
9 Commission participated as a party in the proceedings
10 before the Eighth Circuit.

11 Therefore, this Commission is bound by the
12 decision of the Eighth Circuit; notwithstanding the fact
13 that the Eleventh Circuit has not spoken on this issue.
14 The Florida Public Service Commission was a party, it is
15 bound by the decision of the Eighth Circuit to vacate the
16 FCC's rules just as much as BellSouth is as a party and
17 just as much as the FCC is as a party to that proceeding.

18 CHAIRMAN DEASON: So, you're saying that if we
19 had not participated as a party then we wouldn't be bound
20 by the decision?

21 MR. ROSS: No. What I am saying is that
22 argument that Mr. Lamoureux has given you is that you
23 might have some flexibility, if you were not a party, to
24 apply state law and to fill the gaps might have just a tad
25 bit more credence than it does given the fact that you're

FLORIDA PUBLIC SERVICE COMMISSION

1 bound by the Eighth Circuit's decision.

2 I don't agree with Mr. Lamoureux at all that
3 this Commission, or any state Commission, can participate
4 as a party in a proceeding before an appellate court, have
5 an appellate court issue a decision that's binding on that
6 party, and then decide, hey, it's optional. I'll decide
7 not to apply it.

8 I'm sorry, Commissioner Jacobs, you wanted to --

9 COMMISSIONER JACOBS: Is it state law or federal
10 law that we'd be applying?

11 MR. ROSS: And that's exactly the point,
12 Commissioner Jacobs. It is clear that we are applying
13 federal law. The standard by which this Commission must
14 establish rates is a federal standard. It's under the
15 Telecommunications Act of 1996, 252-D of Title 47 of the
16 United States gov.

17 And let's also be very clear here. What
18 Mr. Lamoureux is suggesting that you can do is, okay, the
19 FCC has said a hypothetical network is the way by which to
20 establish cost-based rates. And the Eighth Circuit says
21 that violates the Telecommunications Act of 1996.

22 How is it that the Florida Commission can then
23 lawfully impose that exact same standard that violates the
24 '96 act? And it doesn't matter whether you do it under
25 the Commission's decision to fill in the gaps under

1 federal law or state law, the result is exactly the same.

2 If the FCC cannot do it by rule, how is it that
3 the state Commission can do it by order? And I think,
4 that's the issue that Mr. Lamoureux and the other parties
5 really have not come to grips with. I don't disagree with
6 the notion that if some state Commission out in Colorado
7 didn't participate and the Eighth Circuit has to make a
8 decision interpreting the '96 Act, it's entitled to do
9 that.

10 But that is not the situation that we have in
11 this case. And I believe that this Commission is bound to
12 follow the Eighth Circuit's decision and to apply that
13 decision in whatever form it may ultimately take down the
14 road.

15 COMMISSIONER JACOBS: What interpretation of
16 252-D-1 should be given -- let's assume that the mandate
17 will issue. What interpretation should we follow in that
18 instance?

19 MR. ROSS: Well, I think, as Mr. Lamoureux
20 correctly pointed out, Mr. Melson correctly pointed out,
21 the other FCC rules which were not vacated by the Eighth
22 Circuit are just as binding today as they were before the
23 Eighth Circuit's decision.

24 So, you're bound by the statute, just and
25 reasonable rates, and the standards set forth in the code.

1 You're bound to apply forward-looking network
2 architecture, and you're bound to allocate joint and
3 common costs pursuant to the FCC rules.

4 What you're not bound to do, and what if you did
5 do would violate the law, is establishing rates based upon
6 a hypothetical network or a most efficient provider. And
7 that's the point that I don't think -- I think, this may
8 be lost in this discussion here is that if the FCC's rules
9 are, in fact, vacated and the Supreme Court enforces the
10 Eighth Circuit decision, that efficient standard does
11 change the landscape. And I --

12 COMMISSIONER JACOBS: Is it possible -- and this
13 is the point that I would be really interested in hearing,
14 I can agree that the Court really went off in looking at
15 the hypothetical network issue, but isn't the real issue
16 as to what extent we come close to your cost of providing
17 unbundled elements?

18 MR. ROSS: Yes. I think that the issue is
19 really do you -- have you actually determined the actual
20 cost that BellSouth will incur on a forward-looking basis
21 in provisioning these particular elements to these
22 particular carriers?

23 COMMISSIONER JACOBS: And the argument has to do
24 to what extent embracing that standard deviates from your
25 cost.

1 MR. ROSS: Yes. An example might be some of the
2 parties advocate here that you ought to use the inputs
3 that this Commission adopted in the universal service
4 proceeding using Sprint as the example of the most
5 efficient provider.

6 Well, in a hypothetical world, you know, that
7 might be an appropriate decision to make, but I don't see
8 how you can reconcile adopting costs for Sprint in this
9 proceeding can be reconciled with the Eighth Circuit's
10 decision that you need to establish the rates based upon
11 the costs that BellSouth will actually incur in
12 provisioning unbundled network elements, not Sprint, and
13 not some other hypothetical efficient provider.

14 So, I disagree with Mr. Melson and Mr. Lamoureux
15 that this Eighth Circuit decision is just, I think, the
16 words were only one thing as part of the FCC rules. It's
17 a big one thing under the FCC's rules. And, I think,
18 that's the reason why AT&T, MCI, and the FCC have all
19 indicated that they intend to seek certiorari before the
20 United States Supreme Court.

21 So, I do not agree with the premise that has
22 been put forth by Mr. Lamoureux and Mr. Melson that you
23 adopt rates, and whatever rates you adopt using
24 BellSouth's cost studies and their inputs complies with
25 both the FCC's rules and the Eighth Circuit's decision. I

1 just do not agree with that.

2 CHAIRMAN DEASON: You're saying that we can
3 adopt your study and with inputs -- with certain inputs
4 that you disagree with, that it may bring the results of
5 your study to the point to where it violates the Eighth
6 Circuit's decision.

7 MR. ROSS: Absolutely. And I also want to be
8 very clear, I want to be honest with the Commission in
9 terms of the timing. It's my understanding that the
10 petition for certiorari will be filed before the Supreme
11 Court convenes the second Monday in October at which point
12 and time the Supreme Court decides what cases to take.

13 It is not outside the realm of possibility that
14 the Supreme Court will take this case for certiorari and
15 will decide this case before the Commission actually
16 issues its order. Because my understanding was under the
17 time schedule that the Commission's order in this case is
18 not expected until the spring of 2001. I'm not saying
19 it's possible, I'm not even saying it's likely. I'm just
20 saying it could happen. So, I do think the Commission
21 needs to understand that.

22 From BellSouth's standpoint, that doesn't change
23 our position that we need to go ahead and do this thing,
24 but the Supreme Court can act quickly if it's so inclined,
25 particularly since it has the Fifth Circuit case already

1 under review.

2 CHAIRMAN DEASON: Mr. Melson, were you finished
3 with your -- I know we had -- I interrupted Mr. Melson,
4 and Mr. Melson interrupted you.

5 MR. MELSON: I think, I was finished with regard
6 to the Eighth Circuit, unless there were any questions.

7 CHAIRMAN DEASON: Okay. Mr. Lamoureux, you can
8 continue.

9 MR. LAMOUREAUX: I'm happy to put down the
10 lightning rod for the Eighth Circuit discussion. If I can
11 say one more thing, a collateral estoppel type argument,
12 without getting into it, obviously, we disagree. We'd be
13 happy to put arguments about why we don't think collateral
14 estoppel really would apply when we brief the issue later.

15 What I was going to address in my part of the
16 opening statement were the cost studies and one particular
17 element that we're talking about. First of all, as to the
18 cost studies, I'll reiterate what Mr. Melson said, which
19 is that first of all, I presume we all appreciate that
20 there are not dueling cost studies in this proceeding, as
21 Mr. Ross talked about. If nothing else, that probably
22 eliminates about 7 or 8 witnesses that we used to have
23 when we'd go forward with these cases with two competing
24 cost studies.

25 What that means is that we do agree that as

1 filed, we do not believe the BellSouth cost studies
2 comply, either with the pre-Eighth Circuit Telric standard
3 or the post-Eighth Circuit whatever standard.

4 However, we believe that the BellSouth cost
5 studies do have the framework that with appropriate
6 modifications to inputs and assumptions, could produce
7 rates that comply, either with pre-Eighth Circuit FCC
8 standard or the post-Eighth Circuit -- I'll continue to
9 call it whatever standard, because I don't have an acronym
10 for it.

11 And what has been the task of the AT&T and MCI
12 witnesses in this proceeding to do is to strip away the
13 veneer of the nonforward-looking assumptions in the
14 BellSouth cost studies to get at that framework so that it
15 then can be rerun and so that then can produce the rates
16 that do comply with the appropriate forward-looking cost
17 standard.

18 And just as some examples, some of the issues
19 that will be discussed in our witnesses' testimony, as
20 things that need to be stripped away, are failure to use
21 truly forward-looking material inputs in the cost studies,
22 double counting of inflation factors, allocation of fiber
23 and structure costs by DSO equivalents rather than on a
24 per-pair basis; use of factors that artificially inflate
25 the material prices and inappropriate inputs in the

1 switching cost studies.

2 Those are all very specific assumptions and
3 inputs that we believe are not really forward-looking, and
4 when you put them in an otherwise framework produce not
5 forward-looking results. And that will all be discussed,
6 specifically, by our witnesses in their testimony.

7 The one element I want to talk about in
8 particular is something called network terminating wire
9 and intrabuilding network cable, NTW and INC. Quite
10 simply, what these things are in multi-tenant buildings,
11 apartment complexes, high-rise buildings, these are the
12 last segment of cable that go to the tenants in those
13 buildings. These issues are paramount interest to
14 facilities-based carriers who want to serve tenants in
15 multi-tenant buildings.

16 So, for AT&T with our acquisition of MediaOne
17 and TCI, we have a lot of coaxial cable that runs by
18 multi-tenant facilities. We want to be able to buy from
19 BellSouth that last component of cable to be able to serve
20 all of the tenants in those garden apartments, in those
21 high-rise buildings.

22 And we want to be able to do that to truly get
23 -- provide residential local competition in Florida and
24 elsewhere. I don't think it's any secret why we have
25 bought a lot of those cable facilities. We want to be

1 able to use them to provide telephony over that, among
2 other things.

3 In many areas, a large segment of the population
4 lives in multi-tenant dwellings. And it's very important
5 to get the rates right, to be able to serve those tenants.
6 In addition to the rates, you know, one of the assumptions
7 behind these cost studies is exactly how we're going to
8 gain access to that network terminating wire and that INC.

9 The manner in which you gain access drives the
10 cost that you pay for that stuff. And so, implicit in
11 BellSouth's cost studies are various assumptions about how
12 they're going to give access to NTW and INC. The FCC UNE
13 remand order made very clear that its intent was to
14 provide ALECs maximum flexibility to interconnect with the
15 incumbents' subloop elements, such as NTW and INC.

16 And what you'll see through our testimony is
17 BellSouth has taken completely the opposite track. Rather
18 than maximum flexibility, they've just about made it as
19 hard as possible for us to gain access to that stuff, not
20 only making it difficult for us to do, but also driving up
21 the cost. And that's what our witnesses on that subject
22 will talk about on that element in particular.

23 Thank you.

24 CHAIRMAN DEASON: Thank you. Mr. Melson?

25 MR. MELSON: Commissioners, my portion of the

1 opening statements is going to address four issues; two of
2 which I think are probably important, all of the ALECs in
3 this proceeding and two of which are of particular
4 importance for the ALECs that want to compete for
5 high-speed data service, the DSL providers.

6 The four issues are the importance that you
7 study the same forward-looking network architecture in
8 both recurring and nonrecurring cost studies, that you
9 establish the appropriate definition of a DSL-capable loop
10 for costing and pricing purposes.

11 We'll talk about the reason that a
12 properly-defined DSL-capable loop, the cost for that
13 should be the same as the cost for a comparable
14 nondesigned voice-grade loop. And finally, the importance
15 of setting nonrecurring charges as an appropriate level
16 that won't be a barrier to the introduction of local
17 competition.

18 First, on the network architecture issue,
19 BellSouth's testimony says that it agrees in principle
20 that both the recurring and nonrecurring cost studies
21 should be based on the same forward-looking network
22 architecture, but we believe the evidence will show that
23 that principle hasn't been carried through in their cost
24 studies.

25 For example, their recurring cost study does

1 three different scenarios; what they call a combo
2 scenario, which models a network that uses forward-looking
3 integrated digital loop carrier. They've got a second
4 scenario that models a network that uses an older
5 universal loop carrier, and that's called their BST 2000
6 scenario. And they've got a third all-copper scenario
7 that they use for some purposes that models an all-copper
8 network that doesn't exist today, that's not
9 forward-looking, will not exist in the future.

10 We believe the evidence will show that only the
11 first of those scenarios, the combo scenario, reflects a
12 forward-looking network design that BellSouth actually
13 plans to build, not a hypothetical network, but one they
14 would build. And that design should be the basis for
15 setting all of the recurring and nonrecurring rates in
16 this docket.

17 The evidence is also going to show that
18 BellSouth doesn't even consistently apply a single
19 scenario to develop the recurring and nonrecurring cost
20 for the same element. For example, for DSL-capable loops,
21 they use an all-copper scenario for the recurring study,
22 which has no load coils, no excessive bridge tap. For the
23 nonrecurring cost study, though, they propose a loop
24 conditioning charge to remove load coils and to remove
25 bridge tap that are not present in their recurring cost

1 study.

2 Now, why is it important that you use the same
3 network design for both the recurring and nonrecurring
4 cost study? Because the FCC pricing rules that will
5 remain in effect say that in total recurring and
6 nonrecurring, you can't recover more than BellSouth's
7 forward-looking costs; yet, you can't test compliance with
8 that rule if you've got recurring charges set on the basis
9 of one network design and nonrecurring charges set on the
10 basis of a different network design.

11 Second point I want to address is the definition
12 of an xDSL-capable loop. BellSouth's cost studies define
13 at least four times of DSL-capable loops, each with a
14 different recurring charge and different nonrecurring
15 charge. BellSouth treats each of those as a design loop,
16 which means the loop comes bundled with some things. It
17 comes bundled with a test point, comes bundled with a
18 designed layout record, comes bundled with order
19 coordination. And because they're bundled, the costs, the
20 nonrecurring charge that BellSouth proposes for those,
21 includes all of those extras.

22 The evidence will show the Data ALECs don't want
23 and don't need a variety of loop types. What we need is
24 the ability to look -- get loop make-up information to
25 look at particular loops that serve particular customer

1 locations and to decide for ourselves whether that loop,
2 with or without conditioning, is capable of supporting the
3 service that we want to provide. The other thing we need
4 is an assurance that once we identify that specific loop
5 that we can order the specific loop. And once we order
6 it, that we get to keep it, that we don't get rolled over
7 in the future to some other facility; for example, when
8 BellSouth comes in and does network rearrangements or
9 upgrades.

10 The third point, what is the appropriate rate
11 for a DSL-capable loop? The basic loop, type of loop,
12 used to provide plain-old telephone service or POTS is a
13 nondesigned 2-wire analog voice-grade loop. And that's
14 sometimes known as an SL1. And you'll hear that a lot in
15 this proceeding as distinguished from an SL2, which is a
16 designed loop.

17 In a forward-looking network, which is what
18 we're supposed to be studying, a basic SL1 voice-grade
19 loop is exactly what a data ALEC needs to provide any type
20 of DSL service. In fact, the original idea of DSL was
21 that you would use the existing network, you wouldn't have
22 to add things to be able to be able to offer this
23 high-speed data service.

24 The evidence will show though that in a
25 forward-looking network DSL service can be provided either

1 over all-copper loop, as is probably the most common
2 configuration today or over a fiber-fed digital loop
3 carrier loop, simply by putting the appropriate plug-in
4 card in the loop carrier cabinet.

5 Since a DSL loop doesn't need to be designed,
6 doesn't require anything beyond what's necessary to
7 provide voice-grade service, we believe the testimony will
8 show that both the recurring and nonrecurring charges for
9 that DSL-capable loop should be the same as for the SL1
10 voice-grade loop. And that contrasts pretty significantly
11 with BellSouth's proposed charges in which the
12 nonrecurring charge, for example, can range from three to
13 six times what you see for a voice-grade loop.

14 Fourth and final point, the level of
15 nonrecurring charges. Commissioners, today, I believe
16 nonrecurring charges are one of the biggest barriers to
17 entry in Florida. And I'll confess that when we did the
18 MCI and AT&T arbitrations back in 1996, nobody, including
19 myself and my clients, really paid much attention to
20 nonrecurring charges.

21 We've learned our lesson, and you will hear a
22 lot in this proceeding about nonrecurring charges. What
23 does that appearance teach us? It says we need to focus
24 on the nonrecurring charges just as much as we do on the
25 recurring charges.

1 We believe the evidence is going to show that
2 BellSouth's nonrecurring charges are too high for several
3 reasons. They include a level of manual processing,
4 manual work effort that's inconsistent with an efficient
5 forward-looking network. They include involvement by
6 numerous work groups, some of whose only job appears to be
7 to check the work that other groups do or to check the
8 work that electronic systems are supposed to be
9 performing. And finally, where manual work is
10 legitimately required, we believe they include task times
11 at strained credibility.

12 As one example, we've talked about the
13 demonstration Mr. Riolo is going to do. He's going to
14 perform a demonstration of opening a splice case, removing
15 bridge tap from 25-pair of wires, closing the splice case,
16 even with his commentary, that demonstration's going to
17 take less than 15 minutes. That contrasts with 2 1/2
18 hours that BellSouth includes in its nonrecurring cost
19 study for that same activity.

20 In summary, we urge you to reject the inflated
21 assumptions that drive the nonrecurring cost study. As
22 Mr. Lamoureux said, we believe they're inflated
23 assumptions in the recurring cost study as well. You need
24 to look at both. And if you do that and set rates that
25 recover BellSouth's costs and are fair and reasonable, but

1 cover their forward-looking costs, not some inflated cost,
2 I think that's the best thing you can do to promote
3 competition as we go forward in Florida.

4 That concludes my piece of the summary.

5 CHAIRMAN DEASON: Thank you. Mr. Fons.

6 MR. FONTS: Thank you, Mr. Chairman. I'm going
7 to talk about an issue that has not been spoken about by
8 either BellSouth or any of the other parties this morning,
9 and that's an issue that is very, very important, because
10 if we're going to get to the recovery of cost, we're going
11 to have to do it on a basis that reflects reality.

12 And one of the realities of this world, and
13 particularly in Florida, is that costs are not the same
14 everywhere throughout the state of Florida, either within
15 the -- between the companies that are providing local
16 service, the incumbent local exchange carriers, but also
17 within the incumbent local exchange companies themselves.

18 Costs vary between geographic areas, they vary
19 between urban areas and rural areas. And one of the
20 things that the Act says is that there must be a recovery
21 of your cost. And the FCC, in its rules, and a rule which
22 has not been affected by the Eighth Circuit, requires that
23 your cost be deaveraged to better reflect those costs so
24 that you will be able to recover the cost of the high-cost
25 areas and in the low-cost areas, but that the rates that

1 you charge for the provision of unbundled network elements
2 in those areas, those rates reflect the costs of that
3 area.

4 If you have a companywide average rate, one rate
5 for unbundled network elements, then, those -- that rate
6 will not adequately or accurately reflect the actual cost
7 providing the unbundled network element, for example, in a
8 low-cost, high-density urban area. That average rate will
9 be substantially higher than the cost for providing the
10 service in that area and, therefore, there will be an
11 overrecovery of costs by using an average rate.

12 So, the FCC has imposed a rule that you must
13 deaverage your rates, at least to three zones. And to the
14 extent that there are substantial cost differences in
15 addition to that, then you can more than three cost zones.
16 It's the position of the ALECs in this proceeding that you
17 should have more than three cost zones, because the cost,
18 if you just go to the three zones, you really haven't
19 reached the level of granularity that you need to
20 adequately reflect the cost.

21 What BellSouth has proposed -- well, let me just
22 back up and say everybody, I think, agrees, all the
23 parties, BellSouth, and the ALECs agree that you at least
24 have to unbundle the loop element. That is the
25 predominant element that everybody's looking for. And

1 that should be unbundled to the extent that there are cost
2 differences that justify an unbundled rate, a different
3 rate for different areas within the geographic area served
4 by BellSouth.

5 BellSouth has proposed for the local loop just
6 three zones. And the way they have decided to aggregate
7 their zones is that they don't look at the cost
8 characteristics that a loop has in the various
9 geographical areas, but instead, what they do is they
10 aggregate, according to their historical rate groups. So,
11 all of the wire centers that are in one rate group today
12 will then form the basis of one of their three zones.

13 Well, rate groups have nothing to do with cost.
14 Rate groups are established, I would dare say, back in the
15 1920s, in order to provide a -- some recognition to what
16 was then called value of service.

17 And the value of service was based upon the
18 number of customers that you could call. It has nothing
19 to do with the cost of providing to those number of
20 customers, because some wire centers cover -- have
21 tremendous numbers of customers, but the break points are
22 so broad that you don't capture the differential between
23 the cost of providing that rate group versus the wire
24 centers that are in that rate group.

25 Wire centers is where you're supposed to

1 determine the cost. That provides you with the greatest
2 granularity based upon an administrative ease. So, wire
3 centers ought to be grouped together, according to their
4 cost characteristics, then they would provide the basis
5 for a particular zone, a deaveraging zone, not whether or
6 not they're in a rate group. That just doesn't make any
7 sense.

8 In addition to the loop, Sprint, my client,
9 believes that there are other elements that also require
10 unbundling in an -- deaveraging to a greater extent; for
11 example, switching. Switching is different. In fact,
12 BellSouth, in its testimony, concedes that switching has
13 cost differentials and yet BellSouth has not provided any
14 deaveraging for switching and likewise for transport.
15 That has different cost characteristics based upon
16 geographic areas. And therefore, under the Act and the
17 FCC rules, those must be deaveraged.

18 Now why --

19 COMMISSIONER JABER: Mr. Fons, may I ask you a
20 question on authority for the state Commission to require
21 more than three zones. I thought the FCC rule set forth a
22 requirement for three geographic zones and, in fact, that
23 the state wanted to have less. Didn't the state have to
24 seek a waiver?

25 MR. FONS: No, they do not have to seek a

1 waiver. The rule is 51.507-F. And it says, "State
2 Commission shall establish different rates for elements in
3 at least, at least, three to five geographic areas within
4 the state to reflect geographic cost differences. To
5 establish geographically-deaveraged rates, state
6 Commissions may using existing density-related zone
7 pricing plans or other such cost-related zone plans
8 established pursuant to state law."

9 The Commission, in its order, in the language
10 leading up to these rules, specifically, pointed out that
11 the state may establish more than three zones where the
12 cost differences in geographic regions are such that it
13 finds that additional zones are needed to adequately
14 reflect the cost of interconnection and access to
15 unbundled network elements.

16 COMMISSIONER JABER: There wasn't an FCC order
17 after the rule was implemented on this topic, was there?

18 MR. FONS: Well, there was a rule after, because
19 originally, the Commission stayed the impact or this
20 requirement, but that stay was lifted, and each state was
21 required to have deaveraged rules, I believe, by the 1st
22 of May of 2000.

23 And, in fact, in order to meet that, the parties
24 stipulated back in December to deaveraging in order to
25 allow the state -- for there to be deaveraged rates, at

1 least on a loop basis in Florida at this point and time.

2 Why do you need geographically-deaveraged rates?

3 It's not just a question of recovering costs. That's
4 paramount, but there's another very important reason why
5 you need to deaverage to reflect the various cost
6 differences within BellSouth's territory. And that's
7 simply that if you don't deaverage, then, what you've done
8 is you've merely masked the difference, you've averaged
9 all these costs together. And what it does is it sends
10 the wrong signal to the marketplace.

11 And the signal that you need to send to the
12 marketplace is a correct signal on whether or not the ALEC
13 is going to make or it's going to buy. In other words, if
14 the costs are such, then, the prices -- I should say the
15 prices are such that the ALEC can provide the service
16 cheaper for itself, then they ought to do that.

17 But those prices have to be based on cost. You
18 don't want to do uneconomic provisioning. You don't want
19 to require an ALEC to have to spend money unwisely to
20 enter a marketplace. If the prices are deaveraged
21 properly, then the ALEC will see that I can't build it any
22 cheaper than that and that I ought to buy it. That's
23 efficiency. That's the economic way to go. That's the
24 way to bring competition to the consumers.

25 But if you don't deaverage, and you don't

1 correctly deaverage, then, you're going to send the wrong
2 signals to the marketplace. And in the first instance,
3 you're going to stifle competition. And the whole purpose
4 of this is to bring competition and the benefits of the
5 competition to the greatest number of consumers. That
6 concludes my remarks.

7 CHAIRMAN DEASON: Mr. Gross.

8 MR. GROSS: Good morning, Chairman Deason,
9 Commissioner Jaber, Commissioner Jacobs. My name is
10 Michael Gross, and I'm appearing on behalf of the FCTA.
11 Thank you for giving me the opportunity to speak this
12 morning.

13 The resolution for the issues in this docket
14 will have a profound impact on the development of local
15 competition in the state of Florida. ALECs require the
16 availability of reasonably-priced UNEs in order to
17 compete.

18 New market entrants have not had the benefit of
19 building their networks over 100 years as the incumbent
20 carriers whose networks have been fully funded by
21 ratepayers.

22 UNEs are the quickest path to competition under
23 the '96 Act. This entry method permits competitors to buy
24 parts of the incumbents' networks at cost-based rates,
25 which include a fair profit for the incumbent.

1 A new entrant can use UNES leased from an ILEC
2 and construct its own facilities where it makes economic
3 sense. The evidence, including the testimony of FCTA
4 witness, Bill Barta, will show that appropriate deaveraged
5 cost-based rates using a forward-looking cost methodology
6 best replicate the conditions of a competitive market and
7 promote competitive entry under the '96 Act.

8 Rates for UNES should only be deaveraged where
9 significant cost variations exist. Moreover, the
10 deaveraging of rates for UNE combinations should be based
11 upon the cost characteristics of the underlying network
12 components. Nonrecurring charges should be cost-based and
13 should reflect a higher degree of mechanization in the
14 processing of orders. Surprisingly, BellSouth has
15 proposed rates for 26 UNES in its revised cost study that
16 reflect increases of 10% or more.

17 Significantly, the increases are suspect, since
18 they are based upon increased labor hours and additional
19 work activities. The proposed rates, in the revised cost
20 study, suggests that BellSouth has become less proficient
21 in the processing of ALEC orders during the four months
22 since its initial cost study was filed.

23 Consequently, the FCTA recommends that a
24 rigorous scrutiny of BellSouth's revised study be
25 conducted by this Commission in the course of this

1 proceeding. Thank you.

2 CHAIRMAN DEASON: Thank you. I believe that
3 concludes opening statements. We're going to take a
4 recess at this time. We will reconvene at 11:45.

5 (Recess taken.)

6 CHAIRMAN DEASON: Call the hearing back to
7 order. Commissioner Jaber?

8 COMMISSIONER JABER: Mr. Chairman, I wanted to
9 talk to you and Commissioner Jacobs and get your feedback
10 on some -- a thought I had as the parties were making
11 their oral argument or opening statements.

12 I looked through the prehearing order, and there
13 isn't necessarily a specific legal issue on what the
14 relevant law is. And certainly, I want input from the
15 parties in their briefs on what the relevant law is, the
16 state of the state, so to speak, when the briefs are
17 finally due.

18 And it may be, Commissioner Jacobs, that that
19 was contemplated in the issues as they are worded, I don't
20 know. What gave me the idea was we don't know what will
21 happen from now until briefs are due and then from now
22 until Staff files its recommendation.

23 And certainly, Staff is capable of including
24 those changes in their recommendations, but I don't know
25 what vehicle the parties have to bring those things to our

1 attention. So, my thought was to identify an issue, but I
2 just thought of it, and I'd be, you know, interested in
3 having your feedback.

4 COMMISSIONER JACOBS: I think that's very
5 appropriate. In fact, I came to that same conclusion,
6 that it would be useful to have something for the parties
7 to focus in on in their briefing.

8 CHAIRMAN DEASON: Do you have wording for the
9 issue?

10 COMMISSIONER JABER: Of course not. And I think
11 it would need to be broad.

12 COMMISSIONER JACOBS: Well, why don't we do
13 this.

14 COMMISSIONER JABER: It's from a jurisdictional
15 issue. It would be what is --

16 COMMISSIONER JACOBS: Since we don't have to do
17 it right now, why don't we see if there can be some
18 agreement amongst the parties as to the wording. And if
19 not, then we can come up with some final wording, because
20 we don't have to really do it until we're done.

21 COMMISSIONER JABER: Right, and I would ask
22 Staff to think about it, too. I'm catching you off guard,
23 but certainly we don't have to do it today, but if you all
24 can get together and work on the appropriate language.

25 The purpose for me is twofold; to talk about

1 jurisdiction, to address jurisdiction, but also what
2 authority exists at the time of our vote.

3 MS. KEATING: Actually, we had sort of talked
4 about it amongst ourselves a little bit, and sounds like a
5 good idea. It may be necessary to increase the page limit
6 on the briefs to cover that.

7 CHAIRMAN DEASON: I didn't establish that.

8 COMMISSIONER JACOBS: Well, looking around the
9 room, I don't see that that would be a very big problem
10 right now. So, that -- I don't have a problem, if Staff
11 doesn't have a problem. Okay.

12 COMMISSIONER JABER: Thank you, Mr. Chairman.

13 CHAIRMAN DEASON: Okay. I've been handed a list
14 of proposed stipulated exhibits from AT&T. There are two
15 items on that. Has this list been provided to all of the
16 parties? Okay. Is there any objection to either of these
17 two exhibits? Hearing no objection, then, item one on the
18 AT&T list will be identified as Exhibit 90. I believe,
19 that's the next number; is that correct?

20 MS. KEATING: That's right.

21 CHAIRMAN DEASON: And item two on the AT&T list
22 will be identified as Exhibit Number 91. And once we get
23 all of these exhibits identified, then, we'll go and
24 actually move them into the record, but that's not being
25 done at this point until we get them all identified.

1 Staff?

2 (Exhibits 90 and 91 marked for identification.)

3 MS. KEATING: Could we just confirm with the
4 parties whether they've had a chance to finish reviewing
5 Staff's list? And if so, we could go ahead and get those
6 into the record as well.

7 CHAIRMAN DEASON: I'll ask the question. Have
8 the parties reviewed Staff's list of proposed stipulated
9 exhibits, Exhibit 60 through 89?

10 MS. WHITE: Staff's list is fine with BellSouth.

11 CHAIRMAN DEASON: Any objection to Staff's list?
12 Hearing no objection, going once, going twice.

13 MR. LAMOUREAUX: I would just add that two of
14 the exhibits are late-filed exhibits from depositions of
15 two of the AT&T-Worldcom witnesses. We had to file
16 revised late-filed exhibits this morning. So, we would
17 just supplement the actual document with what we handed
18 out this morning.

19 MS. KEATING: Those exhibits were contemplated
20 to be included in the stipulated exhibit.

21 CHAIRMAN DEASON: All right. Given that
22 understanding and clarification, then, show Exhibits 60
23 through 89 admitted. And I'll go ahead -- are there
24 objections to Exhibits 90 and 91? Hearing no objection,
25 show, then, Exhibits 90 through 91 also are admitted. So,

1 that brings us up-to-date. If there are more lists to be
2 coming forward, just give those to me at an appropriate
3 time, and we'll handle them in due course.

4 (Exhibits 60 through 91 admitted into the
5 record.

6 CHAIRMAN DEASON: I believe, we're prepared to
7 swear in witnesses? Staff, is that correct? Staff, can
8 we swear in witnesses now? Okay. All witnesses that are
9 going to be appearing that are here in the room at this
10 time, please stand and raise your right hand.

11 (Witnesses collectively sworn.)

12 CHAIRMAN DEASON: Thank you, please be seated.
13 I believe BellSouth, you have the first witness; is that
14 correct?

15 MS. WHITE: Yes, Mr. Varner is the first
16 witness, and he's also a stipulated witness.

17 CHAIRMAN DEASON: Okay.

18 MS. WHITE: So, at this time I would ask that
19 Mr. Varner's revised direct testimony, consisting of three
20 pages and filed on August 18th, 2000, his corrected
21 revised direct Exhibit AJV-1 filed on September 5th, 2000.
22 Do you want to do direct and rebuttal?

23 CHAIRMAN DEASON: We'll get direct and rebuttal
24 at the same time, is my understanding.

25 MS. WHITE: Okay. His rebuttal testimony

1 consisting of 29 pages and filed on August 21st, 2000.
2 And his rebuttal Exhibit, AJV-1, also filed on August
3 21st, 2000, I would ask that that be admitted into the
4 record as though read.

5 CHAIRMAN DEASON: With no objection, show that
6 testimony inserted into the record as though read. And
7 you want to identify exhibits?

8 MS. WHITE: Yes. I would just identify his
9 rebuttal exhibit and his direct exhibit as one, which
10 would be number 92, I believe.

11 CHAIRMAN DEASON: Yes, 92.

12 MS. WHITE: And ask that that be moved into the
13 record.

14 CHAIRMAN DEASON: Without objection, hearing no
15 objection, show then the prefiled exhibits for the direct
16 and rebuttal for Mr. Varner are admitted. And that is
17 composite Exhibit 92.

18 (Exhibit 92 marked for identification and
19 admitted into the record.).

20

21

22

23

24

25

1 BELLSOUTH TELECOMMUNICATIONS, INC.
2 REVISED DIRECT TESTIMONY OF ALPHONSO J. VARNER
3 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
4 DOCKET NO. 990649-TP
5 (PHASE II)
6 AUGUST 18, 2000

7
8 Q. PLEASE STATE YOUR NAME, YOUR POSITION WITH BELLSOUTH
9 TELECOMMUNICATIONS, INC. ("BELLSOUTH") AND YOUR
10 BUSINESS ADDRESS.

11

12 A. My name is Alphonso J. Varner. I am employed by BellSouth as Senior
13 Director for State Regulatory for the nine-state BellSouth region. My business
14 address is 675 West Peachtree Street, Atlanta, Georgia 30375.

15

16 Q. HAVE YOU PREVIOUSLY FILED TESTIMONY IN THIS PROCEEDING?

17

18 A. Yes. I filed direct testimony in this proceeding on May 1, 2000. On June 29,
19 2000 I filed rebuttal testimony pertaining to the issues relegated to Phase I of
20 this proceeding.

21

22 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?

23

24 A. The purpose of this testimony is only to provide a Revised Exhibit AJV-1 to
25 replace Exhibit AJV-1 that was attached to my direct testimony filed on May 1,

1 2000. The attached Revised Exhibit AJV-1 reflects the rates that BellSouth
2 proposes to charge alternate local exchange carriers ("ALECs") for the
3 Unbundled Network Elements (UNEs) and UNE combinations being addressed
4 in this proceeding. The proposed rates contained in Revised Exhibit AJV-1
5 are equal to the costs contained in the updated cost studies filed by BellSouth
6 on August 16, 2000. These updated cost studies are supported by the revised
7 direct testimony of BellSouth witnesses Caldwell and Stegeman, who address
8 the reasons for these changes in greater detail.

9
10 Q. ARE THERE ANY ADDITIONAL ISSUES THAT NEED TO BE
11 ADDRESSED?

12
13 A. Yes. Although BellSouth has proposed rates equal to the results of its cost
14 studies, the proposed rates for certain elements in Revised Exhibit AJV-1 were
15 derived by adding two cost elements together. For example, the proposed
16 nonrecurring rate for the ADSL-compatible loop without LMU (A.6.1) was
17 derived by adding the loop cost (A.6.6) and the loop modification additive
18 (A.17.4).

19
20 Also, the number of pages that comprise Revised Exhibit AJV-1 has been
21 substantially reduced. The reduced volume of pages of the Revised Exhibit
22 AJV-1 is due primarily to formatting changes, although certain elements have
23 been restructured and others removed, such Line Sharing. Ms. Caldwell
24 addresses these changes in her revised direct testimony.

25

1 Q. DOES THIS CONCLUDE YOUR TESTIMONY?
2
3 A. Yes.
4
5 #224980
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 BELL SOUTH TELECOMMUNICATIONS, INC.
2 REBUTTAL TESTIMONY OF ALPHONSO J. VARNER
3 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
4 DOCKET NO. 990649-TP
5 (PHASE II)
6 AUGUST 21, 2000

7
8 Q. PLEASE STATE YOUR NAME, YOUR POSITION WITH BELL SOUTH
9 TELECOMMUNICATIONS, INC. ("BELL SOUTH") AND YOUR BUSINESS
10 ADDRESS.

11
12 A. My name is Alphonso J. Varner. I am employed by BellSouth as Senior Director
13 for State Regulatory for the nine-state BellSouth region. My business address is
14 675 West Peachtree Street, Atlanta, Georgia 30375.

15
16 Q. HAVE YOU PREVIOUSLY FILED TESTIMONY IN THIS PROCEEDING?

17
18 A. Yes. I filed direct testimony in this proceeding on May 1, 2000.

19
20 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?

21
22 A. The purpose of my rebuttal testimony is to respond to policy issues addressed in the
23 direct testimony filed on behalf of various intervenors as it pertains to the issues
24 being addressed in Phase II of this proceeding. Specifically, I will respond to the
25 testimony of AT&T and MCIWorldCom's witness Mr. Greg Darnell, Florida Cable

1 Television Association's ("FCTA's") witness Mr. William Barta, Florida
2 Competitive Carriers Association ("FCCA") witness Mr. Joseph P. Gillan, Sprint's
3 witness James W. Sichtler, Bluestar, Covad and Rhythms Link's witness Ms. Terry
4 Murray, and Supra's witness Mr. David Nilson filed with the Florida Public Service
5 Commission ("Commission") on July 31, 2000. I will also address the July 18,
6 2000 Eighth Circuit Court ("Eighth Circuit") ruling.

7

8 **Pricing Methodology**

9 Q. WHAT VALIDITY IS THERE TO THE CLAIMS OF MS. MURRAY AND MR.
10 GILLAN THAT THE EIGHTH CIRCUIT'S RULING MEANS THAT ILECS
11 MAY NOT BE ABLE TO INCLUDE SHARED AND COMMON COST IN
12 PRICES?

13

14 A. None. The portion of the FCC rules requiring inclusion of the shared and common
15 costs was not vacated by the Eighth Circuit Ruling. Rule 51.503(a) requires rates to
16 be established equal to forward-looking economic cost. Rule 51.505(a) defines
17 forward-looking economic cost as the sum of (1) the total element long-run
18 incremental cost of the element, as described in paragraph (b); and (2) a reasonable
19 allocation of forward-looking common costs, as described in paragraph (c).
20 Forward-looking common costs include shared and common costs as defined in
21 Rule 51.505(c). As noted above, the requirement to include shared and common
22 costs is in Rules 51.503(b), 51.505(a), and 51.505(c). None of these rules was
23 vacated by the Eighth Circuit.

24

25

1 Part of the confusion here is related to the use of the terminology “Total Element
2 Long Run Incremental Cost” (“*TELRIC*”). *TELRIC* is only a part of the economic
3 cost referenced in Rule 51.505(a)(1) above. However, as an abbreviated reference,
4 most people use the term “*TELRIC*” to refer to the sum of *TELRIC* as defined in
5 FCC Rule 51.505(a)(1) plus the allocation of shared and common costs in
6 accordance with FCC Rule 51.505(a)(2).

7

8 Q. PLEASE ADDRESS THE IMPACT OF THE EIGHTH CIRCUIT RULING ON
9 THE FCC’S PRICING RULES.

10

11 A. The Court eliminated the requirement for the incremental cost (*TELRIC*) portion of
12 prices as described in 51.505(a)(1) above to be based on the FCC’s efficient
13 network configuration standard. That standard is defined in Rule 51.505(b)(1) as
14 “[t]he total element long run incremental cost of an element should be measured
15 based on the use of the most efficient telecommunications technology currently
16 available and the lowest cost network configuration, given the existing location of
17 the incumbent LEC’s wire centers.” The only portion of the FCC’s pricing rules
18 that the Eighth Circuit Ruling vacated and remanded was Rule 51.505(b)(1). The
19 remaining portions of the FCC’s pricing rules remain in effect and were not vacated
20 by the Eighth Circuit Ruling as Mr. Gillan and Ms. Murray imply.

21

22 Regarding Rule 51.505(b)(1), the Eighth Circuit Ruling held that *TELRIC* “violates
23 the plain meaning of the Act”, finding that the Act requires that rates be based on
24 “the cost ... of providing the interconnection or network element ... not the cost
25 some imaginary carrier would incur by providing the newest, most efficient, and

1 least cost substitute for the actual item or element which will be furnished by the
2 existing ILEC pursuant to Congress's mandate for sharing. Congress was dealing
3 with reality, not fantasizing about what might be." This finding of the Eighth
4 Circuit Court refutes several of the claims made by Mr. Gillan and Ms. Murray.

5

6 Q. IN ORDER TO COMPLY WITH THE REMAINING FCC RULES, WHAT
7 SHOULD PRICES REFLECT?

8

9 A. Since all the Eighth Circuit did was eliminate the efficient network requirement, the
10 remaining FCC rules require prices to reflect the total forward-looking cost of
11 facilities actually used to provide a service. Unlike the Supreme Court's Remand of
12 FCC Rule 51.319, which required the FCC to establish new rules, no new rules
13 appear to be required to implement the Eighth Circuit's ruling. By eliminating Rule
14 51.505(b)(1), the Eighth Circuit left in place a set of rules that require prices to
15 equal the total forward-looking cost of actually providing the services.
16 Nonetheless, Mr. Gillan and Ms. Murray have attempted to not only retain the
17 standard that the Eighth Circuit rejected, but to also have this Commission establish
18 prices based on a more hypothetical framework than even the FCC previously
19 required. Clearly, their attempts should be rejected.

20

21 Q. WHAT IS THE BASIS FOR THE RATES BELLSOUTH PROPOSED?

22

23 A. BellSouth's proposed rates equal the forward-looking economic cost as defined in
24 the FCC's pricing rules before the Eighth Circuit's ruling. These rates equal the
25 sum of (1) TELRIC (based on the efficient network requirement) plus (2) a

1 reasonable allocation of forward-looking common costs. The only reasonable
2 interpretation of the Eighth Circuit's rationale for vacating and remanding the
3 FCC's Rule 51.505(b)(1) is that the FCC went too far in its requirement that a
4 hypothetical network be used to calculate TELRIC. Consequently, the rates
5 BellSouth has proposed are below the level that the Eighth Circuit held was
6 appropriate. As I explained in my direct testimony, BellSouth has maintained all
7 along that the FCC's pricing rules did not permit full cost recovery. Obviously, the
8 Eighth Circuit shares BellSouth's opinion.

9
10 Q. IS BELLSOUTH CHANGING THE RATES IT HAS PROPOSED IN THIS
11 DOCKET BASED ON THE EIGHTH CIRCUIT'S RULING?

12
13 A. No. Whether or not the Eighth Circuit ruling is upheld, the ruling will certainly be
14 challenged. Therefore, in order to continue to facilitate local competition until this
15 matter is ultimately resolved, BellSouth is willing to have the Commission establish
16 unbundled network element ("UNE") prices using BellSouth's cost study and
17 proposed rates filed in this proceeding. Once the dust finally settles, it may be
18 necessary for the Commission to revisit the prices it establishes in this proceeding.

19
20 Q. WHAT ROLE SHOULD THE EIGHTH CIRCUIT'S RULING PLAY IN THE
21 COMMISSION'S EVALUATION OF BELLSOUTH'S PRICES?

22
23 A. As previously discussed, BellSouth's proposed prices are based on a methodology
24 that produces costs that are below the level the Eighth Circuit deemed appropriate.
25 The inputs to the model and the model itself are based on the FCC's efficient

1 network standard. Changes to BellSouth's inputs or operation of the model that
2 drive prices even lower merely drive prices further below the level that the Eighth
3 Circuit held was appropriate. In particular, the Commission should reject any
4 attempt to base prices on a network standard that is even more hypothetical than the
5 standard already reflected in Bellsouth's cost models.

6

7 Q. PLEASE RESPOND TO MR. GILLAN'S AND MS. MURRAY'S
8 CONTENTIONS THAT ILECS WILL USE THE EIGHTH CIRCUIT RULING
9 AS GROUNDS TO ABANDON ECONOMIC PRICING PRINCIPLES.

10

11 A. To the contrary, BellSouth believes that the Eighth Circuit's ruling reinforces
12 economic pricing principles. Indeed, the Court's finding that TELRIC based on a
13 hypothetical network violates the plain meaning of the Act makes clear that the
14 Court does not view TELRIC based on a hypothetical network as a legitimate basis
15 for setting prices. The fundamental fallacy the Eighth Circuit saw was that the FCC
16 rules assumed the ILEC's existing network would be totally scrapped, and a totally
17 new network would be immediately built using the newest technology. As the
18 Eighth Circuit recognized, this is an unrealistic assumption, and certainly would not
19 produce just and reasonable rates.

20

21 Q. ON PAGE 6, MR. GILLAN CONTENDS THAT THE ONLY DECISIONS THAT
22 CAN AFFECT RESOURCE CHOICES ARE THOSE THAT OCCUR IN THE
23 FUTURE. PLEASE RESPOND.

24

25

1 A. This is not true, but Mr. Gillan's error is irrelevant to the issue under discussion
2 here. Past decisions have an effect on resource choices all the time. Typically, past
3 decisions will narrow the scope of choices available in the future. For example, the
4 choice of plant installed narrows the range of reasonable choices that can be made
5 in the future as to how to provide a service. Let's say a carrier installs multiplexing
6 equipment. That equipment will have two parts, one part is used for a number of
7 lines and all of it must be purchased initially. The other part is installed as
8 individual lines are ordered. Even if a newer technology becomes available, it still
9 may be more economical to simply add to the existing system instead of buying
10 both the common equipment and line equipment for the new system. Mr. Gillan
11 would only permit cost recovery as if the new system were already installed and all
12 you did was add to it. This is where the Eighth Circuit disagreed with Mr. Gillan,
13 Ms. Murray, Mr. Barta, and the FCC. Clearly, assumptions about future
14 investments are affected by past investment choices to some extent.

15
16 I agree with Mr. Gillan that knowledgeable people must make informed choices
17 about what technologies and investments *would be* used in the future. However,
18 the range of choices must be realistic. To some extent, the scope of choices is
19 narrowed by past decisions. That was the fundamental fallacy of the FCC's
20 efficient network standard. It assumed that the network would be completely
21 remade with each new technological advancement and made no provision for the
22 costs of such drastic turnover in plant. While selecting the most efficient
23 technologies and investments choices is important, the most efficient choices are
24 limited by the choices that are actually available. Scrapping the whole network
25 each time technology changes is not an efficient choice.

1

2 No company completely overhauls its plant to instantaneously proliferate new
3 technology. Such action is neither practical, possible nor economically efficient. If
4 BellSouth did take such action, the resulting costs would be far higher than the costs
5 the ALECs propose. The costs of drastically overhauling the network would
6 properly include the remaining cost of the old technology plus the cost of the new
7 technology. Of course, the ALECs don't want to pay for these remaining costs, but
8 those costs don't simply vanish. Such costs must be borne by someone.

9

10 Q. DOES BELLSOUTH OBJECT TO USING A FORWARD-LOOKING COST
11 METHODOLOGY TO SUPPORT PRICES, AS MR. GILLAN, MR. BARTA
12 AND MS. MURRAY CONTEND?

13

14 A. No. However, BellSouth does disagree with their view of the role that forward-
15 looking incremental costs should play and the way that those costs should be
16 calculated. Long run forward-looking incremental costs define a level below which
17 prices should not go, except in limited, temporary circumstances. However, they
18 contend that forward-looking incremental costs define the highest price that should
19 be charged. Indeed, the FCC's rules (before or after the Eighth Circuit's ruling) do
20 not support this contention, and they can point to no economic theory for support.
21 Of course, this Commission has historically recognized that long run forward-
22 looking incremental costs establish the price floor, and the prices should also
23 include a contribution to shared and common costs. For example, in establishing
24 permanent rates in the AT&T/MCI/ACSI consolidated arbitration proceedings, the
25 Commission determined in Order No. PSC-96-1579-FOF-TP dated December 31,

1 1996, that contribution above TSLRIC is appropriate, stating that “[t]he rates cover
2 BellSouth’s TSLRIC costs and provide some contribution toward joint and common
3 costs.” (Order, page 33).

4

5 Q. MS. MURRAY AND MR. BARTA CONTEND THAT A FORWARD-LOOKING
6 COST ANALYSIS CANNOT CONSIDER HISTORICAL COSTS. PLEASE
7 RESPOND.

8

9 A. Their discussion is irrelevant. BellSouth has not included historical costs either in
10 its cost study or in its prices. However, the Commission should remember that
11 BellSouth’s proposed prices do not cover the actual cost of providing service.

12

13 Q. PLEASE RESPOND TO MS. MURRAY’S IMPLICATION THAT PRICES
14 SHOULD EQUAL INCREMENTAL COSTS.

15

16 A. Ms. Murray is unable to directly say that price should equal incremental cost
17 because she apparently knows it isn’t true. In the example Ms. Murray provides on
18 page 17, even the new firm recovers its total actual costs. Ms. Murray’s statement
19 that “competitive markets offer no leeway for recovering ‘actual’ costs that exceed
20 efficient, forward-looking costs” is wrong because she implies that only incremental
21 costs are recovered. She has been unable to identify any markets where her
22 contention is supported. All she has succeeded in showing is that an efficient firm’s
23 costs get recovered in a competitive environment, but it is their total costs, and not
24 just incremental costs, that get recovered.

25

1 Q. PLEASE RESPOND TO MR. GILLAN'S INTERPRETATION THAT THE
2 EIGHTH CIRCUIT RULING SAYS THAT "AN APPROPRIATE COST
3 ANALYSIS SHOULD ESTIMATE ONLY THE FORWARD-LOOKING COST
4 OF THE NETWORK INCREMENT" AND THAT THE REMAINING FIXED
5 COMPONENTS SHOULD BE IGNORED.

6
7 A. Nowhere in the Eighth Circuit's ruling did it limit cost recovery to a network
8 increment. On the contrary, the Court concluded that the actual cost that will be
9 incurred on a going-forward basis should be recovered. Even the FCC's pricing
10 rules do not support Mr. Gillan's claim. As previously discussed, the FCC's pricing
11 method that the Eighth Circuit addressed consisted of two parts – TELRIC plus an
12 allocation of shared and common costs. The sum of these two costs was the price
13 ceiling. The Eighth Circuit was addressing whether the proper forward-looking
14 methodology was used in the TELRIC method mandated by the FCC. The FCC
15 required use of a hypothetical network in the TELRIC part of their rules, and the
16 Eighth Circuit said that the FCC was wrong. Indeed, the Eighth Circuit said that the
17 incremental cost part of the price must reflect forward-looking actual costs. Mr.
18 Gillan erroneously interprets the Eighth Circuit's criticism of the incremental cost
19 part of the FCC's pricing rules to mean that the remaining parts, which the Eighth
20 Circuit doesn't even address, are vacated. His view is completely without merit.

21
22 Q. PLEASE COMMENT ON MR. GILLAN'S RECOMMENDATION REGARDING
23 WHICH COSTS TO INCLUDE AND WHICH COSTS TO EXCLUDE AS A
24 "FIXED CONSTRAINT".
25

1 A. Mr. Gillan appears to be contradicting his own testimony and ignoring the Eighth
2 Circuit's ruling. First, he says that a proper cost study would use a time horizon
3 long enough such that all inputs are variable. But now, he claims the cost study
4 should be done such that some inputs are fixed. He can't have it both ways. The
5 italicized parts of the Eighth Circuit Ruling, as quoted by Mr. Gillan on page 12 of
6 this testimony, also contradict his claims. The cost of facilities used by the
7 competitors, whether "fixed" or "variable" under Mr. Gillan's chameleon-like use
8 of the terms, should be recovered through the incremental cost portion of the prices.
9 Furthermore, Mr. Gillan ignores the "actually used" standard as stated by the Court.
10 Prices should not be limited to recovering the cost of the most efficient network as
11 Mr. Gillan implies, but the network that will actually be used to supply the UNEs.
12 Mr. Gillan is simply attempting to re-impose under a new theory the hypothetical
13 network standard that the Eighth Circuit rejected.

14
15 Q. PLEASE COMMENT ON MR. GILLAN'S CONCERN THAT THE EIGHTH
16 CIRCUIT RULING WILL CAUSE ILECS TO DELIBERATELY DEPLOY
17 OBSOLETE OR INEFFICIENT NETWORKS IN AN EFFORT TO INCREASE
18 ALEC'S COSTS.

19
20 A. Mr. Gillan is wrong again. There is nothing in the Court's decision pertinent to this
21 so-called "issue". First, this allegation makes no sense because it would require the
22 ILEC to increase its own costs to provide retail services. However, the ILEC must
23 compete in the retail market with many non-ALEC providers. Second, even if
24 BellSouth were inclined to engage in the irrational behavior postulated by Mr.
25 Gillan, the nondiscriminatory obligations placed upon BellSouth prevent it from

1 engaging in such behavior. Third, if BellSouth were to act in an economically
2 irrational manner and were to disregard its obligations under the law, an ALEC
3 would certainly bring this to the Commission's attention long before such action
4 could affect forward-looking costs. As such, Mr. Gillan's claimed concern has no
5 effect on UNE price development.

6

7 Q. PLEASE RESPOND TO MR. GILLAN'S STATEMENTS ON PAGE 3 THAT
8 BELLSOUTH'S "PERSPECTIVE ON UNE-PRICING WOULD TURN
9 ECONOMIC THEORY ON ITS HEAD".

10

11 A. Mr. Gillan is viewing economic theory upside down. The problem here is that he is
12 confusing the "ceiling" with the "floor". As I previously stated, long run forward-
13 looking incremental costs provide the price floor, not the price ceiling. Nowhere in
14 a competitive market can Mr. Gillan point to a place where incremental cost is
15 properly equated to a price ceiling. Mr. Gillan is ascribing an improper role to
16 incremental costs.

17

18 Q. IF FORWARD-LOOKING INCREMENTAL COSTS ARE NOT APPROPRIATE
19 TO ESTABLISH THE PRICE CEILING, HOW SHOULD THE PRICE CEILING
20 BE DETERMINED?

21

22 A. In a fully competitive marketplace, consumers establish the price ceiling by their
23 decision to buy or not buy a product. In a less than fully competitive marketplace,
24 regulatory agencies have used a number of proxies (e.g. fully allocated costs,
25 competitive analogs, stand-alone costs) to mimic this price ceiling that customers

1 would otherwise create. The objective of these proxies is the same – to
2 approximate a price that would be sustainable in a competitive marketplace, i.e., to
3 mimic prices that allowed an efficient firm to recover its full costs. The important
4 point is that actual costs must be recovered. Prudently incurred costs will be
5 recovered in a competitive environment. These costs don't vanish simply because
6 Mr. Gillan, Ms. Murray and Mr. Barta choose to ignore them.

7

8 Q. PLEASE RESPOND TO MR. GILLAN'S ALLEGATION THAT, DUE TO THIS
9 COMMISSION'S HAVING SET UNE PRICES THAT ARE TOO HIGH, ONLY
10 NEGLIGIBLE COMPETITION HAS RESULTED IN FLORIDA.

11

12 A. It is difficult to draw any conclusions about the degree of competition in Florida
13 based upon UNE rates established by the Commission in the past. Mr. Gillan
14 would have you ignore other events that have had significant bearing on the
15 development of competition using UNEs. Some of these events include: (1)
16 AT&T's decision to spend \$100 billion to provide telephony over cable; (2) MCI's
17 almost total rejection of the residence market for local service; (3) carriers'
18 decisions to incorporate local service into their long distance special access
19 services; (4) the level of existing retail rates; (5) IXC's desire to keep RBOCs such
20 as BellSouth out of the long distance business; (6) carriers' decisions to utilize
21 resale as their business entry strategy; and (7) consolidation in the industry that
22 distracted potential competitors from market entry. Mr. Gillan apparently believes
23 that none of these events has affected the development of competition in the past.
24 In his incredibly myopic view, the only thing that mattered was the level of UNE
25 prices.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Again, there is no rational way to equate the degree of past competitive development solely to UNE prices. However, I should point out that the significance of these events will likely be lessened in the future, so the level of UNE prices will have a greater impact going forward.

Q. PLEASE RESPOND TO MR. GILLAN'S CONTENTION THAT EXCESSIVE UNE PRICES WILL FORECLOSE COMPETITION, AND TO MR. BARTA'S INTERPRETATION OF YOUR TESTIMONY ON THAT SUBJECT.

A. They are being overly dramatic. The level of UNE prices that the Commission is considering here would not hamper, let alone foreclose, competition. They also misinterpret my testimony. What I said in my direct testimony was that UNE prices set too high would slow competitive entry, but would certainly not foreclose it altogether. Such a condition would cause competitors to enter via other methods. Of course, setting prices too high would give ALECs the maximum incentive to construct their own facilities and, in the long run, infrastructure competition would develop sooner. However, the incentive for the ALEC to compete by purchasing UNEs from the ILEC would be lessened. Of course, since the now-vacated FCC's pricing rules result in understated prices, setting prices too high is not currently a condition the Commission will encounter in this proceeding.

Q. PLEASE RESPOND TO MR. GILLAN'S CONTENTION THAT "LITTLE COMPETITION HAS EMERGED".

1 A. The accuracy of Mr. Gillan's contention depends on which segments of the market
2 you examine. Obviously, facilities-based ALECs have focused their efforts on the
3 more lucrative business markets and all but ignored the residential market. The
4 hallmark reform of the Act, contrary to Mr. Gillan's claim, was removing the
5 statutory barriers and creating a three-pronged means for competition to develop --
6 build facilities, resale, and UNEs. ALECs have varied in their desire to use each of
7 these means, so measuring competition based solely on UNEs is misguided. Mr.
8 Gillan fails to point out how much local service is provided over the other
9 technologies, constructing new facilities, special access, wireless, etc. All of these
10 are facilities-based means to compete. The actual levels referred to in Mr. Gillan's
11 Exhibit JPG-2 are misleading since ALECs start at a low base and ILECs start at a
12 high base. In fact, on an annualized basis the growth rate for UNE loops was 120%
13 while the growth rate for total ILEC lines was only just over 4%. Mr. Gillan's
14 concerns that an ALEC's gain reflects growth and penetration is irrelevant if the
15 point is to show the degree of competitive penetration. Competitive penetration is
16 the same regardless of whether a competitor wins an existing customer or serves a
17 new one.

18

19 Q. ON PAGE 18, MR. GILLAN CONTENDS THAT THE HIGH COST OF
20 COMBINATIONS LIMITS ITS VALUE TO CUSTOMERS WHOSE SERVICES
21 ARE COMPLEX AND EXPENSIVE. DO YOU AGREE?

22

23 A. No. Mr. Gillan is simply trying to provide an excuse for why facilities-based
24 ALECs have focused almost exclusively on the urban business market. It is not the
25 complexity of using UNE combinations that has driven their behavior; rather, it is

1 simple arithmetic. The margins are much higher in the urban business market than
2 in other markets. That is the principal reason that competitors have concentrated on
3 that market. In fact, Mr. Gillan's claim is belied by ALECs that claim the main
4 reason they need UNE combinations – particularly the UNE platform (“UNE-P”) -
5 was to serve the mass market. His contention has also been contradicted by John
6 Zeglis of AT&T when he stated that UNE combinations were just another form of
7 resale. So AT&T obviously doesn't share Mr. Gillan's view about complexity.

8
9 Q. WHAT DOES MR. GILLAN'S UNE-P DATA FOR NEW YORK AND TEXAS
10 SHOW?

11
12 A. First, his data doesn't show anything about the impact of UNE-P availability on
13 local competition development in Florida, New York or Texas. UNE-P is available
14 in all three states, so any disparity in ALECs' use of UNE-P in these states is not a
15 result of availability. Second, Mr. Gillan conveniently ignores the most important
16 factor that has driven increased UNE-P utilization in New York and Texas, which is
17 not the availability of the UNE-P, but rather the imminent likelihood of an RBOC
18 gaining interLATA relief. In New York, UNE-P has been available since mid-
19 1998. Mr. Gillan's Table 3 shows that ALECs had 75,000 UNE-Ps in New York in
20 June, 1999. By December 1999, just six months later, the number of UNE-Ps in
21 New York had grown to 400,000. Interestingly, in September 1999, Bell Atlantic
22 requested that the FCC grant it permission to provide interLATA service in New
23 York. It was widely believed – even before Bell Atlantic's petition was filed - that
24 Bell Atlantic would receive approval. The logical conclusion is that it was the
25

1 imminence of interLATA relief for Bell Atlantic in New York, not the availability
2 of UNE-P that spurred the growth of UNE-P in New York.

3
4 Likewise, Mr. Gillan's data for the levels of UNE-P subscription in Texas follow a
5 similar pattern. He quotes Texas data for December 1999 and January 2000. Of
6 course, in January 2000, SBC requested that the FCC grant it permission to provide
7 interLATA service in Texas. As with New York, the perception was that Texas had
8 a high likelihood of succeeding. Indeed, Texas received interLATA relief in June
9 2000. Again, the high levels of UNE-P subscription in Texas are tied to the
10 likelihood that interLATA relief was imminent for Texas. Based on his data, if Mr.
11 Gillan wants to incent the growth of UNE-P utilization in Florida, one would think
12 he would support BellSouth's entry into the interLATA market in Florida.

13
14 Q. ON PAGES 40-49, MS. MURRAY CONTENDS THAT ILECS SHOULD HAVE
15 BASED ALL OF ITS COST STUDIES ON A SINGLE, CONSISTENT,
16 FORWARD-LOOKING NETWORK ARCHITECTURE. PLEASE COMMENT.

17
18 A. First, I agree that a consistent forward-looking architecture should be reflected by
19 the network. That is what BellSouth did. However, I disagree with Ms. Murray's
20 claims about how prices must be established to reflect such an architecture. For
21 example, Ms. Murray's contention that it doesn't matter whether costs are classified
22 as recurring or nonrecurring is incorrect. Nonrecurring costs are incurred at the
23 time of service connection and must be recovered regardless of how long the UNE
24 is used or remains in service.

25

1 Furthermore, Ms. Murray incorrectly assumes that the same network components
2 are reflected in both the recurring and the nonrecurring prices. Recurring and
3 nonrecurring costs for services are costed differently because they use network
4 components in different degrees or use different components altogether. Recurring
5 prices recover one set of costs, e.g. depreciation, cost of money and maintenance.
6 Nonrecurring prices recover a different set of costs. For example, the cost of the
7 technician installing the circuit for used by the ALEC is recovered through a
8 nonrecurring price. Again, this nonrecurring cost is fully incurred when the service
9 is installed, and must be recovered regardless of how long the customer uses the
10 service.

11
12 Finally, Ms. Murray attempts to reintroduce a hypothetical network as the basis for
13 prices. At page 46 of her testimony, she claims that “an incumbent can always limit
14 its total recurring and nonrecurring costs to the costs of owning and operating a new
15 modern network.” The only way this occurs is if the incumbent instantaneously
16 rebuilds its network to incorporate each new technology as it becomes available.
17 Using Ms. Murray’s car analogy, she is proposing the equivalent of saying that
18 when someone buys a new car, they can simply default on any remaining payments
19 for the old car.

20
21 Q. DOES MS. MURRAY’S AUTOMOBILE ANALOGY ON PAGE 42
22 ACCURATELY SUPPORT HER CONCERNS REGARDING COSTING
23 NETWORK MODERNIZATION?
24
25

1 A. No. Ms. Murray's analogy makes no sense at all. First, if the old car becomes
2 unreliable or doesn't have features that the owner wants, the owner would buy a
3 new car regardless of the monetary difference in the choices. Second, her analogy
4 is simply incorrect. In the premise for the analogy, she assumes that the car owner
5 is only being reimbursed for upkeep of the old car. She then claims that premise is
6 similar to someone being reimbursed for both the up keep of the existing car and
7 payments on the new one. She uses this nonsensical analogy to support her
8 contention that BellSouth is doing something that, in fact, it is not doing. BellSouth
9 is not asking ALECs to pay for two different means of providing the same service.
10 For example, when an ALEC orders an unbundled loop, BellSouth is not asking the
11 ALEC to pay the full cost of that loop provided with one technology plus the full
12 cost of providing it with a different technology. BellSouth is not "mixing and
13 matching," we are simply asking to recover the cost of the functions BellSouth
14 actually performs to provide a UNE.

15

16 Again, Ms. Murray's concerns about BellSouth using an inconsistent network
17 design to calculate UNE prices is misplaced. BellSouth considers the same network
18 architecture to develop its recurring and nonrecurring costs.

19

20 Q. MR. BARTA APPEARS TO IMPLY THAT A FORWARD-LOOKING
21 ECONOMIC COST MODEL INCLUDES A REASONABLE PROFIT. DO YOU
22 AGREE?

23

24 A. It appears that Mr. Barta misinterprets my testimony. A forward-looking
25 methodology can be used to determine costs. However, limiting prices to the level

1 of cost recovery does not provide an economic profit. Mr. Barta must certainly
2 agree with that.

3

4 Q. HAS MR. BARTA CORRECTLY INTERPRETED YOUR TESTIMONY
5 REGARDING RECOVERY OF BELLSOUTH'S SHARED AND COMMON
6 COSTS?

7

8 A. No. Contrary to Mr. Barta's interpretation, what I said was that setting prices equal
9 to forward-looking incremental costs does not permit recovery of shared and
10 common costs. Mr. Barta obviously has not kept up with the opinions of others in
11 the ALEC industry, since many ALEC's are claiming BellSouth is not allowed to
12 recover shared and common costs.

13

14 Q. IS THERE ANY BASIS FOR MR. BARTA'S CONCERN ABOUT BELLSOUTH
15 INCLUDING "SUPRA-NORMAL" PROFITS IN ITS PRICES?

16

17 A. No. BellSouth has not proposed to include any economic profits in its prices. I
18 have simply pointed out that BellSouth's proposed prices do not include a
19 reasonable profit even though it is permitted to do so under the Act.

20

21 **Geographic Deaveraging**

22 Q. PLEASE RESPOND TO MR. DARNELL'S STATEMENTS THAT
23 BELLSOUTH'S DEAVERAGING METHODOLOGY IS NOT IN
24 COMPLIANCE WITH FCC RULES.

25

1 A. Mr. Darnell is incorrect. As I discussed in my direct testimony, BellSouth's
2 methodology for establishing deaveraged UNE prices is based on the geographic
3 boundaries of the existing rate groups. The fact that retail rates have been
4 established using a rate group structure does not "create non-cost based deaveraged
5 UNE rates" as Mr. Darnell contends. Contrary to Mr. Darnell's contention, and
6 consistent with FCC Rule 51.505(d), BellSouth's proposed deaveraging
7 methodology does not include any costs associated with offering retail
8 telecommunications services. BellSouth proposes to group wire center costs by the
9 rate groups where the wire center is geographically located. One advantage of this
10 approach is that it provides more consistency between the structure of retail, resale
11 and UNE prices. Further, customers who are located in the same geographic area
12 and who have similar calling areas will be in the same deaveraged zone for UNE
13 pricing.

14
15 In fact, the FCC recognized that existing deaveraged zones for other services
16 provide a proper basis for determining the geographic zones applicable to UNE
17 rates. FCC Rule 51.507(f)(1) specifically grants state commissions the ability to
18 establish geographically deaveraged prices using "existing density-related zone
19 pricing plans described in § 69.123 of this chapter, or other such cost-related zone
20 plans established pursuant to state law." (emphasis added) Section 69.123 as
21 referred to in this rule is the existing zones that apply to special access services.
22 Clearly, the FCC agreed that geographic zones that existed for retail services were a
23 proper basis to establish such zones for UNEs.

24
25

1 Mr. Darnell is equally incorrect in his contention that BellSouth's rate group
2 approach violates FCC Rule 51.505(d) by considering the revenues of other
3 services in the development of its deaveraged UNE prices. BellSouth has used the
4 existing rate groups to establish the zones to which the deaveraged UNE prices
5 apply. BellSouth's retail service rates or revenues are not included in any of the
6 cost development to establish deaveraged prices.

7

8 Q. PLEASE RESPOND TO MR. DARNELL'S DISCUSSION ON PAGES 14-15
9 CONCERNING WHETHER BELLSOUTH'S DEAVERAGING PROPOSAL
10 PROTECTS BELLSOUTH'S EXISTING RETAIL RATE STRUCTURE.

11

12 A. First, the rationale for BellSouth's deaveraging proposal is not to protect BellSouth's
13 existing retail rate structure. As I have explained, BellSouth contends that its
14 proposal appropriately recognizes the proximity of customers to each other. Of
15 course, BellSouth has consistently maintained that geographic deaveraging should
16 not precede the implementation of an appropriate universal service support
17 mechanism and/or the implementation of adequate rate rebalancing. However,
18 since neither universal support nor rate rebalancing are being addressed in this
19 proceeding, the Commission's goal at this time must be to establish deaveraged
20 rates for UNEs that will promote local competition, given the existing retail rate
21 structure and levels.

22

23 Indeed, local competition for many residential customers is currently constrained
24 because retail residence rates are artificially low. As the Commission is aware,
25 implicit subsidies exist in BellSouth's retail business rates in order to subsidize

1 high-cost residential service. As a result of these implicit subsidies, ALECs will
2 continue to focus on serving business customers and low-cost residential customers,
3 such as multi-dwelling unit residents. Absent BellSouth's ability to "rebalance"
4 retail rates, deaveraged UNE prices based on the existing rate group structure best
5 correlates with the retail market environment in Florida, thereby promoting
6 competition in all areas of Florida.

7
8 Q. DOES BELLSOUTH'S PROPOSED DEAVERAGING METHODOLOGY
9 "INSULATE ITS RETAIL RATES FROM COST BASED COMPETITION" AS
10 ALLEGED BY MR. DARNELL?

11
12 A. No. BellSouth's retail tariffed rate for business local exchange service in Rate
13 Group 12 is \$29.10. BellSouth's proposed deaveraged rate for an unbundled loop
14 that would apply to customers in that rate group is \$16.17 (based on a Service Level
15 1 ("SL1") loop). Obviously, a rate of \$16.17 for this UNE loop, even when the
16 costs of switching and transport are added, doesn't provide "insulation" for
17 BellSouth's retail rates.

18
19 Now, comparing BellSouth's proposed deaveraged rate of \$16.17 to BellSouth's
20 retail tariffed rate of \$10.65 for residence local exchange service in Rate Group 12
21 points makes clear the point I raised in my direct testimony concerning deaveraging
22 of UNE rates absent retail rate rebalancing. Again, this Commission is well aware
23 that residence local exchange rates have been established at an artificially low level
24 in order to promote universal service. BellSouth's proposed deaveraged rates
25 cannot – and should not – follow this same pricing anomaly. What should be

1 painfully obvious is that geographically deaveraged UNE rates will result in
2 increasing the ALECs' incentive to serve business customers, which will further
3 reduce the implicit subsidies that are used to support the artificially low residence
4 rates. Nothing short of significant reduction of implicit subsidies will stop this
5 downward spiral.

6

7 Q. PLEASE COMMENT ON SPRINT'S PROPOSED "BANDING CRITERIA".

8

9 A. Mr. Sichter proposes that there be no more than a 20% difference between the rate
10 for a particular zone and the forward-looking cost of any wire center included in
11 that zone. There is no rationale for this arbitrary criteria. His proposal results in
12 eight zones. Indeed, all Mr. Sichter's proposal does is decrease the likelihood that
13 customers in the high cost zones will enjoy competitive alternatives, and provide a
14 windfall to ALECs serving customers in the lowest cost zones.

15

16 Reducing UNE prices in the lowest cost zones doesn't translate into increased
17 competition or lower consumer prices in those areas. Obviously, since ALECs have
18 already targeted business customers in the lowest cost zones, ALECs are competing
19 for these customers at the state-wide average UNE rates. Deaveraged UNE rates
20 will only provide additional margin for ALECs in the lowest cost zones. Therefore,
21 all that is accomplished by having more than three zones is that the contribution
22 margin for ALECs is increased in the lowest cost zones.

23

24 In the higher cost zones where ALECs have not chosen to compete, increasing the
25 price of UNEs in those zones certainly will not incent them to compete using UNEs.

1 If ALECs aren't currently competing in those areas by purchasing UNEs at the
2 state-wide average price, a higher deaveraged UNE price certainly won't increase
3 the likelihood of their purchasing UNEs to compete.

4
5 BellSouth's proposal for deaveraged SL1 loop rates results in over 60% of lines
6 being rated at \$16.17, and no line is rated higher than \$25.56. Conversely, Sprint's
7 proposal results in only 23% of lines being rated below \$17.77, and many lines
8 would be rated between \$32.51 and \$115.81. Of course, Mr. Sichter states that he
9 would not be opposed to a wider range of deviation in the highest cost zone in order
10 to reduce the number of zones. However, this concession means nothing because
11 ALECs have no incentive to serve customers in the high cost wire centers using
12 UNEs.

13
14 Q. PLEASE ADDRESS THE DEAVERAGING PROPOSAL SET FORTH IN MR.
15 DARNELL'S TESTIMONY ON BEHALF OF AT&T AND MCI WORLDCOM.

16
17 A. Mr. Darnell states that his proposal is based on Sprint's deaveraging methodology
18 as described in Mr. Sichter's testimony. However, his Exhibit No. GJD-8 which
19 purports to provide his deaveraging proposal does not produce rates that are
20 consistent with Mr. Sichter's methodology. Of course, Mr. Darnell's proposed rates
21 as shown on Exhibit No. GJD-8 are based on the adjustments AT&T and MCI
22 contend should be made to BellSouth's study. Other BellSouth witnesses address
23 the inappropriateness of these adjustments. However, in order to illustrate the flaws
24 in Mr. Darnell's proposal, I will use Mr. Darnell's proposed rates.

25

1 Mr. Darnell proposes six zones, and he claims that page 1 of his Exhibit No. GJD-8
2 provides the minimum cost, the mid-point cost, the maximum cost and the average
3 cost for each of these six zones. However, his claim is incorrect. First, most of the
4 minimum and maximum wire center costs he shows on page 1 don't correspond to
5 the cost for any wire center as shown on pages 2-9. Second, even if the costs he
6 uses on page 1 were accurate, he uses the maximum cost for each zone as the
7 *minimum* cost for the adjacent zone. Consequently, it appears that he puts the same
8 wire center in two different zones. This makes no sense. A wire center belongs in
9 only one zone – the cost associated with that wire center can't be shown as both the
10 maximum cost in one zone and the minimum cost in the next zone. Third, his
11 proposed average cost for Zone 6 is an amalgamation that does not result in a price
12 that is limited to the 20% spread that he ostensibly believes is appropriate.

13
14 Q. PLEASE ADDRESS SUPRA'S PROPOSAL THAT LOOP-RELATED
15 ELEMENTS BE DEAVERAGED BASED UPON LOOP LENGTH.

16
17 A. On the surface, Supra's proposal, as set forth by Mr. Nilson, appears to have merit
18 since distance is one of the primary factors that affect loop costs. However, from a
19 practical standpoint, Mr. Nilson's proposal would be extremely burdensome and
20 would provide little, if any, competitive benefit over BellSouth's proposal.
21 BellSouth's engineering database that contains loop make-up information is not
22 integrated with BellSouth's ordering and billing systems. Therefore, implementing
23 distance-sensitive pricing for UNEs would take considerable time. Also, because it
24 would not be appropriate to have a distance-sensitive rate structure for UNEs while
25 maintaining a flat-rate structure for retail rates, a complete restructure of retail rates

1 would also be necessary. In any event, the FCC was obviously satisfied that
2 averaging costs using no more than three zones is sufficient to deal with cost
3 variations.

4

5 Q. ON PAGE 7, MR. SICHTER PROVIDES A LIST OF THE UNES HE BELIEVES
6 SHOULD BE DEAVERAGED. PLEASE COMMENT.

7

8 A. BellSouth has proposed deaveraged rates for loops and sub-loops, as well as for the
9 loop component of UNE-P and the Enhanced Extended Link ("EEL"). BellSouth's
10 proposed rates for dedicated and common transport are distance sensitive, as are the
11 dark fiber rates, thereby eliminating the need for geographic deaveraging of these
12 elements. BellSouth witness Ms. Daonne Caldwell will further explain why there is
13 no need to deaverage the transport element. I would note that no other party to this
14 proceeding supports Sprint's view that any elements other than loops, sub-loops and
15 combinations that include loops require deaveraging.

16

17 Rates

18 Q. PLEASE COMMENT ON MS. MURRAY'S PROPOSAL THAT LOOP MAKE
19 UP INFORMATION SHOULD BE PROVIDED FREE.

20 A. Such a proposal is ludicrous. The price for providing loop make up information to
21 ALECs should include all the costs required to make this data available to ALECs
22 in an electronic medium. Ms. Murray is proposing that BellSouth eat all of those
23 development costs and charge only for the ongoing data processing costs. There is
24 no rational reason for this proposal.

25

1 Q. MS. MURRAY CLAIMS HER PROPOSAL TO PROVIDE FREE LOOP MAKE
2 UP INFORMATION IS SUPPORTED BY OTHER COMMISSION DECISIONS.
3 DO YOU AGREE?
4

5 A. No. Ms. Murray's assessment of the two proceedings she references is incorrect.
6 Both of the orders she references only established interim prices, so neither of those
7 state commissions has decided what the price should be. In the Texas case, Ms
8 Murray has only quoted the charge for processing the request for loop makeup
9 information. She has not indicated whether other charges apply to cover the
10 development costs.
11

12 Q. HAS MS. MURRAY CORRECTLY STATED THE CHARGES THAT
13 BELLSOUTH PROPOSES FOR LOOP QUALIFICATION?
14

15 A. No. The charge BellSouth proposes for Loop Make Up information is dependent
16 upon the means by which the ALEC obtains the information. If the ALEC requests
17 the loop makeup information on a mechanized basis then the BellSouth proposed
18 rate of \$.6888 would apply per dip. If the ALEC requests the information
19 manually, then the rates BellSouth proposes would be \$132.82 without facility
20 number reservation or \$138.61 with facility number reservation. Ms. Murray's
21 proposal that BellSouth should not be able to recover its costs for providing loop
22 make up should be rejected.
23
24
25

1 Q. DOES MS. MURRAY'S POSITION THAT BELLSOUTH SHOULD NOT BE
2 ALLOWED TO CHARGE FOR LINE CONDITIONING COMPORT WITH THE
3 FCC'S UNE REMAND ORDER?

4

5 A. No. The FCC recognized that load coils, bridge taps, etc. are often present on
6 loops, and that the ILEC incurs costs in removing them. At ¶193 of its UNE
7 Remand Order, the FCC stated that "under our rules, the incumbent should be able
8 to charge for conditioning such loops."

9

10 Q. DOES MS. MURRAY'S POSITION ON BELLSOUTH CHARGING FOR LINE
11 CONDITIONING COMPORT WITH COVAD AND RHYTHM'S PETITION
12 FOR RECONSIDERATION OF THE FCC'S UNE REMAND ORDER?

13

14 A. No. Apparently, Covad and Rhythm's recognize that BellSouth is currently
15 allowed to recover its costs for line conditioning. Obviously, if they didn't believe
16 this was the case, then they would not have been compelled to petition the FCC for
17 reconsideration of the UNE Remand Order. A copy of their petition is attached to
18 my testimony as Rebuttal Exhibit AJV-1.

19

20 Q. DOES THIS CONCLUDE YOUR TESTIMONY?

21

22 A. Yes.

23 (#224651)

24 (TRANSCRIPT CONTINUES IN SEQUENCE IN VOLUME 8.)

25

1 STATE OF FLORIDA

2 : CERTIFICATE OF REPORTER

3 COUNTY OF LEON)

4
5 I, KORETTA E. STANFORD, RPR, Official Commission
6 Reporter, do hereby certify that the Hearing in Docket
7 No. 990649-TP was heard by the Florida Public Service
8 Commission at the time and place herein stated.

9 It is further certified that I stenographically
10 reported the said proceedings; that the same has been
11 transcribed under my direct supervision; and that this
12 transcript, consisting of 126 pages, Volume 7 constitutes
13 a true transcription of my notes of said proceedings and
14 the insertion of the prescribed prefiled testimony of the
15 witness(s).

16 I FURTHER CERTIFY that I am not a relative, employee,
17 attorney or counsel of any of the parties, nor am I a
18 relative or employee of any of the parties' attorneys or
19 counsel connected with the action, nor am I financially
20 interested in the action.

21 DATED this 21st DAY OF SEPTEMBER, 2000.

22
23 
24 KORETTA E. STANFORD, RPR

25 FPSC Official Commissioner Reporter
(850) 413-6734

FLORIDA PUBLIC SERVICE COMMISSION