

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

-----  
In the Matter of : DOCKET NO. UNDOCKETED  
: :  
REVIEW OF TEN YEAR SITE :  
PLANS OF ELECTRIC UTILITIES :  
: :  
-----

\*\*\*\*\*  
\* ELECTRONIC VERSIONS OF THIS TRANSCRIPT \*  
\* ARE A CONVENIENCE COPY ONLY AND ARE NOT \*  
\* THE OFFICIAL TRANSCRIPT OF THE HEARING \*  
\* AND DO NOT INCLUDE PREFILED TESTIMONY. \*  
\* \*  
\*\*\*\*\*

PROCEEDINGS: WORKSHOP


BEFORE: CHAIRMAN J. TERRY DEASON  
COMMISSIONER E. LEON JACOBS, JR.  
COMMISSIONER LILA A. JABER

DATE: Wednesday, August 30, 2000

TIME: Commenced at 9:30 a.m.  
Concluded at 1:12 p.m.

PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR  
FPSC Division of Records & Reporting  
Chief, Bureau of Reporting  
(850) 413-6732



1 IN ATTENDANCE:

2 ROBERT ELIAS and MARLENE STERN, FPSC Division  
3 of Legal Services.

4 MICHAEL HAFF, FPSC Division of Safety and  
5 Electric Reliability.

6 KEN WILEY, HENRY SOUTHWICKE and JOHN CURRIER,  
7 representing Florida Reliability Coordinating Council.

8 MARIO VILLAR, TOM SANDERS, LEO GREEN and  
9 STEVE SIM, representing Florida Power and Light  
10 Company.

11 BEN CRISP and JOHN FLYNN, representing  
12 Florida Power Corporation.

13 MICHAEL J. MARLER and BILL POPE, representing  
14 Gulf Power Company.

15 WILLIAM A. SMOTHERMAN, Tampa Electric  
16 Company.

17 TODD KAMHOOT and ROGER WESTFALL, representing  
18 Gainesville Regional Utilities.

19 CHUCK BOND, representing Jacksonville  
20 Electric Authority.

21 ROBERT MILLER, representing Kissimmee Utility  
22 Authority.

23 PAUL ELWING, representing the City of  
24 Lakeland.

25

1 IN ATTENDANCE CONTINUED:

2 MYRON ROLLINS and MATT BLANKNER, representing  
3 Orlando Utilities Commission.

4 PAUL CLARK, representing the City of  
5 Tallahassee.

6 GARL S. ZIMMERMAN, representing Seminole  
7 Electric Cooperative.

8 MICHAEL GREEN, representing Duke Energy/New  
9 Smyrna.

10 RICK CASEY, representing Florida Municipal  
11 Power Agency.

12 JOHN MOYLE, JR., representing Okeechobee  
13 Generating Company.

14 ELLIOTT LOYLESS, representing Oleander Power  
15 Project.

16 TIM EVES, representing Cal-Pine Construction  
17 Finance Company.

18

19

20

21

22

23

24

25

## P R O C E E D I N G S

1  
2 CHAIRMAN DEASON: If I could have everyone's  
3 attention, please. I'll ask you to take your places.

4 I'd like to take this opportunity to welcome  
5 everyone to the annual workshop concerning ten-year  
6 site plans.

7 We are going to follow the normal routine.  
8 We will give everyone an opportunity to address the  
9 Commission. I think staff has handed out an order of  
10 entities as they will appear, and I believe at the end  
11 of today, before we conclude, we will receive comments  
12 from the general public or other interested parties.

13 I don't really have much more to add than  
14 that. And with that I am just going to turn it over to  
15 staff. And if you will excuse me, I am going to have  
16 to be absent for at least the first few minutes of  
17 this, but I will be back shortly.

18 And with that, Staff.

19 MS. STERN: By notice issued by the Clerk of the  
20 Florida Public Service Commission, this meeting has been  
21 called for 9:30 a.m., on August 30th. The purpose of this  
22 workshop is to afford an opportunity for public comment on  
23 the ten-year site plan submitted by Florida's utilities.

24 MR. HAFF: Good morning, everyone, and thank  
25 you for your participation today. I have passed out or I

1 have made available, I guess, sort of an order of  
2 appearance sort of -- nothing new from years past. First,  
3 we are going to hear from the FRCC, regarding the -- I  
4 guess an assessment of Peninsular of Florida and a review  
5 their load and resource plan. And I will ask questions as  
6 we go along. And if, you know, anyone, I guess, has  
7 questions, we can ask them at that time of that particular  
8 utility.

9 I don't have anything else now. I guess we  
10 can go ahead and start, and the FRCC can start.

11 MR. SOUTHWICKE: Good morning. I'm Henry  
12 Southwicke, and I'm with Florida Power Corporation. And  
13 I'm here today in my role of representing the FRCC, as the  
14 Chairman of the FRCC Reliability Assessment Group. With  
15 me on my right is John Currier from Tampa Electric, who is  
16 the Chairman of the FRCC Resource Working Group, and Ken  
17 Wiley, who is the Executive Director of the FRCC.

18 The resource working group that John is the  
19 chair of is the group that did the work that you are  
20 going to see the results of here this morning. It is a  
21 group of around 30 members of the FRCC that have  
22 actively participated to put this together. And with  
23 no further adieu, I will turn it over to John Currier,  
24 who will make the presentation.

25 MR. CURRIER: Thank you, Henry.

1           Good morning, Commissioners, and everybody  
2 else.

3           I am serving in the role as Director of  
4 Planning at Tampa Electric Company, as well as serving  
5 as chair this year of the RWG.

6           Our presentation is about 20 slides in total,  
7 and it breaks out into two major categories; a report  
8 on the 2000 load and resource plan, as well as the  
9 filed reliability assessment to NERC. The filed  
10 assessment includes a review of our reserve margins, a  
11 review of our forced outage rates and availability of  
12 the machines in Florida, as well as the discussion on  
13 the FGT gas transmission system and gas transportation  
14 over the next ten-year horizon.

15           Beginning with the load and resource report,  
16 our first slide and exhibit is the firm peak demand.  
17 And as you can see, our expected demand is going to  
18 continue to grow at about 2.4 percent both summer and  
19 winter. And it is starting at a base of approximately  
20 35,000 megawatts in the year 2000. Growth continues up  
21 well over 40,000 over the ten-year horizon.

22           In comparing our forecast from last year's  
23 forecast that was presented here to the Commission, on  
24 the summer you see our starting point is somewhat  
25 similar but over time the 2000 firm plan appears to be

1 growing at a more accelerated rate than last year's  
2 plan. You see a little bit of divergence on the out  
3 years. The winter demand almost mirrors it exactly.

4 Our next slide is an exhibit of the existing  
5 installed capacity in Peninsular Florida, which is  
6 approximately 35 to 36,000 megawatts, and the growth of  
7 capacity over the next ten-year horizon. And it is  
8 approximately 11,000 megawatts that are going to be  
9 added over this period of time. There is going to be  
10 significant expansion in the year 2001, 2002, 2003 and  
11 2004 time frame. And a lot of those plants are in the  
12 utility plans, many of them are going through the  
13 permitting and construction cycle now. Virtually all  
14 of this capacity is gas-fired. It is combined cycle  
15 and CT capacity.

16 Our next slide is four pie charts, and we  
17 attempted to take a look at the fuel mix and how it is  
18 going to change through time in the state. The first  
19 being the -- or the first two on top is the capacity  
20 mix for the summer of 2000 and 2009. And just about  
21 every piece of the pie is going down in size relative  
22 to the other components through time, except for the  
23 natural gas component. And you can see it is going up  
24 in capacity from 25 percent to 43 percent, a sizable  
25 increase.

1           On the energy side, the state will soon  
2 surpass 200,000 gigawatt hours of net energy for load.  
3 That will probably occur next year. And just like the  
4 capacity side, the pies are reducing in their magnitude  
5 and size, except for the natural gas component. It is  
6 increasing from 17 percent to 41 percent of the overall  
7 service to the energy of the State of Florida.

8           Incidentally, another side note is the  
9 customer count in Florida over this period of time is  
10 expected to increase from 7-1/2 million today, up close  
11 to 9 million by 2009, that is overall customers.

12           This year the FRCC in collaboration with SERC  
13 did a review of the transfer capability in the State of  
14 Florida and published their report this past March.  
15 Last year we showed an import total capability of 3700.  
16 That has been reduced to 3600 in the summer months  
17 and -- well, actually, for all months throughout the  
18 year. On the winter transfer capability from Florida  
19 to Georgia, the assessment has indicated that there is  
20 2600 megawatts that can go north and 2100 megawatts in  
21 the summer. Although that is not shown on there, that  
22 is the report on the total transfer capability.

23           Also on this page is the firm purchases, as  
24 well as the owned assets which are generally those  
25 assets that are owned by FPL and Jacksonville Electric



1 from the Scherer Plant up in Georgia. On the far right  
2 column is the available transfer capability on the  
3 transmission grid, and that is staying fairly constant  
4 through time.

5 MR. HAFF: John, I've got a question. This is  
6 Michael Haff with the Commission staff. Did you say that  
7 Florida north to Georgia, that the transfer capability is  
8 2100 megawatts summer and 2600 winter?

9 MR. CURRIER: That's correct, going north.

10 MR. HAFF: Okay. And 3600 megawatts summer and  
11 winter going south?

12 MR. CURRIER: Correct. It's sustained  
13 year-round.

14 MR. HAFF: Do you know why it was dropped from  
15 3700? You mentioned it was 3700 last year.

16 MR. CURRIER: They have done an exhaustive  
17 contingency analysis, and with the folks also in Georgia.  
18 And, Michael, I frankly don't know exactly why, but I  
19 could get you a copy of that report, that might help.

20 MR. HAFF: Thank you.

21 MR. CURRIER: Thank you.

22 MR. BALLINGER: John? I'm sorry, another  
23 question. Tom Ballinger with the staff. You had the  
24 import. I can barely read that chart here, so I am going  
25 to ask you the question. It may be here. The import

1 capability shown in the load and resource plan shows firm  
2 contractual commitments coming into the state, is that  
3 correct?

4 MR. CURRIER: Yes, uh-huh.

5 MR. BALLINGER: I have just been given the  
6 actual hard copy, and it shows that the net import  
7 transfer capability is a little over 1000 megawatts coming  
8 into the state, is that correct? It is your chart that  
9 you have got up on the slide up here.

10 MR. CURRIER: Right. That is the available  
11 transfer capability.

12 MR. BALLINGER: Would that be in layman's terms  
13 kind of an as-available number of transmission capability?

14 MR. CURRIER: That is after the firm purchases  
15 and known capacity netted against the total transfer.  
16 Now, you know, that capacity may or may not be reserved at  
17 this point, too.

18 MR. BALLINGER: Right. But as of right now it  
19 is not committed for any long-term purchases, and it is on  
20 the market, if you will, for -- it might be a week, it  
21 might be a day.

22 MR. CURRIER: Or a season.

23 MR. BALLINGER: Right.

24 MR. CURRIER: That is my understanding.

25 MR. BALLINGER: Okay.

1 MR. SOUTHWICKE: That's correct, John.

2 MR. BALLINGER: Thank you.

3 MR. CURRIER: Our next exhibit is the total  
4 dispatchable DSM throughout the State of Florida. And  
5 essentially what you see here is no growth or very flat  
6 growth throughout time. The composition also is changing  
7 slightly as you go through time. You are going to see a  
8 little bit less on the load management side and a little  
9 bit more on the interruptible side. It is a very minute  
10 change.

11 And effectively, and as I will show here  
12 shortly, the reserve margins have certainly increased  
13 this year's plan relative to last, which indicates that  
14 most of the reserves are now coming through physical  
15 capacity.

16 This is the reserves for summer and winter.  
17 We have it ranked -- or there are two lines drawn here.  
18 The FRCC standard of 15 percent, and then the  
19 investor-owned utilities' commitment to 20 percent  
20 beginning in 2004. And as you see going into next  
21 year, our summer reserves on aggregate is approximately  
22 20 percent. So we are achieving a fairly healthy  
23 reserve margin as early as next year. And then in '03  
24 and '04, actually through '06, we're above or near 20  
25 percent, '03 and '04 being the highest. And then as

1 you go through time, in the out years, it tends to come  
2 down some. But I think that is just a function that  
3 you're seven or eight years out yet, and the utilities  
4 probably will revise their plans as we get closer to  
5 that period of time.

6 I am going to move now to the reliability  
7 assessment. And as mentioned earlier, it is broken  
8 into three components. The trends and reserves  
9 margins, the availability and forced outage trends, and  
10 the FGT natural gas transmission system. The RWG  
11 earlier in the year met and talked and discussed  
12 whether to do an LOLP analysis this year. And the  
13 belief and feeling was at the time that if the reserves  
14 are increasing and the availability and forced outage  
15 rates are going in the proper direction, that is  
16 providing a more reliable system, that we probably do  
17 not need to do an LOLP analysis. So let me show you  
18 the results first, and then I will comment on why the  
19 RWG did not do an LOLP.

20 As mentioned already, the FRCC reserve  
21 standard is 15 percent and the three investor-owned  
22 utilities are committed to 20 percent by 2004 in their  
23 planning criteria. We did a side-by-side comparison of  
24 last year's plan versus this year's plan beginning with  
25 the summer reserves. The summer being the bluish-green

1 color and last year being the more pinkish-red color.  
2 And you can see that by and large each year -- this  
3 year we are showing more reserves in the plan than last  
4 year, except for 2002. And I believe the reason for  
5 that is many of the projects that were planned for '02  
6 in last year's plan have actually been accelerated in  
7 schedule and are coming in in '01. And you can see the  
8 big boost in '01 relative to last year.

9           Clearly, as you go to three and four, the  
10 years 2003 and 4, when the IOUs step up on their 20  
11 percent commitment, you have a fairly sizable margin  
12 there on reserves.

13           MR. HAFF: I've got a question on that, John.  
14 This is Michael Haff again. And I guess what has caught  
15 my attention is the 2009 reserve margin. When you do the  
16 FRCC region, it shows 17 percent. I mean, IOUs make up a  
17 sizable portion of the Peninsular Florida and the state as  
18 a whole. And if they are at 20 percent, it seems to me  
19 that this number should be higher, even if all the munies  
20 were planning exactly 15, which I know they are not. Do  
21 you understand what I'm saying?

22           MR. CURRIER: Yes.

23           MR. HAFF: It seems like that ought to be  
24 higher, and just wondered if you had an answer for that.

25           MR. CURRIER: Yes. As we looked at that

1 question, Michael, the three investor-owned utilities have  
2 a sustained 20 percent level throughout the period. Some  
3 of the other utilities, some of the municipalities and  
4 co-ops are probably a little bit lower out in those out  
5 years. And I think it is just a function of -- it is  
6 pretty far out in time yet, and you can expect that. I'm  
7 sure that they will plan accordingly as they get closer to  
8 those periods of time.

9 COMMISSIONER JABER: I had a question for you  
10 on -- educate me again on who the companies are that are  
11 part of the FRCC? In other words, which companies go into  
12 calculation of the reserve margin?

13 MR. CURRIER: Do you know the names?

14 Yes. All the electric generating companies  
15 outside of the Panhandle. So, you know, frankly, from  
16 Tallahassee on around through Peninsular Florida make  
17 up the load component. The generating component  
18 includes all the generation of the utilities, all the  
19 contracted generation from IPPs, and then also the  
20 qualifying facilities.

21 MR. BALLINGER: Commissioner Jaber, if you  
22 have the attachment the 2000 load and resource plan, on  
23 Page 4 it lists the generating utilities in Florida and  
24 their amounts. So at least it gives you the feel of  
25 the utilities involved.

1 COMMISSIONER JABER: Thank you.

2 MR. CURRIER: Continuing on. As we show the  
3 winter reserves, we see a similar trend as we saw in the  
4 summer where throughout the entire forecast period we are  
5 above the FRCC standard, and we are also above the 20  
6 percent level for six of these nine forecasted years.

7 Moving into the forced outage rates and  
8 availability trends, which is, you know, how available  
9 the machines are when you need it for load, even though  
10 we have plans showing for '99 and 2000, we use one year  
11 lag of data. So what is showing up is '98 and '99  
12 studies data. And we took a look at the forced outage  
13 rates by -- weighted by machine and by company and did  
14 the same for the availability numbers.

15 In comparison of last year's forecast to this  
16 year's projections, what we see is the forced outage  
17 rates continue to come down throughout the study  
18 period, the top line being the year previous forecast,  
19 the bottom line being this year. Again, this is a  
20 megawatt-weighted forced outage rate. And because  
21 improvements are seen in this area, as well as  
22 improvements in the reserve margins, the need for the  
23 LOLP study was -- we felt was not as necessary for this  
24 year.

25 COMMISSIONER JACOBS: I have a question. I have

1 read recently of maintenance -- that the turbines that are  
2 used in combined cycles have a higher maintenance  
3 frequency and, therefore, that could play out in the  
4 long-term in terms of their availability. Has that proved  
5 out or have you seen that proved out in the research that  
6 you have done?

7 MR. CURRIER: On the combined cycle or the CTs?

8 COMMISSIONER JACOBS: I would expect it to be  
9 the combined cycle.

10 MR. CURRIER: Combined cycle. What we have here  
11 is the historical factors for all the machines. And to  
12 the extent there are combined cycles in Florida, which  
13 there certainly is, that is rolled up into these numbers.

14 COMMISSIONER JACOBS: And that doesn't show up  
15 in your numbers?

16 MR. CURRIER: Not as a -- not as a real issue, a  
17 big issue as far as availability.

18 MR. BALLINGER: John, excuse me. This is Tom  
19 Ballinger again. While we are on this, would it be  
20 reasonable to assume that at least the three  
21 investor-owned utilities that are in FRCC, Tampa Electric,  
22 Florida Power & Light and Florida Power Corporation, they  
23 participate in the GPIF as part of the fuel clause. It is  
24 a reward/penalty mechanism that looks at availability of  
25 generating units. Would we see a similar increase, I



1 guess, if you will, in availability targets in that arena  
2 as well for certain units?

3 MR. CURRIER: To the extent that a certain  
4 number of these units are in the GPIF target, I would  
5 agree with that. A lot of the availability is driven by  
6 the fact that we adding 11,000 megawatts of new CTs and  
7 combined cycle capacity through time. And those are  
8 fairly available machines. And, also, there is also some  
9 repowering projects going on over the next three or four  
10 years that is also helping to improve these availabilities  
11 that were not necessarily factored into last year's trend.

12 MR. BALLINGER: Okay. So these trends are -- I  
13 will call them purely projections, if you will.

14 MR. COURIER: In the pot.

15 MR. BALLINGER: Okay.

16 MR. CURRIER: Yes.

17 The next page is the availability of the  
18 overall EAS system of Florida, or for Peninsular  
19 Florida. And you see the availabilities are up  
20 somewhat from last year, approximately a half a  
21 percentage point across-the-board. And, again, this is  
22 a function of the new units coming on the system, as  
23 well as the repowering projects. We have one dip in  
24 '02, and that is by and large to three or four large  
25 maintenance requirements that year. St. Johns has got

1 a maintenance requirement. I know Sanford 4 is coming  
2 on line and they are repowering. And Purdom 8, I  
3 think, is coming off for their first major maintenance  
4 requirement. So you have got that one dip for that  
5 particular year; but by and large the availabilities,  
6 overall, are up slightly from last year.

7 MR. HAFF: John, this is Michael Haff again. I  
8 was going to ask you a question about that dip and then  
9 that sudden increase in availability in 2003. And it  
10 occurs to me in hearing your reason why, you know, the  
11 maintenance outages, I guess, occur in 2002, those happen  
12 all the time. I mean, why won't you see fluctuation in  
13 other years out in the future as other large units come up  
14 and down? I mean, does it just happen to be that in 2002  
15 that these large units are all down at the time of peak?

16 MR. CURRIER: I agree with you, Michael, they  
17 certainly do occur. I think it is just a function of the  
18 short-termness where we specifically know of dates of  
19 these maintenance requirements. If you get out to '06,  
20 '07, '08, it's a lot -- obviously, it's a lot more  
21 nebulous of when you will take these outages for what  
22 units and other things. For this particular plant we know  
23 specifically these particular units have certain  
24 requirements that were factored into the numbers.

25 MR. HAFF: So I guess it is just a matter of you

1 knowing -- having more of a certainty of how long the  
2 outage may take and then, thus, that affects the  
3 availability factor, the number of days that that amount  
4 of megawatts is down. Is that what you are saying?

5 MR. CURRIER: That's correct, right.

6 MR. VILLAR: My name is Mario Villar, I'm with  
7 Florida Power & Light. I just wanted to clarify that the  
8 length of the outages is a significant component  
9 associated with the numbers that you see here, and  
10 particularly in the case of our Sanford units. They are  
11 out for a significant portion of the year due to the  
12 repowering project that is taking place, and it is not a  
13 typical maintenance type of outage.

14 The units will be out -- Unit 4, for example,  
15 will be out for about a nine-month period in 2002, and  
16 Unit 5 for about six months. So that affects the  
17 numbers significantly.

18 MR. HAFF: And this is after they are placed in  
19 service as repowered units, they will brought down for a  
20 long maintenance outage?

21 MR. VILLAR: This is the -- the outage that will  
22 take them into the repowering mode.

23 MR. HAFF: Okay.

24 MR. VILLAR: You take them out and then you put  
25 them in the repowering mode.

1 MR. HAFF: Okay.

2 COMMISSIONER JABER: What part of the year will  
3 those plants be out, do you know?

4 MR. VILLAR: I don't have the schedule in front  
5 of me, Commissioner. But they will be out during the peak  
6 -- at least one of them will be out for a portion of the  
7 time during the peak. I can check on that for you, if you  
8 need it.

9 MR. SIM: Steve Sim, Florida Power & Light. Our  
10 Sanford 4 unit will be out starting March of 2002 and will  
11 come back as a repowered unit in December of 2002.  
12 Sanford 5, likewise, comes out October of 2001 and comes  
13 back as a repowered unit in July of 2002. And our Fort  
14 Myers 1 and 2 units come out in September of 2001 and come  
15 back as a single repowered unit in June of 2002.

16 COMMISSIONER JABER: Well, let me ask you a  
17 question with respect to availability. Let's say that it  
18 just so happens in the year 2002 we have the hottest  
19 summer recorded in history, it beats this summer. How do  
20 we ensure that there is adequate availability in the year  
21 2002 when we know now that there is a good chance that  
22 there will be a decrease in availability because of the  
23 planned improvements?

24 MR. CURRIER: Commissioner, I understand that  
25 the operating committee, the FRCC, addresses those issues

1 and plans in coordination with all the utilities'  
2 schedules to ensure to the best possible that we are  
3 meeting our loads. And I know they meet regularly.

4 Plus the fact that our reserves are up to 19  
5 to 20 percent that given year, and that will also help  
6 ensure that there is enough capacity available in the  
7 marketplace.

8 COMMISSIONER JABER: And that would also take  
9 into account the people that move to Florida every year  
10 and the new developments and the new businesses that come  
11 to the state every year?

12 MR. CURRIER: Yes. These reserve calculations  
13 include all the load growth year-by-year.

14 COMMISSIONER JABER: What is your estimated load  
15 growth -- I think we already saw that slide, but what is  
16 the percentage each year?

17 MR. CURRIER: Two. Demand is growing at about  
18 2.4 percent, and customer growth is slightly above 2  
19 percent.

20 COMMISSIONER JABER: Thank you.

21 MR. CURRIER: You're welcome.

22 I am going to transition into natural gas  
23 transportation availability. With the emphasis on new  
24 capacity coming in as natural gas machines, the FRCC  
25 felt the prudent value this year to take a look at the

1 reliability of FGT and the potential for any other  
2 pipelines that may come into Florida, although we  
3 focused strictly on FGT this year, who is our incumbent  
4 pipeline into Florida.

5           What I would like to talk about is really  
6 three major areas: The expansion of FGT, the  
7 availability of gas to FGT, and then the availability  
8 of gas requirements for the 11,000 megawatts of new  
9 capacity over the next ten years.

10           FGT is in a number of expansions. They are  
11 now constructing Phase 4, which today we have about a  
12 million and a half MMBTU of capacity per day through  
13 Phase 4.

14           Phase 5 is scheduled to come in service in  
15 April of 2002 which will add another 400,000 to that  
16 number. And that will help with some of the repowering  
17 projects that are going on throughout the state.

18           Phase 6, if it goes on schedule, is planned  
19 to come in in April of 2003, and that hasn't been  
20 decided yet exactly how much new capacity will be added  
21 in that particular expansion. They expect to file with  
22 FERC for approval for that expansion the first quarter  
23 of '01.

24           To put it into context, Florida's gas usage  
25 is driven in large part by the generators in the State

1 of Florida. In fact, 80 percent of all gas serves the  
2 electric generation market. Only 20 percent serves the  
3 LDCs, as well as some of the industrial loads. Today  
4 Florida uses approximately 1.2 million MMBTUs per day  
5 for generation purposes. By 2009 the expectation is it  
6 will be 2.6 million MMBTUs per day.

7 This graph shows the increase of capability  
8 on the FGT system through time, going back to the  
9 original pipeline put into service in 1959. And we  
10 show the five different phases of expansion here. The  
11 first phase came in '87, and then you can take a look  
12 at each phase as it has come in.

13 After Phase 6, and assuming it comes in  
14 service and assuming that we have one pipeline through  
15 '09, these subsequent phases are going to need to add  
16 about 800,000 more MMBTU of capacity in Florida. So  
17 whether that comes with a new pipe or it comes through  
18 FGT, that is the need to serve this new generation.

19 A few other quality points about FGT is --  
20 let me first mention that the Gas Research Institute  
21 indicates that there is enough supply of gas for 15  
22 more years in the lower 48. In the Gulf --

23 CHAIRMAN DEASON: Excuse me. Let me interrupt  
24 for just a second. You mentioned 800,000 after completion  
25 of Phase 6. I was looking at the letter from FGT that was

1 attached to the 2000 reliability assessment, and they  
2 mentioned 845,000 million MMBTU per day. Is that your  
3 800,000 or has that number changed? You were just  
4 rounding down?

5 MR. CURRIER: Yes, sir. And, actually, I should  
6 recharacterize that. That is after Phase 5.

7 CHAIRMAN DEASON: After Phase 5?

8 MR. CURRIER: Right. Phase 5 will be  
9 approximately 2.1 million in capacity and then they're  
10 shooting for 2.9 million, approximately, by '09.

11 CHAIRMAN DEASON: Okay. So the 845 is what is  
12 needed after Phase 5 is completed?

13 MR. CURRIER: Correct.

14 CHAIRMAN DEASON: For the 2009 time frame?

15 MR. CURRIER: Yes, sir.

16 CHAIRMAN DEASON: Okay. And what is the --  
17 Phase 6, what is the incremental capacity associated with  
18 Phase 6?

19 MR. CURRIER: They haven't specified how much  
20 volume they expect to add in that phase, and I think they  
21 are going through the solicitation period now.

22 CHAIRMAN DEASON: Okay. Thank you.

23 MR. CURRIER: Uh-huh.

24 FGT is a 4,800-mile pipeline from South Texas  
25 through Florida. Well over 99 percent of it is below



1 ground, submerged. And with that comment, it is a very  
2 reliable pipeline. Incidentally, Gulf of Mexico  
3 exploration is expected to go up from 5.1 million  
4 trillion cubic feet last year to almost 8.1 million  
5 trillion cubic feet by 2015, which certainly feeds  
6 right into the FGT system.

7 My last point is there is well over 40  
8 interconnection points throughout the pipeline. They  
9 have access to gas from Canada throughout most of the  
10 United States, through major hubs throughout Texas and  
11 Louisiana and such. They actually can access three  
12 times the amount of gas than they can deliver through  
13 all their entry points.

14 COMMISSIONER JABER: Are you aware of any other  
15 gas pipeline projects and what schedule they are on?

16 MR. CURRIER: You know, there is two other  
17 proposed pipelines. And I believe both of them are going  
18 through the FERC approval process, but I'm not sure  
19 exactly where the status of those are. Anybody in the  
20 audience might know.

21 MR. HAFF: I was just going to say -- this is  
22 Michael Haff. Commissioner Jaber brings up a good point,  
23 and I was going to wait until you finished to bring this  
24 up, but all we have in this reliability assessment is what  
25 you have gotten from FGT. And you stated, there are at

1 least two more, I guess, Buccaneer and Gulf Stream that  
2 we've heard have filed at FERC for certification for  
3 natural gas pipelines to the state. And I guess the  
4 assumption I have in looking at this reliability  
5 assessment is that FGT is planning to supply everybody,  
6 when, you know, other sources tell me that is not true.  
7 Now I am just wondering why there is no assessment of  
8 these other pipelines that appear to be real.

9 MR. CURRIER: Yes, Michael. I think that is  
10 true, there is the potential of two other pipelines. But  
11 we look at this as a very conservative view in the sense  
12 that if we end up with only one pipe during the study  
13 period, this is what this particular pipeline's suggested  
14 delivery for the marketplace is.

15 A second pipeline and even a third pipeline  
16 will actually even improve overall reliability and  
17 availability of gas in Florida, so it is more upside.

18 MR. HAFF: And what this letter says is that if  
19 those two pipelines never get built that FGT promises, I  
20 guess, if you will, that they are going to meet everyone's  
21 needs in Peninsular Florida. That is really what I get  
22 from this letter.

23 MR. CURRIER: That's true.

24 MR. HAFF: Okay.

25 COMMISSIONER JACOBS: Brief question.

1 MR. CURRIER: Yes, sir.

2 COMMISSIONER JACOBS: Most of these gas units  
3 will have backup fuel of oil or coal?

4 MR. CURRIER: Yes.

5 COMMISSIONER JACOBS: Oil.

6 MR. CURRIER: The lion's share of them have  
7 backup.

8 COMMISSIONER JACOBS: Is it anticipated that  
9 there will be on-site storage for most of that? That  
10 could wind up being an interesting phenomenon when you  
11 have spikes in both oil and gas markets going now that  
12 will have a pretty significant increase in both of those  
13 fuels in the state. Is there planning going on for that?  
14 Are there measures being considered as to how to cushion  
15 that shock as much as possible?

16 MR. CURRIER: For the cost of the fuel?

17 COMMISSIONER JACOBS: Correct.

18 MR. CURRIER: I would expect so. You know, we  
19 didn't study that at the FRCC. I would expect each  
20 utility's group is attempting to hedge all the costs they  
21 can and properly manage their fuel supply.

22 The oil composition is going down through  
23 time. And any new plant that is permitted has fairly  
24 onerous restrictions on how much oil it can use for  
25 your backup purposes.

1 COMMISSIONER JACOBS: Okay. Thank you.

2 MR. CURRIER: FGT has an excellent reliability  
3 record. There has only been two main line outages in 30  
4 years. The first one was in 1967 that lasted 16 hours.  
5 That was when there was one pipe into Florida. Today  
6 there is two and three. And the one that occurred in '98  
7 was a lightning strike at Station 15, which was an  
8 unprecedented situation. I know FGT has invested a  
9 significant amount of funds to help protect against that  
10 situation.

11 And concluding comments, FGT is well  
12 positioned for future pipeline expansions, if  
13 necessary, in Florida. And the FGT system affords an  
14 excellent opportunity to collect numerous reserves and  
15 bring an actual commodity into the Florida market.  
16 And, again, from South Texas all the way across the  
17 southeast.

18 I am going to switch back to the load and  
19 resource plan. One of the items that was on the agenda  
20 is to ask the FRCC to address how it is reporting  
21 merchant plants in its report. These three comments  
22 capture how the report captured merchants this year.  
23 And I will try to go through these. The uncommitted  
24 merchant plant capacity is not listed in the FRCC load  
25 and resource plan unless it is an existing plant such

1 as Reliance Orlando -- the Reliance plant, Indian  
2 River.

3 Thank you, gentlemen.

4 Or ground has been broken. If a merchant has  
5 firm contract with an FRCC utility, but has not broken  
6 ground, the amount of contract is shown in the  
7 interchange section of the FRCC plan and is included in  
8 the reserve margin calculations. So, effectively, a  
9 PPA is tied to the obligation to serve of a utility.  
10 And the last comment is that capacity from a merchant  
11 plant that is not under firm contract with an FRCC  
12 utility is not included in the reserve margin  
13 calculations. So there is some noncommitted capacity  
14 out in the market that is just not included in the  
15 reserve calculations.

16 COMMISSIONER JABER: Can I ask you a general  
17 question about the effect of a possible retail deregulated  
18 market? Does your planning going forward post-2002  
19 include the possibility of a deregulated market?

20 MR. CURRIER: The plan -- the answer to that is  
21 no. The plan is a function of reliability based on an  
22 obligation to serve arrangement that we know today.

23 COMMISSIONER JABER: Have you looked at other  
24 states and the effect that deregulation has had on  
25 planning and reliability and capacity? And if you have,

1 then have we accounted for that effect in our planning?

2 MR. CURRIER: No, not to my knowledge has the  
3 FRCC reviewed retail access states and their planning  
4 criterias.

5 Have we, Ken, or --

6 MR. WILEY: No.

7 MR. CURRIER: No. I know the RWG certainly  
8 hasn't. And we could take that on as an item for next  
9 year to do something like that, report back.

10 COMMISSIONER JABER: Thanks.

11 MR. BALLINGER: John, this is Tom Ballinger. I  
12 have got a question on the merchant plants. I understand  
13 that the FRCC basically included plants that were under  
14 construction. Basically, it may not have a commitment,  
15 some CTs, possibly the Constellation plant. But that is  
16 not included in the reserve margin calculation anywhere,  
17 is it?

18 MR. CURRIER: If is uncommitted, it is not  
19 included in the reserve margin.

20 MR. BALLINGER: Okay. Would that plant show up  
21 anywhere in as-available energy?

22 MR. CURRIER: Yes. It has shown up as an  
23 as-available, noncommitted resource in the NUG section, if  
24 it is existing, that is.

25 MR. BALLINGER: And what page is that on the

1 load and resource plan?

2 MR. CURRIER: Which plan are you specifically  
3 asking about, Tom?

4 MR. BALLINGER: Say the Constellation plant.

5 MR. CURRIER: Oh, that one I don't believe is in  
6 the report. I know Reliance Indian River is.

7 MR. BALLINGER: Well, that's what I'm trying to  
8 get to is what page shows those noncommitted NUGs? It's  
9 Page 24, I guess.

10 MR. CURRIER: 24, 25, and 26.

11 MR. BALLINGER: Okay. And 25 and 26 are planned  
12 ones that aren't actually in existence generating today,  
13 correct?

14 MR. CURRIER: Yes, planned and proposed.

15 MR. BALLINGER: Are most of these, if not all of  
16 them, additions to existing cogenerators, or are they  
17 brand new facilities, or do you know?

18 MR. CURRIER: These are existing facilities.

19 MR. BALLINGER: Okay. And it mainly reflects  
20 firm contracts expiring?

21 MR. CURRIER: That's correct.

22 MR. BALLINGER: Okay.

23 MR. CURRIER: And they would become noncommitted  
24 capacity at the end of their terms. The first one being  
25 in '01 in the Indian River plant.

1 MR. BALLINGER: Okay. So Constellation, who is  
2 building some CTs, presumably in Brevard County, is not in  
3 this list either.

4 MR. CURRIER: That's correct.

5 MR. BALLINGER: Okay. And I understand the FRCC  
6 does not want to put merchant plants in a reserve margin  
7 calculation, and I understand that philosophical debate.  
8 But did the FRCC do any analysis or search, if you will,  
9 of what is going on activity-wise in the merchant  
10 community or in the generation community of building as to  
11 what is feasible in the future, just to get a sense of  
12 what kind of activity is going on in the new generation  
13 market?

14 MR. CURRIER: No, it hasn't at this point done  
15 that type of study.

16 MR. BALLINGER: Okay. And I know we had a  
17 debate, if you will, or a few meetings with staff and the  
18 FRCC and this topic came up. And I understand the FRCC's  
19 reluctance to put it in a reserve margin calculation. But  
20 staff is trying to get a handle for what the real world  
21 looks like out there, what is going on in the generation  
22 market. Do you have any suggestions where we should go to  
23 get that type of information of what is going on?

24 MR. WILEY: This is Ken Wiley with the FRCC. We  
25 certainly haven't done any, as you call them -- what John



1 called studies, but we certainly have been keeping abreast  
2 of what we think is out there.

3           And one of the forums that we utilized is the  
4 IPP's national association, I forget the acronym and  
5 the name, but they have a Website, and they have all  
6 kind of data about every merchant-type plant going on  
7 in the United States. So we continuously look at that.

8           And the thing that we find out that is  
9 difficult about this particular list is it's hard to  
10 differentiate between what has been announced and how  
11 firm is it. But at least we are aware of everything  
12 that has been announced, some of which is very firm,  
13 but we are not sure how to classify all of it. So we  
14 do keep our eye on it, Tom. We just don't know how to  
15 handle it yet.

16           MR. BALLINGER: Okay. And staff is struggling  
17 with this, too. We're not sure whether to look at whether  
18 somebody has applied for air permits or requested  
19 interconnection studies from the utility as a good  
20 indicator. And we were hoping that the FRCC would do this  
21 as a regional group to get a complete picture of the  
22 region, but I understand it is difficult to classify them.

23           MR. WILEY: This is something that is going on  
24 at the national level, as well. We are not isolated down  
25 here. And at our national organization, NERC, as we call

1 it, there is an effort going on in one of their major  
2 subgroups to study reliability nationwide. And they are  
3 trying to put their arms around this to be able to  
4 quantify it or to at least be able to discuss it and  
5 analyze it properly. So we are certainly a part of that  
6 group and we're watching what is going on.

7 MR. BALLINGER: Okay. Thank you.

8 MR. CURRIER: In summary of the reliability  
9 assessment, planning reserve margins have increased  
10 compared to our '99 plan, both summer and winter. Our  
11 forced outage rates continue to improve throughout the  
12 fleet, throughout Peninsular Florida, and our generating  
13 unit availability continues to increase.

14 And the last comment is our gas supply and  
15 pipeline expansion is expected to be adequate with FGT,  
16 and to the extent there is a second or third pipe, it  
17 would even bolster the capability into Florida.

18 The results of our review indicate that  
19 Peninsular Florida electric system is reliable for the  
20 next ten years from a planning perspective.

21 Unless there is any questions, I --

22 MR. ELIAS: I've got one. This is Bob Elias  
23 with the Commission staff. This study assesses the  
24 adequacy of resources at the time of summer and winter  
25 peak, is that correct?

1 MR. CURRIER: The reserve margin does, yes.

2 MR. ELIAS: Reserve margin, okay. Now, at times  
3 of system peak you would expect the scheduled maintenance  
4 to be minimized?

5 MR. CURRIER: Yes, that's correct.

6 MR. ELIAS: In several instances in the last few  
7 years we have seen supply get extremely tight in the  
8 so-called shoulder months, April, October. And some  
9 Commissioners and the staff have expressed concern that  
10 while reserves might be adequate to meet times of system  
11 peak, given the expected forced outage rates, the  
12 reasonably foreseeable temperatures, and the scheduled  
13 maintenance that occurs at times other than system peak  
14 that reserves might not be adequate.

15 And my question is has the FRCC undertaken  
16 any analysis to assess the adequacy of reserve  
17 resources in the shoulder months, given the high  
18 temperatures, forced outage rates and the fact that a  
19 disproportionate percent of the capacity would be  
20 off-line for scheduled maintenance?

21 MR. CURRIER: Again, on the shoulder months and  
22 the day-to-day type planning, the operating committee of  
23 the FRCC addresses those issues. And it works to  
24 coordinate the maintenance scheduling across the state, as  
25 well as to assess the daily capability, you know, from an

1 operating committee viewpoint. From a planning and a load  
2 and resource perspective, we are looking at it  
3 year-to-year, peak-to-peak and planning the overall  
4 system. And certainly by improving the reserve margins  
5 and improving the availabilities will help in all times of  
6 the year, including the maintenance season.

7 MR. ELIAS: And then my other question is how,  
8 if at all, does the FRCC see this reliability assessment  
9 process impacted by the announced plans to form a regional  
10 transmission organization for Peninsular Florida?

11 MR. CURRIER: That should be no impact.

12 MR. ELIAS: Henry, do you have anything else to  
13 add?

14 MR. SOUTHWICKE: No. I think that is all we can  
15 say right now. The impact if -- it is possible that some  
16 duties may shift around. But if we are doing our job  
17 right, nothing will fall through the crack.

18 MR. BALLINGER: Henry, let me follow on that a  
19 little bit. Right now the operating committee gets  
20 together with the utilities and basically coordinates  
21 maintenance for the shoulder months.

22 MR. SOUTHWICKE: Yes.

23 MR. BALLINGER: Is there a minimum threshold,  
24 say reserve margin, you look -- you try to shoot for in  
25 order -- you know, like you want to keep at least 15

1 percent in --

2 MR. SOUTHWICKE: Fifteen percent.

3 MR. BALLINGER: All right. So that is in the  
4 FRCC criteria?

5 MR. SOUTHWICKE: Yes, sir.

6 MR. BALLINGER: Okay. And the FRCC basically  
7 uses, right now, peer pressure, if you will, to coordinate  
8 amongst the utilities to work out to maintain that?

9 MR. SOUTHWICKE: And it works quite well, Tom.

10 MR. BALLINGER: Right. And you don't see that  
11 changing when it shifts to the RTO about scheduling  
12 maintenance and having an authority to shift maintenance  
13 or anything in that nature?

14 MR. SOUTHWICKE: I don't know that the shift to  
15 the RTO could cause that to happen, other things could.

16 MR. BALLINGER: Okay. As we get to a more  
17 competitive, the best generation market?

18 MR. SOUTHWICKE: That could conceivably occur,  
19 absolutely.

20 MR. BALLINGER: Okay. Thank you.

21 MR. HAFF: I have got one last question I just  
22 found that I was going to ask. And this gets more to the,  
23 I guess, the short-term when you do the summer and winter  
24 assessments for each season, I guess, for the upcoming  
25 peak. And you know what I'm talking about, right, where

1 you do the summer assessment or the -- I guess you would  
2 be doing the winter assessment for the upcoming winter  
3 soon, for the upcoming peak. It lists the reserve margin,  
4 I guess, and the amount of maintenance down at that  
5 particular time. And one of the concerns we have is when  
6 there are firm sales going out-of-state or out of the  
7 peninsular at the time of these peaks, how recallable,  
8 generally, are those sales? I mean, if we were to have a  
9 sudden need for that power, how recallable is a firm sale  
10 out of Florida during a time of peak?

11 MR. CURRIER: Well, I think that's -- I would,  
12 you know, defer that to the other utilities that may be  
13 actually selling out-of-state during those periods of  
14 time. I'm not sure how curtailable or how recallable  
15 those are.

16 MR. HAFF: Does the FRCC have any position, or  
17 any guidance, or any criteria for the utilities for such  
18 sales during time of peak?

19 MR. SOUTHWICKE: Mike, the degree of the  
20 firmness would depend on the sale itself, the deal, and  
21 what kind of arrangements were made specifically for that  
22 deal, as any other deal. And it would be up to that  
23 individual utility that made that deal to do that.

24 MR. HAFF: But I guess what I'm asking is the  
25 FRCC doesn't have any criteria that would say, okay,

1 X-number of megawatts has to be recallable in case we need  
2 it.

3 MR. SOUTHWICKE: Not in that respect, but every  
4 day, as I'm sure you are aware, through our security  
5 capacity emergency coordinator procedures, every day of  
6 the year we go through the drill of every utility  
7 submitting to the SCEC his daily expectations of his load  
8 and capacity for that day. And every utility is obligated  
9 to cover his requirements. And that includes all firm  
10 sales, whether they be out-of-state, in-state, native  
11 load. And they are all listed on that report.

12 CHAIRMAN DEASON: Let me ask a quick question.  
13 When you receive that information on a daily basis and  
14 there are sales that are going outside of the state, that  
15 particular utility still has a requirement to have a 15  
16 percent reserve margin?

17 MR. SOUTHWICKE: At that time it is no longer  
18 15. He has to be able to cover his operating reserves.

19 CHAIRMAN DEASON: Just to cover --

20 MR. SOUTHWICKE: When you get into down into  
21 real-time, daily basis -- the 15 is a planning number,  
22 long-term. The theory generally is if he has 15  
23 long-term, he will be able to cover the short-term when it  
24 comes, and it generally works.

25 CHAIRMAN DEASON: So give me an example of how

1 that works on a daily basis. The day before you get a  
2 report from Utility X that says my anticipated load is  
3 10,000, and I have capacity of 11,000, and I am going to  
4 be exporting 1,000, so I'm fine.

5 MR. SOUTHWICKE: Well, you have to able to show  
6 that you have your properly assigned FRCC reserves. So  
7 you have to have more than just your perfect match, but  
8 the concept is correct. In the summertime that is  
9 actually done in the morning for the afternoon peak.

10 Did you want to add anything?

11 MR. WILEY: Yes. On a daily basis, as Henry put  
12 it, we are looking at are we going to have enough  
13 operating reserves over the peak today in order to cover  
14 the loss of the largest unit that is operating in the  
15 state today? And our interest at that point in time is  
16 not to ensure that every individual utility has exactly a  
17 certain amount of power. But our interest is in the  
18 aggregate form, do we have enough capacity to cover the  
19 loss of the largest unit over the peak hour? And that is  
20 what we are searching for.

21 And as a matter of fact, that particular  
22 daily analysis, which is what we look at, you know, it  
23 was a result of us working with the Commission back in  
24 1991, I think it was, and this is actually a  
25 Commission's order that we follow in going through this



1 daily capacity assessment look.

2 CHAIRMAN DEASON: Okay. What happens when you  
3 get all of that information and you do not have enough  
4 capacity to cover the event of the largest unit going off  
5 line?

6 MR. WILEY: At that point we would issue an  
7 alert in the state under the plan and that would cause a  
8 lot of things to kick in. One of them being statewide  
9 calls for conservation over the peak hours of that  
10 particular day and notifying emergency management people.  
11 The Commission staff is part of this notification process.  
12 So a lot of things kick in underneath this -- within this  
13 particular plan if we were to get down to that situation.

14 CHAIRMAN DEASON: And is there any provisions to  
15 recall energy that is scheduled to be sold outside of the  
16 state on that day?

17 MR. WILEY: That gets back to an individual  
18 utility's contractual commitment with the party that they  
19 are dealing with out-of-state. And if they are selling  
20 stuff that is recallable, I'm sure they will recall it.  
21 If their commitment doesn't allow them to recall it, then  
22 it won't be recalled.

23 CHAIRMAN DEASON: Okay.

24 COMMISSIONER JACOBS: Can I follow on that  
25 question? So you are assuming, then, once you issue your

1 call, you are assuming that individual companies will  
2 exercise those options. Do you monitor that? Do you  
3 ensure that that load actually comes around?

4 MR. WILEY: Well, I guess when you say "ensure,"  
5 that is kind of -- we are not quite in the business to  
6 ensure that someone is going to do that. What we do with  
7 this particular forum is spread this information to all of  
8 the market participants that are generating, so that if  
9 one of the companies that has lost some capacity needs to,  
10 they know where to go in the rest of the state as to who  
11 has some power available, and they get that from this  
12 particular forum. So this particular forum facilitates  
13 the person that is having the emergency being able to go  
14 out and locate the power.

15 COMMISSIONER JACOBS: Okay. Thank you.

16 MR. CURRIER: That concludes the FRCC report.

17 MR. HAFF: Are there any other questions for  
18 FRCC?

19 Mr. Moyle.

20 MR. MOYLE: I have just a quick couple of  
21 questions.

22 John Moyle on behalf of the Moyle, Flanigan  
23 law firm.

24 With respect to the natural gas pipeline  
25 issue, I guess the plan shows an increased reliance on

1 natural gas on a going-forward basis, isn't that  
2 correct?

3 MR. CURRIER: That's correct.

4 MR. MOYLE: And with respect to reliability,  
5 would the State -- would the State's reliability be  
6 benefitted by a second natural gas pipeline in your  
7 opinion?

8 MR. CURRIER: Yes. In my opinion it would be,  
9 sure.

10 MR. MOYLE: And are you aware right now, are all  
11 the utilities planning on getting their natural gas from  
12 the FGT? Your report focused essentially on FGT and  
13 didn't -- I think as Commissioner Jaber recognized, didn't  
14 look at the other pipelines. But I presume that is  
15 because at this point you understand that all of the  
16 investor-owned utilities are planning on purchasing from  
17 FGT?

18 MR. CURRIER: It follows the same thing that we  
19 have on reporting merchant capacity. Unless it is an  
20 existing situation or it is under construction, we find it  
21 very challenging to put that in the load and resource  
22 report. Both of those pipelines, to my knowledge today,  
23 have not broken ground or are coming across the Gulf at  
24 this point to be included as part of the overall  
25 reliability of the State of Florida.

1           MR. MOYLE: Has the FGT's last phase, has that  
2 broken ground, do you know? Where are they in their  
3 process?

4           MR. WILEY: I would like to comment on that,  
5 John.

6           I think what John Currier has been trying to  
7 say is that we look at the existing gas supplier, FGT,  
8 and its expansion plan as kind of a worst-case  
9 scenario. That if nobody else builds a pipeline into  
10 Florida, can that existing pipeline company serve our  
11 needs? That is the only question that we are trying to  
12 answer. We feel that if any one or two additional  
13 companies were to get permitted and were to find  
14 customers in the peninsula, that could only add to the  
15 gas availability and reliability into the state. So  
16 that is the way that we view it.

17           And sometimes it comes across looking like we  
18 are out there, you know, favoring one or the other, and  
19 we certainly are not. We are looking at that as a  
20 worst-case scenario. Can we get gas into Florida in  
21 the aggregate to serve all of these new gas units that  
22 people say they want to build? And that is the only  
23 question that we are trying to answer.

24           And in regards to your question about a  
25 second pipeline, if one were to come in, would that add

1 to the reliability? I think it would add to the  
2 reliability if it were interconnected, even on an  
3 emergency basis, at some key point in the existing  
4 Florida Gas Transmission pipeline. And I think that  
5 interconnection is something that is very advisable for  
6 this state. And this isn't the first time I have said  
7 that to many people here on the staff.

8           COMMISSIONER JABER: Do you use that worst-case  
9 scenario philosophy in calculating what the load should  
10 be, or -- in other words, do you think ten years going  
11 forward that we might have, especially with what has  
12 happened with the weather thus far, that we might have the  
13 worst summers and the worst winters; and, therefore,  
14 reserve margins should be increased just as a matter of  
15 course?

16           In other words, what is wrong with the  
17 worst-case scenario in all of your planning?  
18 Especially in light of we just approved an incentive  
19 program for various IOUs that would allow them, that  
20 encourages them to make -- be more active in making  
21 wholesale economy energy sales, recognizing that there  
22 is a cost to having that reserve margin available. So  
23 what is the risk and what is the fear in having excess  
24 reserve margin?

25           MR. WILEY: Well, on the issue of load

1 forecasting, when Leo Green wants to talk about that --  
2 he's in the audience. He would be the person to really  
3 answer your question there.

4 But I believe that the move that we made from  
5 15 percent to the 20 percent IOU settlement that was  
6 made, I think that -- that begins approaching your  
7 worst-case scenario concept by adding that additional  
8 reserve margin in the state. And I think that you have  
9 bought a lot more in heading towards the worst-case  
10 scenario. And as we all know, if you continue to add  
11 more, it is going to cost more money. And I think the  
12 economics and the risk of not having enough versus the  
13 cost of having enough is something that has to be  
14 continuously evaluated by the individual utilities and  
15 this Commission. And it is not a simple issue.

16 COMMISSIONER JABER: But if we have just allowed  
17 a mechanism for the utility to recover the risk associated  
18 with having excess reserve margin, then what is the worst  
19 thing that can happen by increasing a reserve margin to 25  
20 percent in the next ten years?

21 MR. WILEY: I think I will defer that to the  
22 utilities, because I'm not that familiar with your case.

23 CHAIRMAN DEASON: I have a follow-up question to  
24 a previous question. I understand that your 15 percent  
25 reserve margin is for long-term planning purposes, and

1 that you do do a daily assessment and that daily  
2 assessment is based upon the -- in the event that the  
3 largest unit could be tripped off-line and you want it to  
4 cover that amount.

5 My question is at what point, as the system  
6 continues to grow, and we place more and more demands  
7 on the system, and we add more and more capacity on the  
8 system, at what point does that no longer -- is that no  
9 longer a good criterion to use for a daily assessment?  
10 It seems to me that the larger the system goes that  
11 there may be an eventuality that you could lose two  
12 units in any one day. And that that -- you know, the  
13 probability of maybe losing the two largest units maybe  
14 is -- the probability of that is so small that that is  
15 not a concern. But it seems like the more the system  
16 grows and the more units you have out there, the more  
17 likelihood that you could lose two units at one time.  
18 So how do you -- how do you make that assessment as to  
19 what is the correct criterion?

20 MR. SOUTHWICKE: That is a good question, and I  
21 can't -- I don't know the answer. We have discussed it,  
22 and we have voiced -- traditionally, for a long time at  
23 least, used the single largest unit, and it has worked  
24 well for us, and I think it is still working for us. I  
25 think our experience shows that.

1           CHAIRMAN DEASON: Well, you know, years and  
2 years and years ago the largest unit might have been --  
3 I'm just throwing out a number, and I don't know. It  
4 might have been 2 percent of all capacity in the state.  
5 Now that largest unit might be just 1 percent of all the  
6 capacity you have in the state.

7           MR. SOUTHWICKE: And that works to our  
8 advantage. As the state -- as the load grows, the largest  
9 units have not been growing, as you say, over the years  
10 and that actually works to our advantage. Losing the  
11 largest unit is not as big a deal as it used to be.

12           CHAIRMAN DEASON: Because you have got more  
13 diversity out there. You've got more plants in various  
14 locations. And I understand that when you do a loss of  
15 load probability analysis, that actually -- in fact, the  
16 more plants that you have out there at various locations  
17 actually helps in that analysis.

18           MR. SOUTHWICKE: That's correct.

19           CHAIRMAN DEASON: But I guess my question is the  
20 more plants you have out there, the more physical plants,  
21 the higher the probability that you could lose two at one  
22 time as opposed to just one.

23           MR. SOUTHWICKE: You are correct, and I agree  
24 with you. The day will come when we'll need to change.

25           MR. WILEY: Well, I would like to embellish on



1 that, if I could. This is Ken Wiley again.

2 What Henry was saying is absolutely correct  
3 for the daily capacity assessment, but that is not our  
4 normal practice every day and every hour of every day.  
5 Our practice is, is that we will have operating  
6 reserves available every hour to cover the loss of the  
7 largest unit, and we must have -- make available within  
8 20 minutes after the loss of that largest unit enough  
9 capability reserve to handle the loss of the next  
10 largest unit in the state. So that is our daily,  
11 hourly operating practice. Now, when we get into tight  
12 hot days or emergency days, that's when this capacity  
13 emergency plan that we have been discussing comes into  
14 effect at that point.

15 CHAIRMAN DEASON: Okay. So you do have -- there  
16 is a 20-minute -- you have to be able -- in the event that  
17 the largest unit is tripped off-line, you have to be able  
18 within 20 minutes to still have enough capacity in case  
19 another unit is tripped off-line. Is that correct?

20 MR. WILEY: That is our operating reserve  
21 requirement in this state.

22 CHAIRMAN DEASON: Okay. Thank you.

23 COMMISSIONER JACOBS: You referenced earlier in  
24 your discussion about the planning that's has been done  
25 regarding the shoulder months. Are the plans you just

1 described with regard to the loss of load at peak, are  
2 they encompassed in your planning for those shoulder  
3 months? Is there any additional planning that is  
4 necessary in the event where you have -- you may have  
5 significant numbers of plants that are off-line? Is there  
6 any additional planning that is called for there?

7 MR. SOUTHWICKE: In the shoulder months, the  
8 operating committee routinely looks ahead through every  
9 week of the year, and the requirement there is a full 15  
10 percent reserve, looking ahead on a planning basis. And  
11 if they see a problem with that, then they go back to the  
12 utilities and we reconfigure our outage schedules.

13 CHAIRMAN DEASON: I see.

14 MR. SOUTHWICKE: Along with that we have  
15 agreements, I don't remember the exact dates, but we have  
16 agreements that we won't take major units out after, I  
17 think it is December 15th, and won't bring them down until  
18 after March -- I've forgotten the exact dates. But we  
19 have certain requirements to account for the load swings.  
20 But we still look at each week, week-by-week, and look at  
21 the generation schedule to be available and compare it  
22 with the load forecast on a weekly basis.

23 COMMISSIONER JACOBS: I have one additional  
24 question. I'm looking at -- in your load and resource  
25 plan, it is the summary of capacity demand and reserve

1 margin table. And specifically I am interested in the  
2 data indicating the reserve margin without exercising load  
3 management and interruptible.

4 COMMISSIONER JABER: What page is that?

5 COMMISSIONER JACOBS: I'm sorry. This is the  
6 section -- the tab on generating facilities.

7 MR. HAFF: Page 19.

8 COMMISSIONER JACOBS: And it is Page 19.

9 Now, this data does align with your statement  
10 that load management is staying pretty level over time.  
11 The thing that interests me is it seems to still make  
12 up a significant portion of the total reserve margin,  
13 close to half in many instances.

14 MR. CURRIER: That's correct, yes.

15 COMMISSIONER JACOBS: And so that would seem to  
16 say that you don't anticipate any major trends in the  
17 subscribership to load management programs.

18 MR. CURRIER: Yes. A couple of reasons for  
19 that. One is the programs are fairly well penetrated in  
20 the marketplace. They have been out for 20 years now for  
21 many of them. And, secondly, the cost or the incremental  
22 marginal value for the load management programs are  
23 tending to go down as capacity costs continue to go down.

24 COMMISSIONER JACOBS: Okay. There are two  
25 circumstances that I thought of that might warrant

1 consideration here. One, of course, is that for many  
2 years there had not been a great incidence of  
3 interruptions on those, and we have seen some of that  
4 recently. That could impact future trends. The other  
5 would be the emergence of some competition. I would think  
6 that customers who are buying on these schedules are going  
7 to be prime targets for some of these other -- for newer  
8 companies coming in. Do you see those having any  
9 particular impact?

10 MR. CURRIER: A couple of comments. First of  
11 all, if you look on that same chart, if you look at Column  
12 8, you will see that there is a 7 percent capacity margin.

13 COMMISSIONER JACOBS: Right.

14 MR. CURRIER: And that is going to increase  
15 significantly next year to 11 percent. That is almost a  
16 doubling effect. So we would expect, at least on paper,  
17 that the amount of load management operations and  
18 interruptions should come down because of that reason  
19 alone.

20 Now, as far as our retail world, I think  
21 there is -- various strategies will get played out as  
22 far as how people will market to the interruptible  
23 customers, how they will market to the firm customers.  
24 And it is too early, I think, in even the other markets  
25 to tell exactly how some of those strategies will play.

1 COMMISSIONER JACOBS: Okay. Thank you.

2 MR. HAFF: Are there any more questions for  
3 FRCC?

4 Thank you, gentlemen.

5 Now we are going to go ahead and if there are  
6 any -- well, I guess there will be presentations from  
7 the investor-owned utilities on your ten-year site  
8 plans. And we will start with Florida Power and Light.

9 CHAIRMAN DEASON: Before we do that, we're going  
10 to take a ten-minute break.

11 (Recess.)

12 CHAIRMAN DEASON: If I could have everyone's  
13 attention, we'll call the workshop back to order and ask  
14 that you take your places. And just so that everyone is  
15 aware, the Commissioners have lunch in front of them. And  
16 so our intention is to -- we are going to eat lunch on the  
17 bench. And so -- really, in all seriousness, we are going  
18 to try to work through lunch and maybe finish the workshop  
19 without having to take a lunch break. But that depends on  
20 the length of the presentations. Not that I am pressuring  
21 you, but just be advised. But we are going to try to work  
22 through lunch and see if we can conclude at a reasonable  
23 time, early afternoon.

24 Staff.

25 MR. HAFF: First on our list of utilities is

1 Florida Power and Light company, and we will hear a brief  
2 presentation from them.

3 MR. VILLAR: Good morning, Commissioners. My  
4 name is Mario Villar. I'm Manager of Resource Planning  
5 for Florida Power and Light Company. And I will try to be  
6 brief on the presentation.

7 I'm going to touch on the salient points of  
8 our 2000 plan. Let me see if I can change the -- oops,  
9 wrong way. I am going to cover the resource additions  
10 we have on our reliability criteria and what the  
11 results have been on those two fronts.

12 The 2000 FPL site plan covers significant new  
13 additions to our -- to our plan over the 1999 and 1998  
14 plans. We are roughly talking about an additional 1200  
15 megawatts of capacity over the plan that we submitted  
16 in 1999, for approximately 4500 megawatts of new  
17 generation being added for new resources.

18 The summary that you see there, the breakdown  
19 for the period 2000 to 2009 consists of some changes to  
20 our existing facilities, some changes to the power  
21 purchases that we have with the cogenerators, small  
22 power producers, some of those contracts are phasing  
23 out. The repowering of our units and new generating  
24 unit additions that we have in our plan.

25 I realize this is impossible to read for

1 those of you in the back, but this covers in more  
2 detail the 4500 megawatts that I discussed in the prior  
3 slide. In essence, the major additions to the plan  
4 will occur in the year 2001, where we are adding two  
5 new combustion turbines to our Martin site, and we are  
6 also undertaking the repowering of our Fort Myers  
7 facility for an additional 894 megawatts.

8           In 2002 we have the completion of the  
9 repowering project in Fort Myers. And also the  
10 repowering of the Sanford facilities, both Units 4 and  
11 5, which will be taking place during that time period.  
12 Those result in incremental additions for each of the  
13 Sanford units in 2002 of 567 megawatts. And then,  
14 again, the second phase of Sanford which is completed  
15 in 2003 for Unit Number 4 also results in an  
16 incremental addition of 566 megawatts.

17           The number you see there, the 957 is because  
18 in the 2002 time frame we backed out the steam turbine  
19 for refurbishing, so we are bringing back that capacity  
20 in the year 2003. So that reflects the total megawatts  
21 for the repowered facility. We are also adding two  
22 combustion turbines in 2003 at our Fort Myers site for  
23 298 megawatts.

24           And then the next major change in the plan is  
25 the addition of combined cycle facilities starting in

1 2006, and there is one unit being added in each one of  
2 those years.

3 CHAIRMAN DEASON: When do you anticipate the  
4 first -- the initial phase of the Fort Myers repowering?  
5 When do you believe that will be on line?

6 MR. VILLAR: Fort Myers repowering will be on  
7 line -- the first phase will be on line for the summer  
8 peak. These numbers here represent summer peak  
9 conditions.

10 CHAIRMAN DEASON: So it will be available for  
11 the summer of 2001?

12 MR. VILLAR: That is correct. It will  
13 definitely be in for the summer peak.

14 The next item that I wanted to highlight for  
15 you was FPL's new DSM goals. The Commission approved  
16 goals for FPL in 1999, and those goals are reflected  
17 in our plans. These are the numbers that FPL has  
18 approved for its new DSM goals as a result of the 1999  
19 docket. By way of comparison, we did exceed our DSM  
20 goals for 1999 by about 225 megawatts.

21 At FPL we use two reliability criteria for  
22 measuring how our system is doing. We use a  
23 probabilistic methodology, which is a loss of load  
24 probability analysis, and a deterministic one, which is  
25 a reserve margin analysis, both of which are equally



1 important. They measure different things.

2 We have the standards shown there under the  
3 second bullet for LOLP. It's a standard of 1/10th of a  
4 day per year, one day in ten years. That is the  
5 generally accepted standard.

6 And reserve margins, our traditional numbers  
7 have been about 15 percent minimum for both summer and  
8 winter. In 1999 we voluntarily adopted a 20 percent  
9 reserve margin to be effective by the summer of 2004,  
10 and that new 20 percent reserve margin number is  
11 included in our plan at this point.

12 The results of the generating capacity  
13 additions and DSM efforts that we have included in the  
14 2000 to 2009 time frame are shown here. They  
15 definitely meet the LOLP standard by a significant  
16 margin; we beat it.

17 And the reserve margins that we have planned  
18 for both summer and winter are shown in the columns.  
19 As you can see, we exceed the 20 percent reserve margin  
20 starting in 2004 with a comfortable margin at this  
21 stage.

22 So based on the review of the plan and the  
23 generating capacity additions, the conclusion is that  
24 our system is projected to be very reliable, both from  
25 the reserve margin and the loss of load probability

1 basis.

2 That concludes my presentation.

3 MR. BALLINGER: Mario, Tom Ballinger with staff.  
4 Was the driving factor in unit additions reserve margin or  
5 LOLP?

6 MR. VILLAR: At this point it is reserve margin,  
7 Tom.

8 MR. BALLINGER: Okay.

9 MR. HAFF: This is Michael Haff from the  
10 Commission staff. And I have got a few questions related  
11 to the request for supplemental data we sent regarding  
12 interconnection studies that may have been requested of  
13 FPL. Are you familiar with that?

14 MR. VILLAR: I am aware there was one. We do  
15 have some people in the audience that can expand on that  
16 if we need to.

17 MR. HAFF: Okay. I will go through a few  
18 questions here. We asked for some information on people  
19 who have approached FPL and requested an interconnection  
20 study, be it merchant, another utility, or whatever, and  
21 FPL has requested confidential status of that information.  
22 Are you aware that we are currently coordinating with FPL  
23 to review these documents?

24 MR. VILLAR: I am aware of that fact, Mike. But  
25 it may be better if we have somebody else address that

1 issue. That is over in the transmission area, and I am  
2 generally sort of insulated from that, other than a  
3 general understanding of how that works.

4 MR. HAFF: Is there someone here that might be  
5 able to answer these?

6 MR. VILLAR: Yes, Mr. Tom Sanders is in the  
7 audience, and he can come up and --

8 MR. HAFF: It will be brief.

9 MR. GUYTON: Is it a question about the  
10 confidentiality or questions about the documents  
11 themselves?

12 CHAIRMAN DEASON: Charlie, you need to get to a  
13 microphone.

14 MR. HAFF: I mean, we are not going to divulge  
15 anything. I haven't seen the documents. It is just some  
16 general questions about this process, I guess.

17 Who are you?

18 MR. SANDERS: We're on. Tom Sanders.

19 MR. HAFF: Okay.

20 MR. SANDERS: Tom Sanders, Transmission Business  
21 Manager for Florida Power and Light.

22 MR. HAFF: Okay. You are familiar with our  
23 supplemental data request and the ten-year site plan  
24 regarding the transmission questions?

25 MR. SANDERS: That's right.

1           MR. HAFF: Okay. This is something I handed out  
2 to the Commissioners. I apologize for not Bate-stamping  
3 it, about -- it was your response to Question Number 13,  
4 where we asked for each of the entities that asked for a  
5 study to give us information on the size, location, the  
6 date the study was completed. Do you remember that table  
7 that you provided us? It looks like that.

8           MR. SANDERS: Right. That is our queue that is  
9 posted on our Oasis site.

10           MR. HAFF: There is quite a few here. It goes  
11 for two pages. But could you tell me which, if any, of  
12 these generation additions are FPL or FPL-affiliated  
13 resources?

14           MR. SANDERS: We really prefer not to identify  
15 at this time which resources are identified with which  
16 company.

17           COMMISSIONER JABER: You prefer not to or are  
18 there confidentiality concerns that you have?

19           MR. SANDERS: We have some confidentiality  
20 concerns with all the entities that we are dealing with.  
21 And we have tried to treat FPL on an equal basis in terms  
22 of how we are handling them in the interconnection  
23 procedures.

24           COMMISSIONER JABER: Because you are going  
25 through some sort of negotiations?

1 MR. SANDERS: We have agreed in our study  
2 agreements with the entities that we will retain the data  
3 as confidential. And a number of them have expressed  
4 interest in keeping at least the parent company's name  
5 confidential at this time. We have provided staff with a  
6 list of the generating entities with which we have been  
7 negotiating with. Some are identified with the parent  
8 company, some are not. But those are essentially the  
9 names that we have been using in our study agreements with  
10 the entities.

11 MR. BALLINGER: Commissioner Jaber, staff got  
12 that this morning. And, really, all we wanted to point  
13 out is FPL has requested confidentiality status of these  
14 documents, and that's per their agreement with their  
15 transmission customers. Staff has been trying to  
16 coordinate the work to view them, and there are some  
17 problems with do we need a nondisclosure agreement or not,  
18 and these types of things, and we're working them out.

19 Really, what staff is trying to get to is,  
20 again, answering that merchant question: What does the  
21 real world look like? We are trying to get a handle on  
22 what facilities or out there and what stages, and do  
23 they look like they are going to come to fruition. So  
24 that's really the information we are trying to gather  
25 from this. It's really -- we don't need to have a

1 debate about it today. I think staff is working on it  
2 to get to it.

3 We just wanted to bring to light some  
4 slightly different treatment. FPL has requested  
5 confidential treatment. TECO gave us everything we  
6 asked for, for various reasons. But we are basically  
7 trying to treat everybody the same to get what is  
8 really going on out there.

9 COMMISSIONER JABER: So why are you bringing it  
10 to -- are you having any trouble getting information from  
11 FP&L?

12 MR. BALLINGER: No. We are struggling a bit.  
13 And I guess the only thing we wanted to bring to your  
14 attention today is: Are any of these FPL or FPL-affiliate  
15 plants, or are they all nonaffiliate customers; and, two,  
16 why the confidential treatment versus some utilities not  
17 doing confidential treatment?

18 MR. GUYTON: I can address the confidentiality  
19 concern, Commissioner, as we have addressed with staff.  
20 First off, we've said we will make all of these documents  
21 available for staff's review, and we just have not been  
22 able to get together with staff for their review. So  
23 there is no question that there will be access, complete  
24 access, to all the documents.

25 In some instances where study agreements have

1 been signed, there are confidentiality provisions in  
2 those study agreements that information provided  
3 pursuant to the study agreement will be treated by the  
4 parties as confidential. That is primarily to protect  
5 the interest of the people that are seeking  
6 interconnection, and they don't want to disclose  
7 information that is project-sensitive about their  
8 projects, particularly in the early point in their  
9 development.

10           Because staff was a bit reluctant to sign a  
11 nondisclosure agreement to free the access to the  
12 documents up so we could avoid your confidentiality  
13 rule and all the onerous requirements associated with  
14 that, we went back to the various interconnection  
15 parties and asked them would they waive  
16 confidentiality, and all but a couple have. And to  
17 those there will be no problem with confidentiality.  
18 As to those, we are still trying to get a nondisclosure  
19 agreement so that none of us have to bear the cost  
20 associated with going through and filing the various  
21 requirements at the Commission here. That is where it  
22 stands. I can't address the other utilities. I can  
23 only address FPL.

24           MR. BALLINGER: Staff is fine. I don't think we  
25 have any other questions about this. We just wanted to

1 bring it to your attention.

2 CHAIRMAN DEASON: I have a quick question, and I  
3 don't know who to direct it to, and maybe neither of you  
4 are the correct entity. But has FP&L had any customers or  
5 vendors approach you about trying to facilitate an  
6 interconnection of a microturbine? Are you aware of any?

7 MR. SANDERS: Not that I am aware of. A  
8 microturbine?

9 CHAIRMAN DEASON: Yes.

10 MR. SANDERS: Is there a better definition for  
11 that, maybe?

12 CHAIRMAN DEASON: Well, it is kind of a  
13 self-generation for a small to intermediate size  
14 commercial customer. It is kind of on the magnitude of  
15 fuel cells, but larger and maybe a little bit different  
16 technology. Are you aware of any?

17 MR. VILLAR: Commissioner, in general terms, we  
18 do get requests from some customers at various points in  
19 time to interconnect with FPL perhaps on a qualifying  
20 facility basis. We send them a package of information.  
21 But generally when they come in to us they don't disclose  
22 what type of facility they may be looking at. So there  
23 may have been some that contacted us; we are just not  
24 aware of whether they have been microturbines or not.

25 CHAIRMAN DEASON: Okay. Do you have a -- is



1 there like a standard interconnection agreement that you  
2 require folks to comply with, or is it on a case-by-case  
3 basis?

4 MR. VILLAR: The interconnection agreement is in  
5 Mr. Sanders' area. They generally do the contacting with  
6 us first because of the power purchase, the QF-type  
7 contact.

8 CHAIRMAN DEASON: Okay. Maybe it is too early  
9 yet, but I think it is coming. Thank you.

10 MR. ELIAS: Mr. Villar, this is Bob Elias on  
11 behalf of the Commission staff.

12 We have seen significant, at least in the  
13 short-term, price increases for natural gas, in  
14 particular reflected in FPL's filing in the fuel  
15 docket. And I noticed from the resource expansion plan  
16 that virtually every unit in there was fueled by  
17 natural gas. And my question is given the recent price  
18 increases shown in natural gas, has FPL changed, at  
19 least informally, its expansion plan? Do you see  
20 different fuel -- different fuels firing some of the  
21 capacity additions that are reflected in this year's  
22 plan?

23 MR. VILLAR: We have not changed the plan. We  
24 are -- on a contact basis we are looking at different  
25 factors that may effect what the ultimate plan may look

1 like on a yearly basis, and we do assess that regularly.  
2 But, first, we don't expect the large price increases that  
3 we have had to be sustained on a long-term basis. But if  
4 that were the case, we would look at all the available  
5 options and evaluate them on an economic basis and make a  
6 decision accordingly.

7 MR. ELIAS: Okay. Well, let me ask a follow-up  
8 question, then. Is it fair to say that based on the  
9 scenarios that you see, that natural gas is a clear  
10 favorite, or was it a close call as far as some of these  
11 resource additions?

12 MR. VILLAR: Natural gas was a clear favorite  
13 based on the results of the plan that we have.

14 MR. ELIAS: Thank you.

15 CHAIRMAN DEASON: I guess that is all the  
16 questions.

17 MR. HAFF: Are there any more questions for FPL?

18 Mario, I would just ask if I could get a copy  
19 of your slides, I would appreciate it. And for any of  
20 the other utilities that are giving a presentation, I  
21 would appreciate it if I could get a copy of your  
22 slides on paper.

23 MR. VILLAR: We will get you some.

24 MR. HAFF: Thank you.

25 MR. VILLAR: Thank you.

1 MR. HAFF: Next up is Florida Power Corporation.

2 MR. CRISP: Good morning, Commissioners and  
3 staff. My name is Ben Crisp. I'm Director of Integrated  
4 Resource Planning and Forecasting for Florida Power  
5 Corporation, and I'm here to provide Florida Power's  
6 overview of the ten-year site plan for the year 2000.

7 I'd like to start off with a quick review of  
8 our reliability criteria that we utilize. FPC  
9 currently uses reliability criteria of 15 percent  
10 reserve margin. It is a minimum reserve margin; .1  
11 loss of load probability in days per year. And in the  
12 generic reserve margin docket, FPC agreed to increase  
13 its reserve margin criterion to a minimum of 20  
14 percent. Now, FPC will implement its 20 percent  
15 reserve margin criterion in the winter peaking period  
16 of 2003 and 2004.

17 This chart gives an overview of FPC's  
18 seasonal peak demands for the years 1990 through 1999.  
19 You see the lines that depict the actual summer demand  
20 and the dotted line depicts the summer total demand.

21 CHAIRMAN DEASON: What is the reduction in 2003  
22 from the previous years?

23 MR. CRISP: The reductions in 2002 and 2003 are  
24 contracts, wholesale contracts, that are expiring and  
25 those are peaking contracts.

1 MR. HAFF: Are they with FMPA or Seminole?

2 MR. CRISP: They are with Seminole.

3 MR. HAFF: Okay.

4 MR. CRISP: FPC includes the recent FPSC  
5 established DSM goals for the future years of 2000 through  
6 2009 in the plan. The plan captures the transition to  
7 increase supply-side reserves. As you can see in this bar  
8 graph, what we want to show you is the increase in  
9 percentage of total reserves of our supply-side  
10 contribution. The supply-side contribution is in the  
11 magenta color, the bottom part, and the DSM reserves  
12 contribution is in the upper part.

13 So you can see as we -- as we add additional  
14 supply-side reserves in 2000/2001 out through the  
15 '03/'04 time period, we increase our overall  
16 supply-side reserve contribution to our reserve mix.

17 MR. BALLINGER: John, excuse me. This is Tom  
18 Ballinger. Do you have a similar slide for the summer  
19 season?

20 MR. CRISP: Let's see. Tom, I don't have a  
21 similar slide for summer, but I can get that for you.

22 MR. BALLINGER: Okay.

23 MR. CRISP: This slide shows our generation  
24 addition summary for the 2000 ten-year site plan.  
25 Intercession City, this project is moving toward

1 completion. Units will be on line in December of 2000.  
2 There are three units, combustion turbines. Each unit is  
3 approximately 94 megawatts, winter rating, for a total of  
4 282 megawatts of addition in December of 2000.

5 And then for the remainder, Hines Units 2, 3,  
6 4, and 5. Hines Unit 2 coming on line in November of  
7 2003. And then units in 2005, 7 and 9, respectively.  
8 The Hines Unit 2 brings us up to the 20 percent reserve  
9 margin criterion, and then in the Units 3, 4, and 5  
10 reflect additions to support customer growth.

11 This is a pictorial slide of additions and  
12 retirements. What you see -- let's see, right here on  
13 the zero line, anything beneath the zero line is a  
14 retirement. So out in '03 and '04, you see a  
15 retirement; '05 and '06 you see a retirement; and in  
16 '06 and '07 you see retirements. These total  
17 approximately 400 megawatts of units, and those are  
18 primarily oil-driven units. There is some gas in  
19 there, but the units have been on the retirement plan  
20 for quite some time. You see the additions in '99/'00,  
21 '00/'01 and '01/'02, those are turbine upgrades. The  
22 small blocks with the addition of Intercession City in  
23 '00 and '01. And then you see the combined cycle  
24 additions in '03, '05, '07 and '09.

25 MR. HAFF: This is Michael Haff, again, with the

1 staff. Which Crystal River Units are getting those  
2 upgrades? Are they coal or nuclear?

3 MR. CHRIS: They are coal plants.

4 MR. HAFF: Okay.

5 MR. CRISP: Coal turbine upgrades.

6 This is my final slide. It shows our  
7 projected reserve margin summary for the winter peak  
8 and the summer peaking periods. You see the increases  
9 up to achieving the 20 percent reserve margin criterion  
10 by 2004, and then maintaining reserves above the 20  
11 percent reserve margin criterion beyond.

12 In summary, FPC is projected to be a very  
13 reliable system. And this concludes our presentation.

14 MR. BALLINGER: I have one question, John. In  
15 the reserve margin docket, FPC and the other two IOUs  
16 agreed to a 20 percent reserve by the summer of 2004, and  
17 now FPC has accelerated that to the winter of 2003/'04.  
18 Can you give a brief explanation why you felt the need to  
19 accelerate that criterion up?

20 MR. CRISP: Certainly. This is a two-point  
21 answer to a one-point question. The first part, as far as  
22 the 15 percent reserve margin and the reserve margin  
23 docket, FPC believes that each individual utility should  
24 have the responsibility for planning and developing and  
25 fitting the appropriate reserve margin criterion to that

1 utility. That is what we were arguing in the reserve  
2 margin docket.

3 As far as moving ahead to achieve the winter  
4 peak of 2003, ahead of the 2004 stipulated time frame,  
5 FPC believes that it is in the best interest of our  
6 customers to go ahead and bring on those additional  
7 supply-side reserves for the winter peaking period.

8 MR. HAFF: Are there any questions for Florida  
9 Power Corporation?

10 Okay. Thank you.

11 MR. CRISP: Thank you.

12 MR. HAFF: Our next utility is Gulf Power  
13 Company.

14 I just want to add there is a cordless  
15 microphone up there if you all prefer to stand up and  
16 use that, unless you want to just sit down and do the  
17 slides.

18 MR. POPE: Good morning. My name is Bill Pope  
19 with the Gulf Power Company, Coordinator of Bulk Power  
20 Planning. With me is Mike Marler of our forecasting area,  
21 and we're here to present Gulf Power Company's review of  
22 their ten-year site plan for the year 2000. I would like  
23 to turn it over to Mike now.

24 MR. MARLER: Our forecasting procedures utilized  
25 in this site plan are the same as we have used in the

1 past. They are the same modeling techniques, and use  
2 modeling for the long-term models.

3 Our current projections are essentially the  
4 same as they were in last year's site plan.

5 Historically, we have seen approximately a 2.2 percent  
6 growth in summer peak demand. In the forecast period  
7 last year's long-term growth was projected to be one  
8 and a half percent, this year we are looking at  
9 approximately 1.3 percent.

10 In the winter peak demand, historically, the  
11 growth rate has been 1.6 percent. This year's  
12 projections are essentially the same as last year, with  
13 a slight increase in the short-term, and that is due  
14 primarily to a delay in the implementation of one of  
15 our new DSM programs. Energy for load, also, is  
16 essentially the same, and most of these are driven by,  
17 essentially, the same outlook on population growth.

18 This shows the impact of our DSM programs.  
19 Without DSM historically our growth rate has been 2.2  
20 percent. Compound average annual growth would be 2.5  
21 percent without the impact of our DSM programs.  
22 Cumulative savings through 1999 have been 272 megawatts  
23 on summer peak. And by the end of the planning horizon  
24 in 2009, we project to have a total of 512 megawatts  
25 reduced.



1           Similarly on winter peak demand, without the  
2 DSM impacts, the growth rate would have been 1.8  
3 percent, and that has been reduced to 1.6 percent due  
4 to our DSM programs. That is reflecting a total  
5 savings of 302 megawatts cumulative through 1999. And  
6 by 2009 we are expecting that to grow to 583 megawatts.  
7 The impact on net energy for load has been 565 gigawatt  
8 hours to date through 1999, and that will grow to 797  
9 gigawatt hours by 2009.

10           MR. POPE: I'm putting up now the summary of our  
11 capacity additions and retirements over the planning  
12 horizon, and I would just like to state that Gulf Power  
13 Company plans its system in conjunction with the Southern  
14 Electric System, and it is comprised of Alabama Power,  
15 Georgia Power, Mississippi Power and Savannah Electric  
16 Power Company.

17           But Gulf Power Company does need to meet its  
18 own needs, and this is what is reflected in meeting  
19 Gulf Power Company's needs. In the year 2002 we plan  
20 to install Lansing Smith Unit Number 3, a 574-megawatt  
21 combined cycle. Beyond that point our plans show, as  
22 far as additions, participation in Southern System  
23 units, and that's because those additions are far  
24 enough out in the future that firm decisions haven't  
25 been made based on specific sites yet. The first

1 addition will be in 2006. Then we have a retirement of  
2 our Lansing Smith A, combustion turbine, at the end of  
3 2006. And then another system addition of 60 megawatts  
4 in the year 2007, and then a 30-megawatt participation  
5 in the year 2008.

6 MR. HAFF: Bill, this is Michael Haff. Are  
7 these Southern System units -- at this point in time they  
8 are just generic units?

9 MR. POPE: Yes, they are.

10 MR. HAFF: Okay.

11 CHAIRMAN DEASON: This is Gulf Power's share of  
12 those units?

13 MR. POPE: It would be only Gulf Power Company's  
14 share. This would be of a much larger unit.

15 This particular -- our last slide shows a  
16 summary of Gulf's installed capacity, its load  
17 obligation. And on the far right columns, first Gulf's  
18 projected reserve margin and then the Southern Electric  
19 System reserve margins for the planning horizon.

20 As you see, Smith 3 does a tremendous amount  
21 for Gulf's reserves in 2002. And beyond that point we  
22 stay fairly -- fairly high with the exception of the  
23 trailing years. But on the Southern Electric System  
24 basis, which we plan in conjunction with our reserves  
25 stay at 15 percent, which is our target throughout

1 time.

2 And that concludes Gulf's presentation. We  
3 would be glad to answer any questions.

4 MR. STALLCUP: This is Paul Stallcup with the  
5 Commission staff. I have a question for Mr. Marler. On  
6 Figure 2 you are showing a 0.9 percent growth rate in  
7 winter peak demand, and I think that is after conservation  
8 effects. Can you tell me how fast population is growing  
9 in your service territory and how that compares to the  
10 projections for demand?

11 MR. MARLER: Our population growth rate is  
12 projected to be approximately 1.5 percent throughout the  
13 '99 through 2000 time -- 2009 time period. And,  
14 basically, that would correlate -- I guess, the population  
15 growth would kind of be reflected in the summer peak  
16 demand growth without the DSM programs. And with the  
17 programs it is reduced to approximately .9 percent. Does  
18 that --

19 MR. STALLCUP: That answers my question. Thank  
20 you.

21 CHAIRMAN DEASON: Is the planning criteria for  
22 Southern 15 percent?

23 MR. POPE: That's correct. For the planning  
24 horizon, which is three years out and beyond, our target  
25 is 15 percent. It is very unlikely we could make

1 decisions that would affect anything within that first  
2 three years. So our target is 15 percent for planning  
3 purposes.

4 CHAIRMAN DEASON: Okay. So why is it that  
5 Southern reserves are 13-1/2 percent?

6 MR. POPE: In the short or near term, there is  
7 less risk and there is nothing as far as planning we can  
8 do. We could make decisions to purchase things to sure up  
9 our reserves, so we don't hold a 15 percent target  
10 planning reserve margin except for the three years and  
11 out. That is why it is 13-1/2 percent in the near term,  
12 because there is less risk. There is more certainty in  
13 that time. And we can -- we plan to secure whatever we  
14 need to get to that 13-1/2 percent in those nearer years.

15 CHAIRMAN DEASON: And how much of that 13-1/2  
16 percent is firm capacity as opposed to interruptible or  
17 some type of --

18 MR. POPE: I don't know the exact number,  
19 Commissioner Deason, but the majority of it is firm  
20 capacity. On the Southern Electric System, the vast  
21 majority is firm capacity or commitments for the purchase  
22 of firm capacity.

23 MR. HAFF: What I hear you saying about the  
24 Southern reserves being 13-1/2 percent for the first three  
25 years, that means next year when we are here doing this

1 that it will shift a year.

2 MR. POPE: That's correct.

3 MR. HAFF: Okay. It's not that they are  
4 changing their criterion in any way, it is just that that  
5 short-term criterion is defined as three years and it will  
6 constantly shift out in time.

7 MR. POPE: That's correct.

8 MR. HAFF: Okay.

9 COMMISSIONER JABER: Does Southern Company serve  
10 in any deregulated states?

11 MR. POPE: The Southern Electric System, the  
12 Alabama, Mississippi, Georgia, and Gulf, and Savannah?

13 COMMISSIONER JABER: Yes.

14 MR. POPE: No.

15 MR. HAFF: Are there any more questions for Gulf  
16 Power Company? Okay. Thank you.

17 Here is our chance to really fly, if you  
18 will. We have got the municipal utilities and co-ops  
19 coming up and -- oh, sorry. I forgot about Tampa  
20 Electric. You need to give a presentation.

21 MR. SMOTHERMAN: I'm Bill Smotherman with Tampa  
22 Electric Company, and I am here to give a presentation on  
23 our ten-year site plan. We have had some revisions to the  
24 plan, and I am going to focus a lot of my talk on those  
25 revisions.

1           The main revision to the plan has been a  
2 change in our Bayside repowering. Originally in the  
3 ten-year site plan we had filed for repowering Gannon  
4 Units 3 and 4 as well as Gannon Unit 5. Gannon Unit 5  
5 represented Bayside 1. Gannon Units 3 and 4  
6 represented Bayside 2.

7           Can you adjust that?

8           (Pause.)

9           The changes revolve around Bayside 2, where  
10 what we have done is we have actually revised the  
11 Bayside repowering on Bayside 2 to Gannon 6 instead of  
12 Gannon Units 3 and 4. This really consists of instead  
13 of using three CTs to be repowered in Gannon 3 and 4,  
14 we would use four CTs on Gannon Unit 6. That provides  
15 for additional capacity of about 250 megawatts,  
16 approximately, with similar heat rates.

17           The reasons why we went to this change,  
18 number one, Gannon 6 requires less complex valving and  
19 piping, merely because you have one steam turbine  
20 involved in the repowering versus two. And the  
21 physical location of Gannon 6 is more advantageous in  
22 the plant. Gannon 6 is the unit which is closer to an  
23 exterior wall. Gannon 3 and 4 are more interior to the  
24 plant; therefore, there is much more changes that you  
25 have to do, and you have to be more careful about

1 actual construction associated with that unit. Gannon  
2 3 and 4 would need to increase and decrease load  
3 together, which is a much more complex type of  
4 operation from a control perspective.

5           As we got through to the design of the units  
6 specifically, we found that we were in certain  
7 situations from a control perspective where we may have  
8 to shut down both of the combustion turbines in order  
9 to -- in order to -- actually both of the steam  
10 turbines in order to bring down a combustion turbine,  
11 one of the three combustion turbines. That kind of  
12 went counter to the reason why we chose 3 and 4 to  
13 begin with.

14           One of the main reasons why we chose 3 and 4  
15 was additional reliability associated with repowering  
16 two steam turbines instead of one steam turbine. And  
17 seeing that we started to have this type of controls  
18 problem, it seemed to go counter to reliability, and  
19 may actually produce some worse reliability situations.  
20 So we felt Gannon 6 would provide a better situation  
21 there.

22           From a cost perspective, Gannon 6 is a newer  
23 steam turbine. It would require much less  
24 refurbishment than 3 and 4 will, so it will provide  
25 some cost savings.

1           And the controls perspective, as well, when  
2 we got into the detailed design of 3 and 4, we started  
3 seeing some increased costs associated with some of the  
4 controls that we were going to have to do on 3 and 4.

5           The repowering of Unit 6 will approximately  
6 provide the same heat rate and capacity as I mentioned  
7 before -- actually an increase in capacity but the same  
8 heat rate, as I mentioned before. And as I have also  
9 mentioned, obviously, there is less technical risk. It  
10 is an easier retrofit than 3 and 4 are. And from a  
11 cumulative present worth revenue requirement  
12 calculation, we are seeing about \$14 million savings.

13           Lastly, but not leastly, the agreements that  
14 we have signed with the DEP and the EPA allow us to  
15 decide which units we are going to repower. They only  
16 specify that we do repower a specific number of  
17 megawatts. So there is no limitation on us or there is  
18 no changes that would be required associated with that  
19 agreement.

20           MR. HAFF: This is Michael Haff, again, with the  
21 staff. That next to the last bullet, the cumulative  
22 present worth savings of 14 million, I guess that accounts  
23 for the fact that instead of repowering old or less  
24 efficient units and keeping 6, as it were, you are doing  
25 the opposite. And I guess the savings include the fact



1 that you would still have in your dispatch the existing  
2 Units 3 and 4 that are less efficient.

3 MR. SMOTHERMAN: Well, 3 and 4 from an expansion  
4 plan scenario will be put on long-term reserve standby,  
5 once that repowering is completed. For potential  
6 repowering in the future or also from an emergency  
7 standpoint, if we get short in a year and we want to run  
8 those units on gas.

9 MR. HAFF: But these savings include dispatch  
10 savings.

11 MR. SMOTHERMAN: They definitely include  
12 dispatch savings, and that is -- you are correct in the  
13 fact that the more megawatts combined cycle means less CT  
14 generation in the future and lower overall fuel costs.

15 MR. HAFF: Okay.

16 MR. SMOTHERMAN: From an availability  
17 standpoint, the Tampa Electric system is about 78 percent  
18 available. And with the addition of the Bayside units we  
19 should end up at the mid-80s, creeping up to the higher  
20 80s as we go through time. This is merely driven by the  
21 fact that Gannon right now is a unit that has  
22 availabilities that run anywhere from the low 70s to the  
23 high 70s, depending on how much maintenance is done in a  
24 year. And once we have the Bayside units, those are more  
25 around the area of 90 percent available with those

1 combined cycle units. So we are expecting a very great  
2 improvement in our overall system availability due to  
3 that.

4           You will notice that the system availability  
5 continues to increase over time. That is driven by the  
6 fact that we are adding combustion turbines after the  
7 addition of Bayside which, again, are in the 90s on  
8 their availability. So our overall system availability  
9 continues to increase.

10           From an emissions standpoint, you will notice  
11 that on Gannon Units 5 and 6 we are showing  
12 significantly more additions of NOX, CO and SO2  
13 emissions, and there are very dramatic reductions  
14 associated with the repowering of 5 and 6. Those  
15 emissions are in the order of anywhere from 90 percent  
16 reductions to 80 percent reductions, depending on which  
17 one you are looking at there. But it is very obvious  
18 that there is some significant reasons why this was  
19 requested by the EPA and DEP.

20           From a reserve margin unit addition  
21 standpoint, the expansion plans are fairly similar.  
22 You will notice that we have a combustion turbine being  
23 added in 2002, followed by a CC, which represents  
24 Bayside 1 in 2003, and another CC, which represents  
25 Bayside 2 in 2004. You will notice that the CT in 2005

1 is absent in the new expansion plan versus the existing  
2 one. The reason for the absence is that CT actually  
3 become part of Bayside 2, because that CT is now one of  
4 the four CTs that is being used to repower Unit 6. So,  
5 essentially, that CT is being brought on a year earlier  
6 than it would have already been brought on. And the  
7 operation of that will be combined cycle operation  
8 instead of a simple cycle CT operation.

9 MR. HAFF: It's Michael Haff again.

10 Looking at this particular sheet, I guess,  
11 raises a question about this new expansion plan. TECO  
12 is not planning to file a revised ten-year site plan  
13 for this year, are they?

14 MR. SMOTHERMAN: No, we were not planning on  
15 that.

16 MR. HAFF: Is the new expansion plan just a  
17 result of the fact that your planning cycle for next  
18 year's ten-year site plan is already completed?

19 MR. SMOTHERMAN: Yes. And what we have done is  
20 we are aware of what impacts this will have, and we  
21 essentially went back and did a reliability calculation to  
22 determine what our expansion plan would be with the  
23 additional megawatts from Bayside to repowering. So we  
24 have not completed our planning cycle for 2001, although  
25 that is presently under review.

1           MR. HAFF: So the expansion plan I see in next  
2 year's ten-year site plan may or may not look like this  
3 new expansion plan.

4           MR. SMOTHERMAN: It will be very similar to it.

5           MR. HAFF: All right.

6           MR. SMOTHERMAN: From a winter megawatt  
7 capability standpoint, looking at 2001 and then going down  
8 to 2009, we are showing in this pie chart the different  
9 percentages that we are getting, capacity-wise, from our  
10 different resources. From an existing resource  
11 standpoint, you will notice that right now we have got  
12 about 9 percent purchases, about 23 percent DSM, and the  
13 remainder of that, about 68 percent, is made up of  
14 capacity. Most of that is coal-fired.

15           You will notice that in the winter of 2009  
16 existing capacity is being reduced down to about 32  
17 percent. Future is increasing to about 40 percent, and  
18 a large part of that being driven by the Bayside  
19 repowering. Demand is being reduced down to 20  
20 percent, and purchases down to 7 percent.

21           COMMISSIONER JABER: Can I ask you to go back to  
22 the previous slide --

23           MR. SMOTHERMAN: Sure.

24           COMMISSIONER JABER: -- on system reliability?  
25 Based on what we have heard today, I think it

1 is safe to assume that the population rate will  
2 increase and the demand rate will increase. So one  
3 should assume year 2007, year 2008, and 2009 the  
4 percentages will be higher with respect to demand.

5 MR. SMOTHERMAN: Uh-huh.

6 COMMISSIONER JABER: So why isn't it appropriate  
7 to assume that the reserve margins should be higher, much  
8 higher than 20 percent in keeping with the fact that  
9 demand and population growth will increase?

10 MR. SMOTHERMAN: Well, as demand and population  
11 growth increase, since those are percentages, the actual  
12 megawatts that Tampa Electric will be keeping on reserve  
13 will actually be increasing, as well, because these are  
14 calculated on a percentage basis. So, for example, in  
15 2001 we may have -- that 19 to 20 percent may represent --  
16 and I am just throwing out numbers here, may be  
17 600-megawatts, not that that is the number. But by 2009  
18 that is going to grow merely because we are calculating  
19 that on a reserve margin percentage basis. So that may be  
20 700 or 900 megawatts. So it is increasing from an actual  
21 megawatt reserve standpoint. The percentage, since it is  
22 a percentage calculation, it will continue to grow from a  
23 megawatt perspective similar to how our load and our  
24 capacity will be growing.

25 COMMISSIONER JABER: And how do we know if that

1 percentage, the incremental percentage increase or the  
2 difference, for example, 2001, 19 percent; 2007, 21  
3 percent, a 2 percent increase. How do we know that is in  
4 keeping with the same level of increase of population and  
5 demand?

6 MR. SMOTHERMAN: Well, when we actually go  
7 through and make that calculation, we are incorporating  
8 the increase in demand. So, for example, demand is  
9 increasing on average about two and a half percent. We  
10 have got to keep our capacity increasing at that same  
11 percentage to maintain a 20 percent reserve. But to keep  
12 our capacity increasing at that same percentage means we  
13 actually have, physically, a greater number of megawatts.

14 So if you would like, I can provide you with  
15 an exhibit that would show you the actual megawatts of  
16 reserve through the years, but that number would  
17 increase every year as you go through the years.

18 COMMISSIONER JABER: And then to take that a  
19 step further, when you look at the percentage increases  
20 for demand and population growth you are basing that  
21 estimate on historical information?

22 MR. SMOTHERMAN: That's correct.

23 COMMISSIONER JABER: And that also assumes that  
24 the same facts and circumstances and economic atmosphere  
25 can exist in the state in the year 2008?

1 MR. SMOTHERMAN: Yes.

2 COMMISSIONER JABER: So you don't account for  
3 changes -- there is no cushion percentage or cushion  
4 factor that you take into account, then?

5 MR. SMOTHERMAN: There is a certain level of  
6 projection in the numbers from the standpoint, especially  
7 on the short-term where you are aware of particular areas  
8 that may be growing faster than what you have seen  
9 historically. For example, in Tampa's service area there  
10 are particular areas of growth that have shown greater  
11 growth than the overall average and that is taken into  
12 account. But over a long-term expansion plan where you  
13 are talking ten years, that becomes leveled out over time  
14 because that provides enough time between now and then to  
15 respond to any changes that you may see.

16 COMMISSIONER JABER: Perhaps I should have asked  
17 this of the FP&L person, but we have read a lot about the  
18 impact of technology and new Internet companies and ISP  
19 companies coming to the state. Do you believe that there  
20 could be a remarkable strain on reliability because of the  
21 technological revolution in the state?

22 MR. SMOTHERMAN: There is always a chance for  
23 higher load than what you have projected. And whether  
24 that's due to Internet technology or just due to a hotter  
25 than normal summer or a cooler than normal winter, that's

1 always a possibility. But that is the reason why we  
2 maintain the reserves that we do. We feel that increasing  
3 to the 20 percent reserve provides that cushion to allow  
4 for that potential higher-than-expected load increase,  
5 either due to a forecast that was lower than what actually  
6 came in, or increased weather, or an outage of a unit.  
7 Because there is that uncertainty about what the future  
8 will actually bring.

9 I have also got a similar slide to the winter  
10 reserves for the summer reserves or megawatt reserves  
11 for 2000 and 2009 and how they are made up. From a  
12 summer perspective, we have got about 74 percent of our  
13 capacity represents our total megawatt makeup. About  
14 15 percent is represented in demand reductions and  
15 about 10 percent or 11 percent in purchases.

16 In 2009 that is expected to increase to about  
17 39 percent existing or reduced down to 39 percent  
18 existing. But the futures would increase to about 41.  
19 Again, driven by the Bayside repowering, 7 percent  
20 purchases and about 13 percent demand reduction.

21 On an energy basis our percent mix of fuels  
22 burned, right now we are projecting for 2000 that  
23 approximately 86 percent of our energy would come from  
24 coal. About 7-1/2 from Syngas which is from the Polk 1  
25 IGCC unit. The remainder, 3.4 percent would be



1 purchases and about 3 percent on oil. As we go into  
2 the future we would have a much more balanced  
3 portfolio. You'll notice that 54 percent will be  
4 coming from coal, about 36 percent from natural gas,  
5 again, driven by the Bayside repowering, about 7  
6 percent from Syngas, 1 percent from oil and  
7 approximately 2-1/2 percent from purchases.

8 In summary, presently we are pursuing a more  
9 cost-effective repowering strategy with the Bayside  
10 units, and that accounts for the change on Bayside 2.  
11 We are also with the Bayside units realizing a great  
12 improvement in our overall availability of our system.  
13 We have firmed up natural gas transportation for the  
14 Bayside units and that will be on FGT.

15 And TECO, as you have seen in the reserve  
16 margin tables, is presently going to meet a 20 percent  
17 reserve margin from the years 2002 and beyond. TECO's  
18 ten-year site plan also provides a much more balanced  
19 fuel mix resulting in economic benefits and  
20 environmental benefits for our customers and the state  
21 as a whole.

22 MR. HAFF: Does anyone have questions for Tampa  
23 Electric Company about their ten-year site plan?

24 Okay. Thank you.

25 COMMISSIONER JABER: Mr. Chairman, if I could

1 have someone from Florida Power and Light answer a  
2 question with respect to South Florida.

3 MR. VILLAR: Yes, Commissioner.

4 COMMISSIONER JABER: There has been the creation  
5 or at least the movement to create something called the  
6 Network Access Point in South Florida that is designed to  
7 bring new technology companies to that area. And I know  
8 you are the largest provider in the South Florida area.  
9 Have you taken into account in your planning the impact of  
10 technology and Internet into your area?

11 MR. VILLAR: Let me answer that in a very  
12 general way, and then I will turn it over to Dr. Green.  
13 Perhaps he can give you some more details if you need  
14 anything.

15 In this particular plan we do not have any of  
16 those proposals incorporated in the plan at this stage,  
17 but we are aware there are these proposals out there.  
18 To the extent that we feel they are materializing, we  
19 will be including the forecast of additional load into  
20 our plan as appropriate, as we do other forecasting  
21 techniques. And Mr. Green -- Dr. Green can get into  
22 that if you need some details.

23 DR. GREEN: My name is Leo Green at Florida  
24 Power and Light. Yes, there is a substantial amount of  
25 activity going on in Miami. And we are talking about 180

1 megawatts for next year, of 350 for the following year,  
2 and capping out at about 570 megawatts in 2003. The plans  
3 that we are developing currently will include on both  
4 sides, on the generation side and the capacity side, how  
5 we will address that additional load.

6 COMMISSIONER JABER: So the megawatts you gave  
7 me 180, 350, and 570 are the megawatts associated just  
8 with the power needed for Internet?

9 DR. GREEN: Just for the telecom loads.

10 CHAIRMAN DEASON: That is a lot of telephone  
11 calls.

12 MR. HAFF: Now we are going to jump into the  
13 municipal utilities. And we will go in order on the order  
14 of appearance here. If you have a presentation, feel free  
15 to give a brief one. If not, I guess come up and see if  
16 we have any questions for you. We will start with Florida  
17 Municipal Power Agency.

18 MR. CASEY: I am Rick Casey with FMPA, System  
19 Planning Manager.

20 I do have a few slides. But in the interest  
21 of time, I can simply answer questions or walk you  
22 through them if you would like. I will leave it up to  
23 you and your staff as to what you would like to do.

24 CHAIRMAN DEASON: I do not need to see your  
25 slides unless you feel compelled to show them.

1 MR. CASEY: No, sir, I don't.

2 CHAIRMAN DEASON: Staff.

3 MR. HAFF: I'm in agreement with you, obviously.

4 I have read their plan --

5 (Laughter.)

6 I have read their plan, and I don't have any  
7 questions.

8 CHAIRMAN DEASON: You can show your slides,  
9 because I am eating lunch now.

10 MR. HAFF: Some of us aren't.

11 CHAIRMAN DEASON: You are trying to get the last  
12 word, aren't you?

13 MR. HAFF: Okay. Let's cut to the chase. Are  
14 there are any questions for FMPA? Okay.

15 This looks like a consent agenda. Thank you  
16 for making the trip. If you have copies of your slides  
17 I will be glad to take them.

18 Next up is Gainesville Regional Utilities.

19 MR. KAMHOOT: My name is Todd Kamhoot. That is  
20 Roger Westfall distributing a handout of ours. Which,  
21 like FMPA, I can either go through or merely make myself  
22 available to answer questions if you would like.

23 CHAIRMAN DEASON: Well, let me ask you this  
24 question. Is there anything that is out of the ordinary  
25 with your expansion plans from last year?

1           MR. KAMHOOT: No, there is not. We have a  
2 repowering in progress, a 50-megawatt steam unit that  
3 will -- it is underway. That unit will be taken off-line  
4 perhaps next week, and we expect the repowered combined  
5 cycle, 110 megawatts total, or 60-megawatt net increase to  
6 be on-line next spring. That is going as scheduled.

7           CHAIRMAN DEASON: Okay.

8           COMMISSIONER JACOBS: To what extent are your  
9 plans entailing purchases? I should ask you is there any  
10 increase of purchases anticipated in your planning?

11          MR. KAMHOOT: We have no firm purchases in our  
12 resource mix.

13          COMMISSIONER JACOBS: Okay.

14          CHAIRMAN DEASON: I'm looking at Page 7 of your  
15 handout, and it appears that you have -- you're projecting  
16 sufficient reserves based upon a 15 percent reserve  
17 margin, is that correct?

18          MR. KAMHOOT: That is correct. Beginning next  
19 summer through 2009, we expect to have at least 22 percent  
20 reserves through this planning horizon. And we plan to  
21 meet summer peak. We are a summer peak driven utility.

22          MR. HAFF: Are there any questions for  
23 Gainesville?

24           Okay. Thank you.

25          MR. KAMHOOT: Thank you.

1           MR. HAFF: Next on the agenda is JEA. And I  
2 suspect since you are building a brand new plant, you  
3 probably have a few slides to show us.

4           MR. BOND: My name is Chuck Bond, and I am  
5 Manager of Capacity Planning at JEA, and I have a few  
6 slides. But I will probably -- the one I wanted to go  
7 over the most was probably towards the back, which was a  
8 couple of modifications that we have in what we submitted  
9 and really where we are going toward from here.

10           On what we submitted in our ten-year site  
11 plan, we showed having three units at our Brandy  
12 Branch generating station come on in 2001. The first  
13 two were going to be in December, and then the third  
14 one was going to be in December of the following year.

15           And we ran into a little bit of a problem  
16 with trying to schedule an outage to do some of our  
17 work that we needed to do at Northside with our  
18 repowering project ahead of time, and an outage to do  
19 some transmission work where we are going to -- we have  
20 existing 230 lines come by Brandy Branch. We are going  
21 to terminate those in a new substation.

22           And we couldn't have all that -- the  
23 transmission lines and the outages done at the same  
24 time. So we ran into a little bit of a scheduling  
25 conflict. So we have moved the on-line date of two of

1 our CTs at Brandy Branch Units 1 and 2 out until May.  
2 And that will result in this coming up winter we will  
3 have to buy 250-megawatts like we did last winter.

4 And we have the Energy Authority currently  
5 looking at that and seeking out proposals to buy this  
6 capacity. And with our position with the tie line on  
7 our interface, we shouldn't have any problem meeting  
8 that, but we don't have that under firm contract at  
9 this time.

10 We just kind of made some of these decisions  
11 about this about two months ago. So we have been  
12 trying to procure this capacity and time it when the  
13 market is at the right time to buy it, and go forward  
14 from there.

15 CHAIRMAN DEASON: There may be some people here  
16 interested in selling it to you.

17 MR. BOND: And now that we have our -- the  
18 Energy Authority is our marketing company, and they are  
19 out actively pursuing that. So we don't see an issue with  
20 that.

21 The other notes we have down there is on our  
22 repowering of Northside 1 and 2. We showed both of  
23 those in April of 2002. We are actually going to have  
24 Northside 2 -- it will be available in the February  
25 time frame, and then Unit 1 will come on second. It

1 will be in the summer sometime, and we are not sure  
2 whether it will be before June or sometime in the  
3 June/July time frame. We are working on trying to  
4 consolidate our schedule for that.

5           And the other item that we showed differently  
6 is when we submitted our site plan, we showed a  
7 combined cycle conversion at Brandy Branch in 2003.  
8 And we put some kind of language in there that we  
9 really were doing that, because we didn't have a need  
10 until 2004. But we were showing it in the ten-year  
11 site plan because we were looking at bringing it in  
12 early and potentially increasing our reserve margin.

13           And when we started looking at that a little  
14 bit closer, we found that we really couldn't meet the  
15 scheduled time frame for all the need determination  
16 hearings and really meet that without doing some  
17 accelerated and spending a little bit more money to get  
18 that in. So we are now looking at June 2004 to bring  
19 that combined cycle plant on-line, which is when we had  
20 a real need to have it.

21           So those are a little bit of refinements to  
22 our plan that we had from what we showed in the  
23 submittal.

24           MR. HAFF: I guess for our benefit and the  
25 scheduling of need hearings, and so on and so forth, when



1 do you expect to be filing a need application for that  
2 combined cycle conversion of Brandy Branch?

3 MR. BOND: I believe our schedule is in October,  
4 October/November.

5 MR. HAFF: Of this year?

6 MR. BOND: Correct.

7 MR. HAFF: Okay.

8 Are there any questions for JEA?

9 Okay. Thank you.

10 Next on our list is Kissimmee Utility  
11 Authority.

12 MR. MILLER: Good afternoon, Commissioners. My  
13 name is Robert Miller, and I am Manager of Bulk System  
14 Planning, Kissimmee Utility Authority.

15 MR. HAFF: You need to turn on the microphone.

16 MR. MILLER: Good afternoon. My name is Robert  
17 Miller, and I am manager of Bulk System Planning at  
18 Kissimmee Utilities Authority. I am prepared to answer  
19 any questions or make any comments that you want me to  
20 make.

21 CHAIRMAN DEASON: Has there been any significant  
22 change in this forecast or this plan from the presentation  
23 you made last year?

24 MR. MILLER: Not much change, no significant  
25 change. We are much further along with our Cane Island

1 unit, which is scheduled to be commissioned in June this  
2 year, or 2001.

3 COMMISSIONER JACOBS: You area is seeing  
4 significant growth. Has that impacted your planning at  
5 all?

6 MR. MILLER: We have been seeing significant  
7 growth over the last couple of years. We have adjusted to  
8 that.

9 CHAIRMAN DEASON: I'm sorry. I'm just thumbing  
10 through your slides, and I see that there is a bullet  
11 point beside World Expo Center and projected load. Could  
12 you explain that?

13 MR. MILLER: Yes. This is a major 800-acre  
14 development that was proposed a couple of years ago. It  
15 was scheduled originally to be, to be on-line sometime  
16 this year, but it has been pushed back and pushed back.  
17 Currently it is reduced by 50 percent, and we are not  
18 quite sure whether it will come to fruition or not. But  
19 we have kept it in your plans and pushed it back  
20 appropriately. Currently, it is scheduled for -- it is  
21 phased, and it is currently scheduled to be --  
22 construction is scheduled to start in 2001, but we have no  
23 further information on that.

24 CHAIRMAN DEASON: Thank you.

25 COMMISSIONER JABER: The slide right before the

1 one that you are looking at that is entitled capacity  
2 balance, help me understand this chart. It looks like  
3 reserve margin beginning with 2007 is a negative.

4 COMMISSIONER JACOBS: It has a table that has  
5 reserve margins that are positive.

6 MR. HAFF: Commissioner, I could probably answer  
7 that, unless you want him to. I believe this table shows  
8 assuming no new unit additions, if they just keep their  
9 capacity as it is without adding new capacity. And what  
10 this would show is the timing of when they need to add  
11 more power.

12 COMMISSIONER JACOBS: There is a table that  
13 shows the expansion plan that is probably more to your  
14 question.

15 MR. HAFF: Yes, two pages later shows the one  
16 with unit additions.

17 MR. MILLER: Thanks, Mike.

18 Yes, it was as Mike said. That just shows  
19 what the reserve is with retirements. And the next  
20 page has expansion -- which has the expansion plan on  
21 top has the actual reserves.

22 COMMISSIONER JABER: So really in 2007 your  
23 reserve margin you estimate will be 35 percent?

24 MR. MILLER: 35 percent, yes.

25 COMMISSIONER JABER: So the chart I was looking

1 at reflects what, then?

2 MR. MILLER: It was just a table that shows how  
3 the existing capacity diminishes over time without  
4 additions.

5 COMMISSIONER JABER: Thank you.

6 COMMISSIONER JACOBS: You cited your residential  
7 load management program and it seems to contribute a  
8 significant amount. Explain that to me, walk me through  
9 how that works.

10 MR. MILLER: I didn't hear the question.

11 COMMISSIONER JACOBS: Your Save program, the  
12 residential --

13 MR. MILLER: The Save program?

14 COMMISSIONER JACOBS: Yes. It seems to have a  
15 very positive effect on your --

16 MR. MILLER: Reserve margin.

17 COMMISSIONER JACOBS: -- reserve margin. What  
18 are the significant factors that contribute to that in the  
19 program, in the Save program?

20 MR. MILLER: Well, initially, we had a pretty  
21 healthy rebate, and it was a very popular program. What  
22 we have done in recent years, we have adjusted the rebate  
23 to be an economic rebate. But it has remained economic.  
24 It has remained a fairly popular program.

25 COMMISSIONER JACOBS: Okay. Thank you.

1 MR. HAFF: Are there any other questions for  
2 KUA?

3 Thank you, Mr. Miller.

4 Next up for presentation or questions is the  
5 City of Lakeland.

6 MR. ELWING: Good afternoon, Commissioners. I'm  
7 Paul Elwing representing Lakeland Electric. In the  
8 interest of brevity, I'll not go through every single  
9 slide, just stand ready to answer questions if you have  
10 any.

11 MR. HAFF: This is Michael Haff again. You  
12 may -- this may be a good opportunity to go over the last  
13 two slides, Pages 10 and 11, because Lakeland, to my  
14 understanding, is the only one over the next ten years of  
15 anybody in the state that is planning to build a coal  
16 plant. And you might want to give the Commissioners a  
17 heads up of that project and what is going on with that.

18 MR. ELWING: Okay. Yes. Right now in our  
19 planning analysis we are proposing to build a solid fuel  
20 unit to be in service in June of 2005, approximately 288  
21 megawatts, pressurized fluidized bed technology, capable  
22 of burning petroleum, coke and/or coal.

23 Looking earlier in your slides you will see  
24 there is a -- let me get to the page here. On Page 9  
25 of your packet there is an existing and future resource

1 mix. And currently in the year 2000, Lakeland's  
2 resource mix is made up of approximately 59 percent gas  
3 and oil-fired units and 41 percent solid fuel.

4 Looking out to the future, we feel that we  
5 need to maintain a better balance of fuels, and so our  
6 proposal is to build another solid fuel unit in the  
7 2005 time frame for the horizon year of this current  
8 planning cycle 2009. That would bring our solid fuel  
9 capability on an annual energy basis up to 56 percent,  
10 with gas and oil-fired units at 44 percent of our  
11 energy requirements. Going back to Slide 10 and then  
12 finishing out the horizon period with a combustion  
13 turbine in 2009 to meet our reserve margin requirements  
14 to cover growth.

15 MR. HAFF: In discussions with the staff that  
16 you have had with us, you have explained that adding this  
17 coal-fired unit is going to be -- is the most  
18 cost-effective option. And I would like for you to  
19 explain that a little bit further, because none of the  
20 other utilities share that opinion, at least for their  
21 system.

22 MR. ELWING: Okay. For us it is tied to what we  
23 believe the price of fuels is going to be in the future.  
24 Our fuel forecast is presented on Page 5 of the handout.  
25 We believe the future for solid fuels is going to be lower

1 cost and stable fuel prices, whereas, natural gas is going  
2 to continue to escalate in much higher proportions. We  
3 have already seen this year natural gas prices have jumped  
4 significantly. As a matter of fact, they are higher  
5 currently today than what our forecast numbers are  
6 showing. And we just feel that that trend is going to  
7 continue well into the future.

8           And so when we do our analysis, and based on  
9 our cost of capital and our abilities in negotiating  
10 for fuels, et cetera, right now for us a solid fuel  
11 unit is coming in to be a least-cost option for us as  
12 compared to natural gas.

13           CHAIRMAN DEASON: Have you already pursued  
14 long-term coal contracts for this unit or is it too  
15 preliminary at this point?

16           MR. ELWING: We have approached suppliers and  
17 have begun getting commitments for fuel supply for the  
18 unit, but we have not actually signed any contracts. But  
19 we have been in contact with suppliers.

20           CHAIRMAN DEASON: And I assume you will be  
21 transporting this fuel by rail, is that correct, or how  
22 would you?

23           MR. ELWING: That is one possibility. We are  
24 also looking at some waterborne sources and then  
25 transloading in the Tampa area.

1 CHAIRMAN DEASON: When will you begin the  
2 permitting process for this unit?

3 MR. ELWING: We are hoping to bring a petition  
4 for need before this Commission towards the end of this  
5 year, probably in the November/December time frame that we  
6 would be filing with staff.

7 CHAIRMAN DEASON: And would that be -- that  
8 would be the first step before you begin the environmental  
9 permitting?

10 MR. ELWING: That is correct.

11 MR. HAFF: Have you -- I guess DEP is aware of  
12 your plans?

13 MR. ELWING: Yes, we --

14 MR. HAFF: I'm assuming you have talked to them  
15 about this.

16 MR. ELWING: Yes, we have already approached DEP  
17 and have had open discussions with them about the unit,  
18 about the technology, and what the anticipated emission  
19 rates would be from the unit. And at this point in time  
20 we have gotten no roadblocks or objections from DEP.

21 MR. HAFF: Have you gotten any feedback at all?

22 MR. ELWING: Not really. We have put out press  
23 notices locally and have gotten no responses. At least  
24 for our customers in our area, it is not an issue.

25 COMMISSIONER JACOBS: Are you anticipating



1 incorporating emission technology on this plant?

2 MR. ELWING: Yes. This particular technology  
3 goes along with the Department of Energy's clean coal  
4 technology program. And so this would be one of the  
5 cleanest solid fuel-burning units in the United States.

6 COMMISSIONER JACOBS: I would be interested to  
7 have -- to have a presentation on that, maybe at Internal  
8 Affairs or something.

9 MR. ELWING: I don't have one with me, but --

10 COMMISSIONER JACOBS: No, I mean later at  
11 Internal Affairs or something.

12 MR. ELWING: -- we can prepare something for  
13 you.

14 CHAIRMAN DEASON: Will there be any cost sharing  
15 from the Department of Energy or is all that not available  
16 anymore?

17 MR. ELWING: The current technology that we are  
18 looking at would not qualify for the DOE clean coal  
19 technology program as we understand it. This is a  
20 slightly different technology and a different vendor, but  
21 the similarities are extremely close.

22 MR. HAFF: Are there any questions for the City  
23 of Lakeland? Okay. Thank you.

24 COMMISSIONER JACOBS: Oh, I'm sorry, I did have  
25 one question. In your table on reserve margins, this --

1 the winter of this year is fairly low. Are you  
2 undertaking any particular measures to address your  
3 reserve margins for this year, this winter?

4 MR. ELWING: Okay. The reserve margin, I  
5 believe, that you are referring to was the winter reserve  
6 margin for January of 2000, which has already passed, we  
7 did make it through this winter all right.

8 COMMISSIONER JACOBS: Okay. Thank you.

9 MR. HAFF: I apologize, that raises one more  
10 question. Last year's plan -- I mean, we didn't see this  
11 forecasted for what would have been the next winter. I  
12 don't recall the reserve margin being below 15 percent  
13 forecasted for this immediately past winter. What was the  
14 cause for this?

15 MR. ELWING: Okay. Originally, we had  
16 anticipated our McIntosh Unit 5 being commercial by  
17 January of this year. That has not taken place yet. That  
18 is the 501G, which is the first unit of its type. We are  
19 very near commercial stages at this point, and so it was  
20 not actually commercially available for January of 2000,  
21 and so that is reflected in the lower reserve margin.

22 MR. HAFF: Thank you.

23 COMMISSIONER JACOBS: And the figures -- the  
24 present figures for this winter anticipate that unit?

25 MR. ELWING: Yes, sir. We are anticipating that

1 unit to be commercial by October. It is in final test and  
2 checkout stages. There is one remaining test that the  
3 manufacturer would like to go through. And barring any  
4 unforeseen circumstances the unit should be declared  
5 commercial in the October time frame. It has been up and  
6 running this summer in test mode.

7 MR. HAFF: Okay. Thank you, Mr. Elwing.

8 Next we will hear from or ask questions of  
9 the Orlando Utilities Commission.

10 MR. ROLLINS: Yes. I'm Myron Rollins with Black  
11 and Veatch. We helped OUC prepare its ten-year site  
12 plant. I have Matt Blankner with me. We have a  
13 presentation, but in the interest of time we will be glad  
14 to just answer questions.

15 MR. HAFF: Do you have any handouts?

16 MR. ROLLINS: We have one copy of the handout  
17 which I will give you to.

18 MR. HAFF: Okay. We will get it later.

19 CHAIRMAN DEASON: I have no questions. I have  
20 nothing in front of me to ask questions from.

21 MR. HAFF: I will ask is there any major change  
22 from last year's plan to this year's plan that we should  
23 be made aware of?

24 MR. ROLLINS: Yes, there is. Last year about  
25 this time they were in the final stages of completing

1 negotiations of the sale of the Indian River steam units  
2 which got completed and sold to Reliant. So this year's  
3 plan includes the power purchase agreement from those  
4 plants. That power purchase agreement extends through  
5 October 1st of 2003, and has an option for a four-year  
6 extension. In their plan it appears that they can build a  
7 combined cycle unit to replace that capacity in the 2003  
8 time frame for a lower cost.

9 MR. HAFF: I guess as a result of that combined  
10 cycle showing up in this year's plan that wasn't in last  
11 years plan, correct?

12 MR. ROLLINS: That's correct.

13 MR. HAFF: What time frame would we be looking  
14 for a need determination for this unit?

15 MR. ROLLINS: It is in the September, October,  
16 November time frame.

17 MR. HAFF: Of this year?

18 MR. ROLLINS: Of this year.

19 MR. HAFF: Boy, are we going to be busy.

20 Okay. Any questions for Orlando Utilities  
21 Commission?

22 Okay. Thank you.

23 Myron, I would like to get a copy of that  
24 handout if I could.

25 CHAIRMAN DEASON: Staff, how long do we have to

1 process these need determinations, is it by statute?

2 MR. HAFF: I'm sorry?

3 CHAIRMAN DEASON: Is it by statute the time  
4 frame that we have to process these?

5 MR. HAFF: The statute, as I understand it, is  
6 more of when DEP has to get an order before the Governor  
7 and Cabinet. Our rules, in order to get a filing to DEP,  
8 an affirmative or negative determination of need, we have  
9 90 days from the day it is filed to hold a hearing. And  
10 ultimately a Commission order has to be out within 135  
11 days. A decision in 135 days. And those time lines  
12 assume that they file simultaneously with DEP and with us.  
13 So we are usually under a 90-day time frame to have a  
14 hearing from the date of the filing.

15 Next up is the City of Tallahassee.

16 MR. CLARK: Good afternoon, Commissioners. I am  
17 Paul Clark, Chief Planning Engineer for the City of  
18 Tallahassee.

19 You have before you a presentation that I did  
20 prepare for today. But, again, in the interest of time  
21 I can just field any questions.

22 CHAIRMAN DEASON: What do you think about the  
23 City of Lakeland's coal plant?

24 MR. CLARK: Well, being a former City of  
25 Lakeland employee myself, I might be a little bit

1 prejudiced. I certainly understand and share some of the  
2 City of Lakeland's concerns about fuel diversity.

3 CHAIRMAN DEASON: Good answer.

4 MR. CLARK: Thank you.

5 COMMISSIONER JACOBS: Very diplomatic.

6 MR. HAFF: I've got a question, and,  
7 Commissioners, for your reference you can turn to the  
8 first two tables in the handout -- the memo I sent to you  
9 the other day. And this is information from Tallahassee's  
10 ten-year site plan.

11 And I know, Mr. Clark, you don't have this  
12 handout, but it's just the copy -- it's the reserve  
13 margins from your plan, summer and winter. And I am  
14 looking at a summer reserve margin in 2009 of 2  
15 percent. I guess I'm just -- it looks like there is a  
16 needed unit out there somewhere in the future, and I'm  
17 just wondering if you could respond to that.

18 MR. CLARK: You are absolutely correct, Mike.  
19 We do anticipate the need for, I believe through the  
20 horizon year 2009, a total of just over 90 megawatts of  
21 additional power supply resources. We have not yet  
22 identified specific additions, as we stated in our plan  
23 document. We are looking at combinations of, to satisfy  
24 the short-term smaller needs, some peak season firm  
25 purchases. The larger long-term needs may be satisfied

1 with a combination of multi-year firm purchases and/or  
2 capacity additions or enhancements.

3 MR. HAFF: I guess it is a practice for some of  
4 the utilities to, you know, put a generic CT or something  
5 in there. You know, obviously, it is a plan; it can  
6 change from year to year. Have you identified any  
7 combustion turbine or something that might be commercially  
8 feasible and somewhat cost-effective in your planning that  
9 you maybe could show as a unit in the out years?

10 MR. CLARK: We have done some preliminary  
11 analyses of our needs for the coming ten year and,  
12 actually, beyond period. As a matter of fact, some  
13 combustion turbine technologies do appear to hold some  
14 promise for us. We currently do not have any quick start  
15 generation capability. And as a result, we are required  
16 to carry all of our operating reserves as on-line or  
17 spinning reserves.

18 So we are looking to -- in addition to  
19 satisfying our additional capacity needs, maybe reap  
20 some benefits in terms of increased efficiency by  
21 replacing some of our older less efficient combustion  
22 turbines with newer units, but also being able to  
23 decrease the amount of generation that we have to keep  
24 on line to satisfy our operating reserve obligations.

25 MR. HAFF: Are these things you are considering

1 something that may show up in next year's plan?

2 MR. CLARK: I certainly would expect them to.

3 MR. HAFF: This reserve margin concerns me.

4 MR. CLARK: I understand. And, again, we are  
5 still, I guess, recovering from the in-service of our  
6 latest generation addition, Purdom 8, which was declared  
7 commercial last month. I am a very new staffer to the  
8 City of Tallahassee. I started about six months ago. We  
9 are just gearing up for our first full-blown supply-side  
10 resource analysis after the advent of Purdom 8.

11 MR. HAFF: Okay.

12 CHAIRMAN DEASON: I have a question for you. I  
13 notice that one of your key input assumptions is  
14 transmission constraints, which I'm sure enters into every  
15 utility's plan. But is that a particular problem for the  
16 City of Tallahassee or not?

17 MR. CLARK: Yes, sir. We currently have, and  
18 hope to be able to maintain the ability to import power to  
19 replace the loss of our largest unit, which now basically  
20 are two units, both our Hopkins 2 and Purdom 8 units are  
21 about equal in size. And between the two of them they  
22 make up, basically, two-thirds of our power supply  
23 portfolio. This is critical to us in our minds as far as  
24 maintaining the reliability of our operation to be able to  
25 import to replace in light of one of those two



1 contingencies.

2           If we were to look at firm purchases as far  
3 as satisfying our future need, that diminishes our  
4 ability to replace that power. And in the absence of  
5 some transmission improvements in the area, we feel  
6 like, at least for the time being, most of our future  
7 supply needs are going to have to be developed locally.

8           CHAIRMAN DEASON: How much transmission does the  
9 City of Tallahassee actually own? Is it very significant?

10           MR. CLARK: In what terms? And I'm not exactly  
11 sure I can answer the question.

12           CHAIRMAN DEASON: Well, I guess the bottom --  
13 well, I guess what I'm getting to is do you consider in  
14 your planning not only the addition of generating  
15 capacity, but the enhancement of transmission to  
16 transmission assets and look at that as to which is the  
17 least-cost alternative?

18           MR. CLARK: Certainly. We do internal studies  
19 that feed off of the statewide database for the statewide  
20 transmission system. And any enhancements that are made  
21 that can benefit us are reflected in that database. Case  
22 in point, and referenced in the presentation is the  
23 constraint that we see to import that results at the  
24 Scholtz/Woodruff line, which is the line that connects  
25 Georgia Power to Florida Power Corporation there at the

1 Apalachicola River. There are some enhancements, to our  
2 understanding in talking with Florida Power Corporation,  
3 too, that are planned for that line in the 2002 time frame  
4 which mitigate that constraint somewhat.

5 MR. HAFF: Are there any questions for the City  
6 of Tallahassee?

7 Okay. Thank you.

8 MR. CLARK: Thank you.

9 MS. STERN: Seminole Electric Cooperative is  
10 next.

11 MR. ZIMMORMAN: Good afternoon, Commissioners  
12 and staff. I am Garl Zimmorman, Manager of System  
13 Planning at Seminole Electric Cooperative, and what I  
14 would like to do is just touch briefly on the last two  
15 slides in your packet which show our generation facility  
16 additions planned in the future over the ten-year planning  
17 horizon.

18 The first slide, which is out of the --  
19 Schedule 8, out of the 1999 ten-year site plan,  
20 actually showed 12 generic combustion turbines required  
21 over the planning horizon. Those were just listed as,  
22 like I say, generic 150-megawatt combustion turbines,  
23 with some of those in service as early as the fall of  
24 this year. We have met many of those needs already.  
25 The first -- some of the first needs were met by some

1 seasonal purchases, a seasonal purchase with the City  
2 of Tallahassee, another one that is imported, an import  
3 purchase from Georgia. We have signed contracts with  
4 Reliant for the capacity of two combustion turbines  
5 from their Hollapar (phonetic) project. We have signed  
6 a contract with Constellation for the capacity of two  
7 combustion turbines from their Oleander project.

8           Then turning to the next slide, which is out  
9 of our 2000 ten-year site plan, we showed another  
10 unknown combustion turbine to be in service by November  
11 of 2002. Again, we have satisfied that need with an  
12 additional combustion turbine from Constellation's  
13 Hollapar project.

14           We have fine-tuned the requirements that were  
15 in last year's program. Now we are showing the actual  
16 CTs with their seasonal variation in capacity and,  
17 also, fine-tuned our needs between peaking and  
18 intermediate capacity and are showing a couple of  
19 one-on-one combined cycle units.

20           We presently have an RFP out with bids due  
21 tomorrow for the first of those combined cycle units,  
22 which is to be commercial in service the summer of  
23 2004. We anticipate having a short list of those  
24 bidders available by the end of this year and make a  
25 decision shortly after the first of next year. So we

1 are well on the way to satisfying the needs that we had  
2 shown in last year's ten-year site plan. And with that  
3 I will be glad to entertain questions.

4 MR. HAFF: Go ahead.

5 CHAIRMAN DEASON: You actually have signed  
6 contracts with Reliant and Constellation, I believe?

7 MR. ZIMMORMAN: Yes, sir.

8 CHAIRMAN DEASON: Okay. I don't want you  
9 divulge any confidential information, so if it is, let me  
10 know. But my question is, in those contracts is there an  
11 escalator for the price of gas or is all of that risk on  
12 the providers?

13 MR. ZIMMORMAN: On both of those -- both of  
14 those contracts fuel is a pass-through.

15 CHAIRMAN DEASON: It is just a pass-through?

16 MR. ZIMMORMAN: Right.

17 CHAIRMAN DEASON: Okay. Now, do they purchase  
18 their fuel and show you what they pay for their fuel or do  
19 you purchase the fuel that they use to generate for you?

20 MR. ZIMMORMAN: They will purchase the fuel, but  
21 our fuels department will be very intimately involved with  
22 their people on their fuel contracts.

23 COMMISSIONER JABER: My question related to  
24 those two contracts. And you may have said this, and I  
25 just missed it. How many megawatts have you entered into

1 a contract for with Reliant, and how many megawatts for  
2 the Oleander plant?

3 MR. ZIMMORMAN: Reliant is for two CTs, which is  
4 approximately 300 megawatts in the summer, about 360 in  
5 the winter. Constellation, the initial contract was for  
6 the same amount, two CTs and then we added a third CT,  
7 which is another 150 in the summer, 182 in the winter.

8 COMMISSIONER JABER: Thank you.

9 MR. HAFF: I've got a question on the last page  
10 there. You just mentioned that the RFP is due, I guess,  
11 tomorrow on the first of those unknown combined cycles.  
12 What is the proxy for that? Is that based against the  
13 next combined cycle at Hardee?

14 MR. ZIMMORMAN: It would probably be a  
15 one-on-one combined cycle unit at our -- at the Hardee  
16 site, which we now call our Paine Creek site. We think  
17 that there will be -- we think we will receive bids for  
18 capacity. We are not anticipating that we are going to  
19 need to self-build. Of course, we will evaluate bids  
20 against a self-build option.

21 MR. HAFF: Okay. And assuming, I guess, for  
22 this argument that every one of these units in the  
23 ten-year site plan for 2000, these three unknown gas  
24 turbines and two unknown combined cycles, assume that they  
25 are all built for Seminole. Is the Paine Creek site, you

1 know, formerly Hardee site, is it certified to handle all  
2 of that capacity?

3 MR. ZIMMORMAN: It is not presently certified  
4 for that much capacity. We would need additional  
5 certification. In addition, there would be additional  
6 transmission required. When we go -- there is  
7 transmission capacity for about 300 megawatts above the  
8 Paine Creek unit. Beyond that, then there is transmission  
9 improvements required which enter into the economics of  
10 that site versus a new Greenfield site.

11 MR. HAFF: Does Seminole own or -- I guess at  
12 the Palatka location, is there any additional -- is there  
13 sited capability to build it there should it be needed  
14 there?

15 MR. ZIMMORMAN: Again, it is not sited. There  
16 is physical room for additional capacity there. We would  
17 have to, again, evaluate the transmission capability.  
18 Being that far north in the state, it can create  
19 transmission problems injecting additional capacity into  
20 the state grid at that point.

21 MR. HAFF: Okay. So the likely location, I  
22 guess, based on what you know now, is it would be  
23 somewhere in Central Florida?

24 MR. ZIMMORMAN: Probably more in the center part  
25 of the state.

1 MR. HAFF: Okay.

2 MR. ZIMMORMAN: Not necessarily Hardee. We are  
3 looking at some other sites. We don't presently have  
4 options, although we are investigating other potential  
5 sites.

6 MR. HAFF: Okay. Are there any other questions  
7 for Seminole Electric Cooperative? Okay. Thank you.

8 Next up there are four merchant plant  
9 companies that filed ten-year site plans with the  
10 Commission. They were filed prior to the, you know,  
11 Supreme Court's order. But in any event, what I wanted  
12 to do was give them an opportunity to present anything  
13 they have or be here for any questions that we may --  
14 people may have on those plans. So with that I will  
15 start with Duke Energy, New Smyrna Beach.

16 MR. GREEN: Thank you. This is Mike Green  
17 with Duke Energy, North America. I've got 53 slides  
18 that I won't show you.

19 MR. HAFF: Thank you.

20 MR. GREEN: We'll answer any questions,  
21 however. We would like to say Duke Energy, North  
22 America stands by the filing we made in April of this  
23 year to bring 514 megawatts of merchant capacity into  
24 the state, with one exception to that filing. That  
25 exception would be the commercial operation date that

1 is stated in there of June of 2002. I do not know what  
2 date to put in there now, given the current status of  
3 the Supreme Court rulings and the lack of  
4 clarifications on the motions for rehearing.

5 So the June 2002 date, unless I can start  
6 construction in three months, is not a reasonable  
7 commercial operation date for that facility, but does  
8 not lessen the intent of Duke Energy to provide low  
9 cost reliable merchant wholesale power to the State of  
10 Florida.

11 And I would answer any questions you have.

12 CHAIRMAN DEASON: I have a question. Do you  
13 still have the ability to obtain the natural gas  
14 commitments to fuel this plant if it were to be built?

15 MR. GREEN: Yes. We have a long-term contract  
16 with Citrus, Florida Gas Transmission, to provide the gas.  
17 And we had several years that we could re-up that  
18 contract, if you will. We have still got a couple of more  
19 opportunities to extend it.

20 MR. HAFF: My questions -- I have got a couple  
21 of questions, really more procedurally about what to do  
22 with the ten-year site plan that you filed. We are  
23 required to classify it as suitable or unsuitable as a  
24 plan. And if -- I guess I'm asking you to fortune-tell  
25 for a minute. What do I do with your plan if the Supreme



1 Court upholds its decision and your plan is based on a  
2 unit that they say can't be built? What do I do with your  
3 ten-year site plan? Do you withdraw it, or do I recommend  
4 it is unsuitable, or what do I do?

5 MR. GREEN: I really don't have an answer for  
6 you. I think you have got to wait and see if there are  
7 any clarifications from the Supreme Court's deliberations  
8 on motions for rehearing, see if there is anything that  
9 will clarify the issue there.

10 MR. HAFF: Okay.

11 MR. GREEN: But bottom line, I think the state  
12 law of Florida requires a power plant with a steam cycle  
13 greater than 75 megawatts to obtain a certificate of need,  
14 but there doesn't appear to be a -- who has the authority  
15 to grant that certificate is unclear. Clearly, I think  
16 what needs to happen is see what the clarifications are  
17 from the Supreme Court, number one; see what views the  
18 Energy Study Commission that the governor has appointed  
19 might have and see if the Legislature does anything to  
20 clarify it next session.

21 MR. HAFF: Okay. Are there any questions for  
22 Duke? Okay. Thank you.

23 MR. GREEN: Thank you.

24 MR. HAFF: Is there someone from Okeechobee  
25 Generating Company here? Okay.

1           COMMISSIONER JACOBS: I have a question for  
2 Duke, actually. It could be for either one of them, but  
3 since you filed one, I am interested in how you determined  
4 what your demand was in the plan that you filed.

5           MR. GREEN: The demand we utilized in our  
6 determination of need was the overall Peninsular Florida  
7 need for electricity, combined with where a 6800 BTU  
8 combined cycle plant will fit in the supply stack. The  
9 fact that Florida is growing by approximately 11,000  
10 megawatts as all the ten-year site plans identify, part of  
11 that 11,000 megawatts is met by what many utilities  
12 specify as unspecified or undetermined sites, unnamed, not  
13 sure where they are at yet, but they are undetermined  
14 sites as yet. Also there is a tremendous amount of  
15 wholesale purchases in each of the utilities' plans to  
16 meet their retail need. So the need that Duke Energy  
17 utilizes in our need determination was the tremendous  
18 amount of growth of Peninsular Florida in the overall  
19 need, and the fact that the individual retail utilities  
20 are providing that need by sometimes unspecified plants  
21 and wholesale purchases from someone. Those wholesale  
22 purchases have to come from somebody, and me being a  
23 wholesale provider, I would suggest I am one.

24           COMMISSIONER JACOBS: When you say your need  
25 determination, you use that same analysis in your -- in

1 the site plan that you filed, as well?

2 MR. GREEN: Yes.

3 COMMISSIONER JACOBS: Okay.

4 MR. HAFF: Commissioner, are you asking whether  
5 the table in the plan laid out what their projected demand  
6 was? There is a table in the ten-year site plan that  
7 lists demand that utilities fill out by residential,  
8 commercial and industrial.

9 COMMISSIONER JACOBS: Right.

10 MR. HAFF: Is that what you're asking?

11 COMMISSIONER JACOBS: That was, but his answer  
12 was probably more in line with what --

13 MR. HAFF: Those forms are blank in their  
14 ten-year site plan.

15 MR. GREEN: We have no retail customers, so  
16 there are many forms in the required forms that we can't  
17 really fill in. However, we have done the assessment of  
18 what our -- based on what our heat rate is and what we  
19 could offer energy as and how much energy then could be  
20 sold that would be, basically, displacing the 23,000  
21 megawatts of capacity in the state today that has a higher  
22 heat rate. And assuming the fuels are going to cost the  
23 same amount, it's when can we sell energy cheaper than  
24 what exists at a higher heat rate plant. That's the  
25 capacity factors that we utilize in our plans.

1 MR. HAFF: Okay.

2 COMMISSIONER JACOBS: Very well. Thank you.

3 MR. HAFF: Thank you.

4 Mr. Moyle.

5 MR. MOYLE: John Moyle, Jr. of the firm of  
6 Moyle, Flannigan. We're counsel of record for Okeechobee  
7 Generating Company. And we would stand by the written  
8 submission that we previously made.

9 I would like to just make a quick comment  
10 with respect to a question that staff asked about what  
11 happens with respect to a finding of suitability or  
12 unsuitability on these plans. And I believe there is  
13 precedent. I think Florida Power and Light last year  
14 or the year before, withdrew a plan. So if the Supreme  
15 Court does not reverse its decision, that is surely an  
16 option, I think, that would be available. And if that  
17 law is not settled at that time, then I would suggest a  
18 finding of suitability would be appropriate.

19 MR. HAFF: Okay. Any questions? Okay, thank  
20 you.

21 Is there someone here for Oleander Power  
22 Project?

23 MR. LOYLESS: Commissioners, I'm Elliott  
24 Loyless, a consultant to the Oleander Power Project. We  
25 had not planned on a presentation today, and I would have

1 given you the respect of a tie had I known. But we stand  
2 by the ten-year site plan that we filed.

3 The only possible change that we know of is  
4 the in-service date, currently June 2002. Our new  
5 target is May of 2002. And, obviously, it could be two  
6 or three months one way or the other. That is still  
7 well ahead of Seminole Electric Co-op's needs.

8 MR. HAFF: I will ask you the same question I  
9 asked Mr. Green. What should we do with your ten-year  
10 site plan, assuming -- I guess, fortune-telling, if the  
11 Supreme Court upholds its order, what do I do with your  
12 ten-year site plan?

13 MR. LOYLESS: Our legal advice has been that we  
14 are not effected by the Supreme Court decision.

15 MR. HAFF: Okay.

16 CHAIRMAN DEASON: And that is because of the  
17 configuration of your plant and the technology?

18 MR. LOYLESS: That's correct. And there was  
19 some question that we might be involved anyway. But,  
20 again, we have been advised that we are not.

21 MR. HAFF: Okay. Are there any questions for  
22 Oleander? Okay. Thank you.

23 Okay. Is there someone from Calpine  
24 Construction Finance Company here?

25 MR. EVES: I'm Tim Eves from Calpine. And thank

1 you for the opportunity to come and talk today.

2 We stand behind our ten-year site plan, but  
3 it is somewhat of a fluid process, so I thought I would  
4 tell you where we stand in the status of our projects.

5 Just briefly, for those of you that don't  
6 know Calpine, we are operational in 27 states. We have  
7 over 5,000 megawatts of wholesale generation. We have  
8 10,000-megawatts currently in construction and  
9 development. We own significant gas reserves and have  
10 an acquisition program in place for buying additional  
11 gas reserves.

12 Here in Florida we own the 150-megawatt  
13 cogeneration plant in Auburndale called the Auburndale  
14 Power Partners. We sell the power from that facility  
15 under contract with Florida Power Corp and Tampa  
16 Electric. We sell our cogeneration steam to Catrelli  
17 Citrus Processors and Florida Distillers. We are in  
18 the process of adding another 100-megawatt peaker at  
19 that facility and our permit applications are in place.  
20 We expect to have that operational by next summer.

21 We have our Osprey need petition pending  
22 before the Public Service Commission. We filed our  
23 site certification application for our Osprey plant in  
24 March of this year. That is a 540-megawatt combined  
25 cycle plant.

1           There was a question earlier regarding air  
2 permits. We have our draft air permit issued for that  
3 plant.

4           We have interconnection studies and our  
5 transmission access studies underway with Tampa  
6 Electric. We expect the commercial operation of that  
7 plant in early 2003.

8           We have also announced our Blue Heron  
9 facility, which is a 1,080-megawatt facility over in  
10 Indian River County. Our site certification  
11 application and need petition are in process, and we  
12 will be filing those late September, early October.

13           We have our interconnect and transmission  
14 access agreements in place with Florida Power and  
15 Light, and we were one of the entities with Florida  
16 Power and Light who waived the confidentiality  
17 requirements. We expect commercial operation of that  
18 plant in late 2003.

19           Now, as seen by the ten-year site plans, a  
20 lot of the discussion here, there is a significant need  
21 here in the state. And as Mike Green said, there is  
22 unidentified plants that have been specified to meet  
23 those needs. We are in the process of contracting with  
24 a number of utilities in the state for capacity so that  
25 the capacity from our plants will help meet some of

1 these unspecified needs. We would like to think of our  
2 plants as contract plants instead of merchant plants.

3 Our ten-year site plan also identified two  
4 additional sites that we have under contract. We have  
5 options on a number of other sites. We also acquired  
6 Sky-Gen (phonetic) since the filing of our ten-year  
7 site plan. Sky-Gen has a subpower plant siting act  
8 Santa Rosa project in development up in Pensacola that  
9 now will now become one of our projects. And we are  
10 working on a number of other acquisitions and strategic  
11 alliances here in the state.

12 And I would just like to say we have noted  
13 your decision, the Commission's decision on the  
14 wholesale incentives for the IOUs, and we are  
15 encouraged by that decision, thinking that you are  
16 speaking in support of developing a more robust  
17 competitive wholesale power market here. We are here.  
18 We are going to build power plants, and we are excited  
19 to be a part of this emerging market.

20 And that is my presentation.

21 COMMISSIONER JABER: And you're sticking to it.

22 MR. EVES: That's right.

23 COMMISSIONER JABER: Do contract plants provide  
24 wholesale or retail?

25 MR. EVES: They will provide wholesale power,



1 and we are working on contracts with entities in the state  
2 that have retail load.

3 COMMISSIONER JABER: You provide wholesale  
4 services to plants that provide service to retail, to the  
5 ratepayer, basically?

6 MR. EVES: That's correct. Actually, you know,  
7 a few have submitted some letters on our behalf to the  
8 Commission, like FMPA, OUC and Reedy Creek. Those are  
9 good examples of the folks that we are talking with about  
10 contracting some of our wholesale capacity that they will  
11 buy to meet their retail loads. As Mike said, there is a  
12 wholesale market. A lot of these guys are buying their  
13 wholesale power from somebody. And that is just an  
14 example of the few that we are talking to about buying  
15 some of our wholesale power.

16 MR. HAFF: I'm going to ask you the same  
17 question regarding the -- I guess, procedurally how to  
18 treat your ten-year site plan if the Supreme Court upholds  
19 its decision sometime soon before this report comes out in  
20 November. Do you have an opinion as to what you should do  
21 with your plan if the units that comprise that plan are  
22 decided that they can't be built?

23 MR. EVES: I think what the Supreme Court said  
24 is if your plant is not committed to meeting the needs  
25 here in the state, you can't build it. Our plant will be

1 built based on contracts to meet the capacity needs here  
2 in the state. So I don't think the Supreme Court  
3 decision, if it stands, will apply to our plants.

4 MR. HAFF: Do you have -- I mean, you're kind of  
5 reading the future here, I guess. Do you know if that  
6 will be done by November when this report goes to them for  
7 their consideration?

8 MR. EVES: Mike, I would submit it doesn't  
9 matter how the Supreme Court comes down. If they come  
10 down and affirm their decision, I think because our --  
11 because we are going to build our plants based on  
12 contracts, we can go forward. I think if the Supreme  
13 Court comes down and reverses themselves, it will just  
14 make it that much easier for us to go forward as well as  
15 some of my colleagues here.

16 MR. HAFF: Okay.

17 MR. EVES: So I would say our site plan ought to  
18 be held as active or good or whatever your -- you know,  
19 whatever you classify it as.

20 MR. HAFF: Okay. Are there any other questions  
21 for Calpine? Okay. Thank you.

22 MR. EVES: Thank you.

23 MR. HAFF: Next on our agenda is we typically  
24 hold time for the public or other interested parties to  
25 give their presentations or comments on the specific plans

1 or the plans in general. And, I guess, right now we'll  
2 have those public comments, if there is anyone that wishes  
3 to speak to the Commission.

4 Okay. I guess that is -- I will turn it over  
5 to you now.

6 CHAIRMAN DEASON: Okay. Thank you.

7 I just want to take an opportunity to thank  
8 everyone for coming, preparing your plans,  
9 participating in this workshop. I don't want to give  
10 the false impression because we worked through lunch  
11 and tried to do this quickly that we weren't interested  
12 in your plans. That is certainly not the case at all.  
13 Your participation is greatly appreciated. And if  
14 there is nothing else to come before the Commission at  
15 this time this workshop is concluded.

16 Thank you all.

17 (The Workshop concluded at 1:12 p.m.)  
18  
19  
20  
21  
22  
23  
24  
25

1 STATE OF FLORIDA)

2 : CERTIFICATE OF REPORTER  
3 COUNTY OF LEON )

4  
5 I, JANE FAUROT, RPR, Chief, FPSC Bureau of Reporting,  
6 Official Commission Reporter, do hereby certify that the  
7 Workshop (undocketed) was heard by the Florida Public  
8 Service Commission at the time and place herein stated.

9 It is further certified that I stenographically  
10 reported the said proceedings; that the same has been  
11 transcribed under my direct supervision; and that this  
12 transcript, consisting of 131 pages, constitutes a true  
13 transcription of my notes of said proceedings.

14 I FURTHER CERTIFY that I am not a relative, employee,  
15 attorney or counsel of any of the parties, nor am I a  
16 relative or employee of any of the parties' attorneys or  
17 counsel connected with the action, nor am I financially  
18 interested in the action.

19 DATED this 25th day of September, 2000.

20  
21  
22  
23  
24  
25  


JANE FAUROT, RPR  
FPSC Division of Records & Reporting  
Chief, Bureau of Reporting  
(850) 413-6732