

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION


In the Matter of:

PROPOSED AMENDMENTS TO RULES  
REGARDING OVERHEAD ELECTRIC  
FACILITIES TO ALLOW MORE STRINGENT  
CONSTRUCTION STANDARDS THAN REQUIRED  
BY NATIONAL ELECTRIC SAFETY CODE.

DOCKET NO. 060173-EU

-----  
PROPOSED RULES GOVERNING PLACEMENT OF  
NEW ELECTRIC DISTRIBUTION FACILITIES  
UNDERGROUND, AND CONVERSION OF EXISTING  
OVERHEAD DISTRIBUTION FACILITIES TO  
UNDERGROUND FACILITIES, TO ADDRESS  
EFFECTS OF EXTREME WEATHER EVENTS.

DOCKET NO. 060172-EU



ELECTRIC VERSIONS OF THIS TRANSCRIPT ARE  
A CONVENIENCE COPY ONLY And ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING,  
THE .PDF VERSION INCLUDES PREFILED TESTIMONY

PROCEEDINGS:           RULE DEVELOPMENT WORKSHOP  
DATE:                   Monday, April 17, 2006  
TIME:                   Commenced at 9:30 a.m.  
                          Concluded at 3:18 p.m.  
PLACE:                  Betty Easley Conference Center  
                          Room 148  
                          4075 Esplanade Way  
                          Tallahassee, Florida  
REPORTED BY:           JANE FAUROT, RPR  
                          LINDA BOLES, RPR, CRR  
                          FPSC Official Commission Reporters

DOCUMENT NUMBER-DATE

FLORIDA PUBLIC SERVICE COMMISSION 03820 MAY-1 8

FPSC-COMMISSION CLERK

## P R O C E E D I N G S

1  
2 MR. HARRIS: This is a staff rule development  
3 workshop, a notice was issued for dockets, let's see, 060172  
4 and 060173, notice of rule development workshop. The purpose  
5 of the workshop is set forth in the notice which you all have  
6 seen since you are here.

7 There is a sign-up sheet in the back of the room.  
8 Everybody that wants to speak needs to make sure you are signed  
9 in.

10 There are copies of the packet, also make sure you  
11 have those. They were published with the notice, but we have  
12 some extra copies over here to my right.

13 The purpose of today's workshop, as I understand it,  
14 and the technical staff will correct me, is we want to get you  
15 all's input on the staff proposed rules. We have a number of  
16 them in the packet. You all have looked at them. What we are  
17 trying to do today is get your comments. Are they good, are  
18 they bad, changes, proposals, additions, things like that. We  
19 want to try move pretty quickly. We have got a lot of  
20 information here. We have the whole day for this workshop, we  
21 have got a lot of people who are probably going to want to  
22 speak. So, again, what we are focused on, as I understand it,  
23 is trying to make sure that we get you all's comments and  
24 input.

25 With that, I'm going to go ahead and turn it over to

1 technical staff, who I believe have a couple of slides to start  
2 out with, and we will go from there.

3 MR. TRAPP: Good morning. My name is Bob Trapp. I'm  
4 with technical staff, and with me is Jim Breman, from my  
5 section, and Connie Kummer, and then Chris Moore, who is going  
6 to keep us straight from a rulemaking legal standpoint. And  
7 then, of course Larry, our lawyer, who is going to keep us all  
8 straight this morning.

9 We have a fairly daunting task before us today, so  
10 staff proposes to pretty much get right down to work. We are  
11 going to begin our discussions on Page 7 of the handout. I  
12 hope that you all have gotten a copy of the handout. If we  
13 need additional copies, please let us know so we can have them  
14 made. Please sign the sign-up sheet so we know who is here.

15 But before we start on Page 7, going through the text  
16 of the proposed rules, I just want to throw up some theme  
17 slides, if I could. The first one pretty well summarizes what  
18 staff has proposed in Rule 25-6.034, standard of construction,  
19 pertaining to the hardening of overhead and underground  
20 facilities. And, basically, what this rule proposal does is  
21 adopt the high wind standards from the National Electric Safety  
22 Code. It also -- that's for overhead poles and structures.

23 For underground facilities, we have basically  
24 encouraged the utilities to hardening prepare plans and  
25 construction standards to harden, water proof, storm proof

1 underground facilities in Category 3 storm surge areas.

2           The three colored maps behind me are three counties  
3 that represent the corporate headquarters of the investor-owned  
4 utilities. The state map got so small you really couldn't see  
5 it, so we picked these three counties just as an illustration  
6 of what is available at the website at the bottom of the page  
7 that's sited in the rule, and that is the Division of Emergency  
8 Management surge zone emergency planning maps. I believe  
9 Category 3 is shown in yellow, so that shows you the extent of  
10 the coastal areas that we are proposing hardening to take place  
11 in.

12           Other aspects of the rule, if you turn to Page 3 of  
13 the handout, in the next slide we have tried to address the  
14 issue of rear lot versus front lot construction. Jim did a  
15 good job of finding the horror slides of rear lot construction  
16 and how messy and difficult they can be in terms of access for  
17 utility maintenance and repair. And then we tried to contrast  
18 that with a fairly clean-looking front lot overhead.

19           And then, finally, as we progress through the rules  
20 to the underground sections, we have put into formula form the  
21 conversion case from overhead to underground for the CIAC  
22 calculation. And I assume that we'll later on in the day be  
23 discussing the components of this formula in some detail.

24           And with that, I'll will ask if there are any other  
25 staff comments before we get started on Page 7 of the rule.

1 Chris? Connie? Jim?

2 We will turn to Page 7 of the rule, then, or the  
3 handout, excuse me. And we're looking for your input, so we  
4 welcome you. This room is a little difficult for this type of  
5 working workshop. It's kind of hard to see and hard to know  
6 who is talking, so if you will maybe raise your hand, and also  
7 please identify yourself for the record because we are keeping  
8 a record here.

9 The first section has to do with application and  
10 scope, and I guess we'll start right off with a tough one,  
11 investor-owned utilities. Do you have any problem with our  
12 jurisdiction in this rule section? This is just IOUs first,  
13 and then we will go to munies and co-ops. Starting from my  
14 left and your right, Manny, Florida Power and Light.

15 MR. MIRANDA: You're just referring to Item 1?

16 MR. TRAPP: Just Item 1.

17 MR. MIRANDA: No, no concerns.

18 MR. TRAPP: Gulf?

19 MR. BADDERS: Gulf has no concerns.

20 MR. BURNETT: Progress Energy Florida, no concerns.

21 MR. TRAPP: Okay. Maybe we need to take appearances.

22 MR. SPOOR: I'm Mike Spoor, Florida Power and Light  
23 Company.

24 MR. MIRANDA: Manny Miranda, Florida Power and Light.

25 MR. BADDERS: Russell Badders with the law firm of

1 Beggs and Lane on behalf of Gulf Power Company.

2 MR. BATTAGLIA: Ed Battaglia with Gulf Power Company.

3 MR. BURNETT: John Burnett, Progress Energy Florida.

4 MR. McDONALD: David McDonald, Progress Energy.

5 MR. HAINES: Regan Haines, Tampa Electric Company.

6 MR. H. BRYANT: Howard Bryant, Tampa Electric

7 Company.

8 MR. WILLINGHAM: Bill Willingham, Florida Electric

9 Cooperative Association.

10 MR. MOLINE: Barry Moline, Florida Municipal Electric

11 Association.

12 MR. TRAPP: And if you would, identify yourselves

13 every time you speak.

14 Fred Bryant wants to be recognized in the back of the  
15 room, as well.

16 MR. F. BRYANT: Fred Bryant, Florida Municipal

17 Electric Association.

18 MR. TRAPP: And, Fred, there is a whole bank of  
19 microphones here to our left. And anyone else who would like  
20 to speak, please feel free to come to a microphone.

21 And this is the most important lady in the room, our  
22 court reporter, who makes sure she knows who you were.

23 I think we got down to TECO.

24 MR. HAINES: Regan Haines, Tampa Electric Company.

25 No comments on Item 1.

1 MR. TRAPP: I'll turn now and ask the same question  
2 to -- well, I guess the co-ops, since they are next in line.

3 MR. WILLINGHAM: Yes, we do question your  
4 jurisdiction, especially with proposed Sections 5 and 6 of the  
5 rule.

6 MR. TRAPP: Would you -- what's your proposal in  
7 Section 1?

8 MR. WILLINGHAM: Well, I mean, there are a couple of  
9 options here. If you are going to leave 5 and 6 the way they  
10 are, obviously, we would recommend that you just not put us in  
11 the rule. We have never been in the rule before, and we  
12 thought that was a correct interpretation before. But those  
13 two sections cause us a lot of pain. I can go through the  
14 whole spiel if you want to hear it.

15 I mean, we're -- the co-ops, you know, certainly  
16 share the Commission's desire to minimize the outages that are  
17 going to result in the inevitable outages from hurricanes, and  
18 we welcome the opportunity to work with you on this effort.  
19 But we just think you are talking about some big costs here.  
20 You're talking about things that, you know, construction  
21 standards as opposed to -- you know, the National Electric  
22 Safety Code has criteria in it. They are not really standards.  
23 And so we think you are kind of making a big leap of faith here  
24 that we just don't think is there. But these are -- when you  
25 are talking about big dollar items, we think that's exclusively

1 the co-op board's jurisdiction.

2 MR. TRAPP: Okay. Municipals?

3 MR. F. BRYANT: Bob, I have got a couple of questions  
4 on the section of the rule on standard of construction. And I  
5 would like to really hear from staff on what portion of your  
6 jurisdiction as to this part of the rule you believe you are  
7 implementing. I'm not trying to take a position right now. I  
8 really want to understand more of where you are coming from and  
9 the thought process of what you are trying to get to under this  
10 section.

11 As you remember, this particular section never was  
12 applicable to the municipals or the co-ops. The next section  
13 on safety was. And now you're adding to this section. I'm  
14 just trying to understand how you are trying to arrive at that.

15 MR. TRAPP: So you are more interested in the legal  
16 definition or the legal explanation as to why we have  
17 jurisdiction, or you're looking for clarification with respect  
18 to the technical requirements of the rule and whether or not  
19 they conform to existing jurisdiction?

20 MR. F. BRYANT: Well, obviously, you know that every  
21 rule that you adopt must have statutory jurisdiction authority  
22 in order to adopt that rule. Heretofore, this portion of the  
23 rule was not applicable to municipals or the co-ops, the  
24 standards of construction. I understand that in this  
25 rulemaking process you are expanding the scope of what you are

1 trying to accomplish in this particular area, so I'm curious as  
2 to which portions of the statute that you believe now are  
3 applicable in this one particular portion of the rule.  
4 Because, obviously, the next portion of the rule there has  
5 always been your safety provision. You have a particular  
6 statutory section on safety that applies to municipals and the  
7 co-ops that you have had implemented for, I don't know, 10 or  
8 15 years.

9           So you have gone from one section of your rules that  
10 definitely the municipals and the co-ops were included under  
11 safety, and it is now going into construction where you have  
12 never had the jurisdiction before, so I would like to  
13 understand better the thought process of doing that.

14           MR. TRAPP: Well, I'm not an attorney.

15           MR. F. BRYANT: No, I know.

16           MR. TRAPP: I have an engineering background, but  
17 before I turn to my attorney, let me just give you the  
18 technical staff's perspective. We're given to understand that  
19 we do have jurisdiction under the statute, and that it has to  
20 do with whether or not that jurisdiction was codified in the  
21 rule and enforced in the rule in the past or whether or not the  
22 systems that existed up until now have been sufficient for the  
23 munies and co-ops to basically follow along, if you would, with  
24 what was being required of the investor-owned utilities.

25           I'm given to understand, though, that with respect to

1 the standards of construction, our legal staff tells us that we  
2 do have jurisdiction, and that if we elect to make you part of  
3 this rule, it is within our jurisdiction to do so.

4 Understanding that the purpose of this rule is to try to  
5 strengthen Florida's ability, enhance our ability to serve the  
6 public good, protect citizens and their essential services to  
7 the extent that we can and to the extent that it is cost  
8 justified to do so, to withstand the onslaught of hurricanes  
9 and storms which seems to have increased in frequency.

10 So, again, I hope that we -- we trust that we haven't  
11 been Draconian in the measures that we have proposed here, but  
12 that is what we are here for today is to hear whether or not  
13 they need to be strengthened, softened, modified, or altered.  
14 So I hope, notwithstanding the jurisdiction arguments that we  
15 will have some good input from all the people here today about  
16 how we can make this a good rule, and then we can fight the  
17 legal battles later.

18 MR. F. BRYANT: I understand. You know, lawyers are  
19 caught up in technicalities, and I'm just trying to understand  
20 which portion of the statute that this new change to 25-6.034  
21 is derived from. That is the technical question, and perhaps  
22 your legal staff could --

23 MR. TRAPP: Bill pointed specifically to Sections 5  
24 and 6 of the rule which we will get to pretty quickly to  
25 discuss the merits of the language. Is your objection to the

1 overall exercise of jurisdiction or could it be possibly be  
2 ameliorated by fixing 5 and 6?

3 MR. F. BRYANT: Normally, you know, when I have an  
4 objection, I take my shoe off and bang on the table. This is  
5 really just a preliminary question to make sure that we  
6 understand where you all are coming from.

7 MR. TRAPP: Okay. Larry, did you have --

8 MR. HARRIS: Yes. I don't want to go into a lot of  
9 detail about the argument, but I think, essentially -- I think  
10 it is 366.05, Subsection 8, I believe, requires all electric  
11 utilities, and my understanding of all electric utilities is  
12 everybody in the state needs to maintain a reliable grid. And  
13 we have the authority after due process, after hearing  
14 concerns -- and "we" being the Commission, have the authority  
15 to require what the Commission would determine to be in the  
16 public interest and necessary for safety and reliability.

17 I think there is a distinction between public  
18 utilities and electric utilities. And my recollection is the  
19 statute that I'm thinking of refers specifically to all  
20 electric utilities within the state.

21 Again, I think Mr. Trapp was correct. Our real  
22 interest here today is in making sure you all feel that you  
23 have presented enough information that we can take to the  
24 Commission for their determination of public interest. But I  
25 do believe that under the Grid Bill the Commission has the

1 authority to require for safety or public interest, you all to  
2 step up to some standards if a determination is made that the  
3 standards you are operating under today are not sufficient.

4 MR. F. BRYANT: So I guess the answer to my question  
5 was this is not based upon your safety jurisdiction the  
6 specific section that the next rule is based upon as opposed to  
7 your Grid Bill jurisdiction.

8 MR. HARRIS: Correct. There's a difference between  
9 our safety -- the Commission's safety jurisdiction and the  
10 Commission's reliability jurisdiction.

11 MR. F. BRYANT: I understand. Okay.

12 MR. TRAPP: I guess for the time being we will move  
13 to Paragraph 2. Paragraph 2, the intent of Paragraph 2 is to  
14 recognize the current edition, which is the 2002 edition of the  
15 National Electric Safety Code, as the minimum construction  
16 standard for transmission and distribution facilities. This  
17 parallels recognition of this code in the safety statute and  
18 the safety rule, but we wanted to make a separate statement and  
19 make a clear distinction that there are overall construction  
20 standards and then there are safety standards, and they are two  
21 different things. So this basically codifies the National  
22 Electric Safety Code in its current form, and as it is updated.

23 At the same time, let me cover Paragraph 3 which,  
24 basically, is staff's attempt to acknowledge the grandfathering  
25 provision that's usually associated with the National Electric

1 Safety Code. This says that existing facilities are judged by  
2 the code at which they were constructed or at the time they  
3 were constructed. And, basically, new construction, new code  
4 standards only come into play when you have major repairs,  
5 replacements, retirements, things of that nature. So taking 2  
6 and 3 together, anybody have a problem with 2 and 3?

7 Bill.

8 MR. WILLINGHAM: Yes. Bill Willingham with the  
9 co-ops. I just have -- it's kind of a technical problem. I'm  
10 not sure it is a big problem, but calling the National Electric  
11 Safety Code the minimum construction standards, I kind of have  
12 a problem with. Because the electric safety code, they are not  
13 design specifications, and it is not really a construction  
14 standard. We have the rural utility services that pretty much  
15 defines what our construction standards are, and if the PSC is  
16 going to get into the business of defining the co-ops'  
17 standards, then we have got some problems under the RUS,  
18 because we loan covenants with the RUS, and we will follow  
19 their specifications.

20 I don't know where we are going with this, but we  
21 have got the potential down the road to have a conflict with  
22 those, and that would be a huge issue for the co-ops.

23 MR. TRAPP: To what extent do the code requirements  
24 or construction standard requirements of the co-ops fall below  
25 the National Electric Safety Code?

1 MR. WILLINGHAM: Oh, none of them are below. That is  
2 the absolute minimum that we design to. Several of our co-ops  
3 are designed above that standard.

4 MR. TRAPP: Well, if they are the absolute minimum,  
5 what's wrong with calling them the absolute minimum?

6 MR. WILLINGHAM: If they are the minimum, I don't  
7 have a problem with. I just have a problem with saying that  
8 they are construction standards, because I don't think they  
9 are. In fact, the code specifically says they are not design  
10 criteria.

11 MR. TRAPP: If you look at Line 12 at Page 7, it says  
12 as the minimum construction standards. Does that not satisfy  
13 your concerns?

14 MR. WILLINGHAM: Well, yeah. I don't think the  
15 National Electric Safety Code are construction standards. So,  
16 you are adopting them as construction standards, and I just  
17 have got a problem with that terminology. If you want to say  
18 as, you know, the minimum safety criteria or something like  
19 that, I think that would be more appropriate.

20 MR. TRAPP: Well, again, we are trying to make a  
21 distinction here between safety requirements and construction  
22 standards for reliable adequate provision of service. So, I'm  
23 not sure that that solution would work. Do you have another  
24 solution?

25 MR. WILLINGHAM: No, I don't.

1 MR. TRAPP: Maybe think about it for the written  
2 phase.

3 MR. WILLINGHAM: We'll do our best.

4 MR. TRAPP: Thanks. Anyone else?

5 MR. BURNETT: Bob.

6 MR. TRAPP: I'm sorry.

7 MR. BURNETT: Thank you, Bob. John Burnett, Progress  
8 Energy Florida. Bob, I think you answered sort of the question  
9 we had in your description of the interplay with Subsection 2  
10 and 3. And you actually used the word major there when  
11 referring to expansion, rebuild, and relocation. I think that  
12 clarified staff's intent for us. And in the written phase we  
13 wanted to offer up maybe some definitions that would capture  
14 the intent of major.

15 But, again just to reflect. That was staff's intent,  
16 though, is to make the expansion, rebuild and relocation major  
17 projects and not, for instance, touching one piece of equipment  
18 on one pole which would require an entire line to be upgraded  
19 out of the grandfather standard.

20 MR. TRAPP: So you are speaking of Lines 14, 15, and  
21 maybe 16?

22 MR. BURNETT: Yes, sir.

23 MR. TRAPP: We have difficulty with that,  
24 understanding what is major maintenance and what is minor  
25 maintenance. And to the extent that you can clarify that, I

1 think it would be helpful.

2 MR. McDONALD: Well, I think as we consider -- David  
3 McDonald, Progress Energy. As we consider this rule, and I'm  
4 sure I'm going to be oversimplifying it, but we are looking at  
5 potentially the replacement of a pole is when this rule would  
6 be invoked. Because we go under the premise of a work order  
7 number to a lot of poles doing a lot of different things. And  
8 when you look at a relocation, as an example, you may -- on a  
9 feeder you may have a thousand poles, and you are only  
10 affecting 20 or 30 poles on that. The way I would interpret  
11 what you are striving for is the 20 and 30 would fall under  
12 this premise as long as those poles are being removed and  
13 relocated to another location. Is that a pretty good -- but  
14 not the rest of the pole line.

15 MR. TRAPP: I really don't know, David. We're torn,  
16 to be honest with you. We have got the pole inspection plan  
17 out there that was intended to find every rotten pole and make  
18 sure that it met standards. And I think our -- I don't know.  
19 I personally see that as the weakest link in terms of a storm  
20 resistance load, whatever, that pole standing there. So I  
21 think our intent is to address major work orders, and we  
22 attempted to address it with work order, but I think you're  
23 right, a work order could be one pole or it could be many.

24 So, again, staff is struggling, trying to define  
25 this. Much of it, in my mind, may come into play, as you do,

1 and we are going to ask at the end of the workshop that you do  
2 do some economic analysis on these words. And to the extent  
3 that maybe you could give us some feedback on what the cost  
4 impacts would be as to whether or not we narrow it to one pole  
5 versus 20, 30, 40. You get into line segments. I don't  
6 know -- we haven't heard that much trouble with that, so I'm  
7 not sure I am as concerned, but you did touch on the sore  
8 point, poles.

9 MR. McDONALD: And the biggest point is the  
10 demarcation. When you look at a relocation, it's pretty well  
11 defined what that takes. And I'm just using that as an  
12 example, the major relocation and the major project. It has  
13 pretty good boundaries. If you start going beyond those  
14 boundaries, then where do you stop? Do you stop at the next  
15 disconnect point? Do you go all the way back to the  
16 substation? And, then, do you go beyond that, do you go to the  
17 lateral? So that's the clarification, in order to answer this  
18 economic evaluation, we need to consider.

19 MR. TRAPP: I take your point, and would very much  
20 appreciate words to support the point, because time is going to  
21 be of the essence here. And we do need proposed alternative  
22 language if you have a real heartburn with something we're  
23 proposed.

24 Are there any more comments?

25 Manny. I'm sorry, I think Fred was first.

1 MR. F. BRYANT: We are on Page 7?

2 MR. TRAPP: Yes.

3 MR. F. BRYANT: Okay. I'm a little confused with  
4 talking about the -- and maybe it wasn't intended. It seems  
5 that you are saying the National Electric Safety Code is  
6 minimum construction standards. And then I read the  
7 introduction to the National Electric Safety Code, and it says,  
8 and I will paraphrase: The purpose of NESC is the practical  
9 safeguard of persons during the installation, operation, or  
10 maintenance of electric supply and communication lines and  
11 associated equipment. The NESC contains the basic provisions  
12 that are considered necessary for the safety of employees and  
13 the public under these specific conditions.

14 And this is the line bothers me: The NESC is not  
15 intended as a design specification or as an instructional  
16 manual. Do you see any inherent conflict in the verbiage of  
17 your proposed rule that seems to indicate that the NESC is a  
18 minimum construction standard?

19 MR. TRAPP: My problem is I don't think you want us  
20 to write construction standards for you.

21 MR. F. BRYANT: Oh, I agree. And I'm not quarreling  
22 with what you are trying to get at. I'm just asking. It's a  
23 verbiage question more than a technical question. I was just  
24 troubled by what I was reading in the NESC prologue, if you  
25 will.

1 MR. TRAPP: Well, the easiest way to take care of  
2 that trouble is to just say that we ignore that sentence in the  
3 code, and we don't adopt that sentence. But I don't think that  
4 is very practical. Just to throw an idea out there, what if we  
5 said that -- instead of saying as the minimum construction  
6 standards, what if we were to concept it as the basis for  
7 minimum construction standards to be proposed and adopted by  
8 the utilities?

9 In other words, what we're looking for here is a base  
10 line, a starting point, and we have selected the National  
11 Electric Safety Code because that is pretty much all we are  
12 aware of. The burden, though, is on you. The burden is on the  
13 utility to construct and maintain its facilities in a safe,  
14 efficient, effective, adequate, reliable manner. And that is  
15 what is we are trying get to here. This is just the starting  
16 point. Now we are going to add to it a few more hardening  
17 concepts later on in the following paragraphs. So does that  
18 make you feel any better if we were to --

19 MR. F. BRYANT: I'm --

20 MR. TRAPP: The basis -- you know, the basis for  
21 plans to be developed by utilities?

22 MR. F. BRYANT: We might have some suggested words.  
23 You know, I'm just trying to think through how you are using  
24 your language here.

25 MR. TRAPP: Well, I am hoping to get some kind of

1 consensus out today.

2 MS. KUMMER: Bob, could I jump in for just a minute?

3 MR. TRAPP: Connie.

4 MS. KUMMER: I'm not sure that just because the NESC  
5 doesn't set itself out as being a standard that we can't adopt  
6 the criteria in that as a standard. Now, that is just a  
7 thought. We haven't talked about that in particular. But just  
8 because it doesn't hold itself out to be a standard, I don't  
9 think is really a controlling factor.

10 MR. F. BRYANT: I understand, Connie. The last  
11 sentence of Subsection 2 talks about a copy of the NESC can be  
12 obtained from the Institute of Electric and Electronic  
13 Engineers, EEI. Just a suggestion, you might want to think  
14 about how you word that in here. Because if I were John Doe  
15 Public and read this and then called and asked for a copy, and  
16 I was told as I was last week when I called them, yes, you can  
17 have a copy, send us \$200. I guess if I were the public I  
18 would be a little upset with the Commission saying to the  
19 public you can get a copy, but then I find out it cost me \$200.

20 MR. TRAPP: I think I would be a little upset with  
21 the Institute of Electronic and Electronic Engineers for  
22 putting those publication requirements on such a public code.  
23 And maybe we should refer those phone calls to them and to ANSI  
24 and to some other -- your point is well-taken. Staff has one  
25 copy, by the way, that's what we can afford.

1 I think Manny was first, and then Mr. Nelson, is it,  
2 Nelson Bingel?

3 Manny.

4 MR. MIRANDA: Manny Miranda, Florida Power and Light.  
5 Generally, we are in agreement with the context of it. One  
6 area that we would like to ask about is during a storm  
7 restoration event, and we would like to make sure that during a  
8 storm event that we have an exclusion for that. We would come  
9 back and rebuild, but there is a possibility that we don't want  
10 anything that would delay our restoration efforts.

11 So we want to make sure that, you know, for example,  
12 you may have a concrete pole that broke due to some kind of  
13 toppled tree or something. We may want to go back with a wood  
14 pole temporarily, get lights on and then come back and build it  
15 back to the appropriate code.

16 MR. TRAPP: As you propose that language, keep in  
17 mind that temporary repairs should not be permanent repairs.

18 MR. MIRANDA: We understand that.

19 MR. TRAPP: And so any exclusion that we grant should  
20 be followed by, in my mind at least, a very stringent  
21 requirement to get the permanent repair in.

22 Mr. Bingel, I believe it is.

23 MR. BINGEL: Yes. I'm Nelson Bingel with Osmose, and  
24 I am also on the NESC. And there is -- at every meeting we get  
25 together there is always a reminder that it is a basic safety

1 standard. That is the definition of the NESC. It is not a  
2 design guide.

3 But I think, Bob, you were moving in the direction  
4 that maybe could blend these two requirements together with the  
5 idea that if it said as the minimum standards for safe  
6 construction of transmission and distribution facilities, then  
7 we are not really calling it a construction guide or a design  
8 guide.

9 MR. TRAPP: That is a point well taken.

10 Do we have other comments? Barry.

11 MR. MOLINE: Bob, I just want to clarify, to follow  
12 up David's question about major and your comment back to him  
13 that said staff was a little uncertain about what you were --  
14 how you were defining that. And you asked us for words to  
15 define that or economic analysis. What are you looking for? I  
16 mean, we can do anything, but are you looking for a list of 20  
17 examples we consider this to be major and this not to be? I  
18 mean, are you looking for, you know, just a sentence that tries  
19 to define it? But, you know, you asked us for information, but  
20 I'm trying to figure out what kind of information you need to  
21 have to define it.

22 MR. TRAPP: As we attempt to define the granularity,  
23 I guess, of what we mean by what is a replacement, what is  
24 major, what is minor, what is in between, it occurs to me that  
25 the decision has to be governed to some degree by cost, cost

1 impact. If it was free, every time something breaks replace  
2 it. But it's not free. So I need some type of system analysis  
3 from each utility on what, you know, order of magnitude cost  
4 impacts of different gradients of the words you're going to  
5 propose. I need to know what it is going to cost.

6 MR. MOLINE: Okay.

7 MR. TRAPP: Yes, sir.

8 MR. ROLLINS: My name is Martin Rollins. I'm a  
9 consulting engineer from Gulfport, Mississippi. I'm here this  
10 morning on behalf of the North American Wood Pole Council,  
11 which represents all of the wood pole manufacturers in North  
12 America. I just wanted to, you know, make a short comment that  
13 I had questions as I read this in terms of interpretation and  
14 applicability. Some of the things that Mr. McDonald, I think,  
15 has sort of alluded to.

16 In Paragraph 2 we talk about new construction, but  
17 when we get over to Paragraph 5 or 6, we get as specific as new  
18 structures. And we talk about relocations and we talk about  
19 expansions, rebuilds, et cetera, the interpretation is going  
20 need to be made as to, you know, what are you really saying in  
21 this rule. And you talked about a line relocation and how far  
22 back does it go? Does it go to the next switch gear or  
23 whatever.

24 I guess my question, or to further expand on that is  
25 are we only talking about structures? If we are going to

1 upgrade to NESC extreme wind criteria, then we have got all  
2 other aspects of the system that need to be evaluated at that  
3 the time also. That would include cross-arms and conductors  
4 and insulators, et cetera. So how do you -- and I guess what  
5 I'm saying and I'm raising the issue that there is a great deal  
6 of interpretation or clarification that's going to be needed to  
7 be developed in order for the utilities to be able to  
8 understand what you are actually asking of them.

9 MR. TRAPP: Well, just to answer your question, on  
10 Line 13, it says construction standards for transmission and  
11 distribution facilities. Facilities is meant to be  
12 all-encompassing. I think our discussion may have gotten  
13 focused into poles, but we are talking about everything.

14 MR. ROLLINS: Right. But I guess the question is I'm  
15 going out on a routine replacement to replace a single pole, be  
16 it wood, steel, or concrete. I'm replacing a single pole on a  
17 routine maintenance basis. Do I have to design that new pole  
18 to NESC extreme wind criteria in accordance with Paragraphs 5  
19 and 6, or am I not going to be allowed to do that? Because,  
20 you know, Paragraph 5 says new structures.

21 MR. TRAPP: We're on Paragraph 2.

22 MR. ROLLINS: I understand. But I guess it goes to  
23 the definition of what we are calling new construction, then.

24 MR. TRAPP: Well, let's try to get to Paragraphs 5  
25 and 6, because that is really what we are here for.

1 MR. ROLLINS: Yeah. I wasn't objecting --

2 MR. TRAPP: No. At that point I think your point  
3 needs considerable discussion.

4 MR. ROLLINS: The other thing is I think you should  
5 properly reference the National Electrical Safety Code, I think  
6 is the property name.

7 MR. TRAPP: Excuse me. Say that again.

8 MR. ROLLINS: It's the National Electrical Safety  
9 Code, not the National Electric Safety Code.

10 MS. KUMMER: Let me just jump in. I think I'm  
11 hearing the same types of things from different people around  
12 the room.

13 You have to remember rulemaking is by its nature a  
14 generalized concept. You are not going to put a laundry list  
15 of every possible thing that could happen in a rule. It just  
16 doesn't work. So we try to capture as much as we can. And,  
17 granted, there will be some ambiguities. There is in every  
18 rule in the rule book. There are gray areas, and we have to  
19 deal with those. What we're trying to do is capture a broad  
20 concept with enough detail that we can implement it and maybe  
21 draw some lines in individual circumstances down the road. But  
22 we will never be able to capture in the rule every single  
23 circumstance that will arise.

24 MR. TRAPP: Can we move to 4?

25 Having established the National Electric Safety Code

1 as kind of bare bones minimum, Paragraph 4 says the utilities  
2 can do more. Does anybody have a problem with that?

3 MR. WILLINGHAM: Bob.

4 MR. TRAPP: Yes, Bill.

5 MR. WILLINGHAM: This is Bill Willingham. I don't  
6 have a problem with exceeding the minimum National Electric  
7 Safety Code or Electrical Safety Code, excuse me. But, again,  
8 just -- I have just a conceptual problem with dealing with the  
9 code as being a reliability standard. It is not really  
10 designed to be a reliability standard. So I don't know if  
11 there is anything out there that we can use, but calling it,  
12 you know, for reliability purposes is -- I'm not sure that is  
13 appropriate.

14 MS. KUMMER: You mentioned that RUS has standards.  
15 How do they compare to the code? Are they roughly the same  
16 types of things or is it a totally different concept?

17 MR. WILLINGHAM: It's different. I mean, this is  
18 just for 14.4 kV construction and these are all the  
19 construction drawings. It's very different than the code. The  
20 code really has the minimum criteria that these drawings are  
21 based on. So, you know, these are construction standards, and  
22 the code is certainly -- they are built to withstand the  
23 minimums of the code. The code is like our -- is your ground  
24 floor. This is where you start. You have to design to this  
25 level.

1 MS. KUMMER: But RUS exceeds the NESC across the  
2 board?

3 MR. WILLINGHAM: Not across the board, no, ma'am.  
4 But in several cases co-ops -- they are allowed to go above the  
5 RUS standard if they want to. They just -- they can't go below  
6 the RUS standard.

7 MR. TRAPP: And that's what this rule says.

8 MR. WILLINGHAM: Exactly. But the concept of using  
9 it as a reliability standard, that is not what the code is for.  
10 You know, we take reliability into concern when we do our  
11 construction standards, but the code is not a reliability  
12 standard.

13 MR. TRAPP: Okay. I understand your problem is with  
14 the words --

15 MR. WILLINGHAM: Yes, sir.

16 MR. TRAPP: -- as we have used them. But, again, I  
17 will offer the concept. If we use the National Electric Safety  
18 Code as a starting point and say that utilities will adopt  
19 minimum standards in adherence to that code or some other way  
20 of saying it, you know, does that help you?

21 MR. WILLINGHAM: Yes. Because actually we are fine  
22 with it, and we do that already. It's just the word  
23 reliability is what is troubling to us.

24 MR. TRAPP: Okay. So we will call the duck a goose,  
25 and it will be fine.

1 MR. WILLINGHAM: Okay.

2 MR. TRAPP: Okay. Can we move to 5?

3 Well, before I leave 4, I want to go to Lines 2  
4 through 4 of the previous section in 4, where it says each  
5 investor-owned utility, and here we are making -- I want to  
6 make it clear we are making a distinction here that we have  
7 ratemaking authority over investor-owned utilities, but not  
8 over munies and cooperatives. So to the extent that cost  
9 justification is required for ratemaking purposes, we're  
10 focussing in on investor-owned utilities. We have asked that  
11 they -- that you, IOUs, identify and report the effects on  
12 total system costs and reliability and justify any resulting  
13 increases in rates to any standards that you adopt that exceed  
14 the minimum level of the code. Is there any comment on that?

15 MR. HAINES: Regan Haines, Tampa Electric. Just to  
16 clarify and make sure I understand the intent, the minimum  
17 standards as you have defined here includes the extreme wind  
18 that you are proposing in 5?

19 MR. TRAPP: No.

20 MR. HAINES: So if we were to exceed the minimum as  
21 the NESC is currently written --

22 MR. TRAPP: Correct.

23 MR. HAINES: -- we need to justify that?

24 MR. TRAPP: The intent of our rule construction is to  
25 first establish the minimum, then allow utilities to go beyond

1 that where it is prudent and cost justified to do so, and then  
2 identify two specific areas where you are ordered, basically,  
3 to exceed the code. That's the concept.

4 MR. HAINES: Okay.

5 MR. PORTUONDO: This is Javier Portuondo with  
6 Progress Energy. Bob, I need to understand Line 4, resulting  
7 in an increased rate charged to ratepayers. This is at the  
8 time that this construction standard is exceeded, is that  
9 case-by-case? Help me understand what staff is getting at  
10 there.

11 MR. TRAPP: My perspective is that you manage the  
12 company, we don't. We don't micromanage you. You have to make  
13 decisions out there every day to budget, expend money. At the  
14 time you make those decisions, you make some assessment as to  
15 whether or not you think that's going to be viewed as prudent  
16 by the Commission. And then you take the action, then you take  
17 the risk, and then you justify it at the time of cost-recovery.  
18 That is, I think, the concept we were trying to capture here,  
19 is that you have to be prepared to defend any increase in cost  
20 as being justified.

21 MS. KUMMER: It's the same kind of standard analysis  
22 we go through in every rate case. We look at your expenses,  
23 your expenditures. If they look high or out of the ordinary,  
24 you would be required to justify them.

25 MR. PORTUONDO: Okay. I was just more concerned that

1 we may provide more specificity of when that is going to take  
2 place.

3 MR. TRAPP: We are not proposing a clause, and we are  
4 not proposing a time -- it is, basically, at the time of  
5 cost-recovery.

6 MR. PORTUONDO: At time of cost-recovery.

7 MR. TRAPP: When you request cost-recovery would be,  
8 you know, the last time -- excuse me, the latest time, I guess,  
9 we would look at it. But you know very well how we are. We  
10 talk. You come up and tell us some things that you're doing if  
11 you feel uncomfortable about it and get some guidance and  
12 things of that nature.

13 MR. PORTUONDO: That's perfect. And I may even, you  
14 know, recommend that we add at time of cost-recovery, increase  
15 at time of cost-recovery.

16 MR. BREMAN: One clarification. This is Jim Breman.  
17 Is your question with respect to the report, the timing of the  
18 report?

19 MR. PORTUONDO: No, I would believe that it would all  
20 occur at the same time.

21 MR. BREMAN: Right.

22 MR. PORTUONDO: You would be justifying it at the  
23 time of cost-recovery requests.

24 MR. TRAPP: But I'm hearing you are probably going to  
25 suggest that language -- those words be tagged on to the end of

1 Line 4?

2 MR. PORTUONDO: I think it gives it more clarity.

3 MR. BADDERS: One comment. This is Russell Badders  
4 on behalf of Gulf Power. Where we discuss, report the effects  
5 of the total system cost and reliability, I heard you say that  
6 you are really just trying to get at the regular prudency  
7 review. Instead of tying this to reliability or anything like  
8 that, wouldn't it be better to go ahead and just point this to  
9 the simple prudency review language, just discuss prudency?

10 I guess my concern here, if you tie it solely to  
11 reliability, there may be other reasons you go beyond the NESC  
12 standards. It may be that you want to try something, and you  
13 can't show that it may have -- that it will have an increase to  
14 reliability, you would still want to do it and it would still  
15 be prudent. I mean, it is still prudent to pilot things. It  
16 is still prudent to take activities, even if it isn't tied  
17 solely to reliability. It just seems to me that this ties this  
18 to reliability as the prudency review. That's the standard --  
19 you're not following?

20 MR. TRAPP: No, no. I am following. I'm just having  
21 a hard time understanding what areas you would -- I mean, this  
22 is a reliability rule, so --

23 MR. BADDERS: I understand. I guess my concern is  
24 there may be things that a utility would want to try or that  
25 they are going to do that they might may not be able to show a

1 reliability increase at the time.

2 MR. TRAPP: What other purpose --

3 MR. BADDERS: Well, it could be that you are trying  
4 to discover whether or not it will or it won't. You have to  
5 pilot, you have to try it. I would hate to undertake  
6 something, and you go in and it's, well, what are the  
7 increases? Show me the increased reliability. How does that  
8 effect the numbers? You may not have that up front. It may be  
9 something you will get over time, but it would still be prudent  
10 to undertake those activities.

11 MR. BREMAN: Does your question really go to whether  
12 or not this rule applies to R&D?

13 MR. BADDERS: Maybe to some point. I guess really I  
14 was trying to bring it up to one step -- I guess to a more  
15 general just discuss prudence review. They have to  
16 undertake -- they can exceed minimum construction standards  
17 where it's prudent to do so, something in those terms, rather  
18 than basically tying it to total effect on system costs,  
19 reliability and all of that. I know -- I think we're getting  
20 to the same point, I'm just trying too make the rule a little  
21 broader.

22 MR. TRAPP: And I'm trying to understand your  
23 concern. On Line 3, it starts a compound sentence, and it  
24 requires two things. It requires you to report some  
25 information, because we are interested in knowing that

1 information. But then the second stand-alone phrase in my mind  
2 really occurs on Line 4, and shall justify any resulting  
3 increase. Now, you can use any reason or excuse under the sun  
4 as far as I'm concerned to justify an increase, but at minimum  
5 we want to know what the effects are on the total system cost  
6 and reliability.

7 Now, if there are other effects, maybe we should  
8 include those in the rule. But what I'm hearing is maybe you  
9 want us to tone that down to say report the effects, period.

10 MR. BADDERS: I think we get to the same point. I  
11 was just trying to make this a little more general, because I  
12 thought I heard Ms. Kummer just say that we're really trying to  
13 get to the regular prudency review. Obviously, anything that  
14 an IOU does for cost recovery in a rate case or otherwise, you  
15 have to prove up the prudency of your actions. I was just  
16 trying to bring the language back to that.

17 MS. KUMMER: Okay. Well, my comment went to the rate  
18 increase in the recovery of the clauses. I think Bob is right,  
19 the whole purpose of this rule is to improve the reliability of  
20 the system, and that's what we are trying to get at is what  
21 have you done. There may be other reasons in addition to  
22 reliability that you do something. That is really what we are  
23 trying to key in on is reliability.

24 MR. BADDERS: Okay. Thank you.

25

1 MR. TRAPP: Manny, I guess. I'll take my  
2 investor-owned utility first, if you don't mind.

3 MR. MIRANDA: Bob, one of the things as we are  
4 working through trying to translate the extreme wind into an  
5 operational tool, one of the things that is starting to surface  
6 for us is, you know, we serve 35 counties, and not having so  
7 many different standards within each one of those. So as we  
8 are looking at translating it into a real operational tool, we  
9 are defaulting into, like, three or four horizons, for example,  
10 within the state. And in some cases, some of those zones  
11 exceed the minimum of the NESC, and I just wanted to get some  
12 clarification. Is this what you are looking for as to come  
13 forward and say we are going to exceed it, but in the case of  
14 FPL, for standardization and economies of scale and for  
15 translating to real construction standards, at minimum we would  
16 meet the NESC requirement.

17 MR. TRAPP: I don't think the word system in here  
18 constrains you from that concept, if that's your concern.

19 MR. MIRANDA: That's my concern.

20 MR. TRAPP: You know, I think it is the  
21 responsibility of the utility to determine what is best, and if  
22 you feel that addressing divisions differently for just cause,  
23 that you report and justify, I think that's absolutely  
24 acceptable.

25 Jim, did you have a comment?

1           MR. BREMAN: I think he is trying to jump to the  
2 goal-plating question of when you go to a rate case here  
3 numbers are somewhat overstated, because you have built to  
4 140-mile-an-hour zone when in reality the area you are serving  
5 is 110.

6           MR. MIRANDA: Jim, as we translate, it doesn't go to  
7 those levels, but you might be between 135 and 140, for  
8 example, and it doesn't make sense to have one for different  
9 wind speeds. So we were saying maybe that's an area we would  
10 go to 140, and the minimum requirement under NESC might be 135.

11          MR. TRAPP: I think the code -- is it still up there?  
12 Yeah. The wind speed code already has different requirements  
13 for different parts of the state. If you have a problem with a  
14 hot spot that repeatedly gets hit with higher winds than are  
15 shown by this code, I would think you need to react to that.

16          MR. MIRANDA: Sure.

17          MR. TRAPP: And I think in two ways. First, go to  
18 the hot spot and fix it, and then send your person that  
19 represents you on the committee with ANSI to fix the code. And  
20 then that in turn would be adopted by the Commission if it's  
21 prudent.

22          MR. MIRANDA: I will give you an example up there,  
23 Bob. For example, Broward County has three zones within it. In  
24 order to manage that effectively, just balancing  
25 standardization with, you know, economies of scale, if we can

1 prove that in the end it is the same for cost-effectiveness, we  
2 may prefer to have one standard in Broward County versus three  
3 operating practices within one county, and that's what we are  
4 referring to is in that region.

5 MS. KUMMER: I think you just answered your own  
6 questions. If that is the most cost-effective construction,  
7 then that is what we would always want you to do, and that  
8 would be your justification for doing it and your  
9 responsibility for showing those.

10 MR. MIRANDA: And then we would come forward and  
11 present it if there is some --

12 MR. TRAPP: Yeah. And I just want to make it clear,  
13 also, that if the rulemaking language that we have selected is  
14 too restrictive, give us something else.

15 MR. MIRANDA: Very good. Thank you.

16 MR. TRAPP: Because we do not want to tie your hands  
17 on this. We want to hold you to cost responsibility,  
18 reliability, and those types of measures. But, certainly, we  
19 don't want to tie your hands in terms of creativity or  
20 efficiencies and things of that nature.

21 And I had a question here or comment.

22 MR. ROLLINS: Again, this is Martin Rollins. I'm  
23 certainly not knowledgeable at all in terms of the rate  
24 structure and how that all works between the utilities and the  
25 Commission, but I just want to point out one thing. The

1 language that we see right now seems to be encouraging, in  
2 fact, that we are going to design to NESC minimums, whatever  
3 those safety criteria are. And I just want to point out that  
4 for distribution lines in particular, I would submit that there  
5 is not a single line in the state of Florida that was initially  
6 designed at NESC minimums, nor would there be one, in my  
7 belief, in the entire United States.

8 In other words, the distribution system is designed  
9 and built with some fat in the system because it is intended to  
10 be a capital asset that is going to last for 35 or 40 or even  
11 50 years. So you have to put some fat into the design to allow  
12 the additional underbuild, you know, the additional cable TV,  
13 telephone, et cetera, potentially to reconductor that line with  
14 larger conductors at a point in time in the future where we  
15 don't have to replace all the structures.

16 So this language that I'm seeing, I guess my question  
17 is this language is sort of saying that utilities are not going  
18 to be able to design distribution systems the way they have in  
19 the past, which is to include some excess capacity, so to  
20 speak, to allow for future additions of, for instance,  
21 underbuild without having to go through, you know, some formal  
22 rate determination procedure.

23 MR. TRAPP: I don't believe that is the intent.

24 Mr. Bingel, I know that you probably represent your  
25 company nationwide. Do you have any examples from other

1 jurisdictions that might help us here in terms of standards of  
2 construction adoption language?

3 MR. BINGEL: I thought what Martin was referring to  
4 is the fact that when you -- distribution in particular, when  
5 you build a line you don't engineer each span. And so you will  
6 look at some of the higher loaded spans and pick a class pole,  
7 and you will install a hundred of those. And, typically, then  
8 there is a little extra margin on the majority of the  
9 installations out there. I would say that it is true that the  
10 vast majority of poles are not loaded to 100 percent. So there  
11 is some extra margin in there, but I think that is just part of  
12 a construction tolerances kind of thing.

13 MR. TRAPP: And I think we agree, and I know the word  
14 gold-plating was used, but it is not our intent to accuse  
15 anyone of gold-plating here today or intentionally doing it in  
16 the future. You necessarily want to design more into the  
17 system.

18 I was a Star Trek freak. I just loved it, and you  
19 know, Scotty never gave you the true number. He always held  
20 back at least 10 percent, so you know. I'm struggling, though,  
21 with how to capture that in terms of rulemaking language. And  
22 if -- I mean, again, the concept was very simple. We are  
23 simple-minded staff. Start with the National Electrical Safety  
24 Code, allow the utilities to build in fat where it is prudent  
25 to do so, address two specific areas of hardening. That was

1 where we started. If there is some better language to do that,  
2 that's what we would like to know.

3 MR. BINGEL: I think this might fit in with the  
4 previous discussion and your comment about the fact that it's  
5 the most cost-effective way to not engineer every single span;  
6 it's to engineer the whole line. And inherently there is some  
7 extra capacity in most of the poles, but that is still the most  
8 cost-effective way to build it.

9 MR. BUTLER: The concern, though, that I think  
10 that -- this is John Butler, Florida Power and Light Company.  
11 The concern that we have about the reporting aspect of this is  
12 that taken literally and at its extreme, just using the example  
13 given of a line where some of it requires a particular size and  
14 strength of pole, other parts that are not quite as highly  
15 loaded you could you get by and meet the minimum with a little  
16 bit less of a pole. And maybe some other part on the line it  
17 could be even a slightly smaller pole.

18 At its extreme, read literally, this reporting  
19 requirement would have the utility going in and determining  
20 kind of pole by pole where that's the case, and then reporting  
21 to you each one of them, what the justification for that one  
22 versus another one is. It seems like that could be very  
23 burdensome and really not give you any information you're  
24 particularly looking for.

25 This needs some sort of either de minimis threshold

1 or some sort of intent to have built the line deliberately  
2 beyond sort of what would ordinarily be the applicable  
3 standard, something like that to keep it from at least  
4 potentially creating a real reporting nightmare.

5 MR. TRAPP: John, I think staff's intent here was --  
6 I mean, we struggled with this. Do we want the Commission to  
7 approve every project, every work order? You know, I don't  
8 think the Commission has enough time to do that, so we softened  
9 it to a report. Maybe that is not the right word. What  
10 language would you suggest?

11 MR. BUTLER: Well, going to what I was saying  
12 earlier, it seems to me like that either some sort of de  
13 minimis threshold on it where, you know, if you are exceeding  
14 by some sort of percentage or going into a separate category  
15 than what would otherwise be applicable, that that is something  
16 that you would end up reporting.

17 Or alternatively that, you know, where there is the  
18 reporting on plans that a utility has to make a specific kind  
19 of conscious exceedance of ordinarily applicable standards in  
20 an area that the utility would end up bringing those to the  
21 staff's attention, as opposed to the kind of -- inadvertent  
22 isn't quite the right word, but just kind of inevitable minor  
23 exceedances that come from having some consistency in the  
24 system and also allowing yourself some margin for error on what  
25 will be required in the future.

1 MR. TRAPP: The difficulty I see with that is  
2 assigning numbers to words like de minimis, margin, things of  
3 that nature. And maybe that's where we will get some help with  
4 the language in terms of going back to the discussion we had on  
5 what is a relocation, what is a repair, what is a fix.

6 It is not our intent to change the current system. I  
7 mean, we think, basically, you build structures properly. It  
8 is our intent, however, to focus in on these areas, wind speeds  
9 and their effect on overhead facilities in total, and flood  
10 zones, that's really -- but in order to get there, in our  
11 minds, we had to start with building from a minimum, National  
12 Electric Safety Code. The utilities, you know, have their own  
13 standards and then maybe -- and more and more in my mind the  
14 discussion we had with Bill and the co-ops of instead of  
15 calling the National Electric Safety Code a standard, making it  
16 the basis for construction plans and standards that utilities  
17 adopt internally that are subject to review by the Commission,  
18 which I think is the system now, is it not?

19 You have your own construction manuals. They specify  
20 how you are going to build poles, lines, segments, systems.  
21 And the Commission periodically, through its staff and through  
22 hearings and through site visits, reviews those and feels  
23 comfortable with them. We get to a rate case and we give you  
24 money for them. So maybe we can reword this a little bit.

25 MS. KUMMER: Bob and I may disagree on this, but it

1 seems to me that last sentence is simply to ensure  
2 accountability, that you're not going out there putting in  
3 things that you don't need and then come in here expecting to  
4 be reimbursed for them.

5           Certainly, put in what you need, what you think is  
6 prudent and what is cost-effective. But don't just go out and  
7 build everything to the gold standard, and then say, oh, well,  
8 we had to do it for reliability, give us the money. That is my  
9 take on that sentence. It's simply -- it's a measure of  
10 accountability. That is what we were trying get at. If you  
11 have got better words, we would welcome them.

12           MR. BREMAN: John, I don't know if you were in the  
13 room at the time, but I think Progress and Gulf Power were  
14 making comments to the effect that the language at the time of  
15 cost-recovery being added to this sentence might allay some of  
16 your concerns about reporting. But that was the general  
17 concept. We weren't really trying to change anything or make  
18 new reporting requirements.

19           MR. BUTLER: I was in the room when that was  
20 described. Is it the intent of that that it would apply to  
21 both the reporting and the cost justification, if you -- that  
22 timing constraint?

23           MR. TRAPP: It would not be my intent. Jim and I may  
24 disagree on this point. It would not -- and, again, reporting  
25 may be not the right word. But I think you are -- it is your

1 responsibility to be prepared at any time the Commission asks  
2 to justify your actions. And I think that's what is intended  
3 by, you know, maintain reports, maintain whatever. When I come  
4 to you and ask you, though, why did you spend a million dollars  
5 because you, you know, increased this particular standard? And  
6 you say, I don't know. We did that ten years ago, and I don't  
7 have any justification for it, but give it to me anyway. Well,  
8 I want -- you know, we want you held to a standard of being  
9 able to justify your actions at any time. And it culminates at  
10 the time of cost-recovery, but I think it can take place at any  
11 time in the continuum.

12 MR. BUTLER: We'll think of some other words, if we  
13 can.

14 MR. TRAPP: Yes, sir.

15 MR. ROLLINS: Any possibility of just changing that  
16 word minimum to normal? Because your normal construction is  
17 going to exceed the minimum standard and --

18 MR. TRAPP: Which line?

19 MR. ROLLINS: On Line 2.

20 MR. TRAPP: Line 2, exceed minimum construction.

21 MR. ROLLINS: Just say normal construction standards.

22 MR. TRAPP: That might work. Can we move to 5? Now  
23 that we have described, you know, the way things work,  
24 Paragraph 5 is the new stuff.

25 Yes.

1           MR. BURNETT: Thank you, Bob. John Burnett, Progress  
2 Energy. Bob, if it's acceptable, we have some proposed  
3 language that we would just like to tell you first and then  
4 tell you why we would propose the different language there.

5           MR. TRAPP: Okay.

6           MR. BURNETT: Starting at Line 8, Progress Energy  
7 Florida would propose that the sentence read, "The extreme wind  
8 loading standard shall be applicable to targeted facilities as  
9 identified by utilities as a result of post-storm data  
10 gathering and analysis." So, effectively, we would strike  
11 everything on Line 8 after the word "to," pick up the word  
12 targeted and facilities in Sub C, and then add as identified by  
13 the utilities.

14           MR. TRAPP: So you would not eventually build the  
15 state of Florida to the wind code standards through  
16 replacement, you would only do it on a targeted basis?

17           MR. BURNETT: That's right. And, Bob, the  
18 justification behind that is it seems that what staff has done  
19 in this whole hurricane hardening process is taken a tiered  
20 approach, which we think is a good idea. You have set forth an  
21 inspection plan, a sort of data gathering and reaction plan  
22 that we are going to present in June. And then we think  
23 gathering data from that targeting, making good decisions that  
24 make good sense based on the inspections and the data gathering  
25 that we have done. We think that process works and should be

1 carried on.

2 And, also, I think that process is consistent with  
3 the concept that staff has set forth in Subsection 4 that we  
4 just talked about. If it makes sense, justify why it makes  
5 sense. Be prepared at any time, as you say, to say why did you  
6 do this here. So we think rather than having the global  
7 application of Subsection 5, that same standard should be  
8 applicable as reflected in Subsection 4. If it makes sense, we  
9 should do it, and we should be prepared to say why we did it.

10 I would like, if I could, to let David McDonald here  
11 briefly tell -- he's got three points as to why we don't think  
12 the global application in Subsection 5 would be a good idea.

13 MR. TRAPP: Okay.

14 MR. McDONALD: David McDonald, Progress Energy.

15 As we considered this, as you know the National  
16 Electrical Safety Code is being revised for the 2007 year. It  
17 has been looked at since roughly 2003. And this one issue  
18 that's being discussed, especially about the extreme wind  
19 loading, has been discussed since that point. And based upon  
20 the investigation and analysis at the National Electrical  
21 Safety Code, more specifically Subcommittee 5, their  
22 recommendation is that this extreme wind loading shouldn't be  
23 applied to distribution facilities.

24 There were three proposals that were going to reverse  
25 that and eliminate the 60-foot exclusion, but based upon the

1 analysis, based upon all the investigation that they've done,  
2 the feedback they have gotten from as far away as New  
3 Hampshire, Texas, and everything in between, that subcommittee  
4 has rendered that they are going to reject the elimination of  
5 that exclusion policy. So they feel, based upon their  
6 understanding, that it should be -- that exclusion should  
7 remain in there.

8           So looking at that from their perspective, looking at  
9 this over three years and also understanding how we are looking  
10 at -- no matter how we say it, utilizing the National  
11 Electrical Safety Code as a basis for our construction  
12 standards, however that wording comes out, at this point to not  
13 adopt totally what they're looking at, we don't feel is a  
14 prudent thing to do.

15           And we also feel like, based upon what John said, you  
16 follow an adhered path, you looked at our existing  
17 infrastructure, said we need to inspect it to ensure the  
18 strength and stability of that. It makes sense. The next  
19 piece, doing the analysis so that we can look at our targeted  
20 areas that need this type of upgrade. And then you put in the  
21 Tenet 4 to allow us to do that.

22           The second thing that I want to mention is our  
23 performance. When you look at our performance at Progress  
24 Energy, we went through four hurricanes. As a result of those  
25 four hurricanes we lost less than 6/10ths of a percent of our

1 poles. So you can do the math and look at what caused those  
2 numbers. We had pretty good performance related to this. So  
3 we don't feel that our performance warrants going to this  
4 stepped-up criteria.

5           And then the final thing, when you look at what that  
6 could -- if you were to adopt that, what that would do to our  
7 operational and construction procedures. When you look at us  
8 as a company, we have roughly 50 digger derricks. Those are  
9 the type trucks that install poles. Based upon going to an  
10 increased wind loading standard, depending upon what type poles  
11 you ultimately have to use, you may have to change out that  
12 entire fleet. Also, our rear easement construction -- or  
13 construction efforts or procedures, that would be changed  
14 drastically if we were to pursue this. So there are a lot of  
15 issues to determine if this were to be adopted.

16           But, again, from a Progress Energy perspective,  
17 National Electric Safety Code has seen no reason -- the  
18 National Electrical has seen no reason to pursue this. Our  
19 performance as a company, we see no reason to pursue it. So  
20 based upon those and the impact to our company, we feel like  
21 this isn't the best course of action for our customers.

22           MR. BURNETT: Bob, if I could just add -- John  
23 Burnett, again, for Progress Energy. One final word to that is  
24 we're not saying that this type of activity would not make  
25 sense maybe in some places in our service territory, but,

1 again, we feel like staff has the right approach, that let's do  
2 the inspection, let's do an analysis, let's see if it makes  
3 sense, and have us prepared to justify it if it is there.

4 MS. KUMMER: Would the Commission have an opportunity  
5 to look at how you define targeted facilities?

6 MR. BURNETT: Yes, ma'am, absolutely. I think that  
7 would be part of our process, is that we would -- we, as the  
8 utility, would necessarily have to define why we made that  
9 decision, what we were looking at.

10 MS. KUMMER: I mean up front. Would you be  
11 interested in filing any kind of a description up front so the  
12 Commission would have some idea, rather than wait until  
13 afterwards when perhaps we didn't think you targeted the  
14 correct facilities, and we've got people out unnecessarily if  
15 they have been built to a different standard?

16 MR. BURNETT: Connie, I think we can do some of that  
17 now, because we do have, as David said, you know, two hurricane  
18 seasons in this '04 and '05 year behind us. I think we can do  
19 that, but I think it will be an ongoing and interactive process  
20 based upon a lot of the things that staff has implemented. As  
21 David mentioned, our pole inspection plan and the June plan.  
22 So, yes, to some degree, but I think it is a changing target,  
23 that it will necessarily have to evolve over our experience.

24 MR. TRAPP: John, could I ask a few questions? I  
25 don't mean this as unfriendly cross, but there are some things

1 you all have said that I would like clarification on. Maybe I  
2 should springboard off of what Connie said with the more global  
3 before I get more picky with you. It seems to me what you are  
4 proposing is higher risk to the ratepayers that facilities  
5 might be adversely affected through a hurricane, but what I  
6 also heard was that there is higher cost associated with doing  
7 this as opposed to your more targeted approach.

8           You did quote some cost numbers. Can you define that  
9 in post-workshop comments? In other words, can you tell us how  
10 much this is going to cost to do it the way staff has proposed  
11 it, and then can you tell us how much it's going to cost if we  
12 do it on your targeted approach? That's my first point.

13           MR. BURNETT: Bob, to your question, I think we can  
14 give you estimates of what we think it would cost to do it on a  
15 global basis as the current rule is drafted. And, certainly,  
16 as I have mentioned to Connie, based on the experience we have  
17 now, give you some idea of what we think the cost would be  
18 under a more targeted plant, based on the information we have.

19           But, Bob, one thing I did want to mention is the  
20 higher risk. That's a point that I wanted to make sure we made  
21 well enough, is that we are not necessarily in agreement that  
22 there would be a higher risk to the ratepayer that the  
23 equipment would fail. I think that is one of the key points  
24 we're trying to make is that we didn't see that. So far of  
25 what we have seen in our '04 and '05 experience, we are not

1 seeing that this standard would have done anything to help the  
2 ratepayer out at all with respect to the poles that failed.

3 MR. TRAPP: Then I would encourage you also to  
4 include that risk assessment in your response or your comments  
5 to the as proposed and what you would like proposed analysis.

6 MR. BURNETT: Yes, sir.

7 MR. TRAPP: And then just to get picky with you. On  
8 the IEEE committee business that met on the wind speed, I don't  
9 understand how that process works. That's a Florida map. It's  
10 only one state. Did the nation make judgments for Florida, or  
11 did Florida representatives make judgments for Florida on that  
12 committee?

13 MR. McDONALD: I apologize. I may not have been  
14 clear enough. What I was trying to demonstrate is they were  
15 speaking about the National Electric Safety Code nationally.

16 MR. TRAPP: Okay.

17 MR. McDONALD: They weren't speaking for Florida in  
18 particular.

19 MR. TRAPP: Well, it seems to me that we need to  
20 focus on that map and not what, you know, Maryland and New York  
21 and some other --

22 MR. McDONALD: Your point is well made. My only  
23 reason for bringing that out is there was a lot of data  
24 gathering, there was a lot of input from throughout the nation  
25 in order to determine exactly what is the risk. Was that risk

1 quantified? Not that I have found so far. But the intent was  
2 to say all of these areas that have been impacted -- when you  
3 look at the Carolinas, they had five hurricanes in a  
4 two-and-a-half-year time frame, from '98 to 2000. So the  
5 intent was to say based upon all the global feedback that we've  
6 received, is there risk, greater risk by not adopting this for  
7 distribution poles. And what I have inferred from my reading,  
8 is that that is not the conclusion they came to. The  
9 conclusion was there is not greater risk.

10 MR. TRAPP: How granular was their study? Did they,  
11 for instance, differentiate between just any distribution pole  
12 and like feeders? Did they look at feeders separately or --

13 MR. McDONALD: To my level of understanding right  
14 now, I couldn't answer how granular it was.

15 MR. BREMAN: These are all investor-owned utilities  
16 primarily that are on the NESC committee?

17 MR. McDONALD: That is not correct from what I have  
18 read. There were cooperatives --

19 MR. BREMAN: But you are not on the committee at all?

20 MR. McDONALD: Myself?

21 MR. BREMAN: Well, I mean, Progress isn't represented  
22 on the committee?

23 MR. TRAPP: Go ahead. Yes, sir.

24 MR. BINGEL: Progress actually has a very good  
25 transmission engineer on the committee. I just thought I would

1 give a little background on the extreme wind load case.  
2 Previous to 1977, there was only light, medium, and heavy  
3 loading in NESC. There was no extreme wind load case. Then  
4 what happened in the -- and the light, medium, and heavy is  
5 considered a winter storm, because there was a combination of  
6 ice and wind.

7           Then there were several transmission failures in the  
8 northern central part of the U.S., and it was only in  
9 transmission, and they were in the summer. So they were high  
10 wind summer events, and that's when the code said, you know  
11 what, we have to adopt an additional criteria for transmission  
12 poles to protect against summer storms. In 1977 then is the  
13 first time that extreme wind was in the code, and that is what  
14 its function was.

15           During the late '60s and '70s, as wire size  
16 increased, that was the difference in what happened, was that  
17 the higher speeds and the larger wire started causing those  
18 transmission systems to fail. So that becomes the governing  
19 load case even in icy areas, the extreme wind with a large  
20 conductor.

21           Now, for the last 30 or 40 years all the wind speeds  
22 have been measured at 33 feet above ground. And there were  
23 people on the code saying, well, look, this new map we just  
24 adopted all the speeds are at 33 feet, yet we are saying don't  
25 apply it until 60 feet. It didn't seem to make technical

1 sense. And that was the genesis of saying, you know, I think  
2 we could remove that exclusion and apply that extreme wind to  
3 all structures.

4 A task force was formed which I was part of to  
5 evaluate that. And after several meetings, a lot of  
6 discussion, the general feeling was that once debris starts  
7 flying around in a storm, that's when the wind-only loading  
8 criteria kind of aren't adequate. It's hard to design for tool  
9 sheds running into lines. And so the result of the task force  
10 effort was to cap the speeds.

11 For Grade B it was 94 miles an hour, and for Grade C  
12 it was 77 miles an hour. And that tied in with the  
13 Saffer-Simpson Hurricane Category 2, which is where they  
14 describe is when things start flying in the air. And that  
15 category is 96 to 110 miles an hour. And Fujitsu Tornado  
16 Damage Scale, where it said F-1, 73 to 112 miles an hour is  
17 when things start flying around. So that was the effort in the  
18 task force, to say, hey, if we really want to increase  
19 reliability and safety, we can only go up to the point where  
20 debris starts to fly around, because it would be very difficult  
21 to design for those conditions.

22 The public comment came back. We received 167  
23 comments on that proposal, and overwhelmingly from people that  
24 were out after storms seeing what had happened, there is a very  
25 strong opinion that trees and debris cause a majority of the

1 failures, as well as foundation failures. Now, I am also aware  
2 that in last year's storms in Florida there were some pure wind  
3 failures.

4 But based on the cost to design all lines to the  
5 extreme wind criteria and the uncertainty of the improved  
6 reliability and the comments from the public, I couldn't really  
7 justify increasing four pole classes and still being unsure of  
8 what the benefit that was going to be from a reliability and a  
9 safety standpoint. So the end result was that proposal was  
10 rejected, and the NESC at this point still has the 60-foot  
11 exclusion limit in there. And I throw that out as background  
12 to understand what was the original intent of the extreme wind  
13 load case.

14 And the one thing I might submit is it could well be  
15 that just going all the way from not applying it to a 40-foot  
16 pole to applying the full impact of extreme wind might be way  
17 beyond the load case where you really get some benefit from it.  
18 And just an idea in my mind would be to evaluate it more  
19 closely and say, well, rather than going just from your light  
20 conditions of 60-miles-an hour wind times four, that to go all  
21 the way to extreme wind might go way beyond where you are going  
22 to get benefit from it. And that maybe there is some point in  
23 between, but just the idea that that could be looked at and  
24 come up with perhaps the best solution. And, again, I think  
25 the targeted idea is -- that's a wise way to apply it, as well.

1           MR. TRAPP: I assume under a targeted idea we  
2 could -- we could collect the science. We could collect the  
3 data. We could refine standards over time?

4           MR. McDONALD: Well --

5           MR. TRAPP: But where do we start is the problem I'm  
6 having.

7           MR. McDONALD: Obviously, we are going to have to  
8 look at our history from 2004 and 2005 to see if there is any  
9 areas that we may have that is targeted application. But as we  
10 go forward we are going to continually refine that and make  
11 that part of our standards as we learn those lessons.

12           MR. TRAPP: Well, it's 2006 now, so I'd have to ask  
13 the question what have you incorporated into your own standards  
14 now as a result of those two years of storms? And I'm looking  
15 at you, but I am asking everybody. What has been put -- you  
16 know, give staff a feel of what amendments you have done to  
17 your own internal standards that would help to support a  
18 targeted approach only. And I'll swing to Power and Light down  
19 here, and start down there again, if you don't mind, Manny.

20           MR. MIRANDA: For FPL, our change, of course, is our  
21 announcement (phonetic) storm secure, which goes forward with  
22 NESC extreme wind, which in some ways kind of adapts those  
23 specific areas to upgrade. And that's the approach that we are  
24 taking going forward.

25           MR. TRAPP: Have you adopted this map?

1 MR. MIRANDA: No. That's where we --

2 MR. TRAPP: It's a different standard that you have  
3 adopted. What number did you adopt for wind loading?

4 MR. SPOOR: Bob, this is Mike Spoor. That is the  
5 standard that we're actually striving to move towards.

6 MR. TRAPP: Okay. That is the standard. So you have  
7 adopted what is in Section 5?

8 MR. MIRANDA: That is what we've proposed, yes.

9 MS. KUMMER: And you are doing that for all  
10 facilities, not just targeted facilities, everything you are  
11 putting in?

12 MR. MIRANDA: For new construction. We are still  
13 working on, you know, the rebuild and expansion, defining that.  
14 Now, the only -- the only difference, though, is for targeted  
15 infrastructure in major thoroughfares. At the very end, we put  
16 to the extent practical and feasible. What we are finding is  
17 in the few projects that we are trying to go back as far as,  
18 you know, critical infrastructure, sometimes it's not possible  
19 to install the quantity of poles, possibly the additional poles  
20 or the size poles that may be required in order to meet the  
21 extreme wind. So it's up to where it is practical and  
22 feasible, so up to the extreme wind in those areas where we are  
23 going back to rebuild or CIS.

24 MS. KUMMER: Are the prohibitions cost or space or  
25 right-of-way?

1 MR. MIRANDA: Mostly customer issues, Connie.  
2 Right-of-way issues. Customer issues. And then, of course,  
3 there are some cost issues where it is cost prohibitive because  
4 of the limited space that you have to rebuild.

5 MR. TRAPP: Russell. Ed.

6 MR. BADDERS: At the moment, we're still looking more  
7 at a targeted approach. We have not developed it as much as I  
8 believe Progress, but we are trying to learn from the storms.  
9 As far as new construction, in some areas it is possible. Some  
10 areas it will not be. As was just previously discussed, you  
11 will not have the ability to put in the number of poles that  
12 you would need to meet this. We also have some concern with  
13 regard to when would you apply this if we were to go with  
14 staff's language with regard to rebuilds and relocations.

15 It gets back to the discussion we had earlier, we'll  
16 try to make some comments on that. We are also going to get  
17 with Progress and kind of get an idea and understanding of the  
18 direction that they are looking at promoting here. But as far  
19 as what have we done in response to the last hurricanes, in a  
20 beach area or places like that where we see an issue or where  
21 there may be an issue, we try to design the pole line or the  
22 structure to withstand what we think it may see. I mean, will  
23 it withstand a Category 3 or 4? I really don't think anybody  
24 in the room can tell us that. We are still learning.

25 I don't think we have all the information and that

1 kind of gets back to the studied approach, to try to learn from  
2 what we have seen, and maybe implement some things and just see  
3 how they perform. Now, we may not have a hurricane in Escambia  
4 County for another ten years. We don't know that. So we may  
5 not have all the hard facts on what direction to go here, but  
6 we are trying. We are making some efforts.

7 MR. TRAPP: So I am hearing a case-by-case basis?  
8 You haven't done a system-wide upgrade to your standards, you  
9 are doing a case-by-case assessment?

10 MR. BADDERS: That is correct. That is more or less  
11 what we have done over time, even before the last two  
12 hurricanes. And I think that may have played out to some  
13 degree. We didn't see -- I believe, and this is subject to  
14 check, I believe we had one and a half or 1.6 percent pole  
15 failure in Ivan. And, obviously, Ivan hit in a very populated  
16 area for our system, so I believe what we have done in the past  
17 worked. Now, there may be some areas, like I discussed, that  
18 we may need to look at, or we are looking at, that we may need  
19 to do something different. We may install additional guy wires  
20 or something. But as far as an across-the-board system minimum  
21 standard upgrade, we have not undertaken that.

22 And that gets back a little bit to being able to  
23 prove what do you get for that effort. We just don't have all  
24 of that information. We don't have what effect that would have  
25 on our reliability with regard to a storm.

1 MR. TRAPP: David.

2 MR. McDONALD: David McDonald, Progress. As of this  
3 juncture, most of our focus has been looking at the Pinellas  
4 County area, identifying the potentials from a coastal standard  
5 perspective. We have a team that's looking at that. Presently  
6 they are looking at those associated with operations, and then  
7 we're determining what is the next step we may proceed on. But  
8 I will emphasize nothing that we have seen in the past two  
9 storm seasons has led us to revise our standards, our  
10 construction standards from a statewide perspective.

11 Now, what it has caused us to do is revise our  
12 maintenance programs and the way in which we apply those  
13 maintenance programs. More specifically, surveying the  
14 backbone of our feeders prior to storm season, trimming the  
15 danger trees and all of those prior to the storm season. Where  
16 we are starting our OSMOSE efforts as far as the pole  
17 treatment. Where is that starting? We're starting in Pinellas  
18 County working through the Pinellas-Pasco. So how we're  
19 applying our maintenance procedures and when we are applying  
20 our maintenance procedures has been the biggest lesson learned  
21 that we are applying as a result of those two storm seasons.

22 MR. TRAPP: Okay.

23 MR. HAINES: Regan Haines, Tampa Electric. I think  
24 it was mentioned that there are different standards within the  
25 National Electric Safety Code. There is a minimum Grade C

1 standard and then there is a Grade B standard, which is to a  
2 higher wind. And our current standards, and it has been this  
3 way for awhile, is the higher Grade B standard. So it might be  
4 that middle ground between the minimum and the extreme wind.

5 Our experience with the 2004 hurricanes is that our  
6 system performed very well, and we also had less than one  
7 percent failures from poles -- of our poles, and not due to  
8 strictly wind. It was trees, debris, those types of things.  
9 So what we have done is really beefed up our tree trimming,  
10 vegetation management. We have not changed our standards, as  
11 far as construction goes, but really focused on vegetation  
12 management and on the inspection and the maintenance piece of  
13 our system.

14 MS. KUMMER: Bob. Do you want to --

15 MR. TRAPP: Yeah, we've still got two more  
16 participants.

17 MR. WILLINGHAM: Bill Willingham with the electric  
18 co-ops. A couple of things. Just to answer your question  
19 first, vegetation management is something that we have also  
20 stepped up on. You know, we used to have the story of don't  
21 come by and cut my tree. Now, it's get your tree out of my  
22 yard when the storm comes through. It has been a lot easier to  
23 do the vegetation management. We think that is going to have a  
24 huge impact.

25 We have got different co-ops that are doing different

1 things. One co-op is switching to all aluminum conductors  
2 whenever possible. They are getting the steel core out of the  
3 pole. We've found that when the trees come down and hit the  
4 steel core wire, that that will bring down the poles and the  
5 wire, but if it's aluminum, it will snap the aluminum wire.  
6 You just go back and splice it. It's a real quick restoration.  
7 So there is little things like that that we are looking at.

8           But Section 5, in general, while we very much agree  
9 with the comments by Progress, we just think that it's going to  
10 be kind of a waste of money to go to that extreme wind standard  
11 for the lower poles. And for co-ops it's going to be a big  
12 dollar issue. In rural areas we tend to have longer spans. So  
13 we are talking about a much bigger cost for us overall, and  
14 it's also a much bigger cost for the customer because of our  
15 low density.

16           But the majority of our pole failures are really due  
17 to falling trees. Very few are just from direct wind. We  
18 think that those that did fail because of wind would have  
19 failed anyway under the extreme wind standard. Because what we  
20 were dealing with primarily was spin-off tornadoes and  
21 microbursts that the extreme wind standard is not going to make  
22 a difference.

23           And I think the other, kind of on the jurisdictional  
24 issue here, this is potentially a big dollar impact. We  
25 believe that this is a ratemaking decision that should be left

1 up to our cooperative boards.

2 MR. TRAPP: Well, that was my first question. If we  
3 went to a targeted-only approach, does that relieve your  
4 jurisdictional concerns any?

5 MR. WILLINGHAM: It relieves them some. I'm not sure  
6 if it gets there all the way, but it definitely makes it a lot  
7 easier.

8 MR. TRAPP: Barry.

9 MR. MOLINE: Bob, I concur with a lot of what has  
10 been said on this issue, and I made a note when I first read  
11 this that this is an area for investigation. You know, it's a  
12 component of the hardening investigation of PURC, involving  
13 PURC and, you know, further research and investigation. I  
14 don't -- I don't need to repeat everything that has just been  
15 said, because it has been said so eloquently, but we don't know  
16 the answer to this.

17 There has been some work done, clearly in North  
18 Carolina. There has been a little bit of evidence, you know,  
19 of work that has been done here in Florida. But because of the  
20 failures that we have seen, we didn't see that this was needed,  
21 so -- I mean, that the failures weren't coming from just wind  
22 pushing down distribution lines or poles. They are coming from  
23 stuff bringing it down, trees specifically. So I would ask  
24 that we see some additional -- this would be a good place for  
25 investigation by PURC.

1           MR. TRAPP: Going to the specific question, are you  
2 aware of any of the municipalities that you represent that have  
3 changed their construction standards as a result of their  
4 experiences in 2004 and 2005, and has it been a system change  
5 or has it been case-by-case?

6           MR. MOLINE: I can't answer that question completely.  
7 I am not aware. I could get the answer, but, you know, I have  
8 got a couple of anecdotes, but I don't think that is a complete  
9 answer. So I will get the answer for you.

10          MR. TRAPP: Thank you.

11          Connie, do you --

12          MS. KUMMER: I have just got one comment and then a  
13 question. Don't get hung up on percentages of poles damaged.  
14 People who were out of power for three or four weeks are not  
15 real interested that you've got a fraction of a percent of your  
16 poles that were damaged. So that's just kind of a statement.

17                 The other thing I found very interesting, Mr. Bingel,  
18 the point that you brought up about a category -- if it's above  
19 a Category 2, strengthening it beyond that is not going to help  
20 wind speed. Has that been -- do any of the utilities have an  
21 opinion on that, that above a Category 2 it's debris rather  
22 than wind?

23          MR. SPOOR: Connie, this is Mike Spoor, Florida Power  
24 and Light. As Nelson did make reference to, I think our  
25 experiences, especially during Hurricane Wilma in 2005, we did

1 have pretty good evidence from our forensic teams that were out  
2 in the field right after the storm to show that, you know, we  
3 did have some outages and pole breakage due to wind only.  
4 Certainly, we had our share of those that were caused due to  
5 trees and debris, but we did, indeed, have some for that  
6 Category 3 transitioning to a Category 2 storm as it crossed  
7 across the state to show that they were wind only, poles  
8 breaking.

9 MS. KUMMER: I think TECO mentioned that it -- well,  
10 one of the companies, that it was more tornadic winds rather  
11 than just the flat hurricane wind speed. Now, he's shaking his  
12 head no.

13 MR. MOLINE: Yeah. The evidence that we saw was the  
14 gusts that we experienced in excess of the design criteria for  
15 the poles, perfectly good poles that broke because of the wind  
16 only.

17 MR. BADDERS: With regard to Gulf Power -- this is  
18 Russell Badders -- we do not have all of the forensic data I  
19 believe that FPL may have collected. We do have a lot of  
20 anecdotal information from people in the field just observing  
21 what we went through with Ivan, mainly, and in the subsequent  
22 storms, that most of the poles that came down, came down from  
23 wind blown debris. Now, to say that we did not have any that  
24 came down from a purely wind event, that's not likely. I'm  
25 sure we did. But the majority is, it's sheds being blown into

1 it, more trees off the right-of-way, those are the big issues.

2           And, clearly, we are sensitive to people being out,  
3 and it's just looking at this with the available data and with  
4 what we are trying to do with regard to storm hardening going  
5 forward, I think we'll have more information. And we probably  
6 need to -- our position is to take the time and get that  
7 information so we can really see what really does work. It  
8 would kind of -- it is a bad situation. I think if you say,  
9 well, we are going to do this, and we're sure that it's going  
10 to have this impact, and then lo and behold, you have a  
11 hurricane, poles come down for the same reasons that were  
12 before that were not addressed. We would like to take the time  
13 and get the information and implement some of these things as  
14 we go and just see what we get out of it.

15           MS. KUMMER: What kind of time frame are we talking  
16 about?

17           MR. BADDERS: Knowing exactly what the impacts are,  
18 we may never know. But, I mean, right now we have several  
19 projects that we are implementing. It will take a few years to  
20 get some information out of that. It may take a decade if we  
21 don't get any hurricanes. But I think with tropical storms and  
22 just everyday tornados or anything else like that, high wind  
23 events, just thunderstorms, I think we will learn and we will  
24 get more information.

25           We are not -- we are doing something. I don't know

1 that we have all the answers to say that we know the answer. I  
2 think that is the real point I'm trying to make. Will we have  
3 something in place over the next few years, I think so. I  
4 think some of the efforts as far as guying facilities,  
5 flush-mount transformers for underground, things like that in  
6 certain areas may have an impact. It is just going to be a little  
7 while before we know the exact impact.

8 MR. F. BRYANT: I have a question, if I might, on a  
9 word that you are using in Subsection 5, and the word is  
10 structures. What do you mean by structures? Structures  
11 extreme wind, structures of 18 meters or less, what do you mean  
12 by the word structure?

13 MR. TRAPP: That's language straight from the  
14 Electrical Safety Code. And when I read structures, I think of  
15 anything that is above the ground.

16 MR. F. BRYANT: A building?

17 MR. TRAPP: Yeah.

18 MR. F. BRYANT: Huh?

19 MR. TRAPP: Sure.

20 MR. F. BRYANT: A substation?

21 MR. TRAPP: I'll have to defer to Jim on some of  
22 these, because he is my technical guy.

23 MR. BREMAN: The definitions are in the National  
24 Electric Safety Code, if you want to read them. They have a  
25 definition in there.

1           MR. F. BRYANT: I would suggest for purposes of your  
2 rulemaking you might want to consider your own definition,  
3 otherwise you might have a flaw in your rule. But I'll leave  
4 that up to your legal staff. But I'm trying to understand --

5           MR. TRAPP: I'll answer you straight out. My  
6 understanding is that it's everything above the ground. It's  
7 buildings, it's poles, it's wires, it's transformer stations,  
8 it's pad mounts, anything.

9           MR. F. BRYANT: So all of our buildings, all of our  
10 substations, all of our fences, everything.

11          MR. TRAPP: Right.

12          MR. F. BRYANT: That's fine.

13          MR. TRAPP: That's my understanding, Fred.

14          MS. KUMMER: Progress, I think we are back to --

15          MR. BURNETT: Thank you, Connie.

16          John Burnett, Progress Energy Florida.

17          Connie, definitely our experience was consistent with  
18 Nelson's comments on what we saw from our past two storm  
19 seasons were flying debris, primarily vegetation, and other  
20 debris, and then tornadic spin off and microbursts. That's  
21 what we have seen has been the cause of the majority of our  
22 failures.

23          And, Connie, definitely I wanted to say that  
24 certainly our company is sensitive to the fact that the  
25 customers, even if they are a small percentage on poles that

1 are out, they are out. But the point we want to make is that  
2 if they are out because a live oak saturated with water that we  
3 couldn't trim on private property fell on them, they are out as  
4 well if we have these standards. And then, not only are they  
5 out, but they are paying more money, and we have problems  
6 justifying why. So that's the biggest concern that we had with  
7 that. But to answer your question, absolutely flying debris  
8 and spin-off activity.

9 MR. HAINES: Tampa Electric would concur with that.  
10 Again, the experience that we had in 2004, pole failures, very  
11 few, but the ones that we did experience were due to trees,  
12 trees outside the right-of-way. And we think that improving  
13 the vegetation management program that we have and our  
14 maintenance program is probably dollars better spent than  
15 investing in a higher construction standard that you're going  
16 to have similar issues with.

17 MR. BINGEL: Connie, I just want to respond, too,  
18 that the NESC evaluation is always looking at things from a  
19 safety perspective, not necessarily reliability. And the  
20 thought was that once roofs are flying around from a safety  
21 standpoint that there is not much we can do in the structures,  
22 because people shouldn't probably be exposed to that anyhow.

23 And I just wanted to add, too, the point I was making  
24 before is right now if you go from a Grade B construction to  
25 approximately 140-mile-an-hour extreme wind that requires an 80

1 percent stronger pole. It's almost twice as strong. And my  
2 point was that it could be that a 30 percent stronger pole is  
3 going to give you some additional reliability, and anything  
4 beyond that you have got another weak link. It could be the  
5 foundation, which also would be addressed, but there could be a  
6 variety of things that conductors are snapping. You're going  
7 to have outages anyhow.

8           And that was the point I was trying to make, is that  
9 maybe there is some range in between the light, medium, and  
10 heavy loading districts and extreme where there is definitely a  
11 benefit and a cost justification. And then beyond which  
12 that -- I mean, there is no additional benefit from a  
13 reliability standpoint.

14           MR. BREMAN: Larry, I think it's to you. We're about  
15 ready to shift.

16           MR. HARRIS: I think now might be a good time for a  
17 short break. Let's give the court reporter a few minutes to  
18 limber up again. And we are going to move on to -- I guess  
19 shift gears a little bit. We have been talking about above  
20 ground, I guess the next section deals with undergrounding a  
21 little bit. So ten minutes. We will be back at -- let's call  
22 it 11:15.

23           (Recess.)

24           MR. HARRIS: Did we have anymore comments on  
25 Paragraph 5 or are we ready to move on to Paragraph 6?

1 MR. BRYANT: I have a question on Paragraph 5.

2 MR. HARRIS: And we do have a new court reporter, so  
3 if you all could reintroduce yourselves again. You've been  
4 doing a very good job of it, but we need to keep that up. We  
5 have a replacement, some fresh hands.

6 MR. BRYANT: Fred Bryant, Florida Municipal Power  
7 Agency. Good morning.

8 What is the, the corridors -- where is that  
9 language -- major thoroughfares. What do you mean by major  
10 thoroughfares, (c), targeted critical infrastructure and major  
11 thoroughfares?

12 MR. TRAPP: My thought on the matter, Fred, is major  
13 feeders, places where you've got a lot of power running to the  
14 people.

15 MR. BRYANT: Okay. You didn't mean -- okay. You  
16 didn't mean facilities crossing major thoroughfares, but major  
17 thoroughfares --

18 MR. TRAPP: No. No. Not in the technical sense  
19 that's used in the Code. At least my idea of it was that you  
20 wanted to focus on where you get the most bang for your buck,  
21 where, where your major distribution supply is, you know,  
22 coming out, coming down feeders, not necessarily laterals or  
23 secondary, but --

24 MR. BRYANT: And then the words "taking into account  
25 political and geographical boundaries," what did you have in

1 mind there?

2 MR. TRAPP: I think you need to ask Power & Light  
3 because we kind of lifted their language. But --

4 MR. BRYANT: Does anyone know what that means that  
5 we're fixing to put into rule?

6 MR. MIRANDA: This is Manny Miranda with Florida  
7 Power & Light. For political boundaries, what we're referring  
8 to is the way some of the maps define, you literally could  
9 divide a city in half, would have different design criteria for  
10 each one of them. So trying to look at what may be  
11 municipality boundaries, city boundaries are as you define your  
12 codes.

13 And as far as geographical, what we're referring to  
14 is you may have some situations with like a highway crossing or  
15 a river crossing where it might cross across a couple of, you  
16 know, a water, you know, like a lake or, you know, any kind of  
17 facility that you may want to design to a little bit different  
18 standard.

19 MR. BRYANT: We might suggest a word change or two  
20 for "political." I hear what you're saying and I don't  
21 disagree, but I wonder if it's -- corporate might be,  
22 government or corporate, something like that. I just don't  
23 understand what the "political" meant. I don't want to get in  
24 a situation where a county might challenge what's being done  
25 inside a city limits for construction standards as opposed to

1 outside the city limits. Maybe some of y'all will understand  
2 my reason for that sensitivity.

3 MR. TRAPP: I would tend to agree with you. But on  
4 the other hand from an IOU perspective, IOUs serve non-utility  
5 municipalities and communities, and all of those communities  
6 have their own concerns about things. And we want to make --  
7 as we pointed out in the other aspects of this process, you  
8 know, we wanted the, we wanted the investor-owned utilities to  
9 begin talking more to their local utilities and understanding  
10 what their needs were, and to the extent that it was feasible,  
11 practical, prudent and cost-effective, to take those into  
12 consideration to do that. So I think those words may pertain  
13 to that somewhat too.

14 MR. BRYANT: Right. I don't quarrel with the  
15 concept. I think it makes good sense. I just want to make  
16 sure that the words are better defined. Okay.

17 MR. TRAPP: Yeah. Well, we do too. And I'm glad you  
18 brought it up because I did want to ask Manny, because some of  
19 this language did come from a Florida Power & Light proposal  
20 that was addressed at Agenda some time ago and we pushed it  
21 into this rulemaking docket, we thought we understood the words  
22 when we put them in here. But I just want to clarify with you,  
23 what was your understanding of "major thoroughfares"?

24 MR. MIRANDA: I'm glad you brought it up. For us,  
25 thoroughfare was a roadway. One of the things that we found --

1 MR. TRAPP: Okay. So you were referencing the  
2 specific language that was in the National Electric Safety Code  
3 pertaining to thoroughfares.

4 MR. MIRANDA: Yeah. What we found during these  
5 storms is many of these thoroughfares that have, you know, the  
6 supermarkets, gas stations, restaurants, it's very critical  
7 from a community need to get them restored as quickly as  
8 possible. So as we were targeting, targeting critical  
9 infrastructure, we also thought targeting major thoroughfares  
10 that serve many of these facilities would be also part of our  
11 initiative.

12 MR. TRAPP: So you're, so you're not talking about  
13 major feeders here. You're talking about things like  
14 streetlight intersections, major streetlight intersections,  
15 grocery stores, gas stations, that type of thing.

16 MR. MIRANDA: Correct.

17 MR. TRAPP: Okay.

18 MR. BUTLER: Well, and also the power that would  
19 serve the facilities that are along the major thoroughfares.  
20 You know, if you have a bunch of malls along that would have  
21 the sort of businesses it would be good to get back into  
22 service quickly.

23 MR. TRAPP: So does that lend itself to the  
24 terminology "commercial feeders" as opposed to just "feeders"  
25 or -- I guess, you know, my perspective is feeder, commercial

1 and residential, you want to --

2 MR. MIRANDA: What we were trying to do is translate  
3 it to -- from a customer viewpoint. What we have a lot of  
4 times on these roadways, our feeders don't necessarily run  
5 parallel to these major thoroughfares. You may have multiple  
6 circuits serving a single thoroughfare. So, for example, you  
7 might have U.S. 1 down in Miami, you know, that runs, you know,  
8 many, many miles. But if you can target portions of it and,  
9 you know, harden those portions of it and be able to  
10 communicate externally that, you know, that these sections have  
11 been restored or have been targeted for improvement so that  
12 the, the communities know where they can go to get gas and food  
13 and water and so forth.

14 MR. TRAPP: Uh-huh.

15 MR. MIRANDA: That was our intent.

16 MR. TRAPP: Okay. Can we move to six? Again, five  
17 addressed overhead facilities and structures. Six is intended  
18 to address underground facilities. And staff's thinking here  
19 was that the, the primary impact area in hurricanes for  
20 underground facilities were in areas that are subject to  
21 flooding. And I know that there's probably inland flooding  
22 that takes place in the State of Florida as rivers swell and  
23 things of that nature. But what we witnessed, I guess, in the  
24 workshops, in the aftermath and the press and everything was  
25 mostly the coastal areas of the state. So we went to the, the

1 Division of Emergency Preparedness and looked at some of the  
2 maps that they prepare and keep maintained, and they've done --  
3 Jim, correct me if I'm wrong, this is primarily for evacuation  
4 route purposes, but --

5 MR. BREMAN: I think they mapped all developed  
6 counties. I don't know what developed means. I don't think  
7 Jefferson County has been mapped like this. Maybe that might  
8 --

9 MR. TRAPP: But in any event, this purportedly is  
10 information that's available on the Internet, it's maintained  
11 by another state agency, and it's constantly updated to  
12 identify areas that are prone to be affected by different  
13 category storm surges.

14 And so it occurred to us to base a rule on, and we  
15 just picked Category 3, and that's the yellow on the maps, and  
16 drafted Paragraph 6. That having been said, is there any  
17 response, comments, questions?

18 MR. BADDERS: This is Russell Badders on behalf of  
19 Gulf Power. I guess I have more of a question. We talk about  
20 as practical and cost-effective as possible, protected from  
21 flooding and storm surges in areas on this map, I guess,  
22 Category 3. I guess I'm not really sure that we know what will  
23 definitely protect our system from a Category 3 or even a  
24 Category 2. I think this gets back a little bit to some of the  
25 things that we're trying. But as you know, Pensacola Beach was

1 devastated. Navarre was devastated in another subsequent  
2 hurricane. In many of those areas, I don't think there was  
3 anything that could have been done -- the roadway was  
4 completely relocated and destroyed. There are some areas where  
5 flush mount and switchgear may be effective. Those are things  
6 that we're looking at.

7           But I guess if we codify that we have to do something  
8 in these areas, I think we need to have an idea of what may  
9 work and what doesn't work, and I just don't know if we're  
10 there yet. So that's kind of an overall concern. That's not  
11 to say that we can't do anything. It's just I think we have to  
12 be careful how we word this so we don't create a rule that  
13 cannot be complied with, that we just really don't have a  
14 solution for some of these areas.

15           MR. TRAPP: Personally I tend to agree with you,  
16 Russell, and I think that's why the staff opened the rule by  
17 saying, putting the responsibility on the utility to come up  
18 with the construction standards and what is reasonable and  
19 prudent.

20           I have to also say that during the January 23rd  
21 workshop I was a little surprised and impressed with some of  
22 the things that Gulf Power has been doing with respect to  
23 strategic locating of pad mounts behind buildings to try to  
24 protect them. Some of the concrete runs that you were  
25 installing your supply cable into, I didn't know that was going

1 on.

2 MR. BADDERS: Right.

3 MR. TRAPP: And I don't know what kind of after  
4 experience analysis or forensic review you've done on that,  
5 but, I mean, it sounded like a good idea to help dam, help keep  
6 it from moving, those types of principles. So that's the kind  
7 of stuff that, you know, we're looking for y'all to, you know,  
8 experiment with, see if it works, and then maybe codify into  
9 your own construction practices. I'd be real interested to  
10 know your feelings after the fact of whether any of that worked  
11 --

12 MR. BADDERS: Right.

13 MR. TRAPP: -- any better than just direct burying  
14 it.

15 MR. BADDERS: Right. And some of that information  
16 we're gathering, some of it we have some information on. I  
17 don't think, even given Ivan, Dennis and some of the Katrina  
18 effects, that we have a very clear picture of what will work  
19 and what will not work in a different, I guess, Category 3 or  
20 2. I mean, as we all know, even a Category 2 can have  
21 significant storm surge. I mean, it really depends where it  
22 hits, high tide, low tide. There's a lot that goes into that.  
23 We don't have -- and even given the experiences we have, and we  
24 have tried a lot of these things and we're continuing to try  
25 things, I don't think we even have enough information to say,

1 yes, if we do those things, that we will be in compliance with  
2 Part 6, and I think that's my concern.

3           And I don't -- I believe staff's intent here is to  
4 give us some opportunity to develop those things and use those  
5 things. I just, I just want to make sure that the language  
6 doesn't assume that they will all work and that we have the  
7 answer. That's the only thing. And it may just be a softening  
8 of the language, and we'll try to offer some of that up in our  
9 comments.

10           MR. TRAPP: Someone mentioned, I think, offline the  
11 word "assure" gave them some heartburn. Is that one of the  
12 words you're referring to?

13           MR. BADDERS: Right. Right. Yeah. It assumes --

14           MR. TRAPP: We didn't say insure or ensure, we said  
15 assure, which to me is a softer word. But is there something  
16 better?

17           MR. BADDERS: And that's something we have to work  
18 on. But that is part, part of the concern is, is what are we  
19 holding out to the public and everyone else that we are capable  
20 of doing to meet this rule and what does this rule assume is  
21 possible?

22           MR. TRAPP: Do you agree that the flood zone maps are  
23 a starting point to focus in on an area that has -- of critical  
24 concern?

25           MR. BADDERS: I agree these are good starting points.

1 I also believe that, I think, given Mississippi's experience  
2 with Hurricane Katrina, that you take this as a good starting  
3 point. But you have to factor in a lot of other things that we  
4 may not have all the information right now, but this is a good  
5 start.

6 MR. TRAPP: Any other comments, questions? Bill.

7 MR. WILLINGHAM: I have one comment. Bill Willingham  
8 with the electric co-ops. I certainly agree with everything  
9 Russell just said. And I guess conceptually I'm trying to  
10 figure out, you know, of course, whether or not Category 3 is  
11 the right area. But are we looking at down the road having a  
12 URD or underground differential for these potential flood  
13 areas, storm surge areas and then a different URD differential  
14 cost in inland areas?

15 MR. TRAPP: Our current plans are to discuss that, to  
16 discuss that after lunch because that's where we're going with  
17 the next section of rules is the underground CIAC calculations,  
18 and we're going to talk about that formula and how these  
19 hardening impacts -- well, I think it's also -- it may be in  
20 here too. I think, I think it's in the URD rules. And we were  
21 kind of hoping to wrap this one up by lunch and then shift over  
22 to the cost CIAC stuff after lunch. So hopefully if you'll  
23 hold your questions.

24 Manny.

25 MR. MIRANDA: Manny Miranda. Like Russell said, you

1 know, the word "assured" for us was kind of an area of concern  
2 because there was really no guarantee you could hurricane-proof  
3 any infrastructure including our underground system.

4 MR. TRAPP: It's got a comma after it though. It  
5 says, "To the extent practicable and cost-effective."

6 MR. MIRANDA: As far as the storm surge maps, you  
7 know, we're not sure that this is the right application of the  
8 storm surge maps, you know, since they really were intended for  
9 evacuation maps. But, you know, we look at, like, base  
10 flooding levels. I understand the issues that Gulf had with  
11 the storm surge. I'm not quite sure what infrastructure is out  
12 there that can prevent that type of facility damage. We did  
13 experience some of that during Frances and Jeanne a little bit,  
14 and the storm surge issues are much more complicated than even  
15 in the overhead area for us right now.

16 MR. BREMAN: Are you at least using the 100-year  
17 flood plain?

18 MR. MIRANDA: No. We followed basically base flood  
19 levels as kind of the criteria. We design our infrastructure,  
20 you know, say a substation control house to the local building  
21 codes that are required.

22 MR. BREMAN: The SLOSH model, is that, is that what  
23 you're using or --

24 MR. SPOOR: Jim, I think -- this is Mike Spoor, FPL.  
25 You know, to the extent that, you know, the local governments,

1 as Manny mentioned, have some type of flood elevation levels  
2 certainly for a substation perspective, I believe that's what  
3 we're following.

4 This particular topic though, in our analysis, so far  
5 we've struggled with a little bit because whereas the NESC for  
6 aboveground structures certainly is kind of shown, as the map  
7 up on the screen suggests, this whole issue of surge and, and  
8 flood zones, et cetera, has certainly, from our research at  
9 least, been deferred to some of the local communities and local  
10 governments to kind of dictate and mandate. So it certainly  
11 could differ across your service territory, whereas, you would  
12 not have some type of national type of guideline and terms to  
13 follow. So this is one area that we've struggled with a little  
14 bit in terms of what makes sense. This could be a good  
15 starting point, but I know we could potentially have some  
16 concerns, especially as you move further south. If you look at  
17 Miami, Dade and Broward, these same type of pictures certainly  
18 would be a cause of concern.

19 MS. KUMMER: I think what Jim's question was, or  
20 maybe it's just a question I have, Manny, you keep using the  
21 term "base flood level." How are you defining that? Is that a  
22 specific criteria, objective criteria or what?

23 MR. MIRANDA: Well, most local governments, they've  
24 been given the authority to define those base flood levels.  
25 And so when we design, you know, our infrastructure, you know,

1 we try to meet that minimum requirement.

2 MS. KUMMER: So it's just whatever the local  
3 governmental entity defines as the flood level?

4 MR. MIRANDA: Correct.

5 MR. TRAPP: How would you define that for rulemaking  
6 purposes?

7 MR. MIRANDA: We'll submit some, some language.

8 MR. TRAPP: Okay. Moving now to Section 7, we'd like  
9 for you to build an easement. Is there any reaction to that?  
10 Easements and road, public road right-of-ways.

11 Hearing no outcry, Section 8 -- there you go. Jim  
12 put up our pretty slide. We'd like for you to install new  
13 facilities and move, to the extent you can, with relocation or  
14 re, what's the word, replacement and retirement from rear lot  
15 to front lot. Is there any reaction to that?

16 The last section of the rule is stricken. I'm sorry.

17 MR. BURNETT: Bob, I'm very sorry. John Burnett,  
18 Progress Energy. We had one question, if we could ask, on  
19 Rule 8. Would staff consider striking the word "operational  
20 need"? And it may be us just being too hypertechanical, but it's  
21 on Line 7.

22 David brought up a commercial application where we  
23 may have to, where it may make sense in a commercial setting to  
24 put something in the back of a commercial establishment. And  
25 technically it would not be operational, but, you know, but

1 still would make sense. So I think you'd still get the same  
2 intent of the rule if we had "operational" out. I could get  
3 David to explain a little bit more, if you need him to.

4 MR. TRAPP: No. Your explanation is not needed.  
5 It's just, you know, we like rules that we all understand how  
6 to interpret, and those modifying words tell staff what to look  
7 at in terms of need, but you want it more generic. So I think  
8 it's a constant battle we're always in. Y'all want generic, we  
9 want a little more specific. But that doesn't do a lot of harm  
10 to me personally.

11 MR. McDONALD: The only way -- the only thing I would  
12 clarify -- David McDonald with Progress. The only thing I  
13 would clarify is we are approached by commercial developers to  
14 build facilities in the back of the property for aesthetic  
15 reasons. Operationally it doesn't impact us because it's  
16 normally a paved area and we can access it with the trucks. So  
17 it doesn't apply like you see in those pictures there.  
18 Strictly adhering to --

19 MR. TRAPP: Shouldn't we say unless there's an  
20 operational need not to? I mean, that's the point, I think, of  
21 this paragraph is rear lot construction -- we think of these  
22 residential situations where, you know, back in the '40s and  
23 '50s when there were alleys with the garbage trucks and  
24 everything running down them, that might have been a good  
25 thing. But now people assume that property belongs to them,

1 built fences, planted stuff, and you can't get to the equipment  
2 to maintain it even, much less restore it during a storm. But  
3 if you have access in a commercial, industrial application, it  
4 doesn't matter where you put it as long as you've got access.  
5 That's the point.

6 MR. McDONALD: That's what we're saying. But a  
7 strict interpretation is if we were approached by a commercial  
8 developer, we'd have to say no.

9 MR. TRAPP: You think you couldn't do that? Okay.

10 MS. KUMMER: I could see that causing problems  
11 because a neighbor could say, well, you're putting back for  
12 these businesses. We have an investment in our property  
13 values. For aesthetic reasons we want our facilities in the  
14 back too. You did it for him. Why can't you do it for us? I  
15 can see inconsistencies arising.

16 MR. McDONALD: My only response would be operational  
17 accessibility; if we could garner the same accessibility.

18 MS. KUMMER: If you could come up with some language  
19 that captures that thought.

20 MR. TRAPP: You understand what we're trying to get  
21 at. I don't think we've got any disagreement with the  
22 utilities. Now the customers might, but --

23 MR. McDONALD: We'll work on that.

24 MR. TRAPP: Okay. Thanks. And then the last section  
25 that we've stricken through -- I'm sorry.

1           MR. HAINES: I'm sorry, Bob. Regan Haines, Tampa  
2 Electric. Just one other clarifying question on Number 8.  
3 Where it says "rebuild," I think the point was brought up  
4 earlier as far as restoration following a storm, if we're  
5 rebuilding a line, if we're even a couple of poles within a  
6 line that's in a rear easement, is it expected that we would  
7 relocate the line at that time to the front?

8           MR. TRAPP: I would encourage you to say yes. You  
9 know, my personal opinion is that we've had too much trouble  
10 with rear lot, and that every opportunity ought to put it front  
11 lot. If it, if it's -- it's a matter of degree and a matter of  
12 cost, and I think we may have to think about this in the  
13 context that we started out earlier about what does it mean to  
14 grandfather and not grandfather facilities, more thought maybe  
15 needs to be put to it. But, again, my position is unless it  
16 costs an arm and a leg, you ought to take the opportunity to  
17 relocate it.

18           MS. KUMMER: The idea is to migrate away from rear  
19 lot lines. And if you're going to keep rebuilding the rear lot  
20 lines, we're never going to get there. Now I agree that if  
21 it's a choice between getting power up on a rear lot line and  
22 taking two months to get poles and easements in the front line,  
23 then, you know, that's definitely something that we need to  
24 consider. But, again, our goal is to migrate away from the  
25 rear lot lines. And if you've got a better way to capture it,

1 you know -- but that's where we were headed.

2 MR. HAINES: Maybe some language "where practical" or  
3 "cost-effective," "reasonable."

4 MR. TRAPP: Well, I just challenge you as you do your  
5 cost impacts, because, again, we're going to ask you at the end  
6 to give us the cost impact of the rule as proposed and then  
7 cost impact of your changes, as you do those cost impacts,  
8 think of the many, many customer complaints we get about: I've  
9 got a squirrel that runs in my back yard; I've got a tree that  
10 grows in my backyard. I mean, my staff seems to be -- a lot of  
11 their work time is spent chasing down customer complaints  
12 involving rear lot construction. The poles aren't big enough,  
13 they need to be taller, the lines are dragging the roofs, they  
14 need animal guards on the wires, this and this, this and that.

15 MR. BREMAN: It's also a point of discussion that you  
16 need to have with your communities, and it's something you can  
17 set up in the damage plan with the community and how you  
18 respond to the damage. So on one hand there's an immediate  
19 answer, which is some of the discussion that we've had just  
20 now. But there's also a long-term view, and that needs to be  
21 part of the dialogue with the local communities. If they want  
22 to insist on that back lot construction, they're going to have  
23 to be aware of the long-term outages that go with it.

24 MR. TRAPP: And, you know, growing up in Jacksonville  
25 Beach, I have to say from personal experience no kid has

1 experienced growing up in Florida until he's throttled himself  
2 on a guy wire in a front lot construction. In the area in Jax  
3 Beach that had rear lot construction, it was a real danger  
4 because we were climbing the fence to see if we could climb the  
5 poles. All we did in the front lot was just throttle ourselves  
6 on the guy wires, so.

7           The last section, again, staff is proposing to strike  
8 because these are basically metering requirements that are  
9 elsewhere in the rules.

10           And if we could turn now quickly to 25-6.0345, the  
11 safety standards construction. Staff is proposing no changes  
12 to this rule. And the reason we're not proposing any changes  
13 to this rule is there's a very, in our minds, prescriptive  
14 statute on this, and this rule exactly complies with that  
15 statute and enunciates what that statute contains. I know that  
16 there are some discussions in the Legislature to possibly  
17 change that statute, so I guess our going in position is until  
18 such time as the Legislature changes the laws, we're going to  
19 keep the rule that was designed to enforce the law that is  
20 currently on the books.

21           I know that Florida Power & Light did propose a rule  
22 change, and I guess I need to turn to you and ask for your  
23 comments on this area. Do you feel we need to try to change  
24 this rule, given the fact that the current statute is the  
25 current statute?

1           MR. MIRANDA: Bob, we had -- we will propose in our  
2 language proposal to have inputted in there the extreme wind  
3 loading criteria. So that was the discussion we had that we  
4 thought that it might be a required rule change here.

5           MR. TRAPP: And you think that's a safety  
6 requirement?

7           MR. MIRANDA: That's -- we'll have to revisit that.

8           MR. TRAPP: Again, our mentality going into this was  
9 to have a rule on reliability construction standards and then,  
10 and then a separate rule on safety standards because there are  
11 two different statutes that are being implemented in the rules.  
12 In this particular rule, I'd encourage you to look at the  
13 statute that is on the books for this rule. To me it's very  
14 prescriptive. It tells us exactly when to start the code  
15 enforcement. It starts in eighty -- what is it, Jim, four,  
16 six, four code, I think it was.

17           MR. BREMAN: 1984..

18           MR. TRAPP: In interpretations from that, if only new  
19 facilities are affected by the safety code, munis and co-ops  
20 are specific -- I don't think we have an argument on this  
21 one -- munis and co-ops are specifically encompassed in that  
22 enforcement action. And I'm a little hesitant to mess with  
23 that rule because there's a specific statute over there, and  
24 I'd rather fight my battles with Bill and Fred on another  
25 statute.

1           MR. BUTLER: We may be able to do something that  
2 would be more -- really the concern here is being sure that  
3 what's said in 0345 doesn't trump what's being done in 034. It  
4 may be that there's some notwithstanding language that we could  
5 propose for 034 that would get the job done.

6           MR. TRAPP: That might work. That might work.

7           MR. BUTLER: Okay.

8           MR. TRAPP: Anybody else have anything on the safety  
9 rule?

10           I think that takes us to Page 13, which is the  
11 undergrounding, starting of the undergrounding discussion.  
12 Larry, did you want to start or do you want to break for lunch  
13 a little bit early or what do you want to do?

14           MR. HARRIS: You know, Bob, I don't really mind  
15 either way. I would say we should probably break. I think  
16 undergrounding is going to be a pretty big deal, and I'm not  
17 sure that it makes sense to get started and then break in half  
18 an hour or an hour for lunch. I think we probably ought to  
19 just go ahead and stop a little bit early and then come back  
20 and we'll all be fresh and ready to really tear into it.

21           That would be my suggestion, unless I hear somebody  
22 who strongly feels we need to get started now.

23           MS. KUMMER: I would just like to point out that  
24 6.064 is not an undergrounding rule.

25           MR. TRAPP: I'm sorry. Well --

1 MS. KUMMER: We want to talk about it, but it's not  
2 an undergrounding rule.

3 MR. TRAPP: I'm sorry. We start getting into topics  
4 that pertain more to underground costs than standards of  
5 construction. That's what I meant to say. Connie corrects me.

6 MR. HARRIS: Yeah. Let's go ahead and break for  
7 lunch, come back at 12:45, and we'll get started with 6.064.

8 (Lunch recess.)

9 MR. HARRIS: All right. Welcome back. I hope  
10 everyone had enough time to get something to eat. We're going  
11 to move on.

12 I misspoke earlier. 6.064 is not undergrounding.  
13 It's contributions in aid of construction. But it was probably  
14 still a good time to break, so I'm not too upset about that.  
15 We're going to move on unless we have any comments anyone needs  
16 to catch us up on to begin with. Bob, did you have anything?

17 MR. TRAPP: Well, I don't, I don't see our friends  
18 from the munis and co-ops here to initiate the discussion with  
19 them, so -- I can pick on Mark Cutshaw though. I assume that  
20 you just love this rule and that FPUC just will --

21 MR. CUTSHAW: (Inaudible.)

22 MR. TRAPP: Well, I just wanted to forward you an  
23 opportunity to a microphone, should you need one.

24 MR. CUTSHAW: If I need one, I'll come up there.

25 MR. TRAPP: Thank you.

1 MR. HARRIS: All right. Let's go on with 25-6.064  
2 then. Connie, did you want to go ahead and introduce this one?

3 MS. KUMMER: Okay. In case you're all wondering,  
4 this really doesn't have a whole lot to do with hardening, but  
5 it's a rule that does have some reference to the new  
6 construction standards, and also it just needed cleaning up,  
7 period. And that's primarily overall -- all staff was trying  
8 to do was to clean up this rule, get rid of a lot of the  
9 confusing formulas, the duplicative language. What we have  
10 done is expand this from just line extensions to all kinds of  
11 CIAC.

12 And one example that came up as we were going into  
13 this was apparently in Central Florida there seems to be  
14 movement to buy older homes, tear them down and build mega  
15 mansions on the property, and that is requiring upgrade in  
16 distribution facilities to serve these homes. And there was  
17 not a mechanism in our rules that we could find that would  
18 address CIAC in those issues. And that's what we also tried to  
19 incorporate in here. So it expands slightly from the line  
20 extension issue, and other than that it's just basic cleanup.  
21 So we can, we can start at the first, or if you just have  
22 general comments, we can tag those. Everybody loves it? Is  
23 this silence?

24 MS. CROSS: I'm Lori Cross from Progress Energy. And  
25 just in general on the entire rule, we had a question as to

1 whether or not this rule was applicable to transmission or did  
2 you intend for it to only apply to distribution facilities?

3 MS. KUMMER: I'm looking for the language in here  
4 that -- we had primary and secondary, I believe. I don't  
5 think -- typically this doesn't apply to transmission. I  
6 thought we had some language in here that I can't find at the  
7 moment that limits it to --

8 MR. TRAPP: Connie, if it, if it applied to lower  
9 voltage transmission serving a commercial or industrial  
10 customer, would it have application?

11 MR. BREMAN: I think, I think the question is it has  
12 retail applicability, not wholesale.

13 MS. KUMMER: Yes, it is retail. I'm not sure I  
14 understand, Bob, what you're saying.

15 MR. TRAPP: Well, her question is to transmission,  
16 and I think Jim's properly tried to classify what we're trying  
17 to do. Are you talking about wholesale transmission, bulk  
18 power transmission or transmission that serves a retail  
19 customer? Because my reading of the rule was that it would  
20 apply to transmission serving directly a retail customer.

21 MS. CROSS: Yes, that is what I'm asking about.

22 MR. TRAPP: And I'm asking for clarification too  
23 because Connie is the expert on this one.

24 MS. KUMMER: Quite honestly, I haven't thought -- I  
25 suppose if it's serving a customer directly, then it could

1 apply to that. I would think that if you're extending  
2 distribution, the four times use or four times revenue is going  
3 to be a meaningless number in that calculation, but I'm not  
4 sure.

5 MR. TRAPP: It just seems to me that over the 31 some  
6 odd years I've been here we've had a few transmission customer  
7 CIAC situations, and to me this rule would apply in those  
8 circumstances. But since you can't calculate revenues  
9 associated with bulk transmission, the rule would not have  
10 applicability in a bulk transmission situation.

11 MR. PORTUONDO: This is Javier for Progress Energy.  
12 No. What we're trying to assess is we have retail customers  
13 that are served out of transmission voltage.

14 MR. TRAPP: Right.

15 MR. PORTUONDO: And we just want to confirm, since  
16 the original rule addressed distribution facilities, we just  
17 wanted to make sure that now this rule is intended to encompass  
18 both distribution and transmission voltage facilities.

19 MR. TRAPP: Where did it limit it to distribution?

20 MR. PORTUONDO: Well, it talks about extensions of  
21 distribution facilities in order to receive electric service.

22 MR. TRAPP: I got you. Extensions of distribution  
23 facilities on Line 10?

24 MR. PORTUONDO: Right.

25 MR. TRAPP: Ah-hah. It would seem to beg for

1 clarification. Why don't you propose some?

2 MR. PORTUONDO: I mean, is that -- was that staff's  
3 intent is to make this holistic, just retail?

4 MR. TRAPP: I always thought it was holistic myself.  
5 But, again, she's the --

6 MS. KUMMER: Quite frankly, I don't think we even  
7 thought about it at that level. I don't see why it wouldn't.  
8 I mean, if it's serving a customer directly, I would think that  
9 it would be equally applicable, but I have to think about it a  
10 little bit more. It's a good point.

11 MR. PORTUONDO: Okay.

12 MR. TRAPP: We'll seek to clarify that.

13 MS. KUMMER: Anything else?

14 MR. BRYANT: Connie, this is Howard Bryant with Tampa  
15 Electric. In the first section could you maybe help us  
16 understand a little bit better what "standard installations"  
17 means?

18 MS. KUMMER: What we were trying to get at at that  
19 point is the cost -- your base rates include certain types of  
20 costs that you would -- to go back to the line extension  
21 analogy, it covers the transformer, the service drop and the  
22 meter. Now if you've got to put in three or four more poles to  
23 get to that transformer service drop, then those would be  
24 nonstandard. Standard is what is already, would already be  
25 included and recoverable through your base rates.

1 Anybody else?

2 MR. BRYAN: Were you going to go section by section  
3 or are you just looking for general comments across --

4 MS. KUMMER: We can. If you want to go section by  
5 section, start with paragraph one.

6 Does somebody have a better term for "standard  
7 installations"? Given -- that was the only thing we could come  
8 up with to try to succinctly capture the costs that would be  
9 otherwise covered in base rates. And it does exempt any of the  
10 new subdivision CIAC that's covered under Rule 25-6.078.

11 Okay. What about our formula in Paragraph 2? Have  
12 we missed anything? Okay.

13 MS. CROSS: Lori Cross, Progress Energy. Yeah. We  
14 just wanted to understand what your intent was here with the  
15 formula. Was it just to combine and consolidate the  
16 calculation? Because at first, when we first read through it,  
17 we thought that was the intent and we really didn't have an  
18 issue with it. But once we sat down and went through it again  
19 and worked through the numbers as it's laid out, we do have  
20 issues with it because the formula, the new formula results in  
21 the loss of CIAC related to overhead service, and it also  
22 doesn't provide for the netting of the estimated revenue  
23 against the cost of overhead service in the calculation of the  
24 differential between the overhead and underground service. So  
25 if you could maybe just help us understand what your intention

1 was here, whether you meant to change the way it's calculated.

2 MS. KUMMER: Essentially we were just trying to clean  
3 up all the myriad other formulas that were equally confusing.  
4 Blame this one on Bob. He wanted one formula, one formula. He  
5 wouldn't let me have more than one formula.

6 MR. TRAPP: I can't read the rule. I don't  
7 understand the rule. It's got four formulas that seem to be  
8 the same. So I said, "Isn't this one formula?" And so it was  
9 purely an attempt to try to streamline the formula. If we've  
10 inadvertently left something out, I think we'd like for you to  
11 call it to our attention so we can figure out whether we should  
12 put it back in.

13 MS. KUMMER: Yeah. In (a) through (f) following the  
14 formula we were trying to capture all the various pieces, parts  
15 that might not have been obvious in the formula. But if we  
16 have forgotten something, please let us know.

17 MR. BREMAN: There were two points that you made, at  
18 least two points. What were those points again?

19 MS. CROSS: Yeah, there were a couple -- yeah, there  
20 were two. The new formula doesn't provide -- well, it results  
21 in the loss of the CIAC related to overhead services because  
22 that was the first step in the calculation of the old formula.  
23 And then it also -- the, the revenue, the estimated revenue for  
24 the -- is netted against it twice, so you lose it. So -- but  
25 we can provide, you know, we can maybe lay out for you in our

1 written comments proposed changes to it. I mean, first we just  
2 wanted to understand what you meant to do in the --

3 MS. KUMMER: Right. What we intended the second  
4 column -- this cost of installing facilities is kind of a  
5 catchall and maybe we need to explain better what that is to  
6 capture, to specifically capture the things that you've put in  
7 there or the two things that you cited that are missing. That  
8 was kind of -- the cost is, is the cost of installing it,  
9 whatever that includes.

10 MR. PORTUONDO: This is Javier from Progress. Let's  
11 go through a simple example. The reading of your formula right  
12 now, if we assume these values, the underground service, let's  
13 assume, costs \$150. Let's assume the cost of the overhead  
14 service is \$100. The cost to install the new underground  
15 facility is \$50. That's the net of the two numbers. The four  
16 times revenue is a credit of \$40. So you'd have a net  
17 underground CIAC of \$10. In the original formula the way it  
18 was laid out you had two components, you had an overhead CIAC  
19 and you had an underground CIAC.

20 In the overhead calculation you take the cost of the  
21 new overhead service, which is \$100, you'd apply the four times  
22 revenue, and you'd have a contribution of CIAC of \$60 for that  
23 component. Then you took that \$60 and you applied it to the  
24 under -- you added it to the underground CIAC. So the  
25 underground was the differential between the \$100 for overhead

1 and the \$150 for underground. So you had a difference of \$50.  
2 So the sum of the \$50 and the \$60 would have produced an  
3 underground CIAC of \$110. So that's how the old formula  
4 worked. We were just trying to make sure that that was still  
5 your intent. And we can go ahead and show that in our written  
6 comments, that example.

7 MS. KUMMER: Right. Yeah. It was not our intent to  
8 change the actual calculations, just to simplify the formulas.  
9 So if we missed something, by all means, let us know.

10 MR. PORTUONDO: There was something else too. Go  
11 ahead.

12 MS. CROSS: Yeah. We just -- one other, one other  
13 thing that we noticed was that in the calculation of four times  
14 the expected revenues, that it now says four times expected  
15 annual demand charge revenues from incremental sales. And the  
16 old rule didn't have the word "incremental" in it, so we were  
17 also not sure if that was intentional, if -- or --

18 MS. KUMMER: Well, the old rule only dealt with line  
19 extensions, which is different than what we're trying to  
20 capture here. So there is a bit of a difference here in terms  
21 of what we're trying to capture.

22 What I was thinking is that more -- think of it in  
23 terms of an upgrade, the example I went to, that they built a  
24 house four times the old house and you have to install new  
25 transformers, whatever, and that's the incremental revenue.

1 You wouldn't want to give them credit for the whole amount of  
2 revenue, but only for the incremental part. And it seems to me  
3 that that would work as well for any CIAC.

4 MS. CROSS: I mean, I can understand in your example  
5 for, you know, where you would have incremental sales,  
6 incremental demand there. But this rule, does, does it not  
7 also cover things where you wouldn't really have incremental  
8 sales? Like, for example, would it not cover like an extension  
9 of a, of a line where you might not be incurring any  
10 incremental sales, so --

11 MS. KUMMER: Why would you have a line extension  
12 without incremental sales? If you're extending a line to a new  
13 customer, everything they have is incremental, every new load  
14 they put on the system is incremental. I mean, that's our  
15 thinking.

16 A line extension that's built to serve a new  
17 customer, all of their load is incremental.

18 MS. CROSS: Okay. That's fine. Thank you.

19 MR. BRYANT: Connie, Howard Bryant with Tampa  
20 Electric.

21 I think we share some of the concerns that Lori has  
22 been expressing, and I actually kept up with Javier as he did  
23 his arithmetic, so I feel pretty good about that, and I believe  
24 in what he is saying.

25 But also though it appears as if this rule in a

1 general sense might, and I'm going to use that word carefully,  
2 it might be contradicting the normal URD rule in the sense that  
3 in this particular case you can extend, speaking of 25-6.064,  
4 you can extend for a commercial customer and you will consider  
5 the revenue that is going to be brought on to your system  
6 because of that extension.

7 But does it also apply if you're extending to a  
8 residential customer that is, shall we say, out in the woods?  
9 But, I mean, you're extending and there's going to need to be  
10 some CIAC contribution for that residential customer because  
11 it's not the standard installation. And so are we, are we  
12 giving revenue credit, if you will, to the commercial customer,  
13 but are we not giving revenue credit to the residential  
14 customer? And if that's the case, is that reasonable?

15 MS. KUMMER: If you're extending a line to a new  
16 customer, then you would include -- as I said before, a new  
17 customer's load is all incremental.

18 MR. BRYANT: Right.

19 MS. KUMMER: And that would be credited against the  
20 cost of the line extension.

21 MR. BRYANT: Right.

22 MS. KUMMER: But I'm not understanding the  
23 distinction you're making between that and the commercial  
24 customer.

25 MR. BRYANT: Okay.

1 MR. BREMAN: Can I jump in on this one?

2 Suppose a new subdivision is being platted five miles  
3 from the tap that the company would otherwise provide service.  
4 Does the five-mile feeder extension to the subdivision entrance  
5 include the kilowatt hour sales that the substation -- that the  
6 subdivision is going to produce?

7 MS. KUMMER: This doesn't apply to new subdivisions.  
8 It says specifically in Paragraph 1, "except as provided in  
9 25-6.078," which is the rule that deals with new subdivisions.

10 MR. BREMAN: I'm talking about the five-mile  
11 extension outside the subdivision.

12 MS. KUMMER: My understanding, the builder pays for  
13 that right now. When he builds that subdivision, if he builds  
14 it in order to get -- correct me if I'm wrong, but I know I've  
15 handled complaints that that's been an issue, where the  
16 developer pays for whatever extension is necessary to reach his  
17 subdivision.

18 MR. PORTUONDO: That's correct. I believe that's  
19 true.

20 MS. KUMMER: Is that where you were going, Jim?

21 MR. BREMAN: Why is that?

22 MR. TRAPP: If the subdivision -- let's assume it's  
23 an overhead subdivision. If the subdivision generates enough  
24 revenue to support the construction of the feeder to it, why  
25 wouldn't the company build the feeder?

1 MS. KUMMER: Because you don't have any immediate  
2 revenue coming in. Again, the companies could probably better  
3 answer this rather than me. But it seems to me that if you  
4 build a subdivision, it's speculative on what your revenue is  
5 going to be and how soon that revenue is going to be coming.

6 MR. TRAPP: But if the subdivision, based on the  
7 estimates that the company accepts, generates revenues to  
8 support the feeder construction, why would you charge the, why  
9 would you charge the developer for the feeder? Overhead or  
10 underground, it's irrelevant.

11 MR. GRIFFIN: This is Jesse Griffin from Progress  
12 Energy. In your example, if the subdivision was revenue  
13 justified, they would not pay for the overhead extension. In a  
14 URD they would not pay for the overhead extension but they  
15 would still pay the priority differential.

16 MR. TRAPP: The URD differential within the  
17 subdivision. And I thought that was the policy all along, and  
18 I don't think it was our intent to change it.

19 MS. KUMMER: But I think what he's saying, if they  
20 want the feeder, the five miles underground, they have to pay  
21 the --

22 MR. TRAPP: They would pay an underground  
23 differential for the feeder.

24 MS. KUMMER: Right. Yeah.

25 MR. GRIFFIN: That's correct. Even if they were

1 revenue justified, they would pay the differential if the  
2 feeder extension was underground.

3 MR. TRAPP: Right. That was my understanding of the  
4 policy all along.

5 MR. MIRANDA: This is Manny Miranda with --

6 MR. TRAPP: The overhead comp only catches the CIAC  
7 credit due to revenue, I mean, to the revenue generation but  
8 not the URD differential.

9 MR. MIRANDA: We'll do the same calculation. We will  
10 estimate the, you know, what the cost for the five-mile  
11 extension would be. And if it's revenue justified, then there  
12 would be no cost for that on the overhead portion.

13 MS. KUMMER: But there have been instances where  
14 there was a cost.

15 MR. TRAPP: Well, I mean, if, if we fouled in some  
16 way, it was not our intent to change the, change the rule. I  
17 think this one was just simply a cleanup was my understanding.

18 MS. KUMMER: Yeah. Let me say that over again. We  
19 were not --

20 MR. TRAPP: So if we fouled it, tell us. We'll fix  
21 it.

22 MS. KUMMER: Other than, other than to extend or make  
23 clear that the revenue credit applies to any CIAC, it was not  
24 our intent to change anything else.

25 MR. TRAPP: The only real change to this rule in the

1 context of hardening is on Page 16, Lines 4 and 5. So if  
2 we've -- that's the only intentional change. And that just  
3 says, "Reflect the cost of hardening in all these  
4 calculations." The other takes of the rule was because I read  
5 four formulas and thought, my God, why can't we do it in one.

6 MR. GRIFFIN: This is Jesse Griffin, Progress Energy.  
7 If we could in our writing maybe do an overhead and an  
8 underground formula or somewhere stick into this formula the  
9 overhead differential, if it's necessary, that's -- or the  
10 overhead CIAC. I'm sorry.

11 MS. KUMMER: We started that route and then wanted to  
12 get down to one formula. But, yes, I would actually prefer to  
13 see an overhead and underground. Quite honestly, I think it  
14 makes it clearer.

15 MR. GRIFFIN: Or if we could add it into this formula  
16 in such a place that when we know we're installing underground  
17 facilities in the second box, that we could add the overhead  
18 CIAC if it was necessary. That would, that would take care of  
19 my concerns.

20 MS. KUMMER: Okay. We appreciate any suggestions.  
21 Like I said, this was -- we were just trying to clean it up,  
22 and maybe we've caused more confusion than we've cleaned up.  
23 But, again, our intent was just to clean up the language  
24 because it was a convoluted rule that was difficult to follow.

25 MR. BRYANT: Connie, I think what we'll do is

1 probably offer some, some suggestions, still trying to follow  
2 what Bob is saying in terms of minimizing formulas, keeping it  
3 down to as little as possible.

4 We do believe that there is one case where the  
5 revenue is being accounted for twice in the calculation, and  
6 that might not be what the intent was, might not be.

7 And so we'll try to help it a little bit. And if we  
8 send you something that's Greek, if you'll talk to us, we'll  
9 try to explain ourselves too.

10 MR. TRAPP: As long as it's math Greek. It's okay if  
11 it's math Greek.

12 MR. BRYANT: Right. That would be the only Greek we  
13 could offer up.

14 MS. KUMMER: Okay. We got -- because we've skipped  
15 over to Paragraph 5. I mean, two is the formula. On Page 16  
16 we've got -- most of this is just a paraphrase again of the  
17 existing rule. Paragraph 5 was new to reflect that any  
18 construction would meet the, whatever the applicable  
19 construction standards were.

20 Six is a little bit of a change. It requires a  
21 true-up.

22 MR. TRAPP: Connie, Power & Light wants to speak.

23 MS. KUMMER: Please speak up.

24 MR. MIRANDA: I wasn't sure if you were finished, so.  
25 Connie, I guess in this area one of the things that we were

1 just concerned about is from an administrative perspective.  
2 Many times we're dealing with developers up front. And to  
3 calculate and keep up with the CIAC amounts later on it can go  
4 in the reverse fashion too, if we did not collect enough CIAC.  
5 Now we're dealing with a customer, and just keeping track of  
6 all those records during that period was just something that we  
7 wanted to make sure we understood what your intent was.

8 MS. KUMMER: Okay. Well, the rule language -- we  
9 tried to capture that in any dispute over the amount of CIAC.  
10 If the developer paid it, he would be the one disputing it and  
11 he would have to come up with the information to, to argue with  
12 whatever you charged. You would be dealing with him, I would  
13 think. But that was what the attempt was in saying in any  
14 dispute. It requires someone to come forward, not for you to  
15 do it unilaterally, but for whoever paid the CIAC to come  
16 forward and show that your calculations were incorrect. Does  
17 that help?

18 MR. MIRANDA: That helps.

19 MS. KUMMER: At least that was our intent. If  
20 there's better language --

21 MR. BREMAN: I think the CIAC is still based on a  
22 projection.

23 MS. KUMMER: Sure. It has to be.

24 MR. TRAPP: I'm a little curious as to how you do it  
25 now. Because, I mean, the original language of the rule said

1 actual or estimated cost. Well, which one?

2 MR. MIRANDA: For us it's estimated up front.

3 MR. TRAPP: That's what I thought. Everybody uses  
4 estimated. So the thought was make it estimated unless there's  
5 a dispute, in which case you'd have to go argue what the actual  
6 was anyway.

7 MS. KUMMER: But, again, it would be whoever paid the  
8 CIAC raising the dispute with you. It wouldn't be going back  
9 to homeowners after the fact.

10 MR. BUTLER: Connie, just as sort of a -- Connie, hi.  
11 John Butler, Florida Power & Light. A little bit of a further  
12 clarification of that dispute mechanism.

13 Say that there was a dispute that had sort of arisen  
14 and come to fruition at the point where you're trying to  
15 resolve it after one year into this four-year period. Is your  
16 thought that you would use one year of actual and three years  
17 of estimates at that point or is the idea that you need to wait  
18 until the end of four years when you have four years of actual  
19 to resolve the dispute or something else?

20 MS. KUMMER: My inclination would be to wait until  
21 the four years were over, because trying to true-up an estimate  
22 a quarter of the way through the process doesn't seem to make a  
23 whole lot of sense to me. But if for some reason the company  
24 thought it was appropriate, if the developer raised the point  
25 and the company thought it was appropriate, they certainly

1 could. Whether it would be required to do it in a shorter than  
2 four-year time frame --

3 MR. BUTLER: But your sense is basically, what you  
4 had in mind is if, you know, the property owner disputes it,  
5 then basically you just wait to see how things turn out at the  
6 end of the four-year period, where the actual revenues would be  
7 collected. And if the -- say, well, whichever way the CIAC  
8 adjustment ought to go, that it would be adjusted at that  
9 point.

10 MR. BREMAN: John Butler, this is Jim Breman. I  
11 think the four years also goes to phase construction that  
12 extends over a long period of time. And so you have to make  
13 your best judgment over phased construction. So I think the  
14 four years really goes more towards that than --

15 MR. TRAPP: And I don't think that the rule is as  
16 restrictive as you've laid it out either.

17 MR. BREMAN: I don't think so either.

18 MR. TRAPP: I think the rule is flexible. It just  
19 says you'll true up to actual. Now if you do that on a  
20 six-month basis or one-year basis or wait until the end of four  
21 years, you know, it's subject to some interpretation by the  
22 utility. And, quite frankly, the proposed language parallels  
23 many of the complaint resolutions that I think the Commission  
24 has entered into with the companies anyway. We're just trying  
25 to reflect some common sense here.

1           But, you know, like it or not, some customers, some  
2 customers don't trust your estimates, so they want, they want a  
3 little -- we thought that there needs to be at least some  
4 consumer mechanism in here for -- I mean, actual is actual and  
5 that should be the final judgment. So that was the intent as I  
6 understood it.

7           MS. CROSS: This is Lori Cross, Progress Energy. You  
8 know, we have been thinking about this though. What if -- I  
9 heard what you said, but what if the developer is, you know,  
10 four years later the developer has moved on? I mean, who -- we  
11 chew up the CIAC. Who do we collect it from? There's no one  
12 to collect it from. We think the rule the way that it's  
13 written is a little bit one-sided because it's going to --  
14 customers are only going to complain when the original  
15 estimates are too high versus too low.

16           MS. KUMMER: What do you do today?

17           MR. TRAPP: I don't, I don't agree with you.

18           MS. CROSS: Okay.

19           MR. TRAPP: The utility shall true-up. True-up means  
20 you've already collected the money. So it seems to me the  
21 language says to me that it's a situation where you've  
22 collected too much and the customer wants a refund, and you  
23 have to do that on an actual basis. Now that could be on a  
24 six-month actual basis for four years of revenue, or maybe your  
25 concern is that you refund a lot in the first six months and in

1 the third six months they don't realize the revenues and,  
2 therefore, they owe you money again. Maybe that could be a  
3 mass situation that would apply in. But I think the intent is  
4 that you start with your estimate. That's what you collect.  
5 If there's any, if there's any dispute about that estimate, you  
6 still collect the estimate but you true it up to actual.

7 MS. KUMMER: Okay. And we're also talking about two  
8 different situations here, I think. This -- the language on  
9 Line 13 says, "in any dispute." That implies a developer is  
10 going to come back to you and say I think what you charged me  
11 was too much. Now that's one situation in which you would  
12 true-up, as Bob said, where it's an overcollection.

13 Now I don't think a homeowner is going to come to you  
14 and dispute that he paid too little. So the first premise  
15 isn't met there. Now I don't know how you handle it today. Do  
16 you go back to homeowners and try to collect CIAC if the  
17 estimates didn't bear out? This rule wouldn't force you to do  
18 that. It says, "in any dispute." If whoever paid the CIAC  
19 comes back to you and says, we paid too much, then you'd true  
20 it up. And underrecovery wouldn't come into play, I don't  
21 think, under this.

22 MR. BUTLER: But, Connie, what about the situation  
23 where the customer believes that he or she paid too much but it  
24 turns out that it was too little? That certainly can happen.

25 MS. KUMMER: That can happen today. What do you do

1 today?

2 MR. BUTLER: I don't think today it's based on this  
3 notion of truing up. And, I mean, if true-up means you're  
4 deliberately making it one-sided and it's just if there's a  
5 refund, there's a refund, if there's more owed, then you let it  
6 go. Maybe that's how we need to understand and comment on the  
7 rule as it's written.

8 When we had read it, because sort of familiarity with  
9 the concept of true-up in the adjustment clause proceedings, I  
10 at least hadn't understood it to mean that it would only work  
11 one way.

12 MR. TRAPP: Well, John, you know me, I tend to get  
13 argumentative. It's not my area of responsibility, but I'll be  
14 argumentative.

15 The original rule as it's stated now says actual or  
16 estimated. Now that is inappropriate rulemaking language. It  
17 never should have been in there. If I had a customer complaint  
18 come through my department now on a dispute over an estimate,  
19 we would recommend resolution based on actual, and we would  
20 take you all the way to Agenda and have a Commissioner vote on  
21 it. And I have a sneaking suspicion that the Commissioners  
22 would side on the favor of the consumer and actual data. Now  
23 just because it hasn't happened, we may be arguing about a moot  
24 point here and everything -- but, I mean, we can try to work  
25 out the details, if you want to, on this thing. But it's

1 inappropriate for the company, in my opinion, just to give a  
2 bunch of estimates out there without being able to stand by and  
3 substantiate them and hold them to actual. And, you know,  
4 that's just my opinion.

5 MS. KUMMER: And this doesn't preclude you, I  
6 wouldn't think, from, from rebilling or backbilling or whatever  
7 you want to, collecting the difference in CIAC. It's just that  
8 your estimates, I'm sure, are wrong today to one degree or  
9 another, and this wouldn't preclude you, I wouldn't think, to  
10 do whatever you're doing today.

11 MR. PORTUONDO: This is Javier from Progress. That's  
12 exactly what I needed clarification on, that it isn't  
13 one-sided. That -- to Mr. Butler's example, if we go to the  
14 Commission at Agenda and it's determined that that customer  
15 underpaid, that they would be at that time four years from now  
16 on the hook to compensate the utility for that.

17 MR. TRAPP: The company would have the ability to  
18 make that case, but recognizing that the company is the one  
19 that's responsible for the estimates anyway. I think you would  
20 have a hard burden of proof.

21 MS. KUMMER: You'd have to have a really good reason  
22 to --

23 MR. TRAPP: You'd be free to make the argument.

24 MR. PORTUONDO: No. No. You would have actuals at  
25 that point; correct?

1 MR. TRAPP: Sure.

2 MR. PORTUONDO: I mean, we would be, like you said,  
3 based on actuals. So the evidence would be there black and  
4 white, this is the actual revenues, this was the estimate.

5 MS. KUMMER: But, Javier, the problem is the utility  
6 ought to be doing a better job with their estimates. You're  
7 the people with the experience. You ought to know what's out  
8 there, and that estimate ought not to be that far off. And if  
9 it is far off, it's because somebody didn't do a job, do a good  
10 job in the company on the front end. And I think that's a,  
11 that's a position the Commission would probably take.

12 MR. PORTUONDO: Well, that's, I mean, that's a little  
13 bit unfair. Because if you're talking about a subdivision, you  
14 don't necessarily know within that four-year period whether  
15 it's going to develop at the pace you thought it was going to  
16 develop.

17 MS. KUMMER: This doesn't apply to subdivisions.  
18 This specifically says it doesn't.

19 MR. PORTUONDO: I'm sorry. Or the consumption, or  
20 the consumption of a particular set of customers may not  
21 actually materialize the way historic consumption would  
22 dictate. So, I mean, we do attempt to try our best. And under  
23 the old rule we kind of lived and died by our estimate. Here I  
24 just want to make sure that, you know, this isn't unfairly  
25 penalizing the company, and not having a reciprocal

1 opportunity, if challenged, to get the lost revenues that would  
2 result from a, a low estimate, let's say.

3 MS. KUMMER: Well, give us some language and we'll  
4 look at it. If you think this is one-sided, then give us some  
5 additional language and we'll certainly look at it.

6 MR. TRAPP: But it does say, "in any dispute." It  
7 doesn't say who raises the dispute. So to me your argument is  
8 quite justified. If the company wants to initiate a dispute,  
9 have at it.

10 MR. PORTUONDO: That wasn't where I was going, but  
11 that's an interesting idea. I was thinking that the developer,  
12 let's say, initiated, he had a concern that we had  
13 overestimated, it turns out we underestimated. So at that  
14 point there would be an exchange of funds.

15 MR. TRAPP: Notwithstanding what version of the rule  
16 we have, in that circumstance I believe we're going to get a  
17 complaint here and we're going to have to resolve it through  
18 the complaint process, so. And I think this would give you the  
19 opportunity to let the judgment fall either way based on  
20 actuals is the way I read the plain English of it. But, again,  
21 I may be overstepping my bounds.

22 MS. KUMMER: Again, if you have language that you  
23 think makes it more evenhanded, then we'll certainly take a  
24 look at it.

25 Paragraph 7 is just language cleanup. I don't think

1 we did anything serious there.

2           Eight, we made a critical change on Line 1 of Page  
3 17. The current rule says the "utility may elect to prorate."  
4 We said "shall." I realize that's a significant change. Do we  
5 have some input on that?

6           MR. PORTUONDO: This is Javier. Can we go back to  
7 seven?

8           MS. KUMMER: Sure. I don't think we said anything  
9 different. We just said a little shorter.

10          MR. TRAPP: Well, you put it in proper rulemaking  
11 language. You said the "utility shall." Rules require the  
12 utilities to do things, not to outline what the Commission is  
13 going to do.

14          MS. KUMMER: Right. The old language said, "The  
15 Commission will reduce the utility's net plant in service."  
16 And isn't that equivalent to imputing CIAC? Again, we didn't  
17 mean to change the concept. We just tried to clean it up a  
18 little.

19          MR. PORTUONDO: Yeah. I apologize. I was thinking  
20 of something else.

21          MS. KUMMER: Okay. That's -- okay. Eight.  
22 Mr. Butler, you had your microphone on there.

23          MR. BUTLER: Yeah. On eight, it seems that two of  
24 the, at least to me, most significant changes are the, you  
25 know, "may" and "shall" and inserting the word "largest" number

1 of customers here. And this seems to be something that directs  
2 the utility to do the calculation in a way that almost assures  
3 that there won't be enough people around yet to collect it all  
4 from in any sort of new development. Maybe I'm  
5 misunderstanding it. But tell me what you mean here that we  
6 shall prorate it over the largest number of customers expected  
7 to be served. And particularly if something is, you know,  
8 being built out, that almost necessarily means you're prorating  
9 it over people who aren't there yet.

10 MS. KUMMER: Well, it's the largest number of  
11 customers expected to be served by the new facilities. And  
12 that could be -- if you don't think this is going to develop in  
13 the next ten years and it's only going to have two houses, then  
14 that's your largest number of expected customers. So it's a  
15 pretty open-ended -- it's really based on the utility's  
16 judgment of how many customers you expect to be there within  
17 that next time period. It doesn't -- it leaves the discretion  
18 with the utility to make that determination.

19 MR. PORTUONDO: This is Javier from Progress. Could  
20 this technically by, let's say, a developer, he could use this  
21 to argue the opposite position that, you know, this is plotted  
22 for 200 homes and we should be using 200 homes?

23 MS. KUMMER: Well, again, the last line three says,  
24 "in any four of the first five years." So it's a build-out  
25 within five years. And the old language was even looser, which

1 said the utility may elect to prorate the line, the total cost  
2 over the number of customers expected to connect. I mean, that  
3 was less precise. And we're just trying to put some limits  
4 around it.

5 MR. PORTUONDO: Yeah. My concern is you're going to  
6 be charging him up front X amount of money for the line  
7 extension based on the largest number of customers. What if  
8 that doesn't materialize within that five-year period?

9 MS. KUMMER: If you're charging the developer,  
10 there's no proration for the company to be doing anyway. It's  
11 only if you have individual -- if you're dealing with a  
12 developer and the developer is installing facilities through  
13 that subdivision, he's going to be the one paying the CIAC.  
14 There's no proration to it. If he wants to prorate it over his  
15 lots, that's his business.

16 MR. PORTUONDO: Okay. I misspoke. So I have an  
17 individual, okay, of a larger development, we're extending the  
18 facilities or upgrading the facilities, and we're basing the  
19 calculation over the total largest number of customers expected  
20 to be served on that new or upgraded facility over, in any four  
21 of the first five-year period. What happens if we -- the  
22 customer says, well, this, this is going to expand to 200,  
23 you're going to be serving 200 customers?

24 MR. TRAPP: What happens now?

25 MR. PORTUONDO: Well, right now we don't --

1 MS. KUMMER: There's no proration.

2 MR. PORTUONDO: There -- yeah.

3 MR. TRAPP: Because it says "may," and that's just  
4 not right.

5 MR. PORTUONDO: I mean, I think the addition of the  
6 "largest" number, I think there's --

7 MS. KUMMER: How would you --

8 MR. PORTUONDO: There's the potential for the --

9 MR. TRAPP: Expected?

10 MR. PORTUONDO: Expected, probable.

11 MR. TRAPP: Probable.

12 MR. PORTUONDO: I mean, some other word. I think the  
13 use of the word "large" could be used against the company by a  
14 customer unintentionally.

15 MS. KUMMER: Okay. But let me give you an example  
16 of, of what was going through our mind. A situation that this  
17 might come into play is if another complaint, that's where we  
18 get most of our good ideas is from customer complaints, there  
19 was a situation where a developer started a large development  
20 and abandoned it. Years before, a customer had bought a lot in  
21 this development thinking the whole thing was going to be  
22 developed. The developer walked away. And when this customer  
23 wants service, he was faced with a five-mile run to get him  
24 electric service to his house and his house only. It was some  
25 \$25,000 to get service to his house. And his argument was if

1 anybody else builds out here, they're getting a free ride on my  
2 \$25,000. That's what we're trying to address. Now if there's  
3 a better way to do it, please tell us. But that's basically  
4 what we were trying to do.

5 MR. BUTLER: If we were to do that, say that, you  
6 know, they made a case for there being another nine customers  
7 out there in the next four to five years so that you'd only end  
8 up collecting 10 percent from the current customer, what is  
9 your understanding of what's supposed to happen for the other  
10 90 percent? Do you -- does one collect that from the other  
11 people as they show up even though it's not a new facility as  
12 to them? Where does the other 90 percent, how does it get  
13 collected?

14 MS. KUMMER: It would be an assessment when that  
15 customer --

16 MR. BUTLER: So we would be entitled to collect a  
17 CIAC with respect to an existing facility for a customer who  
18 then comes out and later initiates service from it?

19 MS. KUMMER: I would think so, yes. Now you can tell  
20 me that operationally doesn't work. No? Javier is shaking his  
21 head.

22 MR. PORTUONDO: This is Javier. Yeah. I think --  
23 not necessarily operational but administratively trying to  
24 track or flag that CIAC to eventual construction at certain  
25 facilities over a four, four-year period is a horrendous task

1 all across the system.

2 MS. KUMMER: Did you just never do this before?  
3 Because the other language said "may elect to prorate." Did  
4 that just not happen? Did proration never happen for CIAC?

5 MR. PORTUONDO: No.

6 MR. BUTLER: My understanding is it's pretty rare.  
7 And I think one of the ideas of the "may," it's just, it's one  
8 of those situation, if it arose, and I'm not sure it even did,  
9 but where you're right on the verge of having the other people  
10 there and it's just sort of absurd that this person gets his CO  
11 today and the next people get them next week or something like  
12 that and you would be immediately having the service to those  
13 people showing up. Maybe you'd want flexibility to be able to  
14 handle that. But now what you're building in is a mandatory  
15 provision that's looking out over a five-year time horizon and,  
16 as Javier is saying, would really become administratively  
17 difficult.

18 MS. KUMMER: What if we were talking about a  
19 transformer upgrade rather than a line extension? Do the  
20 arguments change?

21 Again, another example, a community or a group of  
22 homes was tearing down the 1950s houses, building 4,000 square  
23 foot McMansions, had to have an upgrade in their underground  
24 transformer. Does the first guy who asks for that upgrade have  
25 to pay for all of it or does it get prorated to everybody who

1 is served off that transformer?

2 MR. MIRANDA: We'll try to work through it.

3 MS. KUMMER: These are the kinds of questions we've  
4 been asking ourselves.

5 MR. MIRANDA: We know. We know. I guess it depends  
6 on what size transformer we put at the first customer that  
7 comes along and upgrades his house. That differential, he  
8 would be responsible for the differential at that point and we  
9 would not prorate it thinking that other customers are coming  
10 along.

11 Now if two or three of them came to us as a group and  
12 said, we're going to remodel these three homes, at that point  
13 we would include all three of them into, you know, that  
14 additional revenue.

15 MS. KUMMER: But they would have to come to you as a  
16 group. You wouldn't -- if resident number one says, well,  
17 listen, my neighbor is, you know, over here and his new house  
18 is going to be ready next week and he's going to be served by  
19 the same transformer.

20 MR. MIRANDA: Right. At that point, if we know  
21 they're working together and they're going forward with that  
22 construction, Connie, then we would incorporate them both.

23 MS. KUMMER: But you would require the customer to  
24 get his neighbors together to come to you to get the proration?

25 MR. MIRANDA: Right. But it needs to be, you know,

1 construction is really going to occur, you know. Not just, you  
2 know --

3 MS. KUMMER: Sure.

4 MR. MIRANDA: But that would be an example of one.  
5 But typically it's normally one customer that comes forward and  
6 says, I'm remodelling my house. We may install a larger  
7 transformer at that point. Right?

8 Now if the second customer comes along and that  
9 transformer has the capacity, then he will benefit from that  
10 first customer that paid that CIAC.

11 MS. KUMMER: So there's really no -- in your  
12 practices and the way you look at things, there's really no way  
13 to eliminate the free rider.

14 MR. MIRANDA: Well, we understand what your intent is  
15 now. We have struggled with that issue as well because, you're  
16 right, that one customer that built five miles away, is he  
17 unduly paying, you know, the entire cost at that point? That's  
18 an issue we've struggled with as well. Now we understand your  
19 intent.

20 MS. KUMMER: Okay. Okay.

21 MR. GRIFFIN: This is Jesse Griffin for Progress  
22 Energy. On that issue I have on Line 2 where CIAC's is shown  
23 with an apostrophe s -- we only bill one customer. I don't  
24 know of a case where we've ever divided CIACs amongst more  
25 than, more than one. I do believe we would help a customer if

1 they said, I'm going to pay it all up front because that's the  
2 only time we'll build, hopefully, and then my neighbor is going  
3 to build. Can you help me, you know, show him supporting  
4 documents that, yes, I did pay, you know, the full amount? And  
5 then they could go together to split it up. But that's a third  
6 party transaction and Progress Energy would not be part of it.  
7 But we'd be glad to show that, yes, we did collect the full  
8 amount from the first person, and where the second person  
9 could, I guess, out of the kindness of their heart choose to  
10 help pay some of those costs.

11 MR. TRAPP: Yeah. But on any occasion do you credit  
12 the revenue of that second customer to the first customer when  
13 you've charged him the CIAC?

14 MR. GRIFFIN: We would do that if we knew they were  
15 going in up front. And that's, again, our best estimate on the  
16 customer revenue portion. Our price estimates for our  
17 construction better be pretty close. The area where this  
18 formula has any weakness is estimated customer revenue because  
19 if they don't produce or use as much as they say they're going  
20 to, CIAC is affected by less revenue. So if, if we know going  
21 in that the first house is half done, the second house has  
22 started and we haven't yet billed, we're going to include that  
23 second house and potentially any more that we think will be  
24 started up within that four-year period of five years.

25 MR. BREMAN: The focus then is the accuracy with

1 which the marketing rep calculates the forecasted revenue sales  
2 from that extension.

3 MR. GRIFFIN: That's the biggest weak link in this  
4 formula is the revenue that the customer produces.

5 MR. TRAPP: Do you still use this a lot?

6 MR. GRIFFIN: Every day. But if I could continue, on  
7 Line 2 where it does have the CIAC's, CIAC's, yes, we still,  
8 unless we're forced to, would intend on billing the first  
9 person in the full amount. Especially in large developments,  
10 commercial, residential, whatever, where I know there's two or  
11 three different platted sections, it seems almost always the  
12 furthest one is the first one to start construction, and they  
13 do pay the full cost to get the service to them. Then the  
14 second and third ones that fill in the open spaces, they are  
15 technically getting a free ride unless we're going to be  
16 required to only bill the first person their portion, then we  
17 would be putting 100 percent of our construction costs out  
18 while only collecting potentially a fraction of our CIAC due.  
19 And that is a concern for me. If we could clear that up.

20 MR. BREMAN: Would it be a problem to, within the  
21 first five years, keep track of the new additions and then  
22 credit the original customer that paid 100 percent?

23 MR. GRIFFIN: If that's something that the customer  
24 did, we could, we could verify it. I don't think we're going  
25 to have the manpower to go around and check all the open lots

1 between every line extension we bill from where they started to  
2 where they serve the first load.

3 MS. KUMMER: So what I'm hearing is y'all don't use  
4 this paragraph now and you would just as soon not have it in  
5 there.

6 MR. BRYANT: Connie, this is Howard Bryant with Tampa  
7 Electric. You're probably hitting the nail pretty closely on  
8 the head there. The word "largest" is really a concern because  
9 it -- in the process of trying to solve some of the complaint  
10 issues that you have, which are real, I think it has a tendency  
11 to just shift them to a different time, to a different  
12 argument, but still surrounding the same issue of the argument  
13 over who pays the right amount. And the potential is there for  
14 the utility to perhaps not collect all of the additional  
15 capital costs associated with extending the line to that  
16 furthest customer, to the customer. You know, that potential  
17 exists that if there's five lots or five whatever, that they  
18 may never, they may never transpire, or one person buys two of  
19 them and the two, the fellow who buys one does not equal the  
20 load of what two of them were. And so you're not matching load  
21 with equipment that's out there kind of a thing or facilities.  
22 And so I think that's why we generally would charge, as we have  
23 been doing right now, the full load to that first customer  
24 because they are the cost causer for why we are extending.

25 To Jim's point about tracking it over a five-year

1 period, on the surface that sounds like a possibility, but then  
2 you create the situation of giving a credit potentially to the  
3 first guy down the line, and five years from now he may not be  
4 there anymore, he may have moved or something may have  
5 happened, and now you've got the problem of tracking who do you  
6 give the credit to. So, again, you create an administrative  
7 concern for us.

8 MS. KUMMER: Okay. If y'all when you respond, and  
9 we're going to ask for written comments when we get done with  
10 this, if you have ever used this provision, could you describe  
11 where and when you used it? And if you haven't, then that's a  
12 handy thing to have too. And just go back over the problems  
13 that we've talked about today, because this is something that,  
14 that comes up over and over again in customer complaints. And  
15 I understand the problems that you're raising, and this, again,  
16 is something that we struggled with how to track who to give  
17 the credit to and how to determine what the credit is. But,  
18 again, this is -- you get customers, the poor guy who paid  
19 \$25,000 just because a developer walked away and decided to  
20 build someplace else. So this is -- I hear you and I'm  
21 sympathetic to many of your concerns. But if we don't need  
22 this, then we better have a good reason for getting rid of it  
23 if we're not going to use it. That's all I ask.

24 And I think 9 is just wording, 10 is just wording.  
25 Any other comments in general on this rule before we move on?

1           MR. BRYANT:  Connie, Howard with Tampa Electric.  One  
2 quick question on comparing Paragraph 10 or Section 10, I  
3 should say, and I think Paragraph 6.  And I may not be reading  
4 it thoroughly enough.  So if it's me, just tell me and I'm  
5 okay.  But Paragraph 6 suggests that there's a dispute process  
6 involved, and then Paragraph 10 says that the applicant, if the  
7 utility and the applicant are unable to agree, then either  
8 party may appeal to the Commission.  Are those, are those  
9 talking about the same thing?

10           MS. KUMMER:  I see them as being different.  
11 Paragraph 6 on Page 16, the customer, developer, whoever pays  
12 the CIAC didn't dispute there was a CIAC due or really argue  
13 with your calculations in general up front that you based it on  
14 the appropriate number of houses and that kind of thing.  It's  
15 just a matter of getting the pot right with what actually  
16 materialized.  Ten is when we get the calls that say they want  
17 to charge me, you know, \$500,000 for this.  Why do I have to  
18 pay this?  So that's the distinction I see; whether or not they  
19 ought to have to pay it at all or if the CIAC that you're  
20 asking is excessive.

21           MR. PORTUONDO:  This is Javier from Progress.  Do you  
22 also -- would you also agree that this is more of a, let's say,  
23 informal between the company and the customer?  If this dispute  
24 remains unresolved, then they can execute to come to the  
25 Commission?

1 MS. KUMMER: Oh, certainly. You're talking about  
2 Paragraph 6?

3 MR. PORTUONDO: Yes.

4 MS. KUMMER: Yeah. Any time you and the customer  
5 can't agree, it can come here.

6 Anything else? All right. I will gladly turn this  
7 back over to Bob.

8 MR. TRAPP: Yeah. The next rule has to do -- this is  
9 the residential subdivision rule, isn't it, Jim?

10 MR. BREMAN: It is.

11 MR. TRAPP: Yeah. This is the RD charges for the  
12 residential subdivision. We've changed nothing. Well, I see  
13 one "shall" change.

14 Basically the main change is on Line -- on Page 18,  
15 Lines 12 through 13 where we've asked you just to include the  
16 effects of the cost of hardening required in the standard of  
17 construction rule in your routine calculations of the RD  
18 differential for new residential subdivisions. I do note that  
19 on Line 22 a "may" has been changed to "shall." And that's it.

20 MR. PORTUONDO: On that point a change in the word --

21 MR. TRAPP: That's a pretty big change, huh?

22 MR. PORTUONDO: Yeah. It's a pretty big change.

23 I've got concerns. Given the, the differences between overhead  
24 and underground and what's considered O&M versus capital, it's,  
25 I would say, impossible to put that on a level playing field in

1 order to determine how much incremental costs underground would  
2 have versus overhead.

3 MR. TRAPP: But you're going to do that in that other  
4 docket, right, when you collect the data with respect to the  
5 performance characteristics and cost differentials on  
6 underground and overhead?

7 MR. PORTUONDO: What you're going to collect is  
8 empirical data that says, okay, I spent X amount on underground  
9 repairs, maintenance, X amount on capital. When you try and  
10 compare those dollars to the overhead dollars, it's not an  
11 apples to apples comparison because you have things in overhead  
12 that may be done on O&M where the exact same activity is a  
13 capital activity in underground because your units of property  
14 are different. So it's very, very difficult to compare those  
15 two.

16 MR. TRAPP: Does that make the number zero?

17 MR. PORTUONDO: No, I don't think it makes it zero.

18 MR. TRAPP: You've got a number then. Ah-hah, you've  
19 got a number.

20 MR. PORTUONDO: It's plus or minus from zero. I  
21 don't know what the number is. That's the difficulty. You  
22 know, we could give you a number of events, underground versus  
23 overhead. But truly putting them, you know, on an equal basis  
24 is very, very difficult. You would have to make some  
25 significant assumptions like you would apply the same units of

1 property concept for both. You know, you'd either adopt the  
2 overhead or you would adopt the underground in the analysis. I  
3 don't know that you would really do it on a practical basis.

4 But, I mean, I guess it can be done. It would be --

5 MR. BREMAN: We do allocations all the time.

6 MR. PORTUONDO: I was going to say, it's going to be  
7 riddled with assumption. As long as we can get buy-in to the  
8 assumptions, it could be something that we can actually  
9 complete. But it really would be a very difficult process.

10 MR. TRAPP: But right now you agree the rule says  
11 may.

12 MR. PORTUONDO: Yes.

13 MR. TRAPP: And the number is zero; right?

14 MR. PORTUONDO: Yeah. We do not --

15 MR. TRAPP: So now it says shall. You've got to  
16 propose an assumption. We review these cost deltas every year,  
17 I believe, don't we, as a routine tariff?

18 MR. BREMAN: At least every three.

19 MR. TRAPP: Excuse me.

20 MR. BREMAN: Every three.

21 MR. TRAPP: So every three years you can come up with  
22 your best guess assumption, run it by the Commission, have the  
23 Commissioners vote on it, and we'll see if a number other than  
24 zero emerges. But thou shall propose a number, recognizing  
25 that zero is a number.

1 MS. KUMMER: And I think that we were thinking in  
2 terms of something much simpler than, than what you're talking  
3 about. We've heard a lot of folks say, and even the utilities  
4 themselves say that, well, you do maintenance less often.  
5 Perhaps on underground it's more expensive when you have to do  
6 it. You have to trim overhead lines, you don't have to trim  
7 underground lines. Those are operational maintenance costs.  
8 That's really what we were looking -- I mean, in my mind that's  
9 kind of a big component of what we were looking at. It's just  
10 kind of the obvious things that you should be able to get a  
11 handle on apart from the expense versus capitalization type of  
12 issues. There are some things, there are some things out there  
13 now that you should be able to get a handle on, I would think,  
14 that would fit into this category. It won't be a comprehensive  
15 list by any stretch of the imagination but it'll be a start.  
16 And as Bob said, that's one of the things we're working towards  
17 in the other proceedings is to get a better handle on these  
18 operation and maintenance costs and differences between them.  
19 So it's going to be an evolving process. But it seems to me  
20 that there's some things you could be looking at now.

21 MR. PORTUONDO: I agree. There's some low-hanging  
22 fruit like you just presented.

23 MR. TRAPP: Let us not underestimate the impacts of  
24 Lines 12 and 13 also. I assume in the every three-year --

25 MR. GRIFFIN: This is going to be the hardening

1 issue.

2 MR. BREMAN: At a minimum every three years.

3 MR. TRAPP: You have to present to us a 226 like  
4 subdivision model, the old Joe Jenkins model subdivision.

5 MR. BREMAN: 210, but that's okay.

6 MR. TRAPP: 210? Excuse me. You design that for  
7 overhead, you design that for underground. Now you're going to  
8 have to design it taking into consideration hardening costs.  
9 Recognizing that -- where's the other slide? Underground  
10 hardening costs are going to be different for the coast than  
11 they are inland. So we're probably going to need to see maybe  
12 two subdivision calculations. Overhead, I guess you're going  
13 to have to put wind loading effects, and I guess Power & Light  
14 and Progress are going to be most affected, maybe two, three,  
15 four different areas of different overhead costs going into  
16 your URD calculations. So a few word changes, but to us it's  
17 going to require more calculations, more effort in other areas  
18 that we normally work in. We just want to make sure you  
19 recognize that's the intent.

20 MR. GRIFFIN: This is Jesse from Progress. If, if  
21 we're looking at the hardening issues on URD subdivisions,  
22 especially the underground portion, I believe we'd be better  
23 off if we required the applicant to provide us the majority of  
24 that, of the means to harden it. If it means raising the level  
25 of the pad mount of equipment, have them bring the

1 right-of-ways to the proper level just so we're not getting  
2 the, one, the added expense of basically hauling in what might  
3 be thousands of yards of dirt, having the applicant provide the  
4 elevation we need plus the shoring, we can still then do our  
5 normal URD system, and they provided us the hardening part.  
6 When we get to, you know, what would be Pinellas County versus  
7 Orange County, the hardening issues go away there as flood  
8 plain comes in, unless you want us to have two or three  
9 different URD estimates for the certain flood plains that  
10 they're in and the company do all the work.

11 MR. TRAPP: I don't know. Because, again, going back  
12 to earlier conversations, I don't know that you can have a  
13 developer raise the elevation of the whole State of Florida  
14 where it's going to be flood proof in a storm surge situation.  
15 There may be other alternatives.

16 Hardening underground to me means waterproofing your  
17 conduits. That may -- I don't think that's developer cost. I  
18 mean, that's something you do. The developer has to pay for  
19 the impact on the differential. So I don't think you can  
20 slough all the requirements off to a developer on this. I  
21 think it's going to have some utility impact too. And all that  
22 has to be factored into your standard residential subdivision  
23 URD calculations in this rule. And then it has other effects  
24 on other rules too with respect to conversion cases in CIAC, I  
25 guess, CIAC underground.

1 MS. KUMMER: I would hate to make the underground  
2 tariffs any more complicated than they already are. But, you  
3 know, we maybe need to be looking at that. Off the top of my  
4 head I think it would be difficult to have regional URDs, but  
5 then again I agree that it doesn't really work -- kind of a  
6 weighted average isn't really fair to anybody either. That's  
7 probably something we need to think about and how this would  
8 play into what the tariffs look like today and what kind of  
9 information is in the tariffs and how we're going to reflect  
10 any cost differentials. Because ultimately that's where it's  
11 going is into the tariffs, and we need to keep those in the  
12 picture too to --

13 MR. TRAPP: Well, yeah. That's a good point. My  
14 point in this -- by making the proposed changes that we're  
15 making, we are preserving a cost causer responsibility. That's  
16 the point really I'm trying to make. We are not averaging this  
17 into base rates. We are requiring the effects of hardening  
18 costs to be reflected in the current subdivision specific,  
19 project specific, area specific URD CIAC calculations that you  
20 have today. To me the benefit of that approach is that it is a  
21 direct assignment of cost approach where we don't have huge  
22 costs being spread over ratepayers in mass. It goes to the  
23 subdivision and says, okay, you're in a hardened pole area,  
24 you're in a flood zone area, so these costs apply when we  
25 calculate your subdivision, your project, your extensions,

1 CIAC. Here's your calculation; it belongs to you. You get the  
2 pot right to the standards that the Commission has adopted in  
3 these rules, and the numbers fall out from there.

4 MR. PORTUONDO: This is Javier. Let me just clarify  
5 something you said. This is for -- this calculation here for  
6 the overhead/underground differential, are you saying that when  
7 we compare the cost of the hardened underground system that the  
8 customers wants or that we have to put in, that's going to be  
9 compared to the standard overhead system that we have in rates  
10 today?

11 MR. TRAPP: No. No. This rule, 25-6.078, applies  
12 only to new residential subdivisions. So that's all this rule  
13 applies to. The same provision ripples through other rules  
14 that have application in other areas, but right now we're  
15 talking about new residential subdivisions. In a new  
16 residential subdivision you are required now to do a comparable  
17 design cost estimate, but you may include O&M. You do an  
18 up-front capital cost estimate of overhead to serve,  
19 underground to serve. The Commission has established certain  
20 210 lot high density and low density models for you to  
21 calculate that. If there's disputes, we go to a case-by-case  
22 type of basis. Gulf, I think, uses strictly a case-by-case  
23 comparison for URD differentials.

24 When you do those calculations, you're going to have  
25 to see where the subdivision is and you're going to see --

1 you're going to have to determine which wind zone it is in,  
2 because this is new, this is new construction. We said harden  
3 new facilities, both overhead and underground. So new  
4 subdivision, where is it, what construction standards apply?  
5 If it's in a coastal area with 140-mile-per-hour wind  
6 requirements according to the National Electric Safety Code,  
7 the overhead system you will design will have poles and  
8 facilities in it that will withstand 140-mile-per-hour winds.  
9 You cost that out. You will then take the underground system  
10 and say, ah-hah, I've got to harden because I'm in a coastal  
11 flooding area.

12           Now what does that mean? The previous rule said the  
13 company will provide standards for that. Let's just assume  
14 that Progress adopts that all the, it's all going to be  
15 conduited, it's all going to be concreted so it doesn't move  
16 and it's all going to be waterproof where no water can get into  
17 anything. There's a cost of that. That's what you use to  
18 estimate the underground cost of the subdivision. Take the  
19 difference between the two, that's the CIAC that the developer  
20 owes the company in that area of the state.

21           MR. PORTUONDO: Okay. Here's where I'm having some  
22 trouble. The URD, as I understood it, was attempting to  
23 capture the difference between the standard which is in base  
24 rates, which the customer is going to get billed through their  
25 normal billing process, and the, let's call them upgrades to

1 underground. If I take your approach and assume a higher cost  
2 level for overhead than is currently in base rates, I think  
3 that concept falls apart.

4 MR. TRAPP: No, sir, it doesn't. We've got a new  
5 standard.

6 MS. KUMMER: Yeah. The hardened overhead is the new  
7 standard.

8 MR. TRAPP: The new standard for new construction.  
9 Now what you want to talk about is cost recovery, to which I  
10 say file a rate case.

11 MR. BREMAN: The tension is also created because  
12 staff's rule is based on all new construction, be it overhead  
13 or underground, it has a new standard criteria. The utilities  
14 are basically focusing on targeted areas. So you all are going  
15 to have to figure out both those presentations, cost amount,  
16 and explain why one is better than the other when you answer  
17 our questions with respect to these rules.

18 MR. WRIGHT: Larry. Hello.

19 MR. HARRIS: Where are we?

20 MR. WRIGHT: I'm over here.

21 MR. TRAPP: Oh, Schef.

22 MR. HARRIS: You didn't wave.

23 MR. WRIGHT: I tried that earlier. It was not  
24 observed.

25 Schef Wright. You all probably know I represent the

1 Town of Palm Beach and the Town of Jupiter Island in connection  
2 with these matters. I just have a question at this point,  
3 fully understanding this is the new construction section of the  
4 rule, but it will apply equally when we get to 6.115.

5 Do y'all envision taking into account any  
6 consideration of additional storm restoration costs that are  
7 likely to be incurred with overhead that would not be with  
8 underground or at least the differential between them? And if  
9 so, in what language would you see that being rolled into this  
10 25-6.078?

11 MR. TRAPP: If you can quantify it, we'll put it in.  
12 Right now it's basically reflected in the requirement for O&M  
13 differentials to be put in the estimate for this particular  
14 rule.

15 MR. WRIGHT: Okay. We'll quantify it. Thank you.  
16 That's fine. We'll quantify it.

17 MR. TRAPP: Any comments, questions? I guess we're  
18 to Page 21, conversion of existing overhead.

19 MR. HARRIS: I think we need to take a short break.  
20 It's not too long after lunch, so let's take ten minutes. Be  
21 back at 2:10.

22 (Recess taken.)

23 MR. HARRIS: I think we are ready to go ahead and get  
24 back on the record with 25-6.115. So we are finally on  
25 undergrounding. I wasn't too far off, just a couple of hours.

1 Who wants to lead this one?

2 MR. TRAPP: I guess I've got the duty.

3 MR. HARRIS: All right.

4 MR. TRAPP: We spoke a little about new subdivisions,  
5 Rule 25-6.115 pertains to conversion cases where an applicant  
6 requests conversion of existing overhead to underground  
7 facilities. And I kind of got my way with Connie on the CIAC  
8 rule, but evidently I didn't get my own way with my own staff,  
9 because this is a word rule again. And my engineering  
10 background, I understand formulas better than I do words. So I  
11 asked Jim if he would translate the words in this rule into a  
12 formula, and this is what we came up with.

13 These are the components of costs that we understand,  
14 unless we have erred, that go into calculating the conversion  
15 case. So we want to talk about this formula a little bit, and  
16 then I also want to -- not much really has changed in this  
17 rule. We haven't proposed many changes in the rule. We are  
18 really looking for input on this particular one. The one  
19 change that we did make on the last page, Page 23 of Attachment  
20 3, that first couple of lines there we again have included the  
21 capital costs associated with hardening from the standards of  
22 construction rule.

23 Schef, in anticipation of your earlier question, my  
24 understanding of this rule change is it really only addresses  
25 the capital costs and the CIAC calculation. We have not

1 addressed maintenance, storm damage recovery, those types of  
2 things. So now is your opportunity to tell us what you want  
3 added or subtracted or changed in that formula.

4 MR. WRIGHT: Well, I want differential O&M costs  
5 added, and I want differential storm restoration costs added,  
6 and that's consistent with the comments we have been providing  
7 in our petitions to intervene and notices of intent to  
8 participate and everything else we've said on this subject and  
9 comments we provided on January 23rd.

10 MR. TRAPP: One of the administrative difficulties  
11 that I foresee is that at least with regard to new residential  
12 subdivisions, there is a process here at the Commission in  
13 order for the companies to propose a model subdivision  
14 calculation, a generic average type of approach, as a fallback  
15 to case-by-case, if we need to go there, but, basically, it is  
16 kind of an average technique for new subdivisions. But with  
17 regard to conversion cases, they typically are unique. They  
18 are case-by-case type of situations. They require an  
19 independent estimate of each of these numbers.

20 One of the things that staff struggled with in  
21 whether to include an O&M delta or a storm restoration delta is  
22 how do you calculate that number on a case-by-case basis, how  
23 do you apply it on a case-by-case basis. Help us out.

24 MR. WRIGHT: O&M, I think you could perhaps do on an  
25 average system differential basis. Storm restoration, there

1 are a couple of different ways you could go. One way would be  
2 to use some kind of expected value calculation, another way  
3 would be to use an assumed value relative to having to go out  
4 and replace overhead. And, you know, when we get to whatever  
5 further proceedings in here, I think we are going to talk  
6 fairly extensively about differences in reliability because  
7 overhead doesn't get hit by debris. I'm sorry, underground  
8 doesn't get hit by flying debris in Category 3, 4, and 5  
9 storms. Now, where you put that in the rule -- where you put  
10 the reliability delta in the rule, I'm not sure. But I think  
11 it ultimately informs the decision you make on everything else.

12 MR. TRAPP: At this juncture we have some planning  
13 dockets open. Utilities to submit some plans, some of those  
14 encompass collecting data on an ongoing basis with respect to  
15 performance characteristics for overhead and underground, but I  
16 don't have anything to put in the rule right now.

17 MR. WRIGHT: Well, I understand that, Bob. And it  
18 may be -- I've got two client cities, towns, right now who are  
19 poised to go forward more likely than not, depending on what  
20 the costs shake out to, but more likely than not within the  
21 next year or so, and they don't want to pay more than they  
22 should pay. They don't want to subsidize others. They are not  
23 looking for a free ride. And it may simply be that for those  
24 two towns, we have to have individual proceedings. We would  
25 rather see it taken care of in the rule, either as well or --

1 rather, we would really rather see it taken care of in the  
2 rule. But, if not, then we can conceive of having individual  
3 proceedings.

4 And there are other issues. There are other issues  
5 that we will want to see addressed in the rule that relate to  
6 the utilities charging us their corporate overheads when we do  
7 the work, which we have a real problem with, and things like  
8 that.

9 MR. TRAPP: Conceptually, I can see the possibility  
10 of a placeholder in the rule that speaks to a delta O&M and a  
11 delta storm restoration. Procedurally, calculating the number  
12 that you want to plug in there, though, gives me some pause for  
13 concern, particularly if I'm doing it on a case-by-case basis  
14 as opposed to some type of generic investigation. And I asked  
15 Jim just to look at the tax rolls in the counties up and down  
16 the east coast, and we picked some representative communities.

17 I think your two clients are Jupiter Island and Palm  
18 Beach, we're talking about million dollar homes. Hobe Sound,  
19 which is a lovely community I have been in that is just right  
20 across the Intercoastal waterway from Jupiter Island, have a  
21 medium household value of 142,000. Myself, Bob Trapp, says be  
22 very, very cautious how I pass on costs to an area that has  
23 million dollar homes such that it doesn't adversely impact the  
24 area right across the street that has \$142,000 homes. So  
25 therein lies my quandary. How best to get that number, how to

1 apply it, and in what process. So, I mean, are you talking a  
2 generic proceeding to establish those numbers?

3 MR. WRIGHT: Well, Bob, I'm not 100 percent sure of  
4 that. If there is a generic proceeding, I think these two  
5 dockets are probably that generic proceeding taken together.  
6 It may be that we have to do this another way. But, you know,  
7 there will be -- I mean, estimates of avoided O&M costs are  
8 calculable, estimates of avoided storm restoration costs are  
9 calculable. And to the extent that -- at a rock-bottom minimum  
10 those are real potential costs that the rest of the -- of any  
11 utility, FPL's in the case of the communities we are talking  
12 about, that the rest of the utility's ratepayers will bear if a  
13 storm comes through there.

14 You know, where there is underground and the costs  
15 are a fraction, the restoration costs after a Wilma class storm  
16 or a stronger storm comes through, there are a lot fewer costs.  
17 And so the people who have paid for underground are effectively  
18 now paying for the restoration costs of overhead, whether it is  
19 Hobe Sound or anywhere else, and they have not gotten credit  
20 for having avoided that cost by paying for underground in the  
21 first place. And, in this instance, that's what we are talking  
22 about. Now, there are other issues relative to the overall  
23 reliability of any overhead versus underground that we'll take  
24 up.

25 MR. TRAPP: So you have a number, too?

1 MR. WRIGHT: I'm sorry? I didn't quite understand  
2 what you meant.

3 MR. TRAPP: Well, I asked Progress earlier, ah-ha,  
4 you have a number. They seemed to have an O&M number they  
5 think they can discuss.

6 MR. WRIGHT: Bob, I don't have that -- I will tell  
7 you straight up, Bob. We don't have that number yet. I have  
8 the contract from our consulting firm sitting on my desk  
9 pending a final sign-off. We intend to sign it and go forward  
10 and be ready for whatever further proceedings occur in this  
11 docket. That's where we stand.

12 MS. KUMMER: Schef, presumably what you are talking  
13 about is trying to somehow quantify the benefit to the general  
14 body of ratepayers of undergrounding these particular areas.

15 MR. WRIGHT: Yeah. As far as this conversation is  
16 going, yes. Now, we also want to talk about differences in  
17 reliability and general public interest considerations, which  
18 we believe are quite substantial with regard to undergrounding.  
19 But for right now, yes, that's what I'm talking about.

20 MS. KUMMER: But when you are talking about  
21 calculation of CIAC --

22 MR. WRIGHT: O&M.

23 MS. KUMMER: -- you want to recognize that there can  
24 be a benefit to the general body of ratepayers. Have you given  
25 any thought to how you go about doing that calculation?

1 MR. WRIGHT: Yes.

2 MS. KUMMER: Would you like to share it with us?

3 MR. WRIGHT: Well, as far as I have gotten thinking  
4 about it, you know, there are -- you can calculate differences  
5 between overhead and underground O&M costs, and you can  
6 calculate estimated differences on some kind of expected value  
7 basis. Now, whether you use just a raw strict expected value  
8 number or whether you make some additional allowance is a  
9 separate issue, and we haven't made a final decision on that.  
10 But you can calculate something like what the expected value is  
11 of savings due to storm restoration costs.

12 For example, one of the witnesses in the current  
13 pending FPL storm case has testified in his prefiled testimony,  
14 Mr. Byerley on behalf of the Citizens has testified that at a  
15 bare minimum, rock-bottom conservative minimum, restoration of  
16 overhead facilities costs 4X standard overhead construction.  
17 My very rough, gross aggregate level calculations based on what  
18 FPL actually paid over the last two years to rebuild 2 to 3  
19 percent of their transmission and distribution system seems to  
20 indicate that the multiplier is a lot more than 4X.  
21 Regardless, it's a big number. Now, not everybody is going to  
22 get hit.

23 And one way of looking at it is you could just assume  
24 X storms, and make some calculation of what the savings might  
25 be in that regard, or you can assume X storms, and say, because

1 underground is more reliable and is less likely to incur  
2 extensive storm restoration costs, we're going to take some  
3 differential, and we are going to add that in, part as  
4 recognition of reliability and part as a probabilistic  
5 protection factor or something like that. We are not fully  
6 there yet. You know, we have discussed this -- I've discussed  
7 this with the consultants we intend to hire, and we are  
8 geared -- like I said, we're geared up and ready to go. Those  
9 are the concepts that we are working with.

10 MS. KUMMER: Okay. But you would agree that you are  
11 going to somehow have to apportion any benefits, whether it's  
12 storm restoration, or O&M, or reliability between the direct  
13 beneficiaries, i.e., underground and the general body of  
14 ratepayers. There is some sharing there because the --

15 MR. WRIGHT: Most likely. I mean, ultimately it  
16 depends on what the potential cost savings are from  
17 underground.

18 MS. KUMMER: Okay.

19 MR. WRIGHT: I mean, it is possible that either when  
20 you look at the cost savings, assuming making some extreme  
21 assumptions about frequency and intensity of hurricanes over,  
22 say, a five-year period, it is entirely possible that you could  
23 make the decision that you just want to underground. You may  
24 also make the decision, given what everybody was saying this  
25 morning, with which I concur and with which our consultants

1 concur, that when you get up into a Category 4 storm situation,  
2 it doesn't matter if you harden the system to withstand  
3 180-mile-an-hour gusts, because when the gusts are up in the  
4 130, 140 range, the debris flying is going to be causing all  
5 manner of havoc anyway.

6 MS. KUMMER: Sorry, Bob.

7 MR. BREMAN: Schef, were there two items you wanted  
8 to add or were there three? Because I wasn't sure whether or  
9 not you were bringing up externalities, what I would call  
10 externalities, social benefits that are not currently embedded  
11 in base rates or rates of any kind.

12 MR. WRIGHT: Jim, for purposes of the formula there  
13 were two things. In the further proceedings we intend to raise  
14 the social benefits in terms of the value saved and preserved  
15 to Floridians from not having their power go out.

16 MR. BREMAN: That's three items. Okay.

17 MR. WRIGHT: But I don't think that number  
18 necessarily goes into -- it may or may not. I don't think that  
19 number goes into that formula.

20 MR. BREMAN: And you will be able to value these  
21 numbers or at least provide a formula for calculating these  
22 numbers within how long, two weeks, three weeks?

23 MR. WRIGHT: No.

24 MR. BREMAN: Time frame?

25 MR. WRIGHT: Four months, five months. I mean, it's

1 kind of getting ahead to the end of it, but I have been talking  
2 about five months with the consultants as the time for them to  
3 complete their work. I can probably twist their arms and get  
4 them to do it in four. So probably results in August and maybe  
5 further proceedings in September, something like that.

6 MS. KUMMER: When you say proceedings, are you  
7 talking about specific to your client or something else?

8 MR. WRIGHT: Potentially either, Connie. I was  
9 thinking in terms that there would likely be a hearing on the  
10 proposed rules in these two dockets, which I gather will be  
11 consolidated for procedural purposes. You know, and that may  
12 be how it turns out. It may be that. It may be  
13 client-specific proceedings or it may be both. The main line  
14 expectation that I had coming in here today was that there  
15 would be a proposed rule at some point, and that there would be  
16 a rule hearing at some point. And that is what I was thinking  
17 of.

18 MS. KUMMER: Okay. Do you intend to propose language  
19 in the comments following this workshop?

20 MR. WRIGHT: Yes.

21 MR. TRAPP: Here is the trouble I'm still having,  
22 though, Schef. Rulemaking is one thing, calculating the  
23 dollars is another thing. And it seems to me that, you know,  
24 you can put some words in a rule, but unless they have dollars  
25 associated with them, you don't know how to apply the rule.

1           So it sounds to me like we have got two proceedings  
2 here. One is a rulemaking proceeding to establish the policy  
3 of thou shalt or not include these two or three extra  
4 components to the formula. Then you have got to have another  
5 proceeding to implement the rule to plug in the number. And  
6 that's where I'm struggling with. I mean, would it be best for  
7 us to press forward with the generic rulemaking language and  
8 establish these numerical discussions in parallel, or in  
9 sequence, or how?

10           MR. WRIGHT: Well, that's a good question, Bob,  
11 because depending on what the outcome of the more generic  
12 consideration docket is, it might conceivably obviate the need  
13 for specific proceedings for, say, the town of Palm Beach. On  
14 the other hand, it may not. It may be that we go through the  
15 rule proceeding and incorporate whatever concepts need to be  
16 incorporated, and make whatever policy decisions the  
17 Commissioners decide to make relative to overall reliability  
18 and social benefit concerns, and then we have got a rule, and  
19 then we have an implementation proceeding on an area-by-area,  
20 project-by-project basis. That is certainly possible. And,  
21 you know, we'll just have to see how it works out.

22           I would say I would rather see these things go  
23 forward more in parallel than in sequence, and my clients would  
24 rather see them go forward more in parallel than in sequence.  
25 And I understand from a side conversation I had with Chairman

1 Harris that you all are on a faster track that I had  
2 understood, that I had personally conceived would be the case..  
3 And given that you are on that relatively faster track, I don't  
4 see any real problem getting things done in a timely way.

5           The thing we wanted to avoid was having the rule  
6 hearing next January, and then being put off until sometime in  
7 the latter half of next year for our case-specific hearings if  
8 they had to be held. But from everything I have been given to  
9 understand today, we are going to be going faster with the  
10 fundamental conceptual rule on a much faster track that should  
11 permit us to handle whatever the community-specific issues we  
12 have in a way that is timely for my clients.

13           MR. TRAPP: Power and Light, any comment, input?

14           MR. MIRANDA: Bob, we have, you know, a few customers  
15 who are requesting to underground their facilities, and Schef  
16 represents a couple of these customers in our service  
17 territory. And when we look at, you know, encouraging  
18 underground conversions, it is really clear that cost is a  
19 major barrier to getting those conversions done. And back in  
20 2003, we introduced a mechanism for governmental recovery of  
21 undergrounding fees. Basically, a new rate -- a new tariff to  
22 try to encourage communities to underground. And as of this  
23 date we have had zero takers on that tariff.

24           Following the 2004 and 2005 hurricane seasons, it is  
25 evident that the underground facilities for the type of storms

1 that we have been experiencing, which are the wind type storms,  
2 that undergrounds do provide some level of mitigation  
3 concerning the storm restoration. And we proposed a 25 percent  
4 investment for government-sponsored projects to really  
5 encourage community-wide conversions. And this was really  
6 determined by talking to community leaders that really thought  
7 that cost was really the main issue that they had to address.

8 As a result, we believe that the 25 percent amount  
9 really strikes this balance between a sufficient incentive for  
10 the communities to convert while minimizing the potential  
11 impact to all customers from future storms, which is the issue  
12 about how to figure out how to calculate that number on storms.  
13 Ultimately, whatever is decided by the Commission, yourselves,  
14 will be the number that we will follow as far as, you know,  
15 recovery purposes. We'll adopt that investment level approved  
16 by the FPSC regardless if it is higher or lower.

17 Part of the problem that we are facing, of course, is  
18 we don't have a lot of the information and historical data to  
19 calculate what that exact number is. So that's why we have  
20 offered the 25 percent investment number.

21 MR. TRAPP: What is the science behind the 25  
22 percent?

23 MR. MIRANDA: It was just listening and talking to  
24 community leaders and trying to figure out a percentage amount  
25 that would move some of these communities to go forward with

1 undergrounding.

2 MR. TRAPP: What is the impact on rates?

3 MR. BUTLER: I think that some of that is going to be  
4 wrapped up in this question of what, if anything, there is in  
5 the way of savings on the other costs associated, or saved,  
6 avoided by undergrounding versus continuing the overhead  
7 service. But the specific proposal contemplates that the 25  
8 percent that FPL would be providing or investing would end up  
9 going into plant-in-service; and, therefore, immediately there  
10 would be no impact. But at the point where there would be base  
11 rate proceedings that would consider plant-in-service as one of  
12 the elements, that would be an amount invested that would be  
13 considered for ratemaking purposes.

14 MR. TRAPP: But I'm hearing you have no status on the  
15 science of any of the numbers.

16 MR. BUTLER: Well, as Manny was saying, I think it is  
17 more a matter of kind of value driven or moving the customer,  
18 than it is at this point based on the cost differentials that  
19 exist. And that is really the principal motivation. I mean,  
20 if that is a direction that the Commission doesn't want to go  
21 or, as he said, if there is a different number that makes  
22 better sense, either because more is needed to move customers  
23 or the opposite end of the spectrum less can be justified from  
24 a cost perspective, then we would certainly defer to the  
25 Commission on what the appropriate percentage would be.

1 MS. KUMMER: We have talked about O&M and the  
2 quantification of O&M differences a little bit earlier, but if  
3 you were going to quantify the storm restoration  
4 differential -- now, I understand you don't have that  
5 information today, but what kind of information would the  
6 company be looking for to try to quantify that?

7 MR. MIRANDA: I think, Connie, those are the type of  
8 things that we are looking at, of course, is the amount of  
9 storms that would impact the service territory, the intensity  
10 of those storms, the facilities, the overhead facilities versus  
11 the underground, trying to capture some of the restoration  
12 costs in our estimates. Of course, the O&M piece, as you  
13 referred to earlier, we will have to look at what normal O&M  
14 that you apply to an overhead system and to an underground  
15 system. So I think that would be a little bit -- you know,  
16 more straightforward, still very difficult to quantify. And  
17 then overlap the storm impact on these formulas.

18 MR. BUTLER: And something that is clear with the  
19 storm restoration piece of it is that there aren't going to be  
20 as many data points, and it's going to be just necessarily  
21 somewhat more a matter of projecting something reasonable off  
22 of past experience and some reasonable estimate of future  
23 experience that will have a measure of uncertainty involved in  
24 it. But it is something that seems like that it is clearly  
25 there, and that customers recognize it as being there. And

1 that, you know, there is a value in trying to grapple with  
2 quantifying and taking it into account.

3           You know, exactly how that happens is really going to  
4 depend on how much can be teased out of the data that the  
5 companies have collected from the most recent storm seasons.  
6 And, you know, I hope we don't have more data points, but who  
7 knows, by the time that we finish this process there may be  
8 additional data points to provide information.

9           MR. BREMAN: Is there overlap between the 25 percent  
10 and the targeted concept that the company is pursuing, Manny?

11           MR. MIRANDA: Say it one more time.

12           MR. BREMAN: I'm confused a little bit about the 25  
13 percent and the company's targeted project. Is there overlap,  
14 is there interaction, interplay between those two concepts or  
15 are they two separate events?

16           MR. BUTLER: I think they are pretty much two  
17 separate events. I mean, the 25 percent investment is  
18 something that is pretty much offered to areas where, you know,  
19 the local governmental entity is sponsoring the conversion. It  
20 applies to a large enough area or project that it makes sense  
21 to be doing it, that you get some bang for the buck of actually  
22 having a sort of coordinated consecutive series of electrical  
23 facilities that would be benefitted by the undergrounding. But  
24 it's kind of customer driven. People who want it, it is  
25 something that -- and their local governments want it, would be

1 pursued. In contrast, I think the targeting is more something  
2 that is company driven, you know, where it sees areas that  
3 there are particular opportunities to make storm hardening  
4 improvements because of the vulnerability of the system.

5 MR. TRAPP: I'm still struggling with the math and  
6 with the science of this, and with the chicken and the egg  
7 approach to this. If you underground, you know, six blocks on  
8 the east coast, what benefit has that done to mitigate any  
9 storm damage anywhere? If you do it statewide, can we afford  
10 it? The rates, can everybody afford it? Those are some of the  
11 issues that I haven't heard any concrete answers to.

12 MS. KUMMER: That's what I was struggling with, too,  
13 Bob, and where I was going to go. It should be at least  
14 intuitively fairly simple to quantify the benefits to the  
15 community that has the undergrounding. They are either not  
16 going to be out of service or they are going to be out of  
17 service for a shorter time period, whatever. But what I'm  
18 struggling with, and what I really can't get my hands around is  
19 how you are going to determine the benefit to the general body  
20 of ratepayers of undergrounding of, as Bob said, you know, a  
21 six-mile stretch of coast line. And that is what I think you  
22 are going to have to do when you start talking about charging  
23 off any percentage to the general body of ratepayers.

24 MR. BUTLER: Well, as far as this short distance is  
25 concerned, I mean, at some point the distance gets short enough

1 that there really aren't any benefits, and we agree. And one  
2 of the things that we would be looking at is defining a project  
3 to which this concept would apply, large enough and sort of in  
4 a coherent and coordinated enough way that you are actually --  
5 if you put all of that underground, then you wouldn't be  
6 needing to deal with the sort of overhead restoration type  
7 issues in an area that was all served by the same power  
8 facilities.

9           But my impression, at least, is that that doesn't  
10 necessarily have to be a huge area. And, you know, once you  
11 have those benefits, if you are spending X dollars less in  
12 storm restoration costs because you have not had to restore  
13 overhead facilities to that area, and the normal expectation is  
14 not that that community pays for the restoration costs in that  
15 area, but, rather, the general body of customers would be  
16 paying for it, that you, you know, you have got a benefit.

17           Now, the quantifying of that, obviously, is going to  
18 be a challenge because of the uncertainties, the limited data  
19 points, et cetera, but that is on the storm restoration side  
20 essentially what's driving it, that just routinely, you know,  
21 communities are not now being charged specifically for their  
22 little community all of the costs incurred to restore it, but  
23 rather that the entire system is picking up a share of those  
24 costs. And to the extent that FPL or any utility were able to  
25 reduce the costs for that area, you end up benefitting the

1 general body of customers by doing so.

2 MR. TRAPP: That's why I'm real interested in seeing  
3 the data from Gulf Power, because there is a coastal system  
4 that was adversely affected by a major hurricane that was  
5 predominately underground. How are those costs -- how are  
6 those restoration costs going to be credited back to the  
7 customers that paid to subsidize to put them underground?

8 MR. BUTLER: That is a significant issue. I mean,  
9 it's obvious that there is a bigger benefit of undergrounding  
10 facilities in high land that is subject to high winds than  
11 there is to low land that is protected from winds if there were  
12 such extremes, because the one is going to be very vulnerable  
13 for overhead and the other is going to be somewhat more  
14 vulnerable with the underground service. And those are things  
15 that all of us will have to grapple with. And I agree that to  
16 the extent that some areas would be, you know, have higher  
17 costs of undergrounding, that will have to be taken into  
18 account.

19 MR. TRAPP: So one may very well find that coastal  
20 communities should be served by overhead because they can be  
21 restored faster and cheaper.

22 MR. BUTLER: It's possible. But I think that there  
23 is an awful lot of other factors beyond just the simplicity of  
24 sort of storm surge versus high wind that would have to be  
25 taken into account looking at it. But, yes, I mean, there are

1 different factors that will affect different areas in different  
2 locations, I would expect.

3 MR. TRAPP: Gulf, would you like to join in?

4 MR. HARRIS: I had a question, Bob. You mentioned  
5 the two communities that we know Mr. Wright is representing.  
6 Can you give me an idea of what other communities we are  
7 looking at? Others throughout the 35-county territory of FPL?  
8 Are they all clustered in Palm Beach County?

9 MR. MIRANDA: We are starting to get them surfacing  
10 throughout our service territory. Many of them are just coming  
11 forward with just general estimates. The ones that are kind of  
12 moving a little bit closer, is we have some projects in the  
13 city of Hollywood. We are starting to get some projects down  
14 in Miami Beach now, some of the islands, in those areas. So  
15 more and more folks are starting to move towards  
16 undergrounding, you know, in light of some of these severe  
17 storms that we have had the last couple of years.

18 MR. HARRIS: Are these requests mainly coming from  
19 the coastal communities?

20 MR. MIRANDA: No, I wouldn't say so. I think they  
21 are coming from throughout our service territory, at least the  
22 general -- the requests for the general estimate. As far as  
23 binding estimates, we have only had a couple of communities  
24 move forward with those.

25 MR. BREMAN: Manny, excuse me. When you said not

1 coastal, for example, could you give me an example?

2 MR. MIRANDA: I didn't bring my list, but --

3 MR. SPOOR: I was just asking -- when Manny was  
4 answering that response before, asking another gentleman with  
5 FPL that's here with us now. And, I guess, over the last two  
6 years we have had about 115 requests that have come in, some in  
7 various stages, I think, to Manny's point, too, that have gone  
8 all the way to a binding estimate, but certainly several that  
9 are more interested in the last two years. That level of  
10 activity I don't think we would have seen prior to the '04  
11 season.

12 MR. BREMAN: I'm just struggling with the concept of  
13 what is not coastal in FPL's service area. I know Arcadia is  
14 probably not considered coastal. Belle Glade might not be  
15 considered coastal, but --

16 MR. MIRANDA: Right. I guess it depends on how you  
17 define coastal.

18 MR. BREMAN: Right.

19 MR. MIRANDA: But I guess everything inland for us  
20 would not be considered coastal. You know, it's like ten miles  
21 inland, we do get communities requesting that.

22 MR. BREMAN: Okay. Thanks.

23 MR. HARRIS: I guess my question was are you getting  
24 requests from, you know, Nassau County in the north and  
25 Okeechobee inland, or are you just getting them from Palm Beach

1 and Miami-Dade?

2 MR. MIRANDA: It is throughout our service territory.

3 MR. BADDERS: Russell Badders on behalf of Gulf  
4 Power. Very briefly, we do not support a subsidy, 25 percent  
5 or 10 percent or otherwise. We believe that the cost causer  
6 should bear the costs. We don't believe that there has been a  
7 showing of any benefits to the other ratepayers or to the  
8 general body of ratepayers such that they would bear some of  
9 this cost.

10 Our personal experience, I guess, with Pensacola  
11 Beach and Navarre really brings into question whether or not  
12 you want to underground areas that are subject to storm surge.  
13 It is a significant effort to locate the facilities after a  
14 storm. It's a very significant effort to restore and repair  
15 them. So I don't think we have done an exhaustive study on  
16 that, but I think just intuitively if they were strung along  
17 pole lines, you would still have to go back and find the old  
18 facilities and remove them, but it would not be the same effort  
19 to go back and put in new poles and get in some new lines.

20 So in some areas it may not be that underground will  
21 give you any benefit whatsoever with regard to restoration.  
22 And, in fact, it may cost a lot more. It may be that you  
23 rebuild the entire system again. And I don't think at this  
24 point that there is any -- I guess any reason or benefit to the  
25 other ratepayers to pay for that, repeatedly, even if you only

1 have a storm every five years or ten years.

2           If you go to a plan where everything is underground,  
3 even in a concrete duct bank on certain islands, certain  
4 barrier islands and certain locations, you are still going to  
5 have significant damage. So we do not support the subsidy, nor  
6 do we think that mandatory underground or even promoting  
7 underground in some areas may be the right thing to do. We  
8 still don't have all the information, but that is just based on  
9 what we have experienced thus far.

10           MS. KUMMER: Would you refuse -- if someone requested  
11 underground, would you refuse on an operational basis?

12           MR. BADDERS: At this point, again, I don't think we  
13 have enough information to really justify that. I think it  
14 would be a hard thing to come to the Commission and say,  
15 empirically, this is the wrong thing to do. We have had  
16 discussions with Pensacola Beach and other entities with regard  
17 to this, basically, just tried to show them the pros and cons  
18 as best we know, and let them make their decision. And right  
19 now if they are paying, I guess they are allowed to do that. I  
20 mean, I think that is fully within their prerogative.

21           MR. TRAPP: In terms of -- I guess you wouldn't mind  
22 going to a proceeding where we could nail down some of the size  
23 and determine whether or not there was benefit or costs, but  
24 let me ask you that. And, secondly, if you would, in terms of  
25 rulemaking, if one were to go to a generic proceeding, and one

1 were to identify benefits associated with undergrounding and  
2 overhead, in order to avoid recycling back through a  
3 rulemaking, does it make any sense to put a placeholder in the  
4 rulemaking?

5 MR. BADDERS: I really haven't thought of -- I guess  
6 as far as rulemaking, I mean, you can always open a rule in the  
7 future if you come up with better science or better  
8 information. I guess sitting here today, I can't think of all  
9 the information that you would have to have to make this  
10 decision. I'm sure we can. I guess if there was good science  
11 showing some benefit, clearly -- I mean, that's something that  
12 would have to be explored. I don't know if opening a docket  
13 today will get us there. I just don't know what information is  
14 there.

15 I mean, we have had, I would not say considerable  
16 experience, but we have had some good experience the last  
17 couple of years. And I don't think we have walked away with a  
18 whole lot of really concrete answers, just more questions and  
19 some more things that we are willing to try. So I don't know  
20 if we know enough right now to really maybe open a docket and  
21 explore it in this type of a setting. I think as utilities, we  
22 have to go back and continue our efforts, what we have done  
23 over the last, you know, 40 years or more to improve our  
24 system. And if this is something that is something that we are  
25 going to be faced with more often as the naysayers say -- I

1 mean, as the weather people say, then we have to focus on this.  
2 I don't really think we have all the information we need. I  
3 guess that is the bottom line.

4 MS. KUMMER: When the coastal facilities are placed  
5 underground, the customer pays CIAC, correct?

6 MR. BADDERS: In general, yes.

7 MS. KUMMER: And when after a storm, you have to go  
8 back and repair those, and sometimes it looks like you are  
9 going have to rebuild a great deal of them, is that just a  
10 general cost to all ratepayers or is that cost assessed to the  
11 customer?

12 MR. BADDERS: I'm not sure that it is 100 percent one  
13 way or the other. I believe there have been instances where we  
14 have waived it. Basically, they have not paid, and we have  
15 just gone ahead and rebuilt it. I think at this point that is  
16 something we are looking at internally very closely as to when  
17 we go back and rebuild things, what do we put in the contract,  
18 as far as what will we do in the future. Who will pay, make it  
19 rock-solid so there are no questions. So nobody can come back  
20 ten years from now and say, well, I thought you would just  
21 rebuild it. Make it clear and that may, in fact, change their  
22 decision one way or the other. At least they will recognize  
23 the true cost.

24 MR. TRAPP: Progress.

25 MR. BURNETT: Bob, there's been a lot -- John

1 Burnett, Progress Energy. There has been a lot of questions  
2 floating around. Which one particular did you have for me  
3 right now?

4 MR. TRAPP: I think we started out the discussion  
5 with do we need to add anything to this formula. And there was  
6 a suggestion that -- at least two things, a delta O&M and a  
7 delta storm restoration cost be included into the formula. So  
8 I guess I'm asking your opinion on the inclusion of those two  
9 factors.

10 MR. BURNETT: To that one I don't see how you could  
11 do it now, based on all the questions that staff has raised,  
12 nor do I see that you would probably want to have a placeholder  
13 in there until we did have something a little bit more  
14 developed. So I guess from Progress' perspective, it would be  
15 go forward with the rule as you have proposed it in this draft.  
16 And if anything comes up in those questions that you have posed  
17 and other staff members have posed solidify, the you could take  
18 up then to make a change, if need it be. But it would seem a  
19 bit premature to try to put anything in at this point from what  
20 I've heard today. And the placeholders I'm not sure make a lot  
21 of sense, again, until you would have those questions answered  
22 to your satisfaction.

23 MR. BADDERS: I have one question. I got a little  
24 sidetracked on a couple of the other questions. But one thing,  
25 I'm not -- I believe that cost of removal would be a part of

1 this equation, and I'm not really sure where that fits. It may  
2 be subsumed in one of those, but --

3 MR. BREMAN: It is. Net salvage.

4 MR. BADDERS: Okay. So you are including cost  
5 removal and all of that in net salvage?

6 MR. BREMAN: Yes, sir.

7 MR. TRAPP: TECO, I guess.

8 MR. H. BRYANT: Howard Bryant with Tampa Electric. I  
9 think there are two questions that you have. One, do we need  
10 to add things to that? From our perspective, we would suggest  
11 no.

12 And then the second question, or at least the second  
13 discussion was on the idea of some amount of CIAC becoming  
14 perhaps a part of rate base. And our struggle there would be  
15 the subsidizing question on the other ratepayers, is that an  
16 appropriate thing to do. And we are not at the point to where  
17 we would be able to say, yes, that is the right thing to do and  
18 it is appropriate and we can quantify why. We would think that  
19 that is not the right thing to do at this point in time.

20 MR. TRAPP: John, did you want to have a shot at the  
21 second part of the question that he raised, because I didn't  
22 raise it.

23 MR. BURNETT: John Burnett, again. I think  
24 similarly, Bob, we are thinking about a lot of the questions  
25 that have been raised by staff, and I don't think we have a

1 position one way or another for or against what Power and Light  
2 has put on the table. But, again, we are thinking about some  
3 of the issues that come to mind, and that is one of the ones  
4 that TECO just mentioned that we are sort of struggling and  
5 thinking about with, too. So we are sort of observing and  
6 thinking at this point, as well.

7 MR. TRAPP: Okay. FPUC, did you want to comment on  
8 this?

9 MR. CUTSHAW: Mark Cutshaw (phonetic) with Florida  
10 Public Utilities. Unfortunately, in one area we don't have a  
11 lot of underground, and in the other area where we do have a  
12 considerable amount of underground is all in these coastal  
13 areas that will be impacted by the storm surge. So we are very  
14 concerned about this manner, the formula. We have been  
15 contacted by the city and the county in one area about  
16 undergrounding, and, you know, we have communicated to them  
17 there are some changes coming down the road. So there is a lot  
18 of uncertainty. And like I mentioned earlier, we're sitting  
19 back waiting on these proceedings to see how to proceed. But  
20 we don't have any major issues with this kind of thing. But as  
21 far as calculating the other impacts to this, we do have some  
22 concern over that, but don't have an answer to that at this  
23 point.

24 MS. KUMMER: I know your Fernandina area is growing  
25 quickly over there. Are most of the new facilities going

1 underground?

2 MR. CUTSHAW: Probably 80 to 90 percent are going  
3 underground initially.

4 MR. TRAPP: Do we have any more input on this  
5 proposed rule?

6 Schef.

7 MR. WRIGHT: Bob, I just have a question. I want to  
8 understand what you mean when you are using the term putting a  
9 placeholder in there. Are you talking about like putting the  
10 concepts that I, for example, articulated about differential  
11 O&M and storm restoration costs into the rule as something that  
12 could be considered? Is that what you are talking about when  
13 you say placeholder, or are you talking about something  
14 procedural?

15 MR. TRAPP: Yes, I think so. I mean, it occurs to me  
16 there are two things we can do. We can put a hard and fast  
17 thou shalt, you know, this number, or we could use a thou shalt  
18 or a may consider O&M differentials and storm restoration.

19 MR. WRIGHT: I just wanted to make sure I understood.  
20 Sometimes placeholder gets used in a procedural sense for like  
21 a spin-off docket to address Palm Beach's specific situation.  
22 I thought you meant the formula, and that's what I wanted to  
23 make sure of. Thanks.

24 MR. TRAPP: What I was talking about was adding your  
25 two elements to the formula, knowing that the input to those

1 two elements could be anything from zero -- well, actually they  
2 could be anything from negative to positive with zero in  
3 between.

4 MR. WRIGHT: Okay. Thanks.

5 MR. TRAPP: But we would have to -- to me, go to some  
6 other procedure in order to determine what number to put into  
7 that. And that's why we were exploring -- I mean, you have  
8 been talking about your individual clients bringing a  
9 procedure. We are talking about a generic procedure. I'm just  
10 trying to figure out if it can all be done in a rulemaking  
11 procedure. I have my doubts on that. But the placeholder, at  
12 least, puts a formula out there for someone to plug in through  
13 another procedure.

14 MR. WRIGHT: Thanks. That's what I understood. I  
15 just wanted to make sure we are communicating effectively.  
16 Thanks.

17 MR. TRAPP: That's what I was attempting to explore.

18 MR. WRIGHT: Thanks.

19 MR. TRAPP: Thank you.

20 Larry, I think we are through with the rules.

21 MR. HARRIS: Does anyone have any more comments on  
22 6.115? That being the last rule that we had set for today, at  
23 least staff had proposed.

24 MR. TRAPP: Do we go now to Attachment 5 of --

25 MR. HARRIS: Did you have something?

1 MR. WILLIS: Were you going to go further with the  
2 other parts of your agenda?

3 MR. TRAPP: Yes.

4 MR. HARRIS: The next thing we have is Attachment 4.

5 MR. TRAPP: Five.

6 MR. HARRIS: Five, I'm sorry. I thought it was 4.

7 MR. TRAPP: We covered 4.

8 MR. HARRIS: Did we resolve that?

9 MR. TRAPP: Yeah. They were all forms.

10 MR. HARRIS: I mean, are there any questions about  
11 the remaining pages in the packet, the forms, starting on Page  
12 24? I think those are the forms that are already out there  
13 that you have all seen before.

14 MR. BREMAN: Just to be clear, staff is not proposing  
15 any changes to the URD forms used for subdivisions. Thank you.

16 MS. KUMMER: They were just there for your  
17 information, so you had everything together.

18 MR. TRAPP: Well, let me try to explain that, because  
19 there has been lot of confusion among staff about what rules to  
20 include in this package and what not to. We have attempted to  
21 include every rule that is touched on in these subject matters,  
22 because we don't want to get in a procedural situation where  
23 somebody wants to raise a change somewhere that we haven't made  
24 a change in, such as the safety rule, and not be able to  
25 procedurally because we didn't notice it. So we tried to put

1 everything in this package we could think of, much of which we  
2 did not change. But it is out there for discussion if you  
3 think you need to do something to it.

4 MR. HARRIS: Good. I think now we are through the  
5 package. So I guess it is time to sort of say do we  
6 anything -- does anybody have any other rules or any other  
7 comments they want to sort of throw out there that we need to  
8 be thinking about or looking at?

9 Attachment 5 is in the package on Page 42, and this  
10 is a -- essentially, it's a staff data request. Staff needs  
11 some information, and this is what we propose to ask for. And  
12 there is probably a lot of information there that we are  
13 requesting.

14 MR. TRAPP: Let's talk about times and dates, future  
15 activity.

16 MR. HARRIS: Yeah. I feel very strongly that we need  
17 to move this along. The Commission has for several months been  
18 commenting on, you know, our approaching deadline for the 2006  
19 storm season. It is my personal feeling that this needs to be  
20 something that staff moves very quickly on. With that intent,  
21 it would be my intention that we try to get this to -- a  
22 proposed rule to the Commission in June. There are two agendas  
23 in June, probably the second one, the middle one, June 20th.

24 That being the case, we need to get written comments  
25 from you all and have some time to do something with them. My

1 suggestion would be that we request written comments from you  
2 by May 1st, which is two weeks from today. That's a lot of  
3 comments to do and not a lot of time to do it, but I think it  
4 is relatively important. I anticipate that you all will have a  
5 got of good comments that staff will need to carefully consider  
6 that we are going to need to include in these rules that we  
7 will ultimately recommend that the Commission propose. So  
8 that's a lot of work.

9 MR. WRIGHT: Larry.

10 MR. HARRIS: Yes.

11 MR. WRIGHT: Schef over here. Sorry. Some of us,  
12 including the people who are sitting close to me, have a lot of  
13 other stuff that it looks like we are going to have to be doing  
14 up until April the 27th as things stand today. I was wondering  
15 if you could cut us a little bit of slack on the May 1st thing.  
16 What day of the week is that? Is that a Monday?

17 MR. TRAPP: It's a Monday.

18 MR. WRIGHT: Could you maybe push it to the end of  
19 that week or maybe to the following Monday? Maybe even the end  
20 of that week would help me a lot, I'll tell you.

21 MR. TRAPP: Here is the deal. I think we have also  
22 been discussing, and particularly in light of the comments that  
23 we have received today and anticipate, because I think there  
24 were a lot of good ideas that came out today, word changes,  
25 phrase changes, concepts, we need to digest and work out. We

1 were contemplating having a second rulemaking workshop. So now  
2 we have got -- it's not just your comments and us going to  
3 agenda, it has got to -- we've got to come and have this again,  
4 and then get to agenda. So the date for that was --

5 MR. WRIGHT: The date would be May 19th, which is an  
6 open date on the Commission's calendar at this point.

7 MR. TRAPP: That's two weeks?

8 MR. WRIGHT: Two weeks.

9 MR. HARRIS: And that's sort of how it broke down. I  
10 understand this is a very busy week.

11 MR. WRIGHT: How about Wednesday, May 3rd?

12 MR. HARRIS: I don't have a problem with Wednesday.

13 MR. TRAPP: If everybody commits to make such  
14 brilliant, brief, and to the point comments that they can  
15 either be yes or no just like that by Staff, I agree.

16 MS. KUMMER: And we are looking for rule language  
17 changes. Philosophy is nice, but if you want to translate it  
18 into rule language, type and strike is much appreciated.

19 MR. TRAPP: And, again, it has got to be accompanied  
20 by cost data. Because part of the yes and part of the no is  
21 going to be driven in large part by our perception of how much  
22 burdensome cost we are imposing on the system.

23 MR. WRIGHT: I think I have been very clear about  
24 this, not to create any unreal expectations, we ain't gonna  
25 have cost information in two weeks. We're not going to have

1 cost information in two months. We're just not. I mean, we  
2 are talking with -- our consultants have extensive experience  
3 with this stuff, but realistically we're not going to have that  
4 kind of information in that time period, Bob.

5 MR. TRAPP: I understand the difficulties, Schef.  
6 But I will tell you up front, as a conscientious state  
7 employee, I will not make a recommendation without knowing the  
8 impact.

9 MR. WRIGHT: And I'm on board with that, Bob. I  
10 mean, I cut my teeth writing EISSs back in the early '80s  
11 working in the research division here. I'm just telling you  
12 the realities of our being able to give you the cost  
13 information that we're going to give as soon as possible, but  
14 it is not going to be in that time frame.

15 MR. TRAPP: I understand.

16 MS. KUMMER: We understand that this isn't going to  
17 be real detailed precise information, but we need to have  
18 something. The statute requires a statement of estimated  
19 regulatory cost that has to accompany every rule change. So we  
20 have got to have some numbers if we are going to move forward  
21 on this, and the Commission is going to make very sure that we  
22 move forward on this on an expedited basis.

23 MR. HARRIS: With that, I'm willing to say May 3rd  
24 for the written comments and also this Attachment 5, this data  
25 request that we have, which is a lot of numbers. Mr. Trapp has

1 about 30 times today asked you all to be able to back things up  
2 with numbers. And I know it is a big task. And zero is a  
3 number. I don't know -- probably isn't a number unless it is  
4 followed with and this is why. And there are some interesting,  
5 you know, factors in there that we can consider.

6 And at this point we will be looking for a --  
7 probably a May 19th second workshop, which puts the staff --  
8 I'm sharing that with you so you can feel our pain. We are not  
9 just asking you to do a lot of work. That is going to be tight  
10 for the staff to actually get these comments, do something with  
11 them, come up with a new rule package and get it out to you all  
12 in time for you to have a chance to look at it and be able to  
13 comment intelligently on it by May 19th. We have a lot of  
14 stuff going on starting with about the 11th or so. So it will  
15 be tight for us, too. So I guess we are all in this together.

16 Jim, did you have something you wanted to suggest?

17 MR. BREMAN: The questionnaire also applies to the  
18 munies and co-ops regarding the construction rule.

19 MR. HARRIS: I guess that is for them if they are  
20 listening by phone, which I anticipate that they are.

21 Is there anything else, Bob?

22 Do you have anything, Connie?

23 Does anybody out there have something?

24 MR. WILLIS: Larry, under the category of other  
25 issues that you listed in your agenda, I wanted to indicate to

1 you that we believe -- my name is Lee Willis with Tampa  
2 Electric Company, representing Tampa Electric Company. There  
3 are a number of safety and reliability issues that you have  
4 recognized both in your staff recommendations and in the order  
5 on pole inspections with respect to pole attachments. And that  
6 in any proceeding or rulemaking where we are considering  
7 hardening of our facilities and preparing for storms and  
8 reviewing of the overloading of our facilities, that the rule  
9 should address those things.

10 Now, there are a couple of types of issues with  
11 respect to pole attachments. There are issues of access which  
12 deal with safety, capacity, and engineering. We believe that  
13 you have very ample jurisdiction over that in your grid bill  
14 jurisdiction. There are other issues of contracts, such as  
15 rates, terms and conditions that you would not have  
16 jurisdiction over. Perhaps, if you -- unless you were  
17 certified. But in our written comments and in the further  
18 workshops we want to address those issues, and I feel that it  
19 should be a part of this.

20 MR. HARRIS: That would be fantastic. I would  
21 suggest the -- I know Bob wants to say something. I would  
22 suggest that this first set of written comments have proposed  
23 language that you would like to see included in the rules.  
24 That would be, I think, most helpful to us if you wanted to get  
25 it in there. Bob.

1 MR. TRAPP: Lee, is this new rule language or is it  
2 appended to existing rule language? And if appended, have we  
3 got your rule noticed and covered?

4 MR. WILLIS: I think that you have ample opportunity  
5 to include in your notices of it, because you are having  
6 another workshop, you have other proceedings that might go  
7 forward on this to cover it.

8 MR. TRAPP: So it is new language?

9 MR. WILLIS: It would be new language. I don't know  
10 whether we would put it in the existing rules to add to it or  
11 suggest that it be separate. We are still looking at that.

12 MR. TRAPP: Since you are the lawyer, if you will  
13 talk to our lawyer and make sure that we keep clean. I want to  
14 make sure we are noticed properly in order to discuss all of  
15 these things.

16 MR. WILLIS: I understand.

17 MR. TRAPP: So that when the time comes, we can act  
18 and don't get hung up by some procedural problem.

19 MR. WILLIS: And we will do that, yes.

20 MR. TRAPP: Thank you.

21 MR. HARRIS: Anyone else have anything?

22 MR. BUTLER: On behalf of FPL, John Butler. I would  
23 just like to echo Lee's comments about the attachment issues.  
24 One that I want to mention, we will certainly provide written  
25 comments on this, as well, but just of particular concern to

1 us, and that's pole top attachments, something that can have a  
2 particularly significant impact on things like wind load  
3 determinations for poles. Also, significant issues with  
4 respect to safety of working on the poles in normal conditions,  
5 and impacts on the ability to restore the poles -- electric  
6 service and the poles promptly after storms. And we are very  
7 concerned about the potential for -- particularly people in the  
8 wireless communications industry wanting to use pole tops for  
9 their equipment in ways that could cause real concerns on all  
10 three of those fronts. That's something -- my feeling is that  
11 it can be fit within the .034 or .0345 rules that you have  
12 raised for consideration here.

13           One other subject that may not, and I'm not sure what  
14 staff's thoughts are on coordinating this. But, of course,  
15 FPL, and I'm sure other utilities to different extents, but we  
16 rely on poles of others, primarily telecommunications poles. I  
17 guess, there may be a few that don't fit that category. But a  
18 lot of these hardening issues if they are not addressed for all  
19 of the poles that are out there, you get kind of differential  
20 impacts and lose some of the bang for the buck of improving one  
21 set of them, and maybe a couple of poles down you have ones  
22 that haven't been built to the same standard. And I'm not sure  
23 what staff's intention -- I guess to some extent I've got a  
24 question on that here, whether that's something that you intend  
25 to consider on a coordinated basis or how that will work.

1 MR. HARRIS: And the answer is I don't know. But,  
2 hopefully, we will be able to talk about that and decide. At  
3 this point, you know, I don't know. Hopefully, we will get an  
4 answer, so I'm glad you brought that up.

5 MR. BUTLER: Thank you.

6 MS. MOORE: Larry, let me point out that the notice  
7 for the May 19th workshop will need to be filed next Tuesday,  
8 the 25th.

9 MR. HARRIS: So if you have new rule language and  
10 want it included, if the notice has to be filed by a week from  
11 Wednesday --

12 MS. MOORE: If it is a different rule than we have  
13 already.

14 MR. HARRIS: Anything else? No? Great.

15 Thank you all for your attendance today. I really  
16 appreciate it, and I'm looking forward to your comments. Have  
17 a good day.

18 MR. BUTLER: Thank you for putting together a good  
19 workshop. It was very helpful.

20 (The workshop concluded at 3:18 p.m.)  
21  
22  
23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF FLORIDA       )  
                                  :  
COUNTY OF LEON        )

CERTIFICATE OF REPORTERS


WE, JANE FAUROT, RPR, and LINDA BOLES, RPR, CRR, Official Commission Reporters, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that we stenographically reported the said proceedings; that the same has been transcribed under our direct supervision; and that this transcript constitutes a true transcription of our notes of said proceedings.

WE FURTHER CERTIFY that we are not a relative, employee, attorney or counsel of any of the parties, nor are we a relative or employee of any of the parties' attorneys or counsel connected with the action, nor are we financially interested in the action.

DATED THIS 1st day of May, 2006.

  
\_\_\_\_\_  
JANE FAUROT, RPR  
FPSC Official Commission  
Reporter  
(850) 413-6732

  
\_\_\_\_\_  
LINDA BOLES, RPR, CRR  
FPSC Official Commission  
Reporter  
(850) 413-6734