


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. UNDOCKETED

In the Matter of

ENERGY EFFICIENCY AND DEMAND SIDE
MANAGEMENT OPPORTUNITIES AND
ACCOMPLISHMENTS.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 1

Pages 1 through 104

PROCEEDINGS: WORKSHOP

BEFORE: CHAIRMAN LISA POLAK EDGAR
 COMMISSIONER MATTHEW M. CARTER, II
 COMMISSIONER KATRINA J. McMURRIAN
 COMMISSIONER NANCY ARGENZIANO
 COMMISSIONER NATHAN A. SKOP

DATE: Thursday, November 29, 2007

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center
 Room 148
 4075 Esplanade Way
 Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
 Official Commission Reporter
 (850)413-6732

DOCUMENT NUMBER-DATE

FLORIDA PUBLIC SERVICE COMMISSION | 0786 DEC 10 06

FPSC-COMMISSION CLERK

	PRESENTATIONS BY:	PAGE
1		
2	Tom Ballinger	6
3	Mark Futrell	23
4	John Masiello	39
5	Paul Sotkiewicz	65
6		
7		
8		
9		
10		
11		
12	Certificate of Reporter	104
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN EDGAR: Good morning.

COMMISSIONER CARTER: Good morning.

CHAIRMAN EDGAR: I call this workshop to order, and we will begin by asking our staff to read the notice.

MS. BENNETT: Good morning, Chairman. This undocketed Energy Efficiency Initiative Workshop was noticed for this date, time, and place in the Florida Administrative Weekly as well as by separate agency notice mailed to interested persons.

CHAIRMAN EDGAR: Thank you.

Commissioners, as you are aware, the purpose of this workshop is to discuss ways that this Commission can consider encouraging additional energy efficiency and conservation.

As we are all aware, the state of Florida, this Commission, and all interested parties have done many, many things over the past years to reduce energy consumption and to defer new power plants and other measures. We know that we have a good record in comparison to other states. We also know that this Commission in the past two to three years has taken a number of steps under our current statutory authority to encourage further development and use of renewables.

One of the things that I'm hoping for that we can do today is have some discussion amongst ourselves with our staff and with the stakeholders that will be speaking with us, so

1 that we can, perhaps, talk about any, you know, concerns we may
2 have, special areas of interest, if there are, hopefully at the
3 end, maybe some things that we can give some direction to our
4 staff as to areas for them to work on and pursue and bring back
5 to us maybe at a later workshop.

6 I know that forums that I have been in in the past
7 few months there has been a great deal of discussion about, for
8 instance, the RIM test, and about avoided cost, and participant
9 tests, and I have purposefully asked our staff to give us some
10 discussion on some of that, and I am hopeful that that will
11 engender, again, some questions and discussion amongst us. I
12 am very interested in where personally each of you are and your
13 thought processes on some of those issues that impact a number
14 of the things that we will be doing over the next few years.

15 A couple of housekeeping measures. We do have a
16 sign-up sheet in the back of the room. I think we have two
17 sign-up sheets, actually. One, we are very interested and we
18 want full participation in our discussions and deliberations
19 and so we try to keep a list of people who are participating,
20 and so we have a sign-up sheet for those of you that are here
21 with us today. Please do sign up. And then there is also, I
22 believe, a second sign-up sheet for those that would like to
23 speak this afternoon during the open stakeholder participation
24 time on the agenda, and we will use that list and go in that
25 order then to call names when we reach that point.

1 Also, I'd like to point out that there is a slight
2 change in the order of speakers on the agenda for today from
3 the one that had been distributed some weeks ago, and that was
4 just to accommodate some travel plans. But the current agenda
5 that we will use today is also, I believe, available in the
6 back of the room.

7 Also, I would mention that, as I'm sure almost
8 everyone is aware, that by 2009 this Commission is required to
9 go through the conservation goal-setting process again, or to
10 update it, and I'm hopeful that this is kind of a very early
11 beginning step, also, to have some discussion as we will move
12 into that process with our staff, also, probably next year in a
13 more formal manner.

14 And so, with that, Commissioners, before we ask Tom
15 Ballinger of our staff to be our first speaker, do we have any
16 other opening comments or things that you would like to go
17 ahead and get out for further discussion today?

18 Commissioners, anything? No? You're ready to jump
19 right in.

20 Okay. Then I will ask Mr. Ballinger of our staff to
21 come forward, and I know that he is going to speak to us a
22 little bit about some of the history of some of the things that
23 we have done. I also am hopeful, again, that we will have some
24 discussion, so feel free to ask questions or share your
25 thoughts with us. And I am hopeful that in some of our

1 discussion today that we can talk about what the role of this
2 Commission can be and will be over the next few years as we
3 continue to work on these issues.

4 So, Mr. Ballinger.

5 MR. BALLINGER: Thank you.

6 Good morning, Commissioners. My name is Tom
7 Ballinger with your Commission staff.

8 I'm going to talk to you a little bit about why
9 energy efficiency is so important in the planning process; give
10 you a brief summary of applicable statutes that the Commission
11 must follow; give you another brief history of what the PSC and
12 utilities have done in regards to energy efficiency and
13 conservation; and then finally wrap it up with our goal-setting
14 process, some time lines and what you have to look forward to
15 in the next couple of years.

16 Let me start here at the beginning with planning.
17 There is really several components to peak load. You have got
18 new customers coming every day, you have got increased -- house
19 sizes have increased over the years, you have got an increase
20 in appliance saturation, and then take away from that some
21 demand-side management. That is the load that the utilities
22 must serve. They don't have a choice. They have a statutory
23 obligation to serve all who come to their service territory.

24 Some brief stats here about our current situation.
25 We have got about 1,000 people a day coming to Florida. Growth

1 is still going in Florida, which is a good thing. But we see,
2 also, since 1986 the average house size has increased about
3 30 percent. That means more air conditioning to cool, more
4 appliances, also, are going in. And since 1986 we have seen a
5 blossoming, as I'm sure you are aware, of new appliances, VCRs,
6 microwaves, DVDs, computers, and some are approaching
7 90-something percent. So Americans like their energy
8 appliances, it adds to our quality of life, but the utilities
9 must serve this. You will see later that utilities have been
10 able to temper this growth somewhat with energy efficiency.

11 The basic theme of this or what we believe is what
12 utilities need to continue to do is educate consumers, provide
13 input to other agencies for building code and appliance
14 efficiency standards -- that may be a topic of a future
15 workshop -- and continue to explore new energy efficiency and
16 DSM measures.

17 A brief summary of statutes that the Commission must
18 operate under. It is known as the Florida Energy Efficiency
19 and Conservation Act, or FEECA, which most of you probably are
20 aware of, enacted in 1980. And really I would like to
21 highlight on the third and fourth bullets here of what it
22 requires. And the statute requires the PSC to set goals for
23 the utilities, numeric goals, and then the other key of that is
24 once those goals are set, utilities propose programs that we
25 approve.

1 Now, the Commission under FEECA cannot require a
2 specific program unless a utility is failing to meet its goals,
3 and that is a key component. So we set goals first, then the
4 utilities design programs to meet those goals, and those
5 megawatt and kilowatt hour savings.

6 FEECA was first amended in 1989, and has set a size
7 threshold which covered then approximately 94 percent of the
8 sales in Florida. It was again amended in 1996 and increased
9 the sales threshold to now where we only have seven utilities
10 subject to FEECA, the five investor-owned utilities, and the
11 two largest municipal utilities, which comprises about
12 86 percent of total sales in Florida. So FEECA covers the
13 majority of sales that we have in Florida. Not everybody, but
14 the majority.

15 FEECA also requires that goals are revised every five
16 years, and you will see later in my presentation that we are
17 starting --

18 CHAIRMAN EDGAR: Hang on, Tom. I think there is a
19 question.

20 MR. BALLINGER: Sure.

21 COMMISSIONER CARTER: The utilities that are subject
22 to FEECA, it seems to be everyone except the co-ops. Is
23 that --

24 MR. BALLINGER: This one here?

25 COMMISSIONER CARTER: Yes. You have got FPL,

1 Progress, TECO, Gulf, FPUC, JEA, OUC.

2 MR. BALLINGER: Yes, sir.

3 COMMISSIONER CARTER: What about the -- I think I was
4 asking about the co-ops.

5 MR. BALLINGER: Their sales thresholds are below the
6 2,000 gigawatt hours in that year.

7 COMMISSIONER CARTER: I guess the munis would be
8 underneath that, as well.

9 MR. BALLINGER: Well, there is only the two munies
10 here, OUC and JEA are above that threshold.

11 COMMISSIONER CARTER: Thank you.

12 MR. BALLINGER: Uh-huh.

13 What I was getting at here was goals must be revised
14 every five years, and a little later on I am going to give you
15 some time lines of when we need to start the goal-setting
16 process and approximately how long it takes. FEECA also covers
17 for energy conservation cost-recovery which you have on an
18 annual basis.

19 This slide shows a general representation of what we
20 have got as far as savings, and you'll see those dashed lines
21 up at the top, and those are really representing what the load
22 would be if the utility conservation programs were not in
23 place. So you can see that the load would be much higher going
24 forward without these components.

25 The back line, if you will, from 2005 back is actual

1 numbers. So conservation was probably included, in some years
2 it may not have been, because the utilities had enough reserves
3 to serve the load and may not have needed it. So that is
4 why -- it doesn't look like we started conservation in 2005, we
5 have been having it since 1980, it's just the way the data
6 falls out. This graph has been around. It's a little
7 confusing, and we have tried to explain this several times, and
8 I thought I would do it one more time here. Maybe we will get
9 it straight, or we are going to get rid of the graph. I think
10 that's the way to do that.

11 Here is a brief summary of basically what we have
12 achieved to date, and it is a pretty good story. Since 1980,
13 the cumulative effect of utility DSM has been a little over
14 5,000 megawatts both summer and winter. That is several large
15 power plants. The number on the right, the annual energy is a
16 unique number. It is really the cumulative effect of every DSM
17 program since 1980, but it's only the annual amount of energy
18 in that one year. Because if you totaled all the energy it is
19 kind of a -- you would have a huge number.

20 What this tells you is if you stop adding incremental
21 DSM you would continue with that energy savings going forward.
22 And to kind of put it in perspective, I did a quick calculation
23 and that equates to about enough energy to serve 440,000
24 residential customers. So the cumulative effects of that have
25 displaced the energy of approximately that many customers.

1 You will see on the next slide utility spending in
2 DSM. It hit a peak in about '94/'96 of about \$270 million a
3 year. It has leveled out lately at about 220 or 230 a year,
4 but it stayed pretty consistent. We saw a slight drop in the
5 early 2000s, avoided costs actually were dropping. Natural gas
6 prices were low, if you can remember that. And, henceforth,
7 the amount of DSM slowed down.

8 CHAIRMAN EDGAR: Commissioner.

9 COMMISSIONER CARTER: I don't want to beat a dead
10 horse to sleep, is there any way for us to see what the munis
11 and the co-ops were doing? I mean, they do some DSM, as well,
12 right? Is there any way for us to see that?

13 MR. BALLINGER: They are not required to report to
14 us. The only time we would see be a municipal, let's say, like
15 Tallahassee, for example, is if they came in for a need
16 determination for a power plant, and then we are required to
17 look at what conservation have you done to mitigate the need,
18 and we would look then at what DSM they are doing.

19 COMMISSIONER CARTER: Madam Chair.

20 The reason I was asking is that this is a good story,
21 but it's incomplete in the context of where we are looking at
22 our investor-owns and the two municipal-owns that are in the
23 context here, but there are a lot of co-ops and munies out
24 there. So I just wanted to kind of see the complete picture of
25 all of DSM efforts.

1 MR. BALLINGER: That's a good question, and I don't
2 know -- we can request that data from them. Again, you're
3 looking at covering the remaining 14 percent, roughly, of sales
4 of the total picture.

5 COMMISSIONER CARTER: And that 14 percent is sparsely
6 populated, rural, different areas like that, and there may be a
7 different -- Madam Chair -- it may be a different flavor, but
8 there may be also some unique characteristics of that as well
9 as we go forward. I mean, going back to the 1,000 people a day
10 coming to Florida, they have got to go someplace.

11 MR. BALLINGER: Uh-huh.

12 COMMISSIONER CARTER: And, Madam Chairman, maybe we
13 could --

14 MR. BALLINGER: I see Ms. Hershel coming to the
15 table, maybe she can help.

16 MS. HERSHEL: Everyone was looking at me, so I
17 thought I would --

18 CHAIRMAN EDGAR: Come on up.

19 MS. HERSHEL: If you remember, Seminole did come in
20 for a need determination this past year, so you do have their
21 members' conservation programs in that docket. It should be
22 available.

23 COMMISSIONER ARGENZIANO: Madam Chair.

24 CHAIRMAN EDGAR: Yes, Commissioner Argenziano.

25 COMMISSIONER ARGENZIANO: We keep bringing up the

1 1,000 people a day. That's been a number that has been around
2 for awhile. And I understood that just a few months ago there
3 was, I guess, a report or an indication that that 1,000 has
4 slowed down. Actually there is a number exiting the state of
5 Florida right now, and I wonder if you have that new
6 information.

7 MR. BALLINGER: I haven't seen it yet. The last
8 ten-year site plans that were filed in April of '07, this year,
9 continue to show this type of growth. That information coming
10 out probably will be reflected in the 2008. We may start
11 seeing a trend. I agree with you, it can't go on forever.

12 COMMISSIONER ARGENZIANO: Well, there are a lot of
13 contributing factors to that exiting, but -- thank you.

14 MR. BALLINGER: Did I answer your question,
15 Commissioner?

16 COMMISSIONER CARTER: Yes.

17 MR. BALLINGER: That \$230 million a year is just a
18 rough estimate of what the charge is that is charged to
19 residential ratepayers of the four IOUs for what they are
20 expending on DSM. And you can see it is not a huge part of the
21 total bill.

22 And this is really the final slide, and my real
23 reason for being here this morning is to tell you a little bit
24 about the goals process. And I kind of hate to say this, but I
25 have been around for all three of these goals processes, and

1 that's kind of shocking. The first one was a nightmare, I will
2 say that up front. It lasted, you can see, seven days of
3 hearings. It was the first time we did this. It was a brutal
4 very litigious affair. It drug on. It took 19 months, you can
5 see, from start to finish. That was the proceeding where the
6 Commission made the proclamation the first time of RIM versus
7 TRC. That was really the focus of that whole process is what
8 should we do.

9 The 2000 process, it took a little longer. We
10 learned from the first one. We started doing some workshops
11 earlier on. We figured maybe we could head this thing off at
12 the pass. And sure enough we did. We got a stipulation of the
13 parties and got goals approved, and it was a lot of work on the
14 front end that did that one. Even though it took a little
15 longer totally, it didn't have to go to a hearing, it got
16 stipulated, and we moved forward.

17 The 2005 process we learned even more, and it took
18 11 months, but not only did we set goals, we also approved
19 programs of the utilities at the same time. If you remember
20 earlier, I said first the Commissioner sets goals, then the
21 utilities propose programs. We did the whole nine yards in
22 this one hearing in 11 months, so, we got efficient. I don't
23 expect that's going to happen the next time we set goals, so we
24 may be coming back into a cycle again.

25 Our next goals are slated to be reset again in 2010,

1 and staff is anticipating starting some workshop process again
2 in 2008 to possibly look at getting a full inventory of what is
3 out there, what is the technical potential of DSM. Have there
4 been some new gadgets, some new types of measures, some new
5 programs, new ideas.

6 That's what we did in 1995. We did a full inventory
7 of technical potential regardless of cost-effectiveness test.
8 We just said what can we do; how many megawatts can we save;
9 how many megawatt hours? We anticipating a similar process
10 again for the 2010 goal-setting process.

11 And that was my final slide. I will answer any
12 questions you have, and I will be here the rest of today, as
13 well.

14 CHAIRMAN EDGAR: Tom, can you -- and I realize this
15 is very early and that many will be involved, but can you talk
16 to us a little bit more about that inventory? How would we do
17 that, and about how long, and would that be something that
18 would be available early in the process, do you think?

19 MR. BALLINGER: That would probably be available
20 early 2009 to get the process going. That is kind of your
21 starting point. And then from there you start looking at, all
22 right, of this how do I get the goals, how do I get the
23 megawatt hours. So it slowly whittles down.

24 CHAIRMAN EDGAR: So how does our staff envision them
25 going, that maybe the next step or successive step in that

1 process of them looking at the cost/benefit economic analysis?
2 You said, and I agree with first the inventory separate from
3 that to try to get it all out there and all on the table, and I
4 realize that we are hopeful that there are new technologies and
5 new ideas that are the potential for additional use in the
6 state since perhaps the last time that you all went through
7 this process, but that at some point we do need to do that
8 cost/benefit analysis. How do you envision that generally?

9 MR. BALLINGER: What we did in '95 is we developed
10 two portfolios, if you will, a RIM-based portfolio, Rate Impact
11 Measure, and a TRC-based portfolio. Those are the two
12 cost-effectiveness tests that people have at odds with. So you
13 develop a megawatt and megawatt-hour potential under each
14 cost-effectiveness scenario.

15 What the Commission found in '95 is that the increase
16 in megawatt and megawatt hour savings under the TRC portfolio
17 was negligible compared to the RIM. In other words, there was
18 only a slight increase and that to raise rates of using the TRC
19 value was not warranted at that time. And they chose, then, to
20 use a RIM-based value to set the goals. So I envision that
21 same type of process, laying the two side-by-side based on
22 their screening analysis, and then seeing is it worth the
23 impact of what you do.

24 CHAIRMAN EDGAR: And, of course, there will be lots
25 of opportunity for public input and stakeholder input as we

1 work through all of that information at the time.

2 Commissioners, Tom will be available to us all day.

3 Any other thoughts or questions for him right now?

4 MR. BALLINGER: And even if not after today, you know
5 where I live, so --

6 CHAIRMAN EDGAR: Yes. (Laughter.)

7 Commissioner.

8 COMMISSIONER CARTER: I suppose I could wait until
9 the other comment, but one of the things I had a question about
10 DSM is in terms of getting public buy-in. This may or may not
11 be down your power alley, and in the context of the
12 effectiveness of DSM is the possibilities that should it be,
13 one, mandatory in terms of customers participating, should it
14 be voluntary, or should there be some kind of hybrid where it
15 is part mandatory, part voluntary. Do you know what I'm saying
16 to you? Because I think that from my discussion with both
17 staff and others, and from listening to the presentations on
18 this area, it seems that there is a tremendous potential, but
19 for whatever reason the bottom line gets to the customer, and
20 when the customer -- it is the customer's decision on whether
21 or not they participate. And that may be an unfair question.
22 It is just an observation in terms of getting there. I mean,
23 do you understand what I'm --

24 MR. BALLINGER: I think so, and I think our current
25 system is a hybrid of that, some voluntary, some mandatory.

1 For example, the mandatory is in the building code.
2 If we raise the efficiency standards of houses or whatever they
3 are, it's mandatory. If you go to build a house, it has got to
4 meet certain specifications. You don't have a choice. The
5 same with appliance efficiency standards. That's kind of a
6 mandatory.

7 When you get to utility programs that are voluntary,
8 the key there is to take the customer, give them a financial
9 incentive to go above and beyond the minimum standards. For
10 example, attic insulation in a house. An incentive is only
11 provided if it goes above and beyond the current building code.
12 So you want to let a market approach go above what the minimum
13 standards are. So our current overall system is kind of a
14 blend of mandatory and voluntary.

15 COMMISSIONER CARTER: Madam Chair.

16 Is there, in your opinion, and it may be unfair to
17 ask you this, is that is there something, in essence, some low
18 hanging fruit out there that we could use that would maybe get
19 customers to take it to the next level to say, okay, well, the
20 incentive to -- or is there a disincentive? Is the incentive
21 significant enough to where they would want to add that extra
22 layer of insulation, or to add a green -- voluntarily have a
23 green building, per se, or different kind of construction?

24 Maybe have some prefab -- one of the things that I
25 have read about is that in order to promote better efficiencies

1 in the construction process, they prefab certain sections of
2 the house and all like that.

3 MR. BALLINGER: It's not an unfair question, first
4 off. That is a perfectly fair question. I think there are
5 some things. There has been debates about one way to get
6 people to buy into it more is raise the price of electricity,
7 and that will get people's minds in the mode of energy
8 efficiency. And we are starting to see that now. As fuel
9 prices have risen, there has been more energy audits requested
10 of customers, things of this nature.

11 I think you will see later on in some presentations
12 of saturation levels, it is about 50 percent of utility
13 customers have requested energy audits. So people are pretty
14 aware of it. They see it in the newspaper a lot and things of
15 that nature. Definitely the education of consumers can help,
16 and utilities are doing it, and they are doing it in schools,
17 and things of this nature. So it's a cultural change that will
18 come about. The biggest one being when the price of
19 electricity goes up, people start recognizing it when they see
20 their bill. They go, oh, my, what can I do to save.

21 The other part is if you start raising the incentives
22 too much, under the cost-effectiveness test you have to
23 understand that incentive is paid by all other customers. So
24 is there a commensurate benefit to those other customers of
25 doing that. And that's the RIM versus TRC kind of debate that

1 you will hear as we go through this process.

2 COMMISSIONER CARTER: My concern, and this is not --
3 I'm not debating you or disputing what you are saying. My
4 concern is that if you raised the price of electricity, they
5 are still using more.

6 MR. BALLINGER: They may or may not.

7 COMMISSIONER CARTER: So the perspective would be to
8 not use more, you know.

9 COMMISSIONER ARGENZIANO: I can tell you that in the
10 past several years, as I left -- was in the legislative
11 process, and even now I went home for Thanksgiving and I heard
12 from my two adjoining neighbors that they don't like their
13 electric bills anymore. And I think customer demand is going
14 to be what is going to promote not just incentives, incentives
15 are great, but I think customer demand is really going to
16 promote a development of more efficient homes and construction.
17 Some of them even in Citrus County last week were unveiled,
18 some new homes that had great energy efficiencies in them.

19 I think the people have realized that the cost of
20 energy has gone up, and I think if it is there and available to
21 them, and those people who are looking for new homes today are
22 asking, you know, are actually looking into those builders who
23 are promoting saying here is a more energy-efficient home for
24 you. Because it gets to a point, I guess, where the customer
25 says I can't afford electric anymore. And they are really -- I

1 think that will help go a great deal.

2 As he mentioned, I think that is really going to push
3 the industry to give the public what they need. And I think
4 that balance of incentives and the customer saying I would like
5 to see a home that is more energy efficient is going to really
6 propel that and move it a lot quicker. I hope so.

7 COMMISSIONER CARTER: I do, too. Madam Chair, I do,
8 too. Because I think that if people were to realize -- and I
9 think there was an article in the paper today about a house
10 that was built green, is that if the story is told and people
11 can see that not only will they save short-term, but over the
12 life-cycle of the building they will save on that. So I think
13 this is a very important workshop, and whatever we need to do
14 get the word out, we really need to continue to do that.

15 COMMISSIONER ARGENZIANO: If I may.

16 I think what I have heard over the years and
17 especially recently, even when it comes to our water cases that
18 we go around and talk to people, there is only a certain amount
19 they can conserve with the way things are right now. My
20 neighbor, an older woman living next door alone, basically
21 turns her water heater on once a week now. And there is no
22 lawn sprinkling, there is none of that stuff, and I think her
23 bill was still pretty high. No air conditioning, thank God,
24 right now. So I think that is the tone out there.

25 Unless you are just super wealthy and you don't care

1 about just throwing away your money, I think most people out
2 there are looking for, and taking advantage of some of our
3 companies, you know, the energy efficiencies that the companies
4 have been promoting, the ads on television or in their bills.

5 I have heard from a lot of people saying that, you
6 know, they found out that they have this program, or whatever,
7 and they are opting to go that way. So people are trying to
8 save wherever they can, and I think it is looking pretty good.
9 But there is only a certain amount you can conserve, and after
10 that it takes the new designs of homes and different
11 mechanisms. So, hopefully that is moving forward quicker than
12 we think. I hope.

13 CHAIRMAN EDGAR: Commissioner Skop.

14 COMMISSIONER SKOP: Thank you, Madam Chair.

15 Just one quick question for Tom. With respect to
16 demand-side management activities, is staff monitoring what
17 utilities in other states may be doing with respect to
18 time-of-use metering, or some DSM measures that may be
19 quasi-voluntary related to time-of-use? In other words, I
20 think PG&E was doing some sort of program getting towards that,
21 but I don't know if you guys are following it.

22 MR. BALLINGER: Yes, we are. And you will hear from
23 Mr. Masiello later this morning about some realtime pricing and
24 how they are developing that. The new technologies of the
25 smart meters, if you will, where it's priced as responsive

1 demand-side management.

2 COMMISSIONER SKOP: Thank you.

3 CHAIRMAN EDGAR: And, also, our first speaker this
4 afternoon, I think, will probably delve into some of that type
5 of thing and will be a good source for question and answer and
6 discussion, as well.

7 Any other comments? Okay. Thank you, Tom. And I
8 think that is a great lead in for our next speaker, Mark
9 Futrell of our staff, and I know that he's going to speak to us
10 about a variety of things, but, in particular, some of the
11 tests that we have been discussing here these last few minutes,
12 and that frequently come up in discussion of these items. And,
13 again, I'm hopeful that we can have some discussion that can
14 help us and help the staff know kind of where we want to go.

15 One of the things that -- there is so much going on
16 in this state and across the country, and, of course,
17 internationally, as well, on this issue, but one of the things
18 I'm trying to think through is for this agency, what can we do.
19 And with our current statutory authority, with, you know,
20 statutory changes that may be considered, but what is our role,
21 and what can we do, and what can we add to the discussion, as
22 well. So I think that this next piece is an important part of
23 that.

24 And with that, Mark, please.

25 MR. FUTRELL: Thank you, Chairman Edgar. And, good

1 morning, Commissioners. I'm Mark Futrell with the Commission
2 staff.

3 I want to provide some comments to you this morning
4 on the background and the need for and the development of the
5 cost-effectiveness test used to analysis demand-side management
6 programs. I also want to walk you through a description of the
7 components of the test and compare and contrast the tests and
8 the perspectives that they are intending to measure, the
9 effects of DSM on different perspectives.

10 First, some background. Recognizing, as you well
11 know, that utilities have a portfolio of options that they may
12 serve load with. There's supply-side resources, generation,
13 purchased power, a combination of the two, and also available
14 to them are demand-side resources. There's energy efficiency
15 programs where incentives are typically paid for the
16 installation of higher efficiency equipment over what codes
17 require and also to improve the building efficiency, such as
18 insulation additions or window change-outs. Also, load
19 management programs are offered by several of the utilities.
20 This is where the utility pays an incentive to the customer to
21 control the load of certain appliances in the home or business
22 to help manage peak demand periods.

23 Recognize that each option that is chosen by the
24 utility has cost implications for the ratepayers. Whether they
25 be supply-side or demand-side, there are cost implications. In

1 analyzing supply-side resources, all the known costs associated
2 with each potential option are identified and compiled and then
3 the impact of these individual options are measured on the
4 total system cost of the utility. This leads us into how do we
5 analyze demand-side management programs, how do we judge the
6 costs of these programs and their implications on the
7 ratepayers.

8 Now, as Tom mentioned to you earlier, the Florida
9 Energy Efficiency Conservation Act, or FEECA, which guides and
10 gives the legislatures policy on conservation and how this
11 Commission is to implement that, requires that the DSM programs
12 that are offered by utilities and approved by this Commission
13 must be cost-effective, but the statute does not define what
14 that term is.

15 Now, beginning in the early 1980s, as utilities had
16 begun doing demand-side management programs and offering
17 information on energy savings through the '70s, and then in the
18 late '70s or early '80s our policies across the state to
19 recognize the utilities as the agent for delivering many of the
20 demand-side management programs and opportunities to help
21 customers with their bills, and also to control the growth of
22 electric demand. So during this time there was an effort done
23 by parties in this state as well as around the country to
24 determine how do we look at demand-side management. How do we
25 judge whether a program makes sense.

1 And it was recognized that in doing this you need to
2 look at the programs from various perspectives. Those include
3 the program participants. If you, for example, participate in
4 a program you're going to be looking at it from what makes
5 sense to you as an individual. Will you get, for the
6 investment you have to make, get paid back and will your bill
7 actually go down as a result of participating? There's a way
8 to analyze the program from that perspective, the participant's
9 perspective.

10 Also the nonparticipants have to be considered.
11 Those that don't participate, but yet pay for the cost of the
12 program. Are there benefits accruing to the nonparticipants as
13 a result of the program? So there is a perspective there.

14 Also there is the perspective from all ratepayers as
15 a whole to determine if it's economically efficient for all
16 ratepayers to invest in this program. Are there benefits
17 accruing to the ratepayers as a whole?

18 And, finally, the utility. Does it make sense for
19 the utility to make this investment? Are there benefits that
20 they will see as far as the deferral of capacity?

21 California did a lot of work in developing these
22 tests, and the California standard practice manual is something
23 that's cited in this area as kind of groundbreaking that
24 established a common format for analyzing programs, compiling
25 the costs and benefits, and setting a standard format for doing

1 these analysis.

2 Now, the Commission established rules in the early
3 1980s on analyzing programs. Our current rule is 25-17.008,
4 which recognizes our manual on cost-effectiveness analysis, and
5 that manual lays out all the data and the inputs to these tests
6 in the format and how that information is to be presented to
7 the Commission. The rule has a minimum filing requirement in
8 that when a utility presents a program or some analysis of DSM
9 to the Commission it must file the results of the three tests
10 listed here, the participant test, the Rate Impact Measure
11 test, or RIM, and the total resource cost test. That is what
12 the rule requires. It doesn't specify which rule the
13 Commission is to rely upon, it simply says if it has anything
14 to do with conservation, give us the results of these tests and
15 the Commission will consider the results of those three tests
16 in its decision-making. It doesn't prejudge which test is to
17 be used, it simply says give us this information and the
18 Commission will decide which test to rely upon.

19 And when we're going through the tests, I want to
20 give something that is maybe a little more real, an
21 understandable example as we walk through and refer to some of
22 these. Some of this stuff gets a little esoteric at times.
23 Something that most utilities offer to their customers is a
24 heat pump change-out program, and in most cases it is designed
25 to remove strip heat, which is prevalent in a lot of older

1 homes in Florida, where there's not a lot of heating demand, so
2 they put in strip heat that may kick on for those cold mornings
3 during the winter. And the idea is to pull the strip heat out
4 and put a more efficient heat pump in. The customer receives
5 an incentive to put that equipment in to offset their upfront
6 costs for making that installation. So we will use that in
7 mind to walk through some of these benefits and costs.

8 The benefits of such a program would be the reduction
9 of demand. In other words, compared to a strip heat
10 installation, this high efficiency heat pump, again, that is
11 higher than what the current code is. There is a current code
12 of an efficiency level, and the idea for the utility program is
13 to incent the installation of a heat pump that is at a higher
14 efficiency to gain even more efficiency over the code. That's
15 the purpose of the program, to go above code and to push the
16 market towards higher efficiency.

17 So in installing this you are going to result in
18 kilowatt reductions. In other words, especially at the time of
19 peak, the heat pump is going to put less of a demand on the
20 system than the strip heat would. So demand on the system will
21 go down and that results in the deferral of capacity that the
22 utility would otherwise have to build.

23 There is also an effect of a reduction in kilowatt
24 hours where that translates into fuel cost savings. In other
25 words, the total kilowatt hours required to run the heat pump

1 would be less than the strip heat. And that would result in
2 reductions in the bill to the customer and also reduction
3 overall fuel cost to the system and then that would be passed
4 on to the other ratepayers.

5 Again, identifying here there is reduced bills to the
6 participants, they are going to see their monthly bill go down
7 as a result of this change-out, and they are also going to
8 receive incentives from the utility. These are going to be
9 paid for through the other customers, but it's going to help
10 offset their upfront cost of making that installation of the
11 high-efficiency heat pump.

12 Now, on the costs, there will be the heat pump itself
13 that the participant will have to bear, there is also program
14 costs that is associated with the utility implementing the
15 program. There is administration, there is personnel to
16 promote the program, to go out and help the customer with
17 notifying them of the program, working them through what it
18 requires to do the installation. Also marketing costs and any
19 equipment costs the utility may have to put in.

20 Finally, the cost is reduced utility revenues as a
21 result of the program. Because there is reduced kilowatt hour
22 consumption that will translate into reduced revenues to the
23 utility, and that is a cost identified.

24 Now, the first test I want to walk you through is the
25 participant test. That one is fairly obvious. Especially if

1 you consider it from your own perspective, that is the idea of
2 this test. Again, the perspective of the participating
3 customer. What are costs, the benefits and the costs of the
4 program, and does it make sense for a program to be offered.
5 First, the benefits, again, are the reduction in customer bills
6 as a result of putting in in this example this high-efficiency
7 heat pump. It will result in a certain level of kilowatt hour
8 reduction to their bills. There is also a benefit to the
9 customer of the incentive paid by the utility that comes from
10 all the other ratepayers. Those are the primary benefits that
11 are calculated.

12 The costs are the out-of-pocket expenses. The cost
13 in our example of the heat pump that the customer will have to
14 bear, and also any maintenance costs that he or she will have
15 to incur over the life of that particular installation.

16 In the test as approved by the manual and used by the
17 utilities and used by utilities all across the country, all of
18 these costs are usually analyzed over a 20 to 30-year period,
19 and the costs are totalled up and then present valued back, and
20 it's simply the benefit causes a ratio of the present value of
21 the benefits compared to the costs.

22 And, again, the participant test is trying to answer
23 the question will the customer be better off by participating
24 in the program. And essentially in our example is investing in
25 the heat pump, will it result in savings greater than the cost

1 of participating by making that installation. Now, this test
2 does ignore -- because it's focused, again, on the perspective
3 of the participants, it does ignore the impact on the utility,
4 excuse me, the nonparticipants, and all ratepayers
5 participating or not participating in the program.

6 And obviously if the program fails the participant
7 test and it doesn't make sense for the participant to make that
8 heat pump installation, the costs of that installation
9 overwhelm the benefits of lower bills and the incentives in
10 that instance, so it wouldn't make sense for the participant to
11 do that program. However, if it passes the participant test,
12 then a closer look is taken.

13 Sometimes a utility may use this as a screen. For
14 example, if the payback is less than a two-year period, there
15 are arguments out there that with such a short payback, it may
16 make sense for the customer to go ahead and do this anyway. It
17 is such a short time that, for example, there are so many
18 things out there today that we see, compact fluorescents and
19 other installations that are readily available, it makes sense
20 for customers to do these things on their own and not have a
21 program developed paid for by all ratepayers. So sometimes in
22 some cases this screen is used to say that a program with such
23 a low payback, short payback, the customer ought to be doing it
24 anyway.

25 Now I'll move on to the Rate Impact Measure test, or

1 the RIM test. The costs here are the avoided supply costs,
2 again, the capital and O&M. And before I get back into this,
3 let me remind you that the perspective of the Rate Impact
4 Measure test, the RIM, is the nonparticipating customers.
5 Those customers that don't make that heat pump installation,
6 but are paying for the incentives, the program costs to help
7 that customer that is participating put that heat pump in. The
8 perspective here is how does that program affect the costs and
9 benefits from their perspective, those that don't participate.

10 So getting back into this, we look at the avoided
11 supply costs resulting from the demand reduction in the
12 program, the generation, transmission, distribution, the
13 ability to defer these supply costs has a benefit. Also we
14 look at the net fuel impact. If the program results in overall
15 energy savings, there could very well be a fuel savings, and
16 that will result in a benefit.

17 Now, looking on the cost side, there are program
18 costs, again, with the implementation of the program, the
19 equipment that may have to be purchased, administration of the
20 program. Also the program incentives are a direct cost that's
21 measured in this program. In other words, you're taking the
22 dollars from the other ratepayers, transferring them to the
23 participating customer, so that is recognized as a cost.

24 Finally, decreased revenues, or typically you may
25 hear lost revenues are recognized as a cost in this test. And

1 that would recognize those reduced kilowatt hours translating
2 into revenues that the utility does not realize as a result of
3 the program. And, again, all of these costs and benefits are
4 totalled up over a 20 to 25-year period, and then present
5 valued back, and the ratio benefits to costs are compared to
6 each other.

7 And again, on this test, the RIM test, the question
8 we are trying to answer is to determine the impact of the
9 program on utility revenues and rates, and what is the effect
10 on the nonparticipating customer. It's important to remember
11 that a program that passes RIM may cause rates to go up, but
12 not as high as they otherwise would. Also, conversely, it's
13 possible that if a program that passes RIM could cause rates to
14 go down, then they will go down lower than they otherwise
15 would. So it's a measure of the total impact on rates in
16 either direction. If it passes RIM, it's going to go, it's
17 going to help keep rates lower than they otherwise would or go
18 even lower than they otherwise would.

19 Finally, the next point is that programs that pass
20 RIM eliminate any DSM cross-subsidies as participants and
21 nonparticipants benefit. The idea here being that especially
22 in the idea of the incentive, other program costs, all
23 ratepayers are funding those costs. And the RIM test assures
24 that both participants and nonparticipants benefit, so that
25 while there is a transfer from the nonparticipant to the

1 participants, and that's a cost to them, the nonparticipants,
2 there's a benefit to them of the capacity deferral. In other
3 words, the utility does not have to build power plants as they
4 otherwise would. So there's a benefit to them and this test
5 recognizes that and assures that it limits the cross-subsidies
6 that may occur.

7 Finally, programs with relatively higher
8 kilowatt-hour reductions will result in higher revenue loss.
9 That's a given. And the impact of that is that it reduces the
10 potential for a program to be cost-effective under RIM. There
11 is also the effect of the program incentives are recognized as
12 a cost in the RIM test, and those costs have an effect, as
13 well.

14 I'd like to move you on to the Total Resource Cost
15 Test, or TRC. You'll notice here that the benefits of the TRC
16 test are fairly identical to RIM. The view of the TRC test is
17 of all utility ratepayers is the viewpoint we are taking with
18 them, ratepayers as a whole, and we are not differentiating
19 between participants and nonparticipants. We are looking at
20 the rate -- at all ratepayers as a whole. So you will see the
21 benefits are identical in the RIM test. There is the avoided
22 supply costs and any net fuel impacts.

23 The difference, as you will see here, is the program
24 costs are included as well as the participants' costs, their
25 out-of-pocket expenses. What's excluded is the revenue losses

1 and the incentives. Those are viewed as a transfer within from
2 one group to another, from the nonparticipants to the
3 participants. That's seen as a transfer. So when looking at
4 it from all ratepayers, it is just a transfer of money within
5 that group. There is no net cost to making that transfer, so
6 it is not recognized as a cost in the TRC test. Because the
7 money is simply changing hands, so that's not recognized as a
8 cost when you are looking at the overall impact on all
9 ratepayers. That's an important point, and it's an important
10 distinction between the two tests.

11 Again, the TRC test measures the overall efficiency
12 of the program from the perspective of all ratepayers in
13 society. The measures of the net costs are based on the total
14 program costs including, as you saw, the participants and the
15 utility's costs. And, again, as I mentioned, the incentives
16 and the revenue losses are not included. They are treated as
17 transfer payments. And programs that have higher kilowatt hour
18 reductions are more likely to be cost-effective under TRC
19 compared to under the RIM test.

20 Now, to make this a little more obvious and to
21 restate some of the things I mentioned earlier, the RIM and TRC
22 calculate benefits identically. However, the treatment of
23 costs differ greatly. And this kind of lays out visually for
24 you to see that the benefits are pretty much identical, the
25 avoided supply costs. However, the costs that are identified

1 and evaluated differ greatly as incentives and the lost
2 revenues are not included in the TRC test.

3 Now, an example -- we have heard a lot of talk about
4 programs that may fail RIM, but pass TRC. We have heard a lot
5 of talk of that, are there programs out there. I do have an
6 example to talk to you a little bit about from the last goals
7 process that Tom described back in 2004/2005. There are a few
8 programs that were identified in that exercise that failed the
9 RIM test but passed TRC. And an example is a residential
10 freezer program that would change out a low efficiency older
11 freezer with a higher efficiency freezer. And the results of
12 that showed that it barely failed RIM, but it passed TRC.

13 And a lot of the causes of that are associated with
14 the revenue losses. That freezer is going to be running 24/7,
15 all day long, and result in a lot of kilowatt hour reduction.
16 That will transfer, again, into higher revenue losses.
17 However, it's going to have a -- because of the energy savings,
18 it shows up as being cost-effective under TRC because there is
19 significant overall savings of the program, both demand and
20 energy. However, because of the higher reduction in energy
21 needs, it fails RIM. So that's an example of a type of program
22 that is out there that would pass RIM, but fail TRC.

23 CHAIRMAN EDGAR: Does it take into account that many
24 of the less efficient freezers would be put in the garage and
25 continue running?

1 MR. FUTRELL: Correct. And they are typically a lot
2 older, right.

3 I will just summarize for you. The investor-owned
4 utilities must file pursuant to our rule on the three tests,
5 the participant, the TRC, and the RIM. The forums where these
6 tests are filed are typically in the DSM goal-setting process,
7 the time described. Also when we look at the overall plans and
8 the programs, during program modifications which the Commission
9 has seen quite a bit of the last couple of years, costs and
10 benefits for programs have changed quite a bit because of
11 changing fuel costs and avoided costs have changed, and so we
12 have seen a lot of modifications. That's a forum where the
13 tests are seen. And also as part of our ongoing monitoring of
14 cost-effectiveness. The staff typically requests updated
15 cost-effectiveness tests just as part of its overall
16 cost-recovery clause efforts to make sure that what's out there
17 is cost-effective.

18 Now, as Tom mentioned back in '94 or '95 in the first
19 goal setting, the Commission made an explicit determination in
20 setting those goals about relying on RIM or TRC. Historically,
21 the Commission's focus has been on ensuring that electric
22 service to customers is reliable and at the lowest possible
23 cost. And, therefore, the Commission historically has relied
24 on the RIM test to ensure that programs approved for
25 cost-recovery benefit all customers.

1 That concludes my remarks. I'll certainly entertain
2 any questions that I could help you with.

3 CHAIRMAN EDGAR: Commissioner McMurrin.

4 COMMISSIONER McMURRIAN: Thank you.

5 Mr. Futrell, I think you hit on the point that I
6 wanted to ask more about, but I will go ahead and sort of
7 mention it and see if you have got anything to add. But I
8 think you pointed out how we do allow for some items that don't
9 pass RIM, but pass TRC to be included. And I think in one of
10 the previous briefings I had with you and Bob you mentioned
11 that one of the goals orders that it specifically laid that
12 out. I think we are often viewed as a must-pass-RIM state, but
13 it seems like we have some exceptions to that written in our
14 orders and maybe you can elaborate on that for us.

15 MR. FUTRELL: Sure. Thank you.

16 In the '95 goal setting process where we identified
17 that we were relying on the set goals based on those programs
18 and measures that passed the RIM test, we included in the order
19 that utilities may come in and request approval for programs
20 that fail RIM but pass TRC, and that we would consider that.
21 And also encourage the use of incentives and entertain the idea
22 of an incentive to encourage utilities to pursue these kinds of
23 programs. Also identified in that order was the idea of
24 recovery of lost revenues, that we were open to considering
25 that, as well. So the Commission put out there in the order

1 that while they did rely on RIM in setting goals, they
2 recognized that there may be opportunities and put some
3 incentives out there, and put the word out to the utilities
4 that we were open to entertaining other ideas.

5 CHAIRMAN EDGAR: Commissioners, any other thoughts or
6 questions for Mark at this time? Thank you.

7 MR. FUTRELL: Thank you very much, Commissioners.

8 CHAIRMAN EDGAR: That was very, very helpful.

9 And our next speaker from Progress Energy is John
10 Masiello, who is going to talk to us, of course, about some of
11 the programs at Progress, but also I think cover some of the
12 programs that the other utilities have been doing, as well.
13 And also talk to us a little bit about what we call for short,
14 lessons learned, which I know will be very helpful as we move
15 into the next steps of our consideration. So, John, always a
16 pleasure.

17 MR. MASIELLO: Good morning. Thank you. My name is
18 John Masiello. I'm the Director of Demand-side Management and
19 Alternative Energy Strategies at Progress Energy. And I want
20 to thank the Chairman and the Commission for this opportunity
21 to represent our investor-owned utilities this morning. I also
22 want to thank my esteemed colleagues, Dennis Brandt from FPL
23 who is represented by Leo Herrera today, John Floyd, and Howard
24 Bryant.

25 We're going to review our programs and measures.

1 What we have done recently in '06/'07 program expansion, our
2 demand-side management research and development activities, our
3 innovative programs that we are currently involved in. We will
4 get into awareness and education, and then we will get into
5 finally on some lessons learned.

6 As you heard Tom say, we have been engaged in
7 demand-side management since the 1980s. In fact, as many of
8 the states throughout the country got out of demand-side
9 management in the '90s, Florida continued on and continued on
10 aggressively. It's an important part of our integrated
11 resource planning to meet our growing demand for electricity
12 going forward. In fact, if you look at it, Florida ranks
13 second amongst states in demand response and energy efficiency.

14 We have collectively 19 programs and over
15 100 opportunities, 110 opportunities for rebates. It all
16 starts with an energy audit. An energy audit is where we meet
17 with our customers in a variety of forums from on-site,
18 on-line, phone assisted, mail, paid. You name it, we have it.

19 The goal for the audit is to educate and motivate our
20 customers to implement conservation measures. As you heard Tom
21 say earlier, as well, we have about a 48 percent saturation on
22 audits already. It also helps eliminate free riders. We know
23 there are some customers that are going to do these measures
24 regardless of or need for education, and as a result there is
25 no need to provide them an incentive to do something they are

1 already going to do. So one of the benefits of the audit is we
2 identify the fact that a measure might have already been
3 installed.

4 But what it also does is it helps the customer with
5 that mystery box. I can tell you on a daily basis we get calls
6 from our customers. They look to us as that energy resource,
7 and they have gotten a call for somebody who has invented some
8 new thing that if you put on their lights you can save
9 50 percent of your energy bill. As you know, that's not
10 possible.

11 But, fortunately, we are in a position to get out
12 there and help them. We are able to go out there and show them
13 exactly what it is that they can do, what it would cost and
14 what it would save. And we do that for all measures. I think
15 it is critical to note that it is not just those measures that
16 we have incentives for; it's for lighting, it's for the
17 dishwasher, it's for the washing machine, it's for everything
18 in the home. And then, as well, we have incentives for
19 programs, for measures, as well.

20 In addition to that, when we make a recommendation
21 and a measure is installed, we go out and do final inspections.
22 We do 10 percent inspections for quality control. So we want
23 to make certain our customers are, in fact, getting what they
24 are paying for, and that the job is, in fact, done properly.

25 Demand-side management takes two forms, and we know

1 you know this already. It can go down the path of demand
2 response where we control certain peak appliances at peak time,
3 or we can go down the path of energy efficiency, that's the
4 rebate or incentives on attic insulation, duct repair, and all
5 those good things.

6 This is a complement of the measures that we
7 currently have in residential. And if you look at them, I
8 think you will find they're fairly extensive. In fact, they
9 are as innovative as they get today. If you look at some of
10 these here, I'll highlight -- obviously you are familiar with
11 high-efficiency heat pumps, but it also includes geothermal
12 heat pumps. Also HVAC commissioning. I think we hear later on
13 from somebody talking about how that is an important measure.
14 Well, Florida already has HVAC commissioning. I think we'll
15 hear later on about ECM fan motors. We have it. Spray-in wall
16 insulation, replacement windows. You really cover the gamut of
17 measures and we have incentives for all of them.

18 We might hear later on about getting into ENERGY
19 STAR® new construction. We have ENERGY STAR® new construction.
20 In fact, if our builders were to participate in our new
21 construction programs -- now, some have different versions of
22 these, so they all vary a bit amongst our utilities, but we do
23 have them. And, in fact, a contractor participating in an
24 ENERGY STAR® program can receive incentives of over \$2,000.
25 And also the process that he needs to go through in terms of

1 certifying that home is also completely handled by the utility,
2 as well.

3 For low income families we have a variety of programs
4 where we work with weatherization agencies. We do them on our
5 own, and in some cases we even have programs where we go into
6 the neighborhoods and we canvas homes and go door-to-door
7 installing measures at no cost to the customers.

8 Commercial, the same programs, but here, again,
9 programs that key in on things that are specific to commercial.
10 Thermal energy storage, just to highlight a few, ECM fans,
11 rooftop unit recommissioning, a great benefit. Package AC
12 steam cleaning. You know, that little air conditioning unit
13 you see in that motel room or hotel room, that coil under there
14 gets extremely dirty, gets full of mold. We developed a
15 program where we actually will steam clean that for that
16 package thermal unit and it resulted in a very good savings and
17 very beneficial to the property managers.

18 New construction, the same activity as well in new
19 construction. And in addition to that --

20 CHAIRMAN EDGAR: Commissioner Carter has a question.

21 COMMISSIONER CARTER: Mr. Masiello, good to see you.

22 MR. MASIELLO: Good to see you, too.

23 COMMISSIONER CARTER: On the steam cleaning, you do
24 that -- does the utility do it at their expense or as a service
25 to the motel/hotel?

1 MR. MASIELLO: It's a service where we pay a sizable
2 portion of the cost to do it, so it is an incentive-based
3 measure.

4 COMMISSIONER CARTER: The reason I was asking that is
5 that obviously tourism is a mega industry here in Florida, and
6 that seemed like a good way to use it in a commercial
7 establishment like that.

8 MR. MASIELLO: Good point. In fact, interestingly
9 enough, this was something that was just piloted last year. As
10 a result of that pilot we saw a significant benefit, and as a
11 result it moved on to be in a program. So that's typically the
12 process, and you will see that process throughout.

13 And just one last point. In commercial, there is
14 innovation incentive. An innovation incentive is that
15 catch-all. It's the ability to develop a customized program
16 for a business where we might not have a measure because they
17 do something specific. And if we can develop a way to make
18 that specific measure more cost efficient or more efficient to
19 operate, then we will actually have incentives and help them to
20 do that.

21 In our direct load control programs we have from
22 residential load management, we have peak pricing programs in
23 place already with programmable thermostats. And many of those
24 peak pricing programs are also saving energy. They are just
25 not load reduction, they are saving energy. And of late, we

1 also have integrated solar with our load management program.
2 As we recently heard about the builder in Citrus County, that
3 builder has installed solar water heating on all of his homes
4 now in Citrus County, so we are very anxious and very proud for
5 that to go along.

6 In commercial, similar activities from load
7 management to standby generation, interruptible, curtailable,
8 realtime pricing. So if you look at the end uses in a home,
9 60 percent of the usage, that's the heating, cooling, and hot
10 water, we have 70 rebates for, so there is something for
11 everybody to get that energy bill down. And for those that we
12 don't have rebates for, we certainly recommend in the audit.
13 That was that example I gave you earlier where we would
14 instruct customers to make certain that they are cleaning that
15 coil under that refrigerator, which unfortunately doesn't get
16 done all that often. That they need to make sure they do a
17 full load of clothes. We leave them with a refrigerator
18 thermometer so that they can turn around and actually set that
19 refrigerator at the right temperature. There is a bunch of
20 ways that we impact them. Obviously, we don't count those
21 benefits in our total goals, but those are things that we know
22 are getting done.

23 So getting back earlier where we were talking about
24 how Florida continued with DSM, I think this is a good example
25 that we are showing you just that. This red line sort of the

1 represents the nation, and you can see the nation really
2 dropped down in the '98 time frame or so. But if you look at
3 Florida represented in that green curve, Florida maintained
4 throughout all of those years. In fact, the U.S. dropped by
5 53 percent in 2003, where in both 1998 and 2003, Florida was
6 19 percent of the total nationwide. So Florida never dropped
7 out of demand-side management, many states did. Florida kept
8 going, and that is a testimony to this Commission for pursuing
9 these demand-side management programs.

10 So, what do we do? In 2004, we filed, as you heard
11 Tom say, we filed our goals docket and we received approval of
12 944 megawatts. That was the collected effort of all the
13 investor-owned utilities. And then unprecedented in 2006 and
14 '07, utilities came back. They came back because there was
15 increases in generation, increases in generation costs to
16 build. There was increases in fuel, there were increases in
17 transmission, associated transmission, and as a result we went
18 back in, took a look at potential measures, ran our analysis,
19 and came up with another 803 megawatts on top of it. That's
20 almost a doubling of what we had in '04. That is
21 unprecedented, that's a major increase.

22 In fact, if you would look at that, through 2014
23 which would be the end of that plan, that's a total of
24 1,747 megawatts. That's 174 megawatts a year. I don't know
25 many other places anywhere in the country that's doing that

1 much in a year.

2 Likewise, commercial. The same story, 945 megawatts
3 was filed in 2004, and then unprecedented in the '06/'07 time
4 frame, another 878 megawatts were added to that. That's a
5 93 percent increase. Looking at that annually, that is over
6 180 megawatts a year, summer megawatts from our programs. And
7 then in terms of energy, our plan had over one million megawatt
8 hours and that was increased by another 527,000 megawatt hours,
9 a 48 percent increase.

10 On saturation, you probably heard this a couple of
11 times now, but we have hit 48 percent of our population with an
12 energy audit. Our load management customers, that's that load
13 control program we talk about, we have about a 16 percent
14 penetration with over 1.1 million customers. We have provided
15 building envelope rebates to 1.4 million customers, and our
16 HVAC rebates at 1.3. And I would note that these numbers are
17 extremely conservative because, unfortunately, we have data in
18 some cases that only go back to '93 or '95, so we know these
19 numbers are much greater.

20 CHAIRMAN EDGAR: Commissioner Carter.

21 COMMISSIONER CARTER: Thank you, Madam Chairman.

22 On the 48 percent of customers, is that a constant or
23 is that increasing any? That's a great number, by the way. I
24 don't want to miscategorize it or anything like that. It's a
25 great number. But have we reached full saturation, or

1 is there --

2 MR. MASIELLO: Are you asking on the energy audit?

3 COMMISSIONER CARTER: Yes.

4 MR. MASIELLO: No. I would tell you no, we haven't,
5 and I'm going to show you later on some of the unique things we
6 are doing. In fact, of late, to help motivate our customers to
7 request this audit, because we know how important it is, we now
8 provide them with a little energy kit for requesting the audit.
9 And in that kit they get a couple of compact fluorescent
10 lights, they get some weatherization material, they get
11 snug-plugs for the outlets, a variety of things to keep that
12 motivation, to keep that request. It's a marketing tool that
13 we have to build that interest. And, no, I would say we
14 haven't hit penetration there.

15 COMMISSIONER CARTER: Thank you.

16 MR. MASIELLO: If you look at where are we with --
17 what is the percent of customers Florida Utilities have, and
18 Florida has 6.5 percent of the customers throughout the
19 country, but we save 17 percent of the total megawatts through
20 our energy efficiency and direct load control programs. I
21 mean, it sounds like a lot, but to truly understand the impact
22 of that you would have to look at then what is the average kW
23 for our customers versus the rest of the nation. And the
24 nation is at 7, and Florida is at 5.7. So we have something
25 lower than the average, but yet we have saved a significant

1 amount of the nation's megawatts. And we do it very
2 cost-effectively.

3 If you look at the chart on the right, it's costing
4 Florida about \$9.50 to get a megawatt hour of energy
5 efficiency, where it's costing the nation \$21.03 to get the
6 energy efficiency. So I think it's critical not to judge how
7 much is being spent on energy efficiency, but it is more
8 important to look at what are you accomplishing with energy
9 efficiency. If we were to spend at the rate the rest of the
10 nation is to achieve what we achieved in 2006, it would have
11 cost our customers another \$293 million more to get the same
12 thing. So we have been getting more bang for our buck in our
13 conservation programs.

14 Yes.

15 COMMISSIONER ARGENZIANO: Back to the slide before,
16 just a question. I noticed that 25 percent of the customers
17 who act on the audit do not submit the paperwork for the
18 rebates. Now, either it is horrendous paperwork, or the
19 rebates are so small, or the customer just doesn't really care.
20 And I was wondering what you found, why that is.

21 MR. MASIELLO: That is such a good point. And I have
22 been wanting to take a look at, you know, like the Home Depots
23 of the world and the rest of these retailers, because they tell
24 me that number is extremely high, and they are significant
25 rebates. People just don't bother, unfortunately, for some

1 reason. People in some cases don't fill out the rebates. In
2 fact, I would tell you that merchandisers actually count on it
3 in some cases when they provide rebates. They understand there
4 is going to be a fair percentage of them that don't fill them
5 out and go forward with them.

6 CHAIRMAN EDGAR: That doesn't answer kind of the
7 question in the question, perhaps, about how big is the
8 paperwork?

9 MR. MASIELLO: Well, I think you will see later on in
10 our slides that we talk about it's important to keep it simple.
11 And I can tell you that we have done quite a bit to keep the
12 paperwork simple. In this example, I would have to tell you it
13 is my opinion it's not the paperwork that stops them, it's just
14 complacency. Because we recognize we have to keep it simple to
15 get the participation. There wouldn't be any value in it for
16 us to go out and do an audit, to do all of this work, and then
17 not have them fill out the paperwork and do the job. It's just
18 the nature of customers.

19 In terms of research, all four investor-owned
20 utilities have a variety of things that are going on and they
21 continue to go on. And, quite frankly, I can spend the rest of
22 the morning on just these. And I won't bore you with them, but
23 I can tell you there is so much. This is just an example from
24 TECO. TECO has got a capstone microturbine that is actually
25 running on landfill gas. It's one of the first of its kind

1 around. They're doing work with PV to actually have a storm
2 shelter that has got a battery backup system so that if there
3 is a need for residents to go to the storm shelter there is the
4 potential to have some backup from PV.

5 And it goes on to membrane energy recovery
6 ventilation systems. The ability to extract some of that
7 energy when you are exhausting and putting it back into the air
8 so you are not losing it all from exhaust using membrane
9 technology from the heat pump industry -- I'm sorry, from the
10 fuel cell industry -- to a variety of desiccant-type moisture
11 removal, thermal energy storage.

12 Gulf has done a great job with geothermal. There is
13 so much that is going on and so beneficial in geothermal.
14 Especially in their climate where outdoor condensing units can
15 really take a beating from that salt area. And geothermal
16 units actually don't require an outdoor unit, it's all
17 contained inside. To work they are doing with Eglin, work that
18 they are doing with semi-conditioned attic, where you actually
19 put the insulation on the roof and actually make the roof or
20 that attic a semi-conditioned space. Very interesting. It has
21 been proven to show that there is good energy savings there.

22 Progress Energy. Now this one you are going to have
23 to stop me on, but we have got a bunch of things going on from
24 hydrogen fueling stations to hydrogen vehicles. We are just
25 getting into plug-in hybrid vehicles, and the key on this one

1 is we are going to be looking at it as a DSM program because
2 these vehicles have batteries in them. These extended
3 batteries can be used to plug into the grid during peak time
4 and we can discharge the battery during peak and charge the
5 battery during off-peak. So you can imagine we can all be
6 driving around some little part of the distribution system at
7 some point.

8 Small scale wind. We're looking at a small scale
9 wind project, recognizing that perhaps the large scale wind
10 might not be as cost-effective. We're going to be trying a
11 small scale wind project where we hope to put less than 10 kW
12 systems scattered throughout our service territory to look at
13 its potential. And then the list goes on. Vanadium Redox
14 Battery using solar PV. We recognize that solar doesn't always
15 shine when we need it. It is not there in that winter morning,
16 especially when Progress peaks. But if I can somehow or
17 another store that energy, Vanadium Redox Battery, rapid
18 charge, rapid discharge holds some potential for us to do that.
19 We are going to be looking at that. And then there is a series
20 of more.

21 FPL has a bunch of things going on, as well, and
22 obviously these are the things that go on to become programs.
23 The SmartCool HVAC/Refrigeration. And I thought through this,
24 and I said what is the best way to describe it? And to me the
25 best way to describe this is sort of like it's not getting all

1 of your AC systems to sing together. If you are in a plant and
2 they are all singing together, it creates a greater peak. If
3 you can get them to maybe not sing together, meaning not run
4 together, perhaps you can spread that peak out a little bit and
5 save some peak demand. An interesting study. It would be
6 interesting to see how that works out.

7 The residential thermostat load control pilots,
8 business water heating, also working on residential solar water
9 heating and PV. Several of us are looking at the potential of
10 making a DSM program, and we have one now using our load
11 management, but also perhaps a program just solely with solar
12 water heating. So that's coming on-line, as well. And then
13 Smart Network. We are all looking at Smart Network. Smart
14 Network is where we have these intelligent grids, and with the
15 intelligent grid we are able to communicate back and forth to
16 our customers. And we can bring realtime pricing to them. We
17 can have the customer have a home area network in their home,
18 and that home area network provides an interface, and that
19 interface is where the customer can go in and communicate with
20 their appliances and automate their appliances' response to
21 that price signal. So it's out-of-sight/out-of-mind, what you
22 will need to be, but yet they will be able to lower their
23 energy bill and reduce peak demand.

24 At some point those appliances will have smart chips
25 in them, and we will be able to communicate with them via an IP

1 address. That's the next generation, and that's what we are
2 all looking at now.

3 Innovative programs. Those are just research. These
4 are some programs. Some of what I have talked about is already
5 in play. The GoodCents program from Gulf does just that. You
6 have an interactive energy management system where you have the
7 customer's ability to automate their appliances' response to
8 that price signal. You can see the numbers that they have
9 already. That program is also saving energy. As well as their
10 geothermal work, geothermal heating and cooling, which has done
11 very well and it has been very successful.

12 TECO has now the thermostat program where they have a
13 smart thermostat and a customer can go in and set up that
14 thermostat so it responds to a price signal and automate
15 control on certain appliances. And as you can see, they are
16 getting some good savings there, not only in demand, but also
17 in energy. And they just launched a Commercial Demand Response
18 Program. There is sort of a niche market in commercial where
19 there is a potential to help a certain commercial segment
20 reduce their peak during our peak time, and we can do that
21 through automated control, through energy management systems,
22 raising set points on cooling and dimming the lights during
23 certain periods of time.

24 Progress had its Neighborhood Energy Saver recently.
25 That's the one I told you earlier where we can go into the

1 neighborhoods and actually install conservation measures at no
2 cost. As well as our renewable energy saver program, we are
3 proud of that because we have been able to integrate it with
4 DSM. We integrated it with our load management program.
5 Customers want to do it. But, unfortunately, it is difficult
6 to spend the money. What this program does is it gives them
7 that money up front that they would normally be receiving as an
8 incentive for being in our program. So it's just changing the
9 way they get their incentive, and it gives them \$450 up front
10 so they can help purchase that renewable solar thermal system.
11 Couple that with a state incentive of 500 and federal tax
12 credits of almost \$2,000, it becomes attractive.

13 And some additional innovative programs from FPL.
14 FPL is working on a Residential Thermostat Load Control Pilot,
15 similar to what we heard from both Gulf and TECO. And also a
16 Business Custom Incentive Program, and this is very interesting
17 as to the number of innovative measures that they have been
18 able to fund as a result of this program. Stuff that we don't
19 have listed here, but it's quite unique as to the potential and
20 what they can do under this program.

21 So awareness and education. We have, over the years,
22 developed perhaps the most efficient approach to getting in
23 front of our customers; from bill inserts that we actually
24 stick in that energy bill, which is not always the best place,
25 to direct mail, to home and business expos. You know, I have

1 to tell you, it's getting tiring. On weekends I'm going to
2 these expos to go see my folks, and all the utilities are in
3 the same position. Our folks are out there every evening,
4 every weekend selling conservation. If you have been to a home
5 expo, I would be surprised if you haven't seen us. If you have
6 been to a community event, I would be very surprised if you
7 haven't seen them. They are right in there with the window
8 contractors, they are in there with the roofing contractors,
9 they are in there with the person who's trying to sell the hot
10 tub. They are out there doing their job.

11 We also have workshops. Workshops for people who are
12 looking to buy homes, which we call it Buy Green, and workshops
13 for builders so that they can sell green. We call that our
14 Build Green workshops. We hope to push and pull that market.
15 And student education, this is a favorite of mine because I can
16 talk about this one all day, but there is so much going on from
17 the play that we do at schools, to the curriculum that is being
18 done, which will help FCAT scores. And that curriculum also
19 will include the students to eventually go home and do an
20 energy audit with their parents. And in some cases some of the
21 utilities are actually having the students do it on-line, or on
22 the telephone, so that they can get it done one way or the
23 other, but it is really making a change. To our SunSmart
24 school program --

25 CHAIRMAN EDGAR: Commissioner Carter.

1 COMMISSIONER CARTER: I just wanted to ask you how is
2 that going with the students? I know that years ago our
3 daughters came home with the six-pack plastics and saying, oh,
4 daddy is going to kill the birds and all. So we started
5 recycling and things like that. So how is that going with the
6 kids going home with their parents on the energy audits and
7 all?

8 MR. MASIELLO: I tell you it has been very effective.
9 To see the kind of change that it is making, because this is
10 going to require a cultural change, and if you are going to do
11 it you need do it through the students, because the students
12 are the ones that carry that message home. And what we are
13 seeing is just fascinating, it is absolutely fascinating. We
14 would invite you to come down and see this. We have a summit
15 coming up on December 6th, the YES. It's called the Youth
16 Energy Summit, where we are working with several schools, the
17 University of Central Florida and Florida Solar Energy Center.
18 And that is where the students will come together with their
19 activities and what they have done over the last several
20 months. And you will be absolutely fascinated to see what is
21 being done. It's amazing.

22 To the SunSmart School Program where over 28 schools
23 have been done by invested -- through the utilities throughout
24 their service territories. And as you know, the SunSmart
25 School provides curriculum where students can go on-line and

1 see the performance of the PV system. The school gets the
2 energy benefit, the students get the educational benefit, and
3 they can do mathematical computations on its cost-effectiveness
4 and efficiency.

5 To achieve these aggressive goals we had we have to
6 come up with aggressive campaigns, and like the GEICO, or is it
7 the gecko? The gecko. Like the gecko is to GEICO, you have to
8 break through the clutter. Our customers receive over 30,000
9 messages a day, and somehow you have got to get through that.
10 We came out with the fellow you see in the left-hand corner,
11 that's our "Save the Watts" guy. He has an interesting tag on,
12 "It's your wallet. It's your world." That tag line was
13 developed from our research. We recognize customers will tell
14 us, yes, you know, we're interested about the environment.
15 Truly they are, and we need to respond to that. But they also
16 want to know what is in it for them. What am I going to save.
17 Hence, the "It's your wallet. It's your world."

18 So far -- the campaign was designed to reach
19 95 percent of our targeted population 35 times in four months.
20 So you have got to keep it out there. You have got to keep it
21 in front of them. It's costly, unfortunately, but it's the
22 only way you can do it. And if you would look at that, you can
23 see the results have already demonstrated that we have increase
24 in web sites of 450 percent, a 76 percent net increase in
25 on-line audits, and our EnergyWise installs have gone up to

1 193 percent. So we need to be aggressive, we need to change
2 the culture of our customer to start implementing these
3 measures.

4 Next I have some audio and video to show you and also
5 some of the collateral material. The collateral material that
6 we use, what you are going to see is just a fraction of it, but
7 this is so important that we design it specifically for these
8 programs to educate. And here we go. And, again, it's just a
9 fraction of what's out there.

10 (Video shown.)

11 MR. MASIELLO: And that is just an example.
12 Obviously there's many, many more. But the Save the Watts
13 campaign recently was presented nationwide on Shotwell
14 (phonetic) as an example, and, in fact, won an award and is
15 example for other utilities to learn from. And it was quite
16 successful, and we continue with that effort.

17 CHAIRMAN EDGAR: Commissioner Argenziano.

18 COMMISSIONER ARGENZIANO: I love the Save the Watts
19 guy, but he can't walk, can he?

20 MR. MASIELLO: He walks kind of like a penguin, and
21 you'll see him walking around soon, because we have got one
22 coming up that is going to go to our various events.

23 COMMISSIONER ARGENZIANO: Then you guys have got to
24 give him some flexibility in that suit.

25 MR. MASIELLO: There will be a little bit. But

1 hopefully you will remember him, and that's the point, to keep
2 it top of mind.

3 And lessons learned. So what didn't work over the
4 years? Increased incentives don't necessarily guarantee an
5 increase in participation. We have at times increased
6 incentives to see if we could stimulate participation, and our
7 finding is that for the most part the incentive increase would
8 have to be significant to make a change.

9 Goal setting must be done keeping in mind the market
10 potential and not a top-down approach. It is so important that
11 as we set goals that we know exactly what the potential is,
12 what the customer market is like before we begin our goal
13 process. Keeping it simple. I think we said that earlier, was
14 the question because we didn't -- maybe there were too many
15 hoops there. And we recognized that, and that can only come
16 from experience. And having the experience these utilities
17 have had, I can tell you we know you need to keep it simple if
18 you are going to get participation.

19 Advertising. One size does not fit all. Commercial
20 customers, you don't send them a bill stuffer, you don't send
21 them a direct mail piece. You need a one-on-one. You need to
22 be with their vendors. You need to be at their trade shows. A
23 very different market. A very different segment and the way we
24 deal with that segment.

25 Gateway Communications. The point on this one is

1 back in '98 we piloted Gateway Communications two-way pilot
2 using time-of-use. Unfortunately, it failed. It failed
3 because the technology wasn't there. And that's why it is so
4 critical to make certain that the technology is truly there and
5 it's capable before you go forward. Because if the technology
6 isn't there, unfortunately we can do more to hurt something
7 than to help.

8 And residential paid audits. We all offer
9 residential paid audits, and interesting enough, customers
10 don't want to pay for an audit. Probably because we have it
11 free, as well; but the reality is the paid audit goes a step
12 above, it gets much more detailed, but yet it is not something
13 they look to do.

14 COMMISSIONER ARGENZIANO: What's the cost of the paid
15 audit?

16 MR. MASIELLO: We have versions of it, but one is
17 called an energy rating, and that rating can go upward to over
18 \$200.

19 COMMISSIONER ARGENZIANO: Okay.

20 MR. MASIELLO: And then load control programs can
21 grow too large where they become a great percent of that
22 reserve margin. And if they grow too large, unfortunately you
23 use it more frequently. And when you use it more frequently,
24 then customers want off the program. So it's important that
25 you have the right balance. And we believe there is a balance,

1 but you need to watch as to growing that too far and affecting
2 that balance.

3 And then impacts on building codes. This is where
4 Tom had mentioned earlier that, you know, there are some things
5 that are mandated. This is an example of a mandate. SEER
6 10 was implemented in the early '90s, that's the energy
7 efficiency of an air conditioning system, and that stood for
8 several years. As you can see, starting in '93 or so we
9 started plotting it in terms of number of customers that took
10 advantage of incentives to put a more efficient unit in over
11 the 10. As you can see, that number constantly grew.

12 But then in 2006, that number, that efficiency rating
13 was changed to a 13 SEER. And as a result now we also had to
14 raise our baseline so that we don't incent unless it is over
15 13, so a 14 or 15 SEER. And what we have seen is a 50 percent
16 drop in that activity. So, truly, coaching has had big impacts
17 on our ability to implement our goals.

18 And then what worked well. Our duct sealing program,
19 our duct seal. We created this industry in Florida. And
20 because of it our customers are benefitting, and because of it
21 a good part of the nation has followed. Duct leakage accounts
22 for about a third of the energy lost in our customer's home,
23 and it's an invisible leak. If it was a water leak you would
24 fix it immediately. You would have stains all over the place,
25 but it is sizable, and it's a tremendous energy savings. We

1 not only developed the proper methods of sealing, but we also
2 trained contractors with specialized equipment to find those
3 leaks.

4 Our load control program. We have 1.2 million
5 customers on that. We save 16 percent of the total U.S. peak.
6 We are at somewhere around 8.9 percent, I think it is, of the
7 total load overall. California is somewhere around
8 7.7 percent. Florida placed two utilities in the top ten of
9 the nation in megawatts of energy efficiency and demand
10 response. We have developed multiple channels, and those
11 channels have been extremely beneficial to us. Our account
12 managers, our representatives work with the customers, we work
13 with participating contracts. It was good, when I mentioned
14 about going to home shows, to see contractors selling our
15 programs, as well. And that's the kind of activity that we
16 want to make that grow.

17 And, fortunately, we are on track to achieve the
18 5,332 summer megawatts and 5,655 winter megawatts Tom mentioned
19 in his presentation. And that's roughly equivalent of 14
20 400-megawatt power plants. So it's a substantial effort.

21 And that's all I have.

22 CHAIRMAN EDGAR: Thank you. Let's see if we have a
23 couple of questions. Before we do, I have to give a quick plug
24 that I think we kind of did for the Green Lodging Program that
25 DEP supervises, which I know is a wonderful energy saving

1 program, as well. And I think every one of us probably have
2 participated in some of the activities that are going on at
3 schools across the state, and that they are just so wonderful,
4 and so much fun, and also so rewarding. And, unfortunately, on
5 one of the events that you suggested we have a Commission
6 conflict, we have a consumer meeting scheduled for that day,
7 but I know that sounds like a wonderful event, as well.

8 MR. MASIELLO: Sorry you couldn't make it.

9 CHAIRMAN EDGAR: Commissioners, questions?

10 Commissioner Carter.

11 COMMISSIONER CARTER: Thank you. I just wanted to
12 commend Florida Utilities for their outstanding work. I really
13 wish somehow or another there was some kind of forum where you
14 guys could do some best practices and show with your colleagues
15 around the country, because if we are saving -- the
16 significance of the entire nation that Florida is contributing
17 to, I mean, we have got some good things going on here, and
18 maybe, you know, the rest of the nation should maybe take an
19 interest in what we are doing here.

20 The other thing is that it's a great job, and, of
21 course, we don't want to rest on our laurels. We want to put
22 our pedal to the metal and take it to another level, so to
23 speak. So I do appreciate this, and I think that the -- I may
24 have to check into this duct-and-seal thing myself. You know,
25 I didn't realize that --

1 MR. MASIELLO: We'll sign you up before we go.

2 COMMISSIONER CARTER: But I did want to say that,
3 Madam Chairman, when we have got something going good, we
4 should commend our companies when they go the extra mile. But
5 also, too, we may want to share these best practices with our
6 colleagues around the country. But, additionally, in addition
7 to doing a good job, I want us to continue to do a good job and
8 take it to another level.

9 Thank you.

10 CHAIRMAN EDGAR: Commissioners, any questions about
11 the programs you have heard about or the lessons learned, which
12 was very helpful? Okay. Thank you so much.

13 MR. MASIELLO: Thank you.

14 CHAIRMAN EDGAR: And our next speaker, Doctor Paul
15 Sotkiewicz, with PURC at the University of Florida.
16 Commissioners, I know I have been hearing a lot, I'm sure each
17 of us have about the possibilities with revenue decoupling.
18 Not a new idea, but certainly an idea that is getting probably
19 some renewed attention. And so Paul is going to kind of walk
20 us through that and some related items.

21 Thank you, Paul.

22 MR. SOTKIEWICZ: Thank you for that generous
23 introduction, Madam Chair. And, Commissioners, thank you for
24 the invitation to come and speak to you today.

25 As was just mentioned, I want to talk about revenue

1 decoupling, and I really want to talk more about implementation
2 measures and thinking outside the box a little bit with
3 different ways of thinking about revenue decoupling and what
4 the consequences may be for that. But what I want to do to
5 begin with is to kind of step back and to think about how we
6 set rates for both electric utilities and/or natural gas
7 utilities, as well, and thinking about why we set rates the way
8 we do.

9 And then get into sort of -- and I don't mean to
10 belabor the point, but the reasons why we are engaging in
11 energy efficiency and demand-side management programs very
12 quickly, just to set the stage to think about the interaction
13 between these types of programs and the implication of using
14 volumetric charges to recover costs for the utilities in
15 general here in the state of Florida.

16 And then following that I will get into defining what
17 revenue decoupling is and is not. I think there is a lot of
18 misconceptions as to what revenue decoupling actually is and
19 what it is not, and what it includes, and then spend the rest
20 of my presentation talking about implementation issues.

21 Two different ways to implement revenue decoupling
22 from the perspective of rate design, and then thinking about
23 the advantages and disadvantages of those different
24 implementation options. And I have listed some of the items I
25 will get into from earning stability to risk, shifting risk

1 between consumers and the utilities, to economic efficiency.
2 After all, I am an economist my trade, and I would be remiss if
3 I didn't at least mention that in a couple of my slides. And
4 then get into some concluding thoughts based on some of the
5 things I have seen with the recent report that has come out
6 from the National Action Plan for Energy Efficiency.

7 So if we think about just stepping back and
8 traditional cost-recovery, or rate design for utilities,
9 traditionally we have used volumetric charges, or per kilowatt
10 or per therm charges, depending on if we are talking about
11 electricity or natural gas. Now, oftentimes these charges are
12 combined with small fixed charges, demand charges, potentially
13 for commercial or industrial customers, or customer charges to
14 maybe cover metering and billing costs. But the important part
15 here is that the vast majority of the costs that are being
16 recovered from most utilities around the United States are
17 being recovered through volumetric charges.

18 There are also some implications for costs, the
19 ability for the utilities to recover their costs and for their
20 potential profitability. All things being equal, if demand
21 turns out to be greater than forecast, utilities can recover
22 all of their fixed costs, and, in fact, can increase their
23 profitability under traditional regulation, rate of return
24 regulation designs. However, under volumetric charges, if
25 demand turns out to be less than forecast, let's say something

1 happens, we completely missed our demand forecasts, or we had a
2 disaster where people are without power, people couldn't
3 consume. If demand turns out to be less than forecast, then
4 the utilities are going to be unable to recover their fixed
5 costs of doing business, the cost of infrastructure,
6 transmission, distribution, generating assets. And
7 consequently they will be unable to earn their allowed return,
8 all other things being equal.

9 So when we think about getting it, as we will talk
10 about later, the issue of rate design and the financial
11 incentives for utilities are going to be important in thinking
12 about how we can implement some of these energy efficiency
13 programs from the rate design perspective.

14 Now, the rationale for volumetric charges. I think
15 most of us would probably agree that volumetric charges are
16 fairly simple. Customers understand volumetric charges. They
17 understand that if they consume a certain number of kilowatt
18 hours it's going to cost them a certain amount of money. If
19 they don't consume, they don't get charged. I think everybody
20 understands that. But it also leads to a misunderstanding
21 about how utility service is provided, and I'll talk about that
22 in a little bit, because it has some implications for the rate
23 design and for revenue decoupling.

24 Some commissions around the U.S. have also seen
25 volumetric charges as a way in which to cross-subsidize certain

1 groups of customers. So presumably large volume customers,
2 let's say at the residential level, presumably wealthier
3 customers, could then cross-subsidize small use customers,
4 presumably poorer customers, on the recovery of fixed costs.
5 And with slightly different rate designs that use volumetric
6 charges such as an inclining block tariff structure that effect
7 becomes even stronger. But it is a way of implementing a
8 fairness or social policy, if you wish, in the form of rate
9 design. So that's another rationale for seeing the volumetric
10 design.

11 In terms of energy efficiency, and I will be very
12 quick about this, because it has been discussed by Mark Futrell
13 in his presentation, energy efficiency programs, as I see it,
14 are designed to reduce the usage over all time periods. So we
15 are talking about reducing kilowatt hours rather than kilowatt
16 peak savings that has also been mentioned here this morning.
17 So the energy efficiency savings not only could include the
18 fuel costs, but the cost of emissions and the cost for new
19 utility plant. Maybe base load generation, maybe there will be
20 some cost savings for transmission and distribution in there,
21 and so forth.

22 But I want to emphasize here that as we are looking
23 toward climate change policy here in the state of Florida with
24 the Governor's recent executive orders, that in that context
25 the emissions savings could be quite substantial going forward

1 in addition to the fuel cost savings. And I'm going to
2 contrast that with the peak cost savings here.

3 Obviously any programs that are implemented, as has
4 already been mentioned, should be cost-effective and they
5 should also make financial sense for both the consumers and the
6 utilities alike. I think that goes without saying.

7 Now, demand-side management programs, as I view it,
8 are primarily designed to reduce peak usage. As John Masiello
9 just mentioned at the conclusion of his presentation, we are on
10 pace to save almost between 56 and 5700 megawatts of capacity.
11 You know, 14 400-megawatt plants, which is quite substantial.
12 And, of course, there is going to be an associated energy
13 savings that go along with it, but I think the primary
14 rationale has often been for DSM to reduce that peak so you
15 don't have to build that next generating plant and you don't
16 have to use expensive fuel to run that peaking generating unit.

17 Of course, with DSM programs, if customers are smart,
18 and many of them are, they may, say, use their kilowatt hours
19 at a different time of day, maybe off-peak. So there is some
20 shifting of kilowatt hours over time while still preserving
21 that peak kilowatt savings, and there still will likely be
22 savings of kilowatt hours. But the rationales are slightly
23 different, and I just want to bring that everybody's attention,
24 because there are some different impacts when we talk about the
25 interaction of energy efficiency in DSM programs with

1 volumetric charges that are being used to recover utility
2 costs.

3 Clearly, you know, from a consumer point of view,
4 energy efficiency reduces kilowatt hours, it is going to reduce
5 customer bills. Customers want to see their bills reduced if
6 at all possible. However, because of the way costs are being
7 recovered here, there is the potential that energy efficiency
8 programs will put the utility in a financial bind in terms of
9 its fixed cost-recovery. Because, again, if demand is less
10 than forecast and it turns out to be from energy efficiency, it
11 could be something else, it makes it much more difficult for
12 the utility to recover its fixed cost of infrastructure.

13 It also runs counter to the incentive for utilities
14 to want to increase their throughput, to increase their sales.
15 Financially that will increase their profits potentially, but
16 also there may be a reason that a commission may want to
17 increase throughput for reliability reasons, to make sure that
18 everybody has energy when they want it.

19 DSM, on the other hand, at reducing peak usage or
20 just kilowatts of capacity can also reduce customer bills, but
21 the effect on overall kilowatt hour usage is not going to be as
22 great as it would be for an energy efficiency program. And
23 that has implications for the various cost/benefit tests that
24 Mark Futrell talked about. If we think about energy efficiency
25 programs, the implication is because those programs primarily

1 reduce kilowatt hours, there's going to be a greater impact on
2 utility revenues. Those programs are probably less likely to
3 pass the RIM test.

4 On the other hand, with DSM programs, since they
5 reduce peak kilowatt hours, they are more likely than energy
6 efficiency programs to pass the RIM test, because there's going
7 to be a smaller impact on utility revenues with that particular
8 test. Clearly, there are going to be energy efficiency
9 programs which pass TRC, but don't pass RIM in this case. But
10 that's why I wanted to bring this up is that rate design does
11 have an implication for what will pass various cost/benefit
12 tests in this context.

13 So in terms of revenue decoupling, to try to be as
14 textbook as possible about this, revenue decoupling simply is
15 severing the loop between utility profits and sales. And I use
16 in parenthesis the utility could be a local distribution
17 company for gas, or any of the service providers that we have
18 in electric, whether they be investor-owned,
19 cooperatively-owned, or municipally-owned. Also implied in
20 that is the separation of the collection of required revenues
21 that recover fixed costs for utility infrastructure from sales
22 by the utility.

23 And the last point I think is extremely important
24 here. This gets us into what revenue decoupling is and what it
25 isn't. Revenue decoupling doesn't discriminate between the

1 reasons why demand has been reduced or demand increases.

2 Whether it's weather related, whether it's related to economic
3 growth, or an economic downturn, as some people claim that we
4 are heading for these days, or energy efficiency. It doesn't
5 matter what those reasons are. The sales profit, sales cost
6 recovery link is broken, period, not discerning between the
7 reasons.

8 Now, implicitly what revenue decoupling does is it
9 imposes a revenue cap on the utility for the provision of the
10 fixed infrastructure services. I want to emphasize that the
11 revenue cap that is implied here is for fixed cost. It has
12 nothing to do with the variable costs for producing the fuel to
13 produce electricity or for the commodity natural gas costs.

14 Now, that revenue cap can be implemented in two
15 different ways. One is to simply cap total revenue for the
16 fixed costs of the utility, which assumes that there probably
17 are not going to be great changes in the customer base, which
18 means there probably won't be large changes in the amount of
19 infrastructure that's going to be installed by the utility.
20 That is great for a low growth state, probably not so great for
21 a state like Florida.

22 On the other hand, you can actually cap revenue per
23 customer, which acknowledges the changes in customer base in a
24 high-growth state such as Florida. And so because there's
25 going to have to be infrastructure investment as utilities add

1 new customers, and that is going to change the overall required
2 revenue, but it caps the revenue per customer for those fixed
3 costs.

4 Now, what is revenue decoupling not? That's a very
5 awkward way of saying it, but revenue decoupling is not simply
6 allowing for what some people call the lost margin recovery or
7 the reduced revenues due to energy efficiency programs alone.
8 I'm going to let that sink in for a second. The big thing that
9 people have talked about with energy efficiency is that, gee,
10 it reduces utility revenues. Maybe if we just get rid of that
11 incentive, we're fine. But if it's only about energy
12 efficiency, there still may be incentives for the utility to
13 want to increase its throughput. If the economy is growing,
14 throughput may be increasing beyond what is forecast. And the
15 utility has a financial incentive to still increase its
16 throughput, even though it knows it's going to recover the lost
17 revenues from energy efficiency.

18 It is also not simply weather normalization. As we
19 see in natural gas utilities where in many instances
20 commissions will normalize rates to what would be considered
21 normal weather. Under colder than normal circumstances, the
22 utility is allowed to sell more, under warmer than normal
23 circumstances it sells less, and revenue adjustments are made
24 according to that. Both of these types of mechanism are only
25 partial decoupling mechanisms.

1 As I mentioned before, revenue decoupling doesn't
2 discriminate between the reasons why actual demand, whether it
3 be more or less, deviates from forecast demand. These
4 mechanisms do. And they are very difficult to implement, as
5 well, because there is always going to be a contentious issue
6 about measurement. How does one really measure the difference
7 in demand versus forecast from energy efficiency? That's a
8 very difficult thing to measure on a yearly basis. It's also
9 the same with weather normalization. So, getting away from
10 that, revenue decoupling avoids some of those problem areas.

11 Now, what are some of the rationales for revenue
12 decoupling? I've already mentioned this, but I'm going to be
13 very specific. Under volumetric charges or volumetric rate
14 design it removes the utility's financial incentive to increase
15 sales to not only ensure the recovery of fixed infrastructure
16 costs, but to also increase its profitability. Stated another
17 way, those proponents of energy efficiency and demand-side
18 management would say it removes the disincentive to promote
19 energy efficiency conservation of demand response programs.

20 Well, essentially what happens under revenue
21 decoupling is that the RIM test and the utility cost test
22 become equivalent under revenue decoupling. It simply takes
23 away the lost revenue cost that occurs under the RIM test, and
24 that results in the utility cost test for evaluating energy
25 efficiency and demand-side management programs. And it's but

1 one quite small step away from the total resource cost test
2 where the total resource costs test also adds in participant
3 costs, and then the incentives that are paid to participants
4 are canceled out with those that are paid by the utility to the
5 participants.

6 So it's one step away from TRC, but it's not
7 equivalent. It doesn't result in equivalency with TRC, but it
8 gets us closer. Also, it helps from the utility perspective in
9 putting supply and demand-side options on more equal footing
10 under the utility cost test. But the one thing that can't be
11 emphasized enough about revenue decoupling is that revenue
12 decoupling in and of itself does not guarantee, does not
13 provide an incentive for anybody to engage in energy efficiency
14 or demand-side management programs. It is not a sufficient
15 condition. It does remove the incentive to increase
16 throughput, yes. But it doesn't make anybody want to engage in
17 energy efficiency.

18 Programs such as the ones that John Masiello was
19 describing and our utilities in the state are undertaking, I
20 mean, those kinds of programs still must be in place to
21 encourage energy efficiency. That's a very important point.
22 Decoupling revenue doesn't mean we have solved the problem, not
23 by any stretch of the imagination.

24 Now, in terms of the financial incentives, I have
25 talked about some of these already, and just stated a little

1 bit differently from the utility perspective, many utilities
2 with declining sales per customer, such as we are observing
3 with natural gas distribution companies, they've become very
4 quick to embrace revenue decoupling because it makes it easier
5 for them to recover their fixed cost of infrastructure. And
6 you'll see at the end of my presentation, if you look at the
7 implementations of revenue decoupling around the United States,
8 there are far more implementations in natural gas than there
9 are in electricity. So we see the incentives on that side.

10 However, utilities with increasing sales per customer
11 generally have a financial incentive to avoid revenue
12 decoupling, because it takes away the ability for the utility
13 to earn higher returns. But I say that with the following
14 caveat, that's as long as the infrastructure cost per customer
15 don't outpace the revenues that are being collected per
16 customer. So that comes with a caveat. But those are some of
17 the financial incentives.

18 Now, as a quick aside in thinking about how utilities
19 provide service, I think this is important in thinking about
20 the rate design, and it's important conceptually thinking about
21 how revenue decoupling might be implemented. Energy services,
22 regardless of whether we are talking about natural gas or
23 electricity, people often think of these as just being one
24 service. Well, I flip on a -- customers, I flip on a light
25 switch; I get electricity. Or I need heat; I've got a gas

1 heater; I turn it on; I have service. Most people don't think
2 about the infrastructure that's required to give them the
3 option to turn on the light switch and have electricity, or the
4 option to turn on their heater and have natural gas come to the
5 heater and provide that service. So there's really an
6 infrastructure service that is being provided by the utilities
7 regardless of how many kilowatt hours or therms that are
8 consumed by customers. And those customers by having the
9 option to consume are causing costs to be expended by the
10 utilities. So there's really -- one service is that option to
11 consume. And then, of course, there is the option itself, or
12 the commodity, which is the therms of gas or the kilowatt hours
13 of electricity. It's important in thinking about the rate
14 design as we'll see in a second.

15 So if we think about revenue decoupling, there are
16 really two ways through the rate design revenue decoupling
17 could be implemented. One is to continue on with the
18 traditional volumetric charges and use a tracker mechanism
19 where any adjustments for revenue that's over or
20 undercollected, whatever the situation may be, to cover those
21 fixed costs an account is kept and those revenues will be trued
22 up at the end of, let's say, a year. That means that we're
23 going to have hearings over this. Probably not much different
24 than hearings for the fuel adjustment clause that we currently
25 have in the state of Florida.

1 There's an administrative burden to that. There's an
2 administrative burden to both the utilities for that and to the
3 Commission, state commissions for that. But, if it's carried
4 out as many people envision it will, you know, recover the
5 costs of infrastructure as well as recovering the commodity
6 costs and keeping the volumetric charges takes the view that
7 energy is viewed as providing one service, that there is not an
8 option in a commodity that goes with this.

9 However, implementing, recognizing that there is an
10 option, and there is a commodity service, may lead one to think
11 about using a two-part tariff, or more specifically a straight
12 fixed variable tariff design. Under such a tariff design, all
13 of the fixed costs of infrastructure will be recovered through
14 a fixed charge on customer bills every month, and then the
15 commodity costs, the costs of kilowatt hours or therms of gas
16 would be recovered through a variable charge.

17 Administratively, this eliminates the need for
18 hearings or a tracking mechanism. Because if all the fixed
19 costs of infrastructure are being recovered through a fixed
20 charge, there's nothing to true-up at the end of the year.
21 It's just a customer charge per month. And it also more
22 closely tracks with the idea that really utilities are
23 providing two services, both the option to consume through
24 building infrastructure and then providing the commodity in
25 kilowatt hours or therms.

1 Unfortunately, at least from my perspective, two-part
2 tariffs or straight fixed variable tariff design has been
3 viewed as being quite different from revenue decoupling. If
4 you read some of the recent work that has been done on this, if
5 you look at the National Action Plan for Energy Efficiency
6 which came out last year, the two-part tariff or the straight
7 fixed variable tariff is considered an alternative to
8 decoupling, that it's actually not decoupling in and of itself.

9 This same view has been expressed by others. Ken
10 Costello, who has done a very nice study on revenue decoupling
11 for natural gas utilities from NRRI, has also expressed this.
12 And so it gets us to the same place. A straight fixed variable
13 tariff design implicitly decouples the recovery of fixed costs
14 from sales.

15 So, why isn't it viewed as decoupling as we know it?
16 I think part of the problem is that we have become wedded in
17 recovering costs through volumetric charges. I think the other
18 thing is that many commissions that have contemplated this
19 already worry about how customers will react to a different
20 change in how they are charged for the service. That they
21 might see this huge fixed charge and wonder why. They may not
22 understand it very well, and there could be a political
23 backlash to such a shift in rate design.

24 So if we think about the advantages and disadvantages
25 of revenue decoupling, I think the big issue is that

1 implementation is everything. How does one implement revenue
2 decoupling will determine what some of these advantages and
3 disadvantages will be. But that perspective is going to
4 depended on conceptually how one believes service is provided.
5 Is it simply one bundled service, or do we really have two
6 services? Whatever a commission decides on, that's going to
7 decide on the way costs may be recovered, whether it be through
8 volumetric rate design or a straight fixed variable rate
9 design, and may be dependent on how the revenue cap is
10 designed.

11 The thinking I have here, and this may be a bit
12 esoteric, is that normally we think here in the United States
13 of cost of service regulation, or rate of return regulation,
14 whereas price caps or revenue caps as implemented in other
15 parts of the world, in particular in the U.K., in western
16 Europe, and in Latin America, this is really an incentive
17 mechanism which provides an incentive for utilities to reduce
18 their costs and potentially increase their profitability
19 through reducing their infrastructure costs or their O&M costs
20 on infrastructure. But that's probably a bit far afield from
21 where we want to go here in the United States at least
22 initially with respect to energy efficiency.

23 Now, in terms of earning stability. One of the
24 things that has come up in various hearings around the country
25 is this issue about utility earning stability. Well, some have

1 said that it almost guarantees that the utility will earn its
2 return. That's not really true. What has been guaranteed is
3 that there is revenue stability in the form of recovering
4 revenue to cover infrastructure costs. But this doesn't mean
5 that the utility doesn't have an incentive to control its other
6 costs. It still must control its other costs in order to
7 achieve its target return, so that incentive doesn't change at
8 all.

9 Now, all other things being equal, if the utilities
10 are good at keeping their costs down, then, yes, it should
11 provide some earning stability. And some commentators have
12 bought that, well, if that's true, then maybe we should think
13 about a different return on equity. That's going to be for
14 each state commission to think about on a case-by-case basis.
15 But if we think about volumetric charges with a tracking
16 mechanism, because of the administrative burden and because of
17 the possibility of contentious hearings.

18 And, let's face it, any time that hearings open up
19 there's going to be parties who want to try to open up the door
20 from the utility perspective to try to take away more money if
21 they can from the utility, and so utilities might be a bit
22 hesitant to want to deal with revenue decoupling under a
23 volumetric tariff, all things being considered. Because there
24 are, indeed, deferrals if the energy efficiency program is done
25 very well, or maybe there are other things that have happened.

1 They may not be able to recover their revenue, which could
2 threaten the return on equity.

3 The example I have in mind is the state of Maine in
4 the early '90s, which tried to implement revenue decoupling.
5 And in Maine, it turned out in the early '90s also the economy
6 kind of went south on them. So, consequently, the electric
7 utilities in the state of Maine were not able to recover all
8 their revenues to cover fixed costs. There was a deferral
9 account put in place. When it came time to true it up, the
10 Commission could not raise rates. It just wasn't politically
11 feasible for them to do so. It put the utility at risk in that
12 case. And, consequently, Maine abandoned the idea of revenue
13 decoupling after that.

14 Under a two-part tariff, however, because there are
15 no need for hearings to true-up revenues, there is no deferrals
16 that necessarily need to be put at risk from the perspective of
17 the utility, there should be very little variation in the
18 return on equity consequently from this perspective. And,
19 again, it then opens the question about should there be a lower
20 allowed return on equity if you had the straight fixed variable
21 rate design. Again, that's going to be a decision that's going
22 to be made by each individual state commission that would go
23 forward, might go forward with decoupling.

24 Another issue that has come up is this idea of
25 shifting, and I put in quotes own purpose, business risk from

1 the utility to consumers. The idea itself really assumes a
2 world where utilities provide but one bundled service, that
3 there are not two services here. But the question then comes
4 up what risk is really being shifted from the utility to the
5 consumer?

6 Well, maybe there's weather, whether it is a warmer
7 than normal or cooler than normal winter or summer. Economic
8 conditions. The issue that came up in Maine where they
9 implemented revenue decoupling and then the economy went into a
10 recession. Are there drivers behind the option to consume for
11 the infrastructure to be put in place? I would hazard a guess,
12 no. But the true issue is can anybody control the weather?
13 Can anybody control the economy? Is that risk controllable?
14 Can it be mitigated by either party? Probably not in the case
15 of utility services.

16 But, in either case, the utility still bears risk for
17 the cost of network infrastructure, not only building it, but
18 also maintaining it. And if those costs go up, the utility
19 still bears that risk. And so one of the issues with the
20 shifting of business risk, again, I believe is probably not as
21 big a deal as some might make it out to be.

22 How about rate stability and bill stability for
23 customers? Certainly under a volumetric rate design with a
24 tracking mechanism, this could lead to greater rate bill
25 volatility. It just adds another piece of the puzzle to maybe

1 a fuel adjustment clause, something else that has to be trued
2 up at the end of the year. So rates could fluctuate even more
3 on a yearly basis to customers, which now makes it even more
4 important for utilities and commissions to think about the
5 accuracy of load forecasts in order to offset that possibility
6 of greater instability in the bills from year to year.

7 Under a two-part tariff or straight fixed variable
8 tariff design, there's reduced volatility in the charges -- I
9 should have said changes rather than charges -- in the rates
10 and bills, because the only volatility will be in the commodity
11 charge rather than in the cost of infrastructure. And also
12 demand forecasts don't become really so crucial for the
13 recovery of fixed costs from the point of view of the utility.

14 The idea of cross-subsidies that I mentioned earlier
15 with volumetric charges. Under a volumetric charge with a
16 tracker, this implicit cross-subsidy from high volume users to
17 low volume users remains in place, which may be the stated
18 policy. However, under a straight fixed variable, the thinking
19 has been that it doesn't preserve that cross-subsidy from high
20 volume users to low volume users. But whether it requires --
21 if a commission would want to maintain that cross-subsidy for
22 whatever reason, cross-subsidies could be implemented through
23 the fixed charge itself rather than through the volumetric
24 charge. And, in any case, a cross-subsidy through a fixed
25 charge would probably be more economically efficient in any

1 case. And, of course, we've talked about the cross-subsidies
2 from participants to nonparticipants in many of these energy
3 efficiency programs that could occur except under the RIM test,
4 which Mark Futrell had mentioned in his presentation.

5 Economic efficiency. Volumetric charges inherently,
6 because of the nature of utility service with large fixed
7 costs, volumetric charges are not going to be economically
8 efficient. Start throwing in the possibility of having a
9 tracker for either overcollections or undercollections of
10 revenue to recover those fixed costs, and there's the
11 possibility that volumetric charges may become even more
12 economically inefficient. And there may be a counter-intuitive
13 result that if the energy efficiency programs work so well to
14 reduce demand, that now everybody's price per kilowatt hour or
15 price per therm goes up rather than down. So I consumed less,
16 I did good in my energy efficiency and my price per unit is
17 going up? That's a very counter-intuitive result, and
18 consumers would have a very difficult time understanding that.
19 Not to mention with the inefficiencies will fall primarily on
20 those consumers.

21 Two-part tariffs or straight fixed variable are
22 economically efficient tariffs. They send the right price
23 signal for the commodity that is being consumed, whether it's
24 gas or electricity. And, in fact, if we think about separating
25 out collecting the cost of fixed infrastructure and fixed

1 charges and just the cost per kilowatt hour or cost per therm
2 in electricity or gas charges, it may make it easier and even
3 more rational to implement realtime pricing or time-of-use
4 pricing signals to customers because what's really driving the
5 changes in those time-of-use prices, for the most part, not in
6 total, is the cost of the commodity, the cost of fuel that's
7 used to generate electricity, for example. And that would be
8 more in line with a straight fixed variable rate design.

9 Moreover, in a straight fixed variable design if the
10 demand response programs or energy efficiency programs are
11 successful, users are going to see the commodity charge drop as
12 they cut back on usage. It's just a very simple supply and
13 demand story, which is very intuitive. That's the kind of
14 result that customers would expect to see. And, again, I have
15 talked about the cross-subsidies. They can be implemented
16 through those fixed charges without any problems with
17 efficiency.

18 What about so-called environmental performance? If
19 we think about energy efficiency and demand response as having
20 a large environmental component, what happens? Under a
21 volumetric charge, because if it's the case that the price
22 increases with the success of energy efficiency in demand
23 response programs, it becomes self-reinforcing. Energy
24 efficiency reduces demand, reduces revenues to recover fixed
25 cost, the price per unit goes up; the price per unit goes up,

1 people want to save more. Environmental groups and proponents
2 of energy efficiency like this, and it will help reduce
3 emissions going forward.

4 Under a two-part tariff, because there's a separation
5 now of infrastructure cost from commodity costs, this may not
6 be considered desirable environmentally because the commodity
7 costs are now going to be lower from the perspective of
8 environmental proponents and energy efficiency proponents. But
9 there is something that people forget about, and that is there
10 is an income effect from fixed charges.

11 If a large fixed charge is put on customer bills,
12 customers are going to feel that as if it were a reduction in
13 their income each month, and that's going to effect their
14 demand for energy, as we know that if we don't have as much
15 income, we don't like to spend as much. So there is going to
16 be an offsetting factor from this so-called income effect from
17 increasing the fixed charge on customers, and that along with
18 energy efficiency programs could very easily reduce consumption
19 from the baseline consumption that we're referring to. So it
20 is not easily intuitive, but the environmental performance may
21 not be as bad under a straight fixed variable tariff as some
22 people may claim.

23 Some other effects of revenue decoupling on utilities
24 that have been thrown out there just for completeness. One is
25 that revenue decoupling would undermine the cost cutting

1 incentives of multiyear settlements, something that we are
2 quite familiar with here in the state of Florida over the past
3 20 years or so, for utilities to reduce their costs during
4 those multiyear settlements to retain those cost savings as
5 earnings. The other thing that has been thrown out in some
6 discussions of revenue decoupling is that it would limit the
7 cash flow to utilities to carry out needed investment going
8 forward, which would, in turn, undermine system reliability.

9 I think in terms of the first conjecture about
10 reducing the utilities' incentives to cut costs, that doesn't
11 bear out at all because the utility is still at risk for
12 keeping its costs down even under a per customer revenue cap.
13 And so I think that goes by the wayside.

14 In terms of needed investment, we could take a page
15 from what goes on, again, in Latin America, in the U.K., and
16 western Europe in their implementations of price cap type
17 mechanisms where they look at multiyear price caps and they
18 build in forecasts for investment and account for the need for
19 that new investment up front. And so that can also be handled
20 in that way to ensure system reliability going forward.

21 Some other effects on the regulatory paradigm to
22 think about in terms of revenue decoupling is how are we going
23 to think about this? Are we going to be captured by the same
24 old way of looking at the world with volumetric charges, or are
25 we going to -- can we now think outside the box a little bit.

1 Some people say that revenue decoupling reduces the incentives
2 to reform our rate designs. I think quite the opposite because
3 we have other options available to us as I'm talking about here
4 in this presentation. And, of course, the advantages and
5 drawbacks are going to depend on how we are implementing
6 revenue decoupling. Are there going to be situations where
7 utilities and customers both benefit, other situations where
8 nobody benefits, potentially, from revenue decoupling. Those
9 are questions that ought to be asked before going forward.

10 So, just recapping some of the things that I have
11 talked about. In terms of the volumetric charge
12 implementation, there are some advantages. If the hearings and
13 administrative burden are minimal, and it's pretty well assured
14 that utilities can recover any differences between required
15 revenue and what has been collected, and I'm thinking more
16 about deferrals in this particular instance, then there is the
17 possibility that the utility will have more stable revenues.

18 Certainly from the environmental standpoint,
19 consumption should decrease with energy efficiency and DSM
20 programs. I think that is a no-brainer. It does preserve the
21 cross-subsidies that some commissions have wanted to keep in
22 place, and it keeps the status quo rate design in place. It
23 doesn't change anything. And the rate design, of course, is
24 easy to understand for customers. That part doesn't change.

25 But there are some downsides. There's going to be

1 increased price and bill volatility for customers potentially
2 on a year-to-year basis. It moves us farther away from
3 economic efficiency and pricing. It could result -- energy
4 efficiency could result in counter-intuitively increased prices
5 for the bundled service, all other things being equal. Of
6 course, there is the administrative drawback and the potential
7 for contentious hearings. Deferrals may be put in jeopardy
8 from a utility perspective. No innovation in rate design and
9 no recognition that infrastructure really could be a separate
10 service.

11 Under a straight fixed variable implementation there
12 is no need, I should have said, for these hearings. There is
13 no need for a true-up hearing, because fixed costs will be
14 covered completely through fixed charges. That eliminates that
15 administrative burden and the possibility that deferrals from
16 the point of view of the utility may not be recovered. It
17 reduces customer bill volatility and rate volatility. That
18 fixed charge should be fairly constant. The only thing that's
19 going to change will be the commodity charge.

20 As energy efficiency become more entrenched,
21 customers should see a reduction in the price per kilowatt hour
22 because they are reducing their fuel costs or reducing the cost
23 of gas in the gas market.

24 There's a recognition, clearly, that two services are
25 provided and it is a much more innovative rate design that has

1 been rarely implemented in the energy industry, at least at the
2 retail level.

3 The drawbacks. The belief that cross-subsidies from
4 large users to small users are lost. Even though it can be
5 dealt with, it is not immediately apparent that it can be dealt
6 with easily. There is also the concern environmentally that
7 because customers are going to see an unbundled service in
8 terms of how it's being charged, the commodity cost is lower,
9 they will consume more because they see a lower cost without
10 really thinking about the income effect that I mentioned. So
11 that is a potential drawback of straight fixed variable. And
12 certainly customers are going to have a harder time
13 understanding this rate design. It's something that is pretty
14 alien to most folks.

15 Now, in terms of the implementation, as I mentioned
16 earlier, only five states have implemented electricity
17 decoupling, and there are nine other states that are actually
18 contemplating this. In gas, as I mentioned, there are 15
19 states that have implemented revenue decoupling and seven other
20 states are looking at revenue decoupling.

21 In terms of the straight fixed variable rate design,
22 it's worthy to note that it has been implemented at the retail
23 level in natural gas, not in electricity, in Georgia, Oklahoma,
24 Missouri, and North Dakota. In fact, Georgia has had straight
25 fixed variable rate design in gas since they implemented retail

1 competition for commodity gas about a decade ago. So we are
2 seeing some movement toward some of these innovative rate
3 designs. It has been slow and it has been mostly in the gas
4 industry.

5 But just some concluding thoughts, and amazingly I
6 was able to run through this presentation in short order.
7 Maybe it's because nobody asked questions. Everybody is
8 getting hungry. I had that unenviable position. Plus I don't
9 have all the nice bells and whistles that John had in his
10 presentation. Nice black and white.

11 So if we think about a report that was just released
12 as part of the National Action Plan for Energy Efficiency this
13 last month, what we will call aligning utility incentives with
14 investment in energy efficiency. There are four policy
15 objectives that were mentioned in that report in the executive
16 summary, and I think it's good to kind of list those. One is
17 the idea of balancing risk and reward between utilities and
18 customers. Stable customer rates and bills, which I have
19 mentioned. Stability of utility revenues, which I have also
20 mentioned. And then the administrative simplicity of managing
21 regulatory costs.

22 And so we think about these in terms of
23 implementation. The idea of risk and reward, that's going to
24 really depend on everybody's perception of what risk and reward
25 are and the different implementations, because everybody will

1 probably have a slightly different point of view on how to view
2 that. But if we think about stability of customer rates and
3 bills, certainly a straight fixed variable tariff design will
4 accomplish that far better than a volumetric rate design.

5 In terms of stability of utility revenues, either
6 implementation should, in theory, accomplish that. But under a
7 volumetric rate design with a tracker, it introduces potential
8 risk in terms of the recovery of those costs, either over or
9 underrecovery of those costs if we are going to look at it on
10 both sides. Whereas with a two-part tariff, that's not an
11 issue. That does really help ensure much better the stability
12 of revenues in terms of recovering the fixed infrastructure
13 costs.

14 And, of course, in terms of administrative
15 simplicity, a straight fixed variable rate design would do
16 better if fixed costs can all be recovered through fixed
17 charges. There may be other policy considerations. I have
18 discussed a few of them in here, but those are some of the
19 implementation issues that I believe need to be contemplated in
20 moving forward and thinking about revenue decoupling to help
21 bring forward potentially more energy efficiency programs and
22 more savings here in the state. Thank you.

23 CHAIRMAN EDGAR: Commissioner.

24 COMMISSIONER CARTER: Paul, Commissioner Skop
25 probably likes the tie that you are wearing today.

1 MR. SOTKIEWICZ: I couldn't resist after sitting in
2 the stands on Saturday. I apologize.

3 COMMISSIONER CARTER: Gee, thanks, we appreciate
4 that.

5 By the way, I just wanted to ask you about revenue
6 decoupling implementation, a slide that you used on that. You
7 mentioned, I think you said Maine was where they had it, and
8 then -- and I was looking on your chart here about the states
9 that have approved it, and I don't see Maine. What happened on
10 that situation? Can you elaborate on what happened in that
11 situation?

12 MR. SOTKIEWICZ: Maine approved revenue decoupling in
13 the early '90s, and at the time that they implemented revenue
14 decoupling, as it turned out that was the recession that hit
15 during the early '90s, '91 and '92. And consequently what
16 happened, even though the demand that actually was seen by the
17 utility was reduced not because of energy efficiency, but
18 because of the economic downturn, it wasn't able to recover all
19 of its fixed costs. According to the revenue decoupling
20 mechanism in place, the differences between the revenue they
21 needed to recover and what they actually did recover didn't
22 match up. In fact, they didn't recover enough. So there was a
23 deferral account set aside. Rather than when it came time to
24 true that account up to make sure that the utility could
25 recover all of its costs, it became such a political issue to

1 raise electricity rates to reflect that deferral that it never
2 happened, or it didn't happen very quickly. And so the idea of
3 revenue decoupling was then abandoned in Maine. That's why you
4 don't see it on there. They abandoned it because it turned out
5 to be very difficult to deal with the issue of deferrals when
6 revenue, when sales did not meet the forecast, and then there
7 was that deferral account that had to be recovered. So that's
8 what ended up happening in Maine on that. Am I making myself
9 clear?

10 COMMISSIONER CARTER: Yes, I understand you
11 perfectly. And, Madam Chairman, with permission to follow up,
12 is that based upon the situation in Maine, and you say five
13 states have approved it or implemented it, has any of those
14 five states, or either of the ones where the proposals are
15 pending, have they gone after the model that was used in Maine?

16 MR. SOTKIEWICZ: For the most part the revenue
17 decoupling mechanisms that are in place follow the
18 implementation where most of the costs are recovered through
19 volumetric charges and there is some sort of tracking mechanism
20 to true-up revenues. Now, currently, we're in the opposite
21 situation. As a general rule, sales are generally greater than
22 what have been forecast, so the account goes in the other
23 direction. Usually it's the utility that's over-collecting and
24 then there is a rebate that goes back to customers. That is a
25 much easier situation to deal with. California has had revenue

1 decoupling for many years. That part has not been an issue.
2 It's the situation that comes up when there turns out to be not
3 enough revenue to recover costs and the prices have to go up.
4 So that's why the situation has been a little bit different.
5 And maybe one of our speakers this afternoon from EPA could get
6 into some of that more.

7 COMMISSIONER CARTER: Just an observation.

8 MR. SOTKIEWICZ: Sure.

9 COMMISSIONER CARTER: From my perspective is that I
10 appreciate you being an economist, because the economy ebbs and
11 flows. You know, there's recession and there's times of great
12 opportunities and expansion. And the fact of the matter is the
13 regulatory compact is such to where down the road if you can't
14 recover the necessary operational costs, then the business is
15 left with one or two opportunities, you know, either borrow
16 more money or go out of business. And that has a deleterious
17 impact on the customers.

18 And I was just kind of trying to put it in my own
19 frame, and I was really intrigued by what happened in Maine and
20 also intrigued about this perspective in the context of
21 decoupling and the beneficial aspects of it is that I'm still
22 having trouble trying to understand why -- well, not
23 necessarily why. I understand why. Because of the political
24 perspective, they didn't want to make that decision. But why
25 even go there, then, you know.

1 MR. SOTKIEWICZ: And that's a good question, I mean,
2 if there wasn't the will to do that. And the same question
3 could be asked, by the way, in Maryland or in Illinois where
4 after years where rates were frozen, all of a sudden the bill
5 came due and then there was no political will to raise it. And
6 this had nothing to do with revenue decoupling at all, but it's
7 the same situation.

8 COMMISSIONER CARTER: Thank you.

9 CHAIRMAN EDGAR: Thank you.

10 Commissioner McMurrrian.

11 COMMISSIONER McMURRIAN: Thank you, Chairman. I have
12 a few.

13 Thank you, Mr. Sotkiewicz. You said that no state
14 has implemented the two-part tariff system for electric that
15 you've talked about, right?

16 MR. SOTKIEWICZ: That's correct.

17 COMMISSIONER McMURRIAN: But you did say that they
18 did implement it with respect to gas in several states,
19 including Georgia. And I remember some of the problems they
20 had in Georgia with their changes in their gas rates. But were
21 any of those problems associated or could be associated with
22 the implementation of that two-part tariff system?

23 MR. SOTKIEWICZ: I think, if I understand correctly,
24 the problems that you are talking about in Georgia are related
25 to how they tried to implement retail competition with the

1 issue where bills couldn't be collected for the commodity gas,
2 or people were getting, in effect -- like we had problems with
3 in the telecommunications industry, people were, in effect,
4 getting slammed and having their providers changed on them
5 without their knowledge.

6 Those were the biggest problems. It really wasn't
7 dealing with the straight fixed variable tariff. It was about
8 the implementation of the real retail competitive mechanism
9 rather than the tariff design in Georgia.

10 COMMISSIONER McMURRIAN: Do you know if there was any
11 consumer feedback about that change and how the two-part tariff
12 system, or was it that no one paid attention to that because of
13 all the problems in moving to retail competition?

14 MR. SOTKIEWICZ: My understanding is that there
15 wasn't a whole lot of hue and cry about it at the time. And
16 now, I mean, the recent implementations that I have mentioned,
17 in fact, North Dakota and Missouri are very recent
18 implementations of this design, and it hasn't been -- the hue
19 and outcry hasn't been as great as I might have expected in
20 their situations. But, of course, there are going to be people
21 who are going to bring up some of the issues that I have on
22 here that say, well, we are not familiar with this, why am I
23 paying a large fixed charge if I'm not consuming, and so forth.
24 I mean, that does come up, but it hasn't been as contentious as
25 I thought it might be.

1 COMMISSIONER McMURRIAN: Do you know if there have
2 been any studies or research done on consumer reaction? I know
3 we have talked about that, and those questions and some of the
4 things you said earlier that were concerned about whether a
5 customer would understand that difference in rate design, and
6 what kind of reaction they would have. But has there been any
7 kind of -- I think it would be hard to do, but has there been
8 any kind of research done on that?

9 MR. SOTKIEWICZ: The short answer is no. But if I
10 could get funding as a university researcher to do that, I
11 would be happy to do so.

12 COMMISSIONER McMURRIAN: He didn't give me that
13 question. One more, Chairman, I think.

14 As the two-part tariff has been discussed in other
15 states, do you know if there has been any particular feedback
16 from the consumer representatives, whether it's industrial
17 consumer representatives or residential, where they have spoken
18 out on the issue? Because I know they have been vocal on
19 revenue decoupling, per se, but I'm not as familiar with the
20 two-part tariff.

21 MR. SOTKIEWICZ: Talking about the two-part tariff
22 part of it, I'm not familiar with any particular group. The
23 feedback I am getting are from talking to regulatory staff or
24 commissioners and kind of their perception of things in those
25 states.

1 COMMISSIONER McMURRIAN: Thank you.

2 That's all I have.

3 CHAIRMAN EDGAR: Commissioner Skop.

4 COMMISSIONER SKOP: Thank you, Madam Chair.

5 Again, I want to thank you for your very informative
6 presentation, and I think it raises a lot of points to
7 consider, and I certainly look forward to working with staff
8 and perhaps your group to better understand some of the
9 subtleties and the impacts.

10 I think perhaps an even better question, though, is
11 where do the other stakeholders fall into this revenue
12 decoupling methodology in terms of what would be their
13 preferences or how they would be impacted. It seems to me,
14 based on the presentation, that one of the reasons for
15 implementing revenue decoupling is to incentivize the
16 investor-owned utilities to proceed with more demand-side
17 management activities such that any reduced savings don't
18 impact the earnings.

19 But then there are some other slides in here that,
20 again, I haven't had the opportunity to fully review and
21 comprehend, but, you know, I think win/win solutions are good,
22 and I know that one of the slides, I think, referenced that in
23 certain scenarios when demand is greater than forecast, there
24 is the upside earning potential, if you will, that I think
25 might go away in terms of whatever system would be implemented

1 in terms of revenue caps or some of the other things. So I
2 look forward to probably working with you and staff a little
3 bit more to understand some of the subtleties and finer points
4 of the presentation as well as input from the stakeholders.

5 Thank you.

6 CHAIRMAN EDGAR: Commissioners, any other comments at
7 this time? No.

8 Paul.

9 MR. SOTKIEWICZ: Madam Chair, if I may make one
10 observation with Commissioner Skop's comments. I think one of
11 the issues that comes up, and I think you stated it in the
12 sense that you are trying to bring the incentives for the
13 utilities to engage in energy efficiency demand-side management
14 programs, I think it's important to emphasize that there are
15 mechanisms to provide those incentives, but revenue decoupling
16 isn't an incentive to encourage energy efficiency. It simply
17 takes away the incentive to want to sell more, and so it's not
18 a direct incentive on introducing energy efficiency.

19 There are other mechanisms that commissions have at
20 their disposal in order to provide those incentives, but
21 revenue decoupling just attacks a different part of the
22 problem, I think. I think it's real important. It is a subtle
23 difference, but I think it is quite important.

24 CHAIRMAN EDGAR: Paul, thank you so much. Lots of
25 good information. And as you have mentioned, a number of tools

1 that are available and have been utilized by commissions in
2 other states, and this commission, as well. But, of course, as
3 we are trying to look forward, I think this is a good healthy
4 discussion, and I know I'm glad to have all of us to be able to
5 kind of have it together and hear the same thing at the same
6 time.

7 So, Paul, thank you very much.

8 MR. SOTKIEWICZ: Thank you, Madam Chair.

9 CHAIRMAN EDGAR: We are actually amazingly close to
10 kind of on time, per the agenda that we had distributed. So
11 with that in mind, and according to the agenda, we will be
12 breaking for lunch here in a minute.

13 As I mentioned, we do have a sign-up sheet. We will
14 have another very, very informative speaker when we come back
15 from lunch, and then we will move into the open forum of our
16 agenda. And I encourage, please, everybody to take advantage
17 of that opportunity. Sign up if you would like to join in the
18 discussion, or share some information, or a perspective with us
19 this afternoon. Please sign up on the sheet.

20 And with that, I think that we will go ahead and
21 break for lunch. It will give us a few extra minutes. And,
22 Commissioners, how about we come back at 1:30, and then we will
23 have our next speaker and go into open forum. Thank you. We
24 are on lunch break.

25 (Lunch recess. Transcript continues with Volume 2.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

: CERTIFICATE OF REPORTER

COUNTY OF LEON)

I, JANE FAUROT, RPR, Chief, Hearing Reporter Services Section, FPSC Division of Commission Clerk, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 10th day of December, 2007.



JANE FAUROT, RPR
Official FPSC Hearings Reporter
(850) 413-6732