


BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. UNDOCKETED

In the Matter of:

## EVALUATION OF THE COST EFFECTIVENESS OF UTILITY-SPONSORED ENERGY EFFICIENCY AND DEMAND-SIDE MANAGEMENT PROGRAMS



**PROCEEDINGS:** STAFF WORKSHOP

DATE: Thursday, April 25, 2008

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

TRANSCRIBED BY: JANE FAUROT, RPR  
Official Commission Reporter  
(850) 413-6732

DOCUMENT NUMBER - DATE

03930 MAY 12 8

1           PARTICIPATING:

2                 MARK FUTRELL, JUDY HARLOW, and KAREN WEBB,  
3 representing the Florida Public Service Commission Staff.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I N D E X

	PRESENTATIONS BY:	PAGE NO.
3	JUDY HARLOW, Representing the Florida Public Service Commission	5
4	SUSAN GLICKMAN, Representing The Climate Group	15
6	HOLLY BINNS, Representing Environment Florida	24
7	LEON JACOBS, Representing The Natural Resources Defense Council and The Southern Alliance for Clean Energy	32
9	JOHN D. WILSON, Representing Southern Alliance for Clean Energy	40
10	CHRIS JAMES, Representing Synapse Energy Economics	62
12	GARY BRINKWORTH, Representing the City of Tallahassee	79
13	DAVID BARCLAY, Representing Gainesville Regional Utilities	92
15	JOHN McWHIRTER, Representing Florida Industrial Users Group	101
16	HENRY LILLY, Representing CF Industries	112
17		
18		
19		
20		
21		
22		
23		
24		
25		

## 1                   P R O C E E D I N G S

2                   MR. FUTRELL: Okay, everybody, if we could get  
3                   started with our workshop; if everybody could take their seats.

4                   Good morning. I'm Mark Futrell with the Public  
5                   Service Commission staff. I'd like to welcome you to our  
6                   workshop this morning. This is a follow-up workshop to one the  
7                   Commission held back in November, and this is part of a  
8                   dialogue the Commission is going to have to encourage and  
9                   develop ways to encourage additional savings from energy  
10                  efficiency and demand-side management programs.

11                  At that workshop, the Commission heard presentations  
12                  on the current status of utility programs and recent actions in  
13                  other states to encourage additional savings. Today we're  
14                  going to focus on the methods that are used to analyze the  
15                  costs and benefits of energy efficiency programs, and the staff  
16                  is very interested to hear your ideas on how utility programs  
17                  should be evaluated.

18                  Our morning session is going to feature some formal  
19                  presentations by interested parties. In the afternoon we're  
20                  going to have an open roundtable discussion period.

21                  I would also like to note that we want to welcome  
22                  Mr. Snuller Price, whose appearance here has been arranged by  
23                  the U.S. Environmental Protection Agency, and Mr. Price is a  
24                  partner with the Energy and Environmental Economics, Inc. in  
25                  San Francisco. It has a great deal of experience in the

1 analysis of energy efficiency and distributed resources. And  
2 Mr. Price will join us and participate in our discussion this  
3 afternoon.

4 Before we get started, I'd like to go over a few  
5 housekeeping matters. We have a sign-in sheet, which is right  
6 over here by Gary. If everyone would like to sign that so we  
7 can have a record of your participation. Also, so we can keep  
8 you on our contacts list, so that we can send out information  
9 that we have on upcoming workshops and information related to  
10 this workshop.

11 Also, the workshop is being transcribed. It's being  
12 taped, and then it will be transcribed. So when you speak,  
13 please come to a microphone, identify yourself clearly for the  
14 record. Also, we're going to post -- we've got materials over  
15 here with the agenda and the presentations. We'll also post  
16 this information on our website after this workshop. And there  
17 you will be able to find the agenda presentations, transcripts,  
18 audio links, as well.

19 We'll go ahead and get started with our  
20 presentations, and we want to start off with a presentation by  
21 our staff. Judy Harlow with our staff is going to give a brief  
22 background and context for today's discussion.

23 Judy.

24 MS. HARLOW: Thank you, Mark.

25 I've been tasked today with kind of setting the

1 discussion up. And as Mark said, I'm Judy Harlow with staff.  
2 I'm in the strategic projects group. Many of you know me from  
3 the power plant siting group, as well, and I was involved there  
4 with energy conservation matters.

5 The purpose of today's workshop, as Mr. Futrell  
6 stated, is to -- uh, I'm technology challenged -- is to discuss  
7 how the costs and benefits of utility-sponsored energy  
8 efficiency and DSM programs should be analyzed.

9 To kind of set up the discussion, I'd like to go  
10 through the Commission's procedures on how we handle DSM today  
11 and how this policy was developed, the three tests we use, also  
12 talk a little bit about the statutory authority we have and the  
13 proceedings that the PSC has in which these tests are used.

14 And following that very brief discussion, I would  
15 like to raise some questions that we hope that you will discuss  
16 in your formal presentations as well as in the open discussion  
17 we have this afternoon. And I'd also like to let you know that  
18 the staff will have more detailed questions this afternoon, and  
19 we're hoping to get some good responses on those questions.

20 If you want more detail on the slides that I have  
21 here today, I'd like to remind you that we had more detailed  
22 presentations on this by Mr. Futrell and Mr. Ballinger at the  
23 November 29th workshop. If you would like copies of those  
24 presentations, please let me know. My e-mail address is on the  
25 back of these slides.

1                 The statutory authority that the Commission has, of  
2 course, as we all know, was established by Section 366.80  
3 through .82, and that is known as the Florida Energy Efficiency  
4 and Conservation Act. You will often hear that referred to as  
5 FEECA, and you'll probably hear that word many times today as  
6 we go back to our statutory authority.

7                 It requires the PSC to review and approve  
8 cost-effective utility conservation or demand-side management  
9 programs. It also requires the Commission to establish goals  
10 for seven utilities in the state. That is the five  
11 investor-owned, and it's also the two largest municipals;  
12 that's JEA and OUC. And that is based on a sales threshold.

13                 An important piece of information about the statute  
14 is that it uses the term "cost-effective," but it does not  
15 define the term "cost-effective." And that term and how the  
16 Commission looks at that term has been developed over time here  
17 at the Commission.

18                 Over the years, the Commission has developed policy  
19 on what is and is not considered cost-effective. The result of  
20 that was this rule that I've noted here, 25-17.008, Florida  
21 Administrative Code. And what this rule does, and you can find  
22 the rule on our web site, is it sets up a manual that  
23 establishes three cost-effectiveness tests. And it requires  
24 utilities that are seeking approval of a program to submit at a  
25 minimum the three tests. They can submit more information than

1       that, but they must at a minimum submit three tests. These  
2       tests are the participants, the ratepayer impact test, and also  
3       the total resource cost test.

4                 Now, the participant test looks at cost-effectiveness  
5       from a participants in a utility-sponsored program's point of  
6       view. It is often used as a screening test. If a program does  
7       not or a measure does not pass the participants test, then you  
8       are not going to get participants in a program, because it's  
9       not in their best interest, for example, to put in a new air  
10      conditioner.

11               The ratepayer impact measure test looks at the costs  
12      and benefits from the point of view of the general body of  
13      ratepayers or the utility.

14               The total resource cost test is the two other tests  
15      combined. So it is looking at the costs and benefits from the  
16      point of view of a program participant as well as the general  
17      body of ratepayers.

18               The Commission uses these three tests in a number of  
19      proceedings. First, they are used in establishing numeric DSM  
20      goals. These are established every five years. The statute  
21      says at least every five years, and the Commission has been  
22      following a five-year schedule. We expect to establish the  
23      next goals in 2009. It's also used in approving DSM plans.  
24      These are plans with specific programs that are designed to  
25      meet the goals. Also in approving individual DSM programs,

1 often a utility will come up with a program in between the  
2 goal-setting process. They will bring that program before the  
3 Commission for approval.

4                 Also, in the staff and the Commission's ongoing  
5 monitoring of programs, utilities must submit data on their  
6 programs at least once a year, and often the staff will ask for  
7 data in between those one-year reporting schedule periods.  
8 Also, in modifying DSM programs. If a program is no longer  
9 cost-effective, a utility is required to present a petition to  
10 the Commission with changes in that program, so that the  
11 program will either be dropped or will be changed so that it's  
12 cost-effective.

13                 And, finally, these tests are used in need  
14 determinations for new generating capacity. The utility will  
15 present the results of these tests in order to provide evidence  
16 that there are no cost-effective demand-side management  
17 programs that could either avoid or defer the proposed unit.

18                 This slide is just a compilation of the three tests  
19 so that you can see the benefits and costs that the Commission  
20 uses to look at each test, and I'll go over this very quickly,  
21 because I think you have probably heard this five times within  
22 recent months. So the participants test, as I said, looks at  
23 the program from the point of view of a participant in a  
24 utility program. So the benefits to that individual, and this  
25 could be a residential or a business customer or an industrial

1       customer, are the reductions in the bill because of energy  
2       savings from whatever the device is, and, also, any incentives  
3       received from the utility. The costs to the customer are their  
4       own costs to put in whatever this energy saving measure is. So  
5       if we are talking about an air-conditioning program, the  
6       customer could have received a rebate from his utility, but he  
7       would have to -- he or she would have to provide the remaining  
8       cost of that new air conditioner.

9                  Next is the ratepayer impact test, looking at it from  
10      the point of view of the utility costs that translates to rate  
11      impact on ratepayers. The benefits are the avoided costs of  
12      the avoided unit itself, and that includes any generation  
13      reduction in capital costs, any transmission cost reduction,  
14      distribution, and also any fuel savings. The costs are the  
15      costs to run the program itself. These could be, for example,  
16      administrative costs, marketing costs. Also, you see system  
17      fuel cost increase.

18                  I remember when I started in conservation this caused  
19      some concern for me. I didn't really understand how you could  
20      get a fuel cost increase if you had a conservation program.  
21      But if you are deferring a new unit that is highly fuel  
22      efficient, you may be running existing units more than you  
23      would otherwise have. So that can increase your system fuel  
24      costs in the initial years when you are deferring that new  
25      unit.

1               Also, those incentives paid to the participating  
2 customers. Lost revenues, this is from the energy savings.  
3 The customer is not using as much energy because of fuel  
4 savings or -- excuse me, conservation measure, so that reduces  
5 the utility's revenues.

6               Then if you look at the TRC test, the TRC test is the  
7 combined participants and RIM tests. The benefits are exactly  
8 the same as the RIM test. Where we see the difference is in  
9 the costs. And the reason for that is that the bill reductions  
10 and the incentives received, and then on the benefits side of  
11 the participant and the cost side of the RIM test, the  
12 incentives paid and lost revenues cancel out. These are simply  
13 a dollar transfer between two parties that are looked at within  
14 the test. I would also like to note that for avoided costs the  
15 Commission is using the next avoided unit as the avoided cost.

16               Now, often in the past we have had interested persons  
17 in our proceedings say that the Commission should use a  
18 societal test or a TRC test, but they have also advanced the  
19 societal test, and the reason for this is we have had parties  
20 believe that the Commission should include non-economic  
21 benefits and costs. These are also referred to as  
22 externalities.

23               I'd like to note that the TRC test that the  
24 Commission uses in our manual allows for the inclusion of  
25 externalities, the calculation of the test, but the PSC has not

1       quantified a value for externalities in the past, and we are  
2       not doing so today.

3                 But another thing to note is that as we have new laws  
4       and new statutes that involve environmental concerns, those  
5       costs are built into the Commission's RIM test and, also, into  
6       the TRC test. So, for example, if you have a new law, such as  
7       the Clean Air Act that required the cap and trade system on  
8       SO<sub>2</sub>, those allowances and also any equipment that the utility  
9       is using on the next avoided unit, the costs of those would be  
10      built into the test. But currently any kind of emissions that  
11      we do not have a statute on, for example, greenhouse gases,  
12      those costs are not currently included.

13               These are the five basic questions we'd like to look  
14      at today. As I said earlier, we'll have more detailed  
15      questions from the staff this afternoon. What we would like  
16      you to do with these questions is, as you are making your  
17      formal presentations keep these questions in mind.  
18               Also, this afternoon when we have the open discussion we would  
19      like to discuss these questions. And, finally, you will have  
20      an opportunity for written comments after the workshop, and we  
21      would like it if you would structure your comments to address  
22      these questions.

23               We've found that with the renewable portfolio  
24      standard workshops, it was really helpful to us to have the  
25      written comments structured and where everyone was structuring

1       their comments in a similar way. It was so easy for us to  
2 compare your comments to each other and summarize those for our  
3 Commissioners.

4                  The first question is: What is each  
5 cost-effectiveness test designed to achieve? If you are  
6 suggesting that the Commission should use a new test, we are  
7 looking for the philosophy of that test from you. For example,  
8 the ratepayer impact test, the philosophy is to hold the  
9 ratepayer harmless. So we're looking at why do you think that  
10 we should use this new test? If you believe that we should  
11 continue using the current methodology, we'd like you to  
12 express why.

13                 The second question is: Are the tests capturing all  
14 the benefits and costs of energy efficiency and DSM? If you  
15 believe that the test that the Commission is using should be  
16 changed, we'd like you to tell us what specific cost or benefit  
17 you think is being omitted from the current methodology or, if  
18 you have your own methodology, explain to us why it's capturing  
19 something that the Commission's methodology is not currently  
20 capturing.

21                 The third question is: How do the tests used affect  
22 the level of conservation goals? We want you to tell us if you  
23 have a new methodology what do you believe the effect would be  
24 on the goals that the Commission sets every five years. We are  
25 also interested in if you have any information on the impact on

1           rates or the general body of ratepayers, what would that be.

2           The fourth question is: Should the tests be modified  
3           to address other concerns? You may have other concerns that  
4           you believe are not currently being captured in the three tests  
5           that the Commission uses. One example of this might be fuel  
6           diversity benefits.

7           And, finally, the question that I posed earlier with  
8           the societal test is: Should non-economic benefits and costs  
9           or externalities be included, and if so, how? Don't just tell  
10          us -- please don't just tell us that you think we should look  
11          at non-economic benefits. We want some specifics on your point  
12          of view. Which types of non-economic benefits do you believe  
13          should be looked at? Who should look at those costs and  
14          benefits? How should they be calculated? Give us any  
15          specifics you have on methodology and types of non-economic  
16          benefits that you believe it is important for the Commission to  
17          look at in its proceedings here.

18           And then, finally, mainly for your convenience, I've  
19          put these dates on the slide so you would have a copy and also  
20          our contact information. At the close of the workshop,  
21          Mr. Futrell will go over the next steps that the staff and the  
22          Commission expect to take, but I did want you to realize that  
23          the transcript from this will be available on the 12th of May.  
24          We expect to e-mail that link to our contact list, we have an  
25          e-mail contact list, so please be sure and put your name and

1 your e-mail address on our sign-up sheet so that we can add you  
2 to our contact list and keep you informed.

3           We would like your written comments, if you have any,  
4 by May 21st. I'd like it if you would address the questions,  
5 the five basic questions in our presentation. Also, any  
6 specific question you hear from the staff this afternoon that  
7 you would like to address that would be of interest to us. And  
8 please send your comments by e-mail to Mr. Futrell and also  
9 myself, Judy Harlow, and I have provided our e-mail addresses.

10           And I thank you very much for your participation  
11 today. And I'm sorry it is a little warm in the building, but  
12 we're trying to conserve energy. We thought that would be  
13 appropriate, to keep everybody a little warm today.

14           So I believe Mr. Futrell will now introduce the  
15 speakers.

16           MR. FUTRELL: Thank you, Judy.

17           And I do want to thank all the speakers up front for  
18 agreeing to participate in the workshop today. We have got a  
19 good group and we look forward to hearing your comments. I  
20 would ask and remind you that we have an agenda that we'd like  
21 to try to keep as close to as possible, and so if you would, as  
22 you make your remarks, keep that in mind. But we will start  
23 off this morning with a presentation by Ms. Susan Glickman, who  
24 is with the Climate Group.

25           Susan.

1                   MS. GLICKMAN: Good morning. I'm Susan Glickman. I  
2 am the U.S. Southern Region Director for the Climate Group.  
3 And the Climate Group is the only international  
4 non-governmental organization devoted solely to climate change.  
5 We have offices in China and India and Australia and North  
6 America. And our mission is to accelerate a low carbon  
7 economy. And our members are some of the largest businesses in  
8 the world, Nike and Johnson & Johnson, Dow, Dupont, Dell,  
9 Virgin Airlines, Google, Rupert Murdoch's News Corporation, BP  
10 Bloomberg, and Florida Power and Light, who have chosen to  
11 reduce their energy use perhaps not so much because it reduces  
12 their carbon footprint, because becoming more efficient saves  
13 them money and makes them even more competitive.

14                   I want to thank you, Mark, and Judy and others for  
15 holding this workshop in order to evaluate the  
16 cost-effectiveness of utility-sponsored energy efficiency and  
17 demand-side management programs, so today we can explore  
18 policies which will allow Florida to capture more end use  
19 energy efficiency.

20                   Energy efficiency provides Florida the very best  
21 opportunity to significantly reduce greenhouse gas emissions in  
22 the fastest and most cost-effective way, while at the same time  
23 keeping customer prices low and providing incentives for  
24 investment in green collar jobs right here in Florida.

25                   I'd like to start out with the acknowledgment that we

1       are really on new territory here, and it is quite  
2 understandable why the Public Service Commission has previously  
3 examined energy efficiency programs in the manner that they  
4 have. But underpinning today's discussion and the  
5 presentations of my colleagues to follow is this new  
6 understanding of the need to reduce greenhouse gas emissions.  
7 And so that you know, my comments today are going to lay the  
8 groundwork for a number of the presentations to follow, and  
9 we're doing this in that way so as not to be repetitive and to  
10 cover lots of territory over the course of the day.

11           So there have been many new developments in our  
12 understanding of this imperative, such as the Supreme Court  
13 Decision, EPA versus Massachusetts, that has ruled that the EPA  
14 has the authority to regulate greenhouse gas emissions. Back  
15 in 2005, the U.S. Senate passed a sense of the Senate  
16 resolution on climate agreeing to move past the scientific  
17 debate and onto solutions, one of which is the design of a cap  
18 and trade system.

19           I'm going to speak to the International Panel on  
20 Climate Changes' Assessment, the IPCC, in a minute, but it  
21 hasn't passed us by that a chunk of Antarctic ice about the  
22 size of Manhattan suddenly collapsed in late March as a result  
23 of global warming. The Wilkins Ice Sheet, a 160-square-mile  
24 chunk of ice located in western Antarctica, began to show signs  
25 of deterioration via satellite images on February 28th.

1       Scientists have thought that the Wilkins ice shelf would  
2 collapse in about 15 years from now and it surprised us.

3                   Governor Crist right here in the state of Florida has  
4 shown great leadership in positioning Florida to take advantage  
5 of the clean energy economy and to ready itself with the  
6 constraints on carbon that are on the horizon while addressing  
7 the growing threat caused by greenhouse gas emissions. And  
8 right up the street, the Legislature appears to be meeting with  
9 the Governor's leadership with numerous measures which deal  
10 with climate change and energy, not the least of which is  
11 initial rulemaking on cap and trade and a renewable portfolio  
12 standard. Under the proposed bill even local governments will  
13 consider climate and energy in their comprehensive planning  
14 processes.

15                  The Governor has set a goal of reducing greenhouse  
16 gas emissions in Florida from the utility sector by 80 percent  
17 below 1990 levels by 2050. I am often asked how the Governor  
18 came to these numbers. Admittedly they are very steep. I'm a  
19 native Floridian. I was born in Tampa. The concept of taking  
20 Florida back 18 years ago to 1990 levels and then achieving an  
21 80 percent reduction below that, that's a daunting task.

22                  Well, the Governor selected those numbers for a  
23 reason and all the right reasons. It's because that's what the  
24 scientists tell us we need to do to avoid the worst  
25 implications of global warming. He realizes that Florida is on

1       the front lines of climate change, especially rising sea levels  
2       on our 1,200 miles of coastline. I'm currently editing a book  
3       by a University of Miami professor, (inaudible), on sea level  
4       rise, and I assure you for more than one reason it is keeping  
5       me up late at night.

6                  Energy efficiency will play a critical role in  
7       meeting that target. Energy efficiency allows us to meet our  
8       growth demand while renewables have a chance to develop and  
9       capture a more significant segment in the market. The fact is,  
10      we won't get where we need to go unless we capture every last  
11      drop of available cost-effective energy efficiency and that  
12      defines our imperative here today.

13                 Judy will see if I'm -- oh, good. I figured that  
14      out.

15                 I mentioned the IPCC. The target of reducing  
16      worldwide greenhouse gas emissions by approximately 80 percent  
17      by 2050 is consistent with the IPCC's finding of what we need  
18      to do to stabilize carbon concentrations in the atmosphere to  
19      avoid the worst implications of global climate change.  
20      Established in 1988 by the United Nations, the IPCC comprises  
21      2,000 climate experts and scientists from around the world who  
22      are charged with assessing the technical issues of global  
23      warming and providing policymakers with guidance on mitigation  
24      options. Presidents Ronald Reagan and George Herbert Walker  
25      Bush endorsed the formation of the IPCC to ensure thorough and

1       a fair review of emerging scientific findings on climate  
2       change.

3                  And just recently renowned NASA scientist, Dr. James  
4       Hansen, concluded that we have to limit our CO<sub>2</sub> emissions to  
5       350 parts per million of carbon in the atmosphere to avoid the  
6       worst impacts of climate change. He stated if humanity wishes  
7       to preserve a planet similar to that on which civilization  
8       developed and to which life on earth is adapted, paleoclimate  
9       evidence and ongoing climate change suggest that CO<sub>2</sub> will need  
10      to be reduced from its current 385 parts per million to almost  
11      350.

12                 Dr. Hansen recently sent a letter to Jim Rogers of  
13       Duke Energy where he extolled the virtues of clean energy,  
14       saying near term demands for energy can be satisfied via a real  
15       emphasis on energy efficiency and renewable energy. Neither  
16       carbon sequestration, nor nuclear power can help in the near  
17       term, and they both have serious issues even over the longer  
18       term. But near term energy needs can be met with massive but  
19       feasible conservation and efficiency programs, cogeneration,  
20       solar, wind and biomass generation. Diversifying generation  
21       has other benefits, as well; creating jobs, conserving water,  
22       and minimizing the possibility of terrorist acts against the  
23       grid.

24                 The other thing, and the Public Service Commission,  
25       of course, looks very heavily at the economics of all of this,

1 so let's just talk for a minute about the cost of action versus  
2 the cost of inaction. In 2006, economist Sir Nicholas Stern  
3 put out the Stern Review, which got a lot of wide attention.  
4 He suggested that the impacts of global warming could shrink  
5 the global economy by 20 percent, but his assessment was that  
6 taking action now would cost just one percent of global  
7 domestic product. A lot of the evidence out there is pushing  
8 us to take as quick of action as possible in order to avoid the  
9 economic negative effects of this, as well.

10 Just this week Environmental Defense, another  
11 conservation -- a national conservation organization, released  
12 a report that found that the overall cost of capping greenhouse  
13 gases for the average family would amount to less than one  
14 percent of household budgets over the next two decades, and  
15 that the total number of jobs impacted by climate policy in the  
16 manufacturing sector over 20 years is substantially below the  
17 number of jobs created and destroyed in the sector every three  
18 months. Household electricity and natural gas bills rise by  
19 only a few dollars a month over the next few decades, well  
20 within the rise and fall that homeowners already experience.

21 In short, under business as usual the total output of  
22 the U.S. economy is projected to reach 26 trillion in January  
23 of 2030. With a cap on greenhouse gas emissions, the economy  
24 will get there by April, a difference of three months.

25 McKinsey and Company, a very, very renowned business

1 consulting firm, tells us that in the next 20 years the U.S. is  
2 expected to invest more than \$3 trillion in expanding and  
3 retooling its energy infrastructure, electric power plants,  
4 fuel refineries, transmission and transportation  
5 infrastructure, as well as billions more on energy consuming  
6 buildings, vehicles, appliances. Directing those resources  
7 toward cleaner energy efficiency technologies and development  
8 patterns is critical if we are going to meet our global warming  
9 challenge in time.

10 So the next slide is, I think, the most important  
11 thing that I'm probably going to say, and this is the cost  
12 abatement curve by McKinsey and Company, which examines the  
13 cost and market potential of more than 250 greenhouse gas  
14 abatement technologies. And it concludes that the United  
15 States can do its part to stabilize the climate at little to no  
16 cost, considering energy efficiency savings. In sharp  
17 contrast, estimates of the annual cost of failing to stop  
18 global warming range as high as 20 percent of total economic  
19 output. So in simple layman's terms, we need to get everything  
20 and capture everything below the line so all the energy  
21 efficiency --

22 Whoops. I have a pointer. How exciting. There.  
23 There we go. That's the road map.

24 The Energy Power Research Institute in conjunction  
25 with the Edison Electric Institute -- and those are both

1 utility trade groups, for anyone in this room that doesn't know  
2 that, just this week released a study showing that the  
3 technical potential for energy efficiency on a national level  
4 is 23 percent of total demand by 2030. The report in many ways  
5 corroborates the study by the American Council for an Energy  
6 Efficient Economy that was released in July of last year that  
7 found the technical potential in Florida to be around 20  
8 percent of total demand to be met by energy efficiency by 2023.

9 An important co-benefit of energy efficiency  
10 investment cited by the ACEEE is economic development.  
11 Increased investments to reach the 2023 energy efficiency goal  
12 would reduce consumer energy costs by over \$28 billion over the  
13 next 15 years and create an estimated 14,264 new jobs. These  
14 new jobs would be equivalent to nearly 100 new manufacturing  
15 plants relocating to Florida, but without the demand for  
16 infrastructure and other energy needs.

17 Perhaps the most important co-benefit of energy  
18 efficiency is that it is less expensive than the required new  
19 generation that it displaces. As evidenced by this slide, many  
20 cost-effective energy efficiency measure investments are in the  
21 three to four cents per kilowatt hour range, significantly less  
22 rate impact than new generation, especially nuclear generation  
23 that is about 11 to 12 cents per kilowatt hour. And this  
24 kilowatt hour estimate for nuclear is actually considered low,  
25 because it hasn't taken into consideration all the recent

1 construction cost spikes.

2                   So, in conclusion, reducing global warming pollution  
3                   80 percent below where we were 18 years ago by mid-century will  
4                   require the United States to substantially transform how we  
5                   create and how we consume energy. This transformation will  
6                   lead us to a cleaner and more efficient energy efficient  
7                   economy; it will improve air and water quality; it will protect  
8                   public health; it will increase our energy security and  
9                   productivity, all while we continue to grow our economy as  
10                  forecasted decade after decade. But we will only achieve this  
11                  shift to clean energy if we set the rules and regulations right  
12                  to capture all cost-effective energy efficiency. That's why  
13                  we're here today, and what we are doing has consequences not  
14                  only for our state, but for our world.

15                  Thank you very much.

16                  MR. FUTRELL: Thank you, Susan.

17                  And next up we have Ms. Holly Binns with Environment  
18                  Florida.

19                  Holly, welcome.

20                  MS. BINNS: Good morning. My name is Holly Binns,  
21                  and I oversee the climate and clean energy programs with  
22                  Environment Florida, which is a statewide non-profit  
23                  organization with more than 20,000 members and activists across  
24                  the state.

25                  And I wanted to start by thanking you, Mark, and Judy

1 and others for putting together this workshop, which I think  
2 really is one of the best opportunities that we have to put  
3 Florida on the path to a smarter and a cleaner energy future.

4                 Between now and 2030, electricity consumption in  
5 Florida is expected to increase significantly. According to  
6 the U.S. Department of Energy, Florida's electricity needs are  
7 growing by about 2.2 percent per year. DOE predicts that  
8 Florida will use 38 percent more electricity in 2020 than it  
9 did in 2005, and population growth isn't enough to account for  
10 this projected increase in energy demand alone.

11                 According to the U.S. Census Bureau's projections,  
12 Florida's population will grow by about 1.2 percent per year  
13 through 2025. Demand growth is also due to increased  
14 electricity use per person. But using more energy is not the  
15 only option to achieve a vigorous economy and a sound standard  
16 of living. Instead, we can reduce our consumption of energy  
17 dramatically, and we can do it without sacrificing our quality  
18 of life. Over the past two decades, America has consistently  
19 used less energy to produce more economic wealth.

20                 In 1980, the U.S. used 15,000 Btu for every dollar in  
21 gross domestic product. By 2004, we were using only 9,300 Btu,  
22 a drop of more than one-third. To meet Florida's growing  
23 electricity demand, to control price increases, and to meet  
24 Governor Crist's greenhouse gas reduction goals, it is critical  
25 that energy efficiency play a much bigger role in Florida's

1 energy portfolio.

2                 As everyone here knows, Florida passed a law in 1980  
3 to require large electric utilities to invest in load  
4 management and energy efficiency programs. The law known as  
5 the Florida Energy Efficiency and Conservation Act has reduced  
6 the need to build new power plants in Florida. However, flaws  
7 in its design prevent it from truly capitalizing on energy  
8 efficiency as a serious part of Florida's electricity system.  
9 Under the law the Florida PSC sets numerical targets for peak  
10 demand reductions and for efficiency improvements and utilities  
11 develop programs to meet them.

12                 The Public Service Commission has to judge these  
13 utility programs to be cost-effective before they can go into  
14 effect. However, the rate impact measure, which has been one  
15 of the primary screens, includes consideration of lost revenues  
16 for the electric utilities due to reduced sales. And as a  
17 result, measures that reduce utility revenues which are tied to  
18 sales, while reducing Florida's electricity consumption, are  
19 left largely untouched. Thus, the law is really limited in its  
20 ability to reduce overall energy consumption.

21                 Since 1980, FEECA has eliminated the need for about  
22 ten medium-sized power plants, about 500 megawatts each, by  
23 reducing peak demand primarily through load shifting. The law  
24 has been much less effective at reducing total electricity  
25 consumption, achieving cumulative savings of only 5,500

1 gigawatt hours since 1980, which is equivalent to about  
2 two-and-a-half percent of Florida's electricity demand in the  
3 single year of 2005.

4                 Florida's per capita residential electricity demand  
5 is among the highest in the country. This is due in part to  
6 high air-conditioning use during the hot summer months and the  
7 widespread use of electricity for home heating during winter  
8 months. According to the Energy Information Administration,  
9 the average retail price for electricity in Florida is about  
10 10-1/2 cents per kilowatt hour, with residential customers  
11 paying just over 11 cents per kilowatt hour and industrial  
12 customers paying an average of seven cents per kilowatt hour.

13                 If customers have access to products that use less  
14 electricity, they may be able to pay higher rates for the  
15 electricity that those products consume and still emerge with  
16 lower overall bills. However, there are many well-documented  
17 market barriers that prevent consumers from taking advantage of  
18 these efficiency opportunities. Things like information  
19 barriers, split incentives between builders and homeowners or  
20 landlords and tenants, in which one buys the equipment and the  
21 other must pay operating costs, and the need to pay for  
22 improved energy efficiency up front versus over time. And  
23 their efficiency programs are really necessary to overcome  
24 these barriers.

25                 Well-designed efficiency programs take these barriers

1 head-on. They educate consumers, they reduce split incentives,  
2 and they provide subsidies that reduce upfront costs, all of  
3 which systematically drive the penetration of efficient  
4 technologies into the marketplace where they can make the  
5 greatest difference. Supplemented with policy changes like  
6 appliance efficiency standards, updated building codes, and  
7 related measures, efficiency programs can make and produce  
8 dramatic results.

9                 The potential for reducing overall electricity  
10 consumption in Florida through energy efficiency improvements  
11 and conservation measures is really immense. And I think that  
12 comparing Florida to California can give us some idea of what  
13 might be achieved. The gap between California and Florida in  
14 per capita residential energy use represents a huge opportunity  
15 to reduce Florida's overall energy consumption.

16                 The residential sector is an especially important  
17 part of Florida's overall electricity consumption patterns.  
18 Residential customers make up an unusually large part of the  
19 customer base compared to other states. Households purchase  
20 over half of the state's electricity, while industry only makes  
21 up about 11 percent of the state's demand, and the remainder  
22 comes from the commercial sector.

23                 California leads the nation in effective  
24 implementation of energy efficiency. They were the first state  
25 to adopt energy efficiency standards for home appliances. They

1 have the nation's most stringent building efficiency codes, and  
2 they have long had well-funded, aggressive programs for  
3 promoting energy efficiency.

4 California's approach to energy efficiency has really  
5 yielded some startling results, as well. On a per-capita  
6 basis, residential energy use in California declined by 28  
7 percent per capita between 1975 and 2003. However, in Florida  
8 per-capita residential energy use increased by 44 percent  
9 during the same period. If Florida had achieved the same  
10 per-capita percentage reduction in residential energy used  
11 between 1975 and 2003, as California did, Florida households  
12 would have consumed over 650 trillion Btu less energy in 2003,  
13 or half as much. Moreover, total overall residential energy  
14 consumption of Florida would have increased by only 42 percent,  
15 rather than by the 184 percent that it has.

16 Florida really has vast untapped strategic reserves  
17 of energy efficiency. However, it is unlikely that Florida  
18 could tap into 100 percent of this efficiency potential even  
19 though it would be cost-effective. To produce an estimate of  
20 the level of savings that Florida could be reasonably expected  
21 to achieve, the American Council for an Energy Efficient  
22 Economy evaluated the impact of a set of energy efficiency  
23 policies that Florida could implement, and the resulting  
24 savings were still quite substantial.

25 ACEEE considered that Florida could capture more than

1 half of the economic potential for energy savings, reducing its  
2 electricity consumption by nearly 20 percent below forecast  
3 levels within the next 15 years. Using the measures identified  
4 by ACEEE, Florida could reduce growth in electricity demand  
5 from 2.2 percent per year to just 0.9 percent per year, cutting  
6 forecast additional need for electricity by nearly 65 percent.  
7 Under the ACEEE package, Florida would use 65,800 fewer  
8 gigawatt hours of electricity in 2023 than under a business as  
9 usual forecast.

10 Energy savings can function like virtual power plants  
11 or virtual natural gas pipelines though without the need to  
12 build the costly additional infrastructure. Efficiency  
13 programs can also reduce energy prices for everyone. For  
14 example, for every one percent reduction in natural gas demand,  
15 it reduces the market prices by .8 to 2 percent below forecast  
16 levels, and that's a big factor for Florida where we are  
17 heavily reliant on natural gas to fuel many of our power  
18 plants.

19 An additional benefit is that energy efficiency can  
20 be deployed quickly to help avert an energy crisis or to help,  
21 you know, make up some demand needs. For example, when  
22 California was facing an ongoing electric utility blackout in  
23 the summer of 2000, state leaders really launched a big  
24 campaign to educate Californians on how to use energy more  
25 efficiently and how to use those energy resources more

1 efficiently. And the result was pretty astounding. Within 12  
2 months, electricity demand in California declined by 14  
3 percent. That's equivalent to the output of ten large power  
4 plants.

5 Many utilities across the country are achieving very  
6 significant annual energy savings through demand-side  
7 management programs. According to the Department of Energy  
8 data from 2006, a number of utilities reduced their annual  
9 electricity demand growth on the order of one percent or more.  
10 By contrast, Florida utilities are well-below one percent of  
11 demand for that same year. The Florida utility with the best  
12 result is the City of Tallahassee at 0.4 percent.

13 Many Florida utilities have not capitalized on the  
14 potential for energy efficiency to reduce per capita  
15 electricity use because the rate impact measure counts the  
16 potential lost utility revenues that result from reduced sales  
17 or avoided capital projects like new power plants as a cost  
18 rather than as a bill savings benefit for ratepayers. Thus,  
19 many efficiency programs and measures that cost less in new  
20 generation are not captured.

21 The American Council for an Energy Efficient Economy  
22 estimates that an achievable package of energy efficiency  
23 policies would produce savings at a leveled cost of 3.6 cents  
24 per kilowatt hour compared to Florida's average retail price of  
25 10 cents per kilowatt hour. Energy efficiency programs are

1 more than twice as cost-effective as new power plants.

2 So, in conclusion, energy efficiency programs have a  
3 ton of potential here in Florida. They can help homeowners and  
4 businesses tap into vast potential energy savings, and they can  
5 offset upfront costs, and they can deliver long-term savings on  
6 energy bills.

7 So I think I'll wrap up there, let my colleagues take  
8 it from here, and to say thank you to Mark and Judy and the  
9 rest of the staff who have put this workshop together.

10 MR. FUTRELL: Thank you, Holly.

11 Next we have former chairman of the Public Service  
12 Commission, Mr. Leon Jacobs.

13 Commissioner, if you would like to join us. Thank  
14 you for being here.

15 MR. JACOBS: Good morning.

16 I, again, would like to offer my thanks to Chairman  
17 Carter, Commissioners, and staff for providing this opportunity  
18 to discuss what I believe is one of the fundamental issues that  
19 we can look to to solve many of the needs that we're going to  
20 have to deal with in the next coming few years.

21 The fundamental message I would like to just leave  
22 with you is that I think that the opportunity to expand the  
23 role of energy efficiency in the energy portfolio of Florida is  
24 the fundamental opportunity in the short term. It is the  
25 least-cost resource that we can bring to address what are the

1 issues that this Commission has identified to be the  
2 fundamental hurdles in the energy sector, the concentration in  
3 natural gas, the precipitous rise in consumption, the  
4 globalization of the energy markets. And the concern has been  
5 that energy efficiency is a detriment to that, and I would like  
6 to suggest to you that it is the fundamental benefit to that.

7 Let me just summarize on some of the issues that I  
8 think are before us. The energy policy in this state has been  
9 struggling to come into a consensus. There are many piece  
10 parts that try to operate together. At the same time, the  
11 externalities have really taken control of the debate. That  
12 has caused now these issues to cover a vast scope with varying  
13 metrics and dynamics.

14 We are most challenged by the phenomenal growth in  
15 demand, most measured by peak demand. But as Holly was very  
16 eloquently in showing, there is an underriding concern because  
17 of growing average household consumption, which I think is the  
18 fundamental piece that we need to look at. Even though, yes,  
19 we're having more population, we're having more people, but our  
20 fundamental concern is that average household consumption is  
21 rising incredibly. In a recent filing by Florida Power and  
22 Light in the need determination for the new gas plant, I think  
23 they projected a 16 percent rise in consumption over the  
24 ten-year planning cycle.

25 We have now a very highly complex global market,

1 mostly for the fuels. We input all of our fuels, and every  
2 quiver in the international marketplace gets felt as a shock  
3 here in Florida, because we see it, and we see it sometimes  
4 twice over.

5 Holly also mentioned this, I won't stay on it long,  
6 but I want to really emphasize here how Florida jumps out here,  
7 and I want to contrast it with some of the states here who have  
8 looked at this issue from another perspective. Florida's  
9 average household consumption in '93 was 52.1 million Btus, and  
10 New York was 121, California was 65. California was already in  
11 the throes of looking at how to deal with their concerns from a  
12 more -- from a demand side of the curve than the supply side,  
13 and they were already looking at aggressive ways of  
14 implementing demand-side strategies, most importantly DSM and  
15 energy efficiency. New York came along in that debate not too  
16 long after that.

17 So for Florida we see real results of those  
18 strategies. In Florida we more than tripled our average  
19 household consumption. California has really reduced it, and  
20 New York has significantly reduced theirs. Texas has grown  
21 substantially, and I think they've learned that lesson now,  
22 because they are very aggressively looking at alternative  
23 energy and demand-side issues.

24 Florida has consistently looked at this issue from  
25 the supply side of the curve, and we decided in too many cases

1       that the way to do this is to build our way out of our growth  
2       patterns. If we do that, we would have to build -- now I think  
3       it is more than 45 now, but at least 45 new 500 megawatt  
4       plants. If we can find the land, the water, and the capital to  
5       build those, all is well, all is good. And if we can do that  
6       in a marketplace that will keep the price to build those plants  
7       stable as we build them, all is well and all is good. That  
8       doesn't exist today. And I think that's a fundamental planning  
9       and resource issue that we must deal with.

10           In addition to that, Florida has some particular  
11      challenges that we have to address ourselves. Although this is  
12      a matter for debate, I don't think there is much debate on this  
13      anymore that we do have to deal with transmission in this  
14      state, particularly if we are planning to build as many new  
15      plants as were projected. The epitome of that is the addition  
16      of the nuclear plants that are planned.

17           Fuel diversity. It is a correct concern that we have  
18      devoted so much of our resource allocation to the natural gas.  
19      I think it's not necessarily a bad decision, but as the markets  
20      have evolved, it is a planning challenge that we do have to  
21      deal with. And we, of course, cannot run away anymore from the  
22      idea that there will be more significant regulation of  
23      environmental issues regarding our electric plants. So these  
24      are fundamental challenges.

25           And there are more. The water issue in Florida,

1       while not as deeply entrenched from the industry as in some of  
2       the other southeastern states, it is not an insignificant  
3       problem. And, of course, there are other issues in terms of  
4       just space.

5                   So we want to applaud the industry and the  
6       Commission. Far from being the idea that there has been no  
7       effort, there has been failed effort; there has been efforts  
8       and, in fact, the wonderful point to make today is that even  
9       those efforts that have been done have yielded positive  
10      benefits. Now, we want to capture that, and we believe this  
11      cost-effective and economic -- that you should seize upon the  
12      benefits that have already been accomplished and expand those.

13                  We know that demand has been reduced by DSM programs.  
14       We know that we've seen the cost of those DSM programs have  
15       become much more effective for us to adopt. And we now see the  
16       companies filing more DSM programs. Those are good things, but  
17       we think we can do better.

18                  So the fundamental questions are what should it be,  
19       what should it cost, and what does it save? One of the ways  
20       that traditionally those questions have been answered is, and  
21       particularly in jurisdictions that have chosen to go more  
22       aggressively in energy efficiency, they go out and do something  
23       called a potential or in-use study. And they look very  
24       specifically at what does their marketplace look like? What  
25       can they expect? What particular DSM mechanisms and programs

1 should be focused on when they go out?

2                 One of the things that they want to be very sure they  
3 look at is what are the real achievable potential savings? And  
4 what they do there is they look at what is likely the timing of  
5 the equipment -- is the technology there? Is it available?  
6 What is the timing on it? How the life cycle of that equipment  
7 is going to be. What would be the change-out of it? What is  
8 the likelihood that consumers will use that equipment when it's  
9 introduced to them. How long will they put it to use? Will it  
10 be used in maximum and peak times when exactly that is what is  
11 needed. So those are the critical questions that I say that we  
12 want to make sure we address. I would recommend that there is  
13 a need, and I would highly suggest that in addition to looking  
14 at RIM and going to a more aggressive cost-effectiveness test,  
15 there is a need for a potential, a honest-to-goodness.

16                 Now, we have some data that's out there. There is  
17 one study entitled "Powering the Southeast" that has been done.  
18 ACEEE, American Council for Energy Efficiency -- something,  
19 they've done -- that Holly mentioned, they've done a study. So  
20 the data is out there, and that data gives us some very  
21 positive suggestions, but we want to suggest to you that  
22 there's probably a need to do more.

23                 Now, a very respected consulting firm, Navigant  
24 Consulting, did a survey of some of the prevailing potential  
25 studies that are out there, and, in fact, they did it in

1 conjunction with work that they did for the City of Tallahassee  
2 that will be spoken about more later. But they came back with  
3 some very interesting results. What they came back to see was  
4 that for the southeastern states that they've developed an  
5 achievable potential savings of at least .26 percent -- I'm  
6 sorry, dollars per kilowatt hour, 2.6 cents per kilowatt hour.

7 There was another study done for ACEEE, and this was  
8 done to look at the crisis that evolved in the midwest  
9 originally when the natural gas prices spiked. That study came  
10 back and showed for residential there was 4.4 cents potential  
11 savings for residential, 2.4 for commercial. ACEEE also did  
12 one -- I believe this one was maybe Florida-specific, I'm not  
13 sure. The 2003 study may have been Florida-specific. But,  
14 anyway, they did a 5 cents potential kWh savings in residential  
15 and 2.9 for commercial.

16 Now, the Western Governors' Association in California  
17 and Connecticut have been very aggressive for years. And their  
18 programs are in place. They can see now what mechanism and  
19 what DSM things are working. And they are coming back and  
20 showing hard results. Southern California Edison has -- these  
21 are utility-sponsored programs, are showing real savings of 3  
22 cents per kWh. Pacific Gas and Electric, for their plans are  
23 showing real savings of 3.7 cents per kWh.

24 So the idea that we are throwing Florida into some  
25 kind of economic chaos by expanding the role that energy

1 efficiency will play in our energy efficiency portfolio, I  
2 suggest to you is not supported by the real data that we can  
3 see. But, to remove that doubt, I highly recommend that we  
4 engage in an honest-to-goodness real -- honest-to-goodness  
5 potential study for Florida.

6 Now, there are some other states, and Holly mentioned  
7 some of these also. I won't belabor this, but I think the data  
8 begins to really just compound itself and become very evident  
9 that there are real honest-to-goodness savings out there when  
10 we look at true implementation of energy efficiency.

11 So we believe that it is vitally important now in  
12 Florida that we begin to look at energy efficiency, and we look  
13 at it from the lifecycle perspective. One of the fundamental  
14 issues in the diversion that staff has identified when it chose  
15 to look at a RIM screen versus a TRC was that rate impact idea.  
16 Well, we believe if you take the look and measure energy  
17 efficiency from the lifecycle perspective, look at its costs  
18 and benefits over the lifecycle of those programs, we believe  
19 that you will see the kind of savings that other jurisdictions  
20 are finding in Florida. And we believe that now is the time --  
21 it has been the time, but we absolutely believe that now is the  
22 time more than ever before to do that.

23 So we are looking forward for the future. We think  
24 the opportunity is here, it is now. We believe that this also  
25 can lead us to some more advantageous opportunities for the

1       future, for more integrated planning in the whole energy  
2 portfolio. The more development of a sustained marketplace for  
3 these technologies, particularly in the commercial side. In  
4 Florida, my perception of it is that on the commercial side  
5 there is incredible opportunity to look at the motives that are  
6 out there and upgrading of those kinds of -- and energy  
7 building envelopes. Say that twice.

8                 The cultivation of renewables and distributed  
9 generation. Given what we know to be the concerns with regard  
10 to weather issues, these have to be issues that we have got to  
11 look at in the near future. And I think looking at energy  
12 efficiency in a more positive light brings us to these new  
13 strategies.

14                 As we've said before, there are hundreds of untapped  
15 megawatt savings as a result of underutilization of energy  
16 efficiency. We believe now is the time for Florida, and we  
17 believe that the marketplace presents us with the opportunity.

18                 We thank you, and we look forward for the rest of the  
19 day's discussion.

20                 MR. FUTRELL: Thank you.

21                 Next we have Mr. John Wilson, and John is with the  
22 Southern Alliance for Clean Energy.

23                 Welcome, John.

24                 MR. WILSON: Thank you.

25                 I direct the research program at our organization and

1 work in five states across the southeast. And it's my pleasure  
2 to be here today, and I appreciate the time and interest of the  
3 Commission in our perspective on these issues. And I also  
4 appreciate the fact that these are very complex issues and you  
5 guys have got a big year ahead of you, so we're happy to work  
6 with you and appreciate the extra hours you're probably going  
7 to be burning on this topic this year.

8 We are here this year -- these colors are not working  
9 on this projector, are they? This is going to be a tough  
10 presentation. They look great on my screen.

11 We are here to support the efforts of the Commission  
12 and the utilities in developing a new future for Florida's  
13 energy. And across the southeast I think we are really at a  
14 fork in the road on energy issues. We have well over a dozen  
15 new proposals for nuclear power units. We have several large  
16 coal plants still in the proposal stage. These are very  
17 expensive resources. That's one direction we can choose.

18 And the other direction we can choose is what has  
19 been talked about today, which is energy efficiency. And we  
20 know that that is a very low cost resource, but it's one that  
21 feels a little bit more difficult to handle, all the more  
22 difficult to regulate and direct from the top, if you're the  
23 Commission staff, or even from the utility side if you're  
24 thinking about needing to be able to flip switches on and off.

25 It's a different way to think of things. And I don't

1 envy the staff, especially the managerial staff of the  
2 utilities who need to plan for both directions right now. They  
3 need to plan for their company to be financially successful in  
4 either future. So they've got a big job ahead of them. For  
5 me, I've got a little easier job, because I know which one I  
6 want. And I'm here to convince you that it is the right one  
7 and that there is a good way to do it, and that you can address  
8 everyone's concerns satisfactorily, maybe not perfectly, but  
9 satisfactorily by taking this direction.

10           We think a good energy efficiency program -- and by  
11 here, I mean the whole system approach at a utility -- should  
12 be cost-effective for the customers. It needs to be fair for  
13 all different types of customers. It needs to offer  
14 attractive, but not excessive returns to the utility, and it  
15 needs to lead to real and substantial energy savings, not just  
16 peak demand savings.

17           And I want to talk a little bit about the question  
18 that is before us today, which is the cost-effectiveness  
19 determination. There are basically three general categories.  
20 I think the presentation by the staff earlier effectively laid  
21 out the more detailed view of this, but I think there is really  
22 three basic areas where this needs to be dealt with.

23           First is at the system level. What is the system's  
24 commitment to demand-side management? And, of course, that  
25 would be portrayed in an integrated resource plan. It would be

1           portrayed in the DSM plan that is required under the Florida  
2         Energy Conservation Act. It also would probably play out in  
3         the certification hearings for larger power plants.

4           Second, you have got more of the program level. The  
5         residential new construction program, a commercial and  
6         industrial program, the sort of big picture programs that tie  
7         together lots of smaller activities of the utilities. And,  
8         again, you've got sort of the prospective approach there where  
9         you need to figure out is this program cost-effective? Should  
10       we authorize the utility to operate it? And then you've got  
11       the evaluation program. Are there ways to improve it. After  
12       it has been operating for a couple of years, does the  
13       Commission or the utility want to suggest a different direction  
14       to go to make it better.

15           And then, finally, you've got another general purpose  
16         of the cost-effectiveness definition, which is at the measure  
17         level. And this is really guided by the program approval, but  
18         in the field how are decisions made on a day-to-day basis about  
19         we have got a new lighting product that is available. Should  
20         we use it? Should we get rid of some of the other ones? I'm  
21         at a site, and I was planning on doing a building envelope  
22         project, but lo and behold, there are some other opportunities  
23         that are here, and we can get them done real quick while we're  
24         here. Should we do it or not? Quick managerial field level  
25         decisions, this is also a cost-effectiveness question that

1       needs to be thought about. And I'm going to suggest that there  
2       are different answers that are consistent with each other, but  
3       are different at each of these levels in terms of how we need  
4       to think about cost-effectiveness.

5                 And I think, also, it's important to acknowledge that  
6       there is no overriding single goal that should be our focus.  
7       Of course, our concern is with energy efficiency, because we  
8       are very concerned about reducing energy use to address the  
9       problem of global warming pollution. We also recognize that we  
10      have got energy security concerns with almost all of the fuel  
11      that's used in Florida being imported from out of state and  
12      much of it being imported from other parts of the world. This  
13      is a major issue. And, of course, energy efficiency also gets  
14      you to the lowest overall energy costs.

15               I would like to stop there, but I won't. I'll  
16      acknowledge that we've also got other values that are at stake  
17      here, and we need to address them for this all to work. And  
18      that is the utility profits and financial viability. We need a  
19      stable, reliable energy system. And, finally, we need fair  
20      rates. We need to look at competitiveness, and a lot of times  
21      people tend to focus on the short-term competitiveness issues,  
22      but there is also long-term economic competitiveness issues  
23      that we need to look at.

24               And I think that some of the slides we've seen  
25      earlier about how some states have got lower -- by far, lower

1 total energy costs than Florida now on a per capita or per  
2 business basis suggests that maybe some bad choices were made  
3 10, 15, 20 years ago that are now affecting the economy of  
4 Florida. Maybe not as explicitly as the mortgage crisis, or  
5 the federal deficit, or things like that, but underneath it all  
6 it means that Florida is a less competitive place economically  
7 than it might have been if we had made different decisions 15  
8 or 20 years ago.

9                   And I think now, again, we are at a fork in the road.  
10 If we choose the high cost generation investments, that will  
11 then mean that we will need to fulfill the growth projections  
12 for energy use that those resources are justified with. If we  
13 don't, we will drive up rates. If we drive up rates  
14 unnecessarily to pay off overbuilding of assets, that's going  
15 to hurt economic competitiveness. So, instead, we can drive up  
16 use and keep rates down and fulfill those projections and that  
17 will mean we will be wasting energy use and will have engaged  
18 in unnecessary investments.

19                   So I think this fork is real, and it's going to  
20 affect policy and determine how things play out over the next  
21 10 or 15 years in sort of an inevitable fashion. And I'd like  
22 to say that you can make the decision with this issue alone,  
23 but the reality is, is this decision is going to be made  
24 incrementally across lots of complicated regulatory dockets and  
25 some of the decisions will be made out of state or at the

1       federal level, and what's it going to add up to? What  
2       direction is it going to add up to?

3           Wow. This is not showing up at all.

4           UNIDENTIFIED SPEAKER: It's the projector.

5           MR. WILSON: Okay. This projector does not like  
6       colors. I'm going to have to have you imagine some colors  
7       here. This is a good lesson for testing out presentations on  
8       lots of different views.

9           What I've got here is a graph that describes sort of  
10      the different views of cost-effectiveness. And what I want to  
11      start out with is a very simple level. First of all, let me  
12      explain sort of the axes here. The X axis is the cost of  
13      energy efficiency. And this is simplified into sort of the  
14      long-term costs per kilowatt hour delivered. So if you do a  
15      commercial lighting project, what is the lifetime cost of that  
16      in energy efficiency? And I've measured it relative here to  
17      rates. So at 1X, that is average rates. So if average rates  
18      are 9 cents, then that would be 9 cents.

19           On this axis we've got the avoided cost of  
20      electricity generation. And so, for instance, if the avoided  
21      cost for that commercial lighting project is more than rates,  
22      so let's say it's a very peak oriented project, then it might  
23      be up in here. And if the avoided cost is less than rates,  
24      then it would be down here.

25           And what we would basically say is from the utility's

1 perspective, if the cost of the project is less than the cost  
2 to do energy -- excuse me, than the cost to buy the energy,  
3 then you would expect that it would make economic sense to do  
4 the energy efficiency project. In that case we're talking  
5 about anything that's above this blue line. In this zone up  
6 here the cost to generate electricity is more than the cost to  
7 do energy efficiency. Down in this area the cost to do energy  
8 efficiency is more than the cost to generate the electricity.  
9 So energy efficiency is too expensive here. Over here  
10 generating power is too expensive. And that blue line is where  
11 it matches out equally.

12 Now, from the customer's point of view -- if the  
13 customer is going to spend the money on the energy efficiency,  
14 so let's just say I'm going to go out and buy a new heat pump  
15 for my house, and I figure out how much more it's going to cost  
16 me to do the energy efficiency. If the cost to me is less than  
17 rates, I think that's a good deal. If the cost to me is more  
18 than rates, I think that's a bad deal. So I'm going to be  
19 thinking about rates, and the utility is going to be thinking  
20 about its avoided costs. And these are different perspectives  
21 because of the different side of the Public Service  
22 Commission's decision that we end up on.

23 So this creates sort of four zones as I've  
24 illustrated here. This zone down here is wasteful. This zone  
25 up here is cost-effective from everybody's point of view. And

1       then we have these zones here where an energy efficiency  
2       project may be good from one person's point -- good from a  
3       customer's point of view to do, but not good from the utility's  
4       point of view, or vice versa. And so what this illustrates is  
5       that there is clearly no perfect universal definition of  
6       cost-effectiveness that addresses everybody's concerns from  
7       their own sort of place in the world.

8               Now, what I've done up here, and I have set aside the  
9       participant test, is illustrated the cost-effectiveness tests  
10      that are currently in use. And this involves a little bit of  
11      simplification, because, of course, when you're talking about  
12      the cost of energy, you're talking about both the capacity  
13      cost, the cost to have that power available, and the energy  
14      cost, the cost to generate it. So if I could develop a  
15      four-dimensional slide here, I could illustrate these tests  
16      perfectly. But since we only have a two-dimensional screen  
17      that doesn't even present colors accurately, I'll have to --  
18      you'll have to accept that I've made some reasonable  
19      simplifications here. And I can't even think in four  
20      dimensions very well.

21               So, at any rate, here I've put the utility cost test  
22      as this blue line. And if you think of the cost of energy  
23      efficiency as being the cost for the utility to deliver it,  
24      that's true. And then the total resource cost test would also  
25      add in the participant costs, so it shifts the line up just a

1       little bit. You could also think of the cost of energy  
2       efficiency as the cost to the utility and the consumer  
3       together, in which case the blue line would be the total  
4       resource cost test. For the purposes of this discussion, those  
5       two cost tests in a way are kind of pretty similar, so I'm not  
6       going to spend a lot of time distinguishing between the two of  
7       them.

8                  The rate impact measure test is up here, and that's  
9       because even for free energy efficiency, it's not equivalent to  
10      the total resource cost test. So there are many fewer programs  
11      that qualify under the rate impact measure test than under the  
12      total resource cost test. This is not news to anyone who is  
13      familiar with these tests. This is a very widely established  
14      point of view. But the reason I wanted to lay it out here is  
15      to sort of set up some discussion a little bit later on and  
16      explain how these interact with the financing mechanisms that  
17      are used by the utility commissions across the country to pay  
18      for energy efficiency.

19                  So here is one approach that is used in many states.  
20      There is no state that announces that it uses this. It's the  
21      cost control incentive. Utilities can go out and spend their  
22      own money in most states if they don't care to request  
23      ratepayer recovery to pursue energy efficiency projects. And  
24      there are plenty of utilities out there that without explicit  
25      Commission authorization do demand response and even energy

1 efficiency programs. A lot of times they will call them for  
2 public relations purposes or whatever.

3                 In most cases you're going to find that these  
4 programs are targeted at peak power, power that costs  
5 significantly more than rates to generate, and this is called  
6 the cost control incentive. By cutting their high cost energy  
7 generation needs, they save money and they profit more  
8 effectively. So there is a very -- again, a small number of  
9 programs here. And, of course, you will notice that this blind  
10 matches up pretty neatly with the RIM test. And, again, that's  
11 a simplification. They don't exactly match up because of some  
12 of the subtleties that I'm not able to display in two  
13 dimensions. But they are fairly closely matched.

14                 Anywhere below that line, and if there is no  
15 Commission authorization for recovery of costs and incentives  
16 to do energy efficiency, the utility's earnings are harmed by  
17 pursuing energy efficiency programs, and that's because they  
18 generate less revenue than it costs them -- than they can  
19 recover in rates by selling the power.

20                 Okay. So then let's look at the next approach, which  
21 is cost reimbursement. That should, in theory, solve all of  
22 our problems. If we just cover the costs of running the  
23 program for the utility, then they should do all cost-effective  
24 energy efficiency. Unfortunately, that's still not true. We  
25 do capture a lot more energy efficiency, but still utilities

1       are going to be unwilling to do anything -- or should be  
2       unwilling from a financial point of view and their  
3       stakeholders' point of view, shareholders' point of view, to do  
4       anything less than rates. So if rates are on average 8 cents a  
5       kilowatt hour, if the avoided costs are about 8 cents a  
6       kilowatt hour, then the utility is going to make money anytime  
7       that they are able to sell power for 8 cents that it costs them  
8       6 cents to generate. And this is called the through-put  
9       incentive. There is an incentive to sell power when it costs  
10      less than their rates. And because of that, even cost  
11      reimbursement is not enough to incentivize a utility to pursue  
12      energy efficiency in that area. So it's for this reason that  
13      even a cost reimbursement scheme is not adequate to capture all  
14      cost-effective energy efficiency.

15                   So, first of all, coming back to the question at hand  
16      is the cost effectiveness test. RIM programs don't capture all  
17      cost-effective energy efficiency. And, furthermore, it's also  
18      interesting to note that cost recovery for programs that pass  
19      the RIM test is actually, generally, an unnecessary financial  
20      incentive. So it presents you with this sort of dilemma of,  
21      you know, you've got this test in place that says here is the  
22      only stuff we'll pay for, and then you don't actually need to  
23      pay for it because the utilities generally already have a  
24      financial incentive to pursue those programs.

25                   And, again, that's not an exact match. There are

1 some issues there that have to do with fuel costs and the fuel  
2 cost pass-through, and that sort of thing. But my point being  
3 that we've got a system in place right now in Florida that is  
4 not really ideally suited to pursuing cost-effective energy  
5 efficiency and doesn't even really achieve what you might think  
6 it is trying to achieve, at least not perfectly.

7 Another issue with the use of the RIM test as an  
8 essential test for energy efficiency is that it's really  
9 inequitable. It helps non-participants in the short run,  
10 because it increases system utilization, and it defers rate  
11 increases. But a lot of modeling exercises that I've seen  
12 suggest that in the long run the RIM test actually results in  
13 larger overall rate increases, and that's because the total  
14 cost to deliver energy when you're spending -- when you're  
15 investing in plants that cost 8 to 12 cents a kilowatt hour to  
16 generate electricity, and that costs more to the public in  
17 general than the energy efficiency at three to five cents, or,  
18 you know, two to three cents. And this is pretty widely  
19 understood.

20 So the upward rate pressure from investing in  
21 high-cost power plants is what is really at stake here, but it  
22 is true that in the very short term energy efficiency programs  
23 can create upward rate pressure. It's a very short-term  
24 effect, because it basically says that you've planned capacity  
25 to meet a higher level of demand than you are actually

1 achieving. And so we need to somehow make up that revenue  
2 requirement that was out there, and that produces an upward  
3 pressure on rates in the short run. But in the long run the  
4 problem is solved.

5 Another inequity of the RIM test is that some energy  
6 efficiency always happens anyway. There are people who are  
7 just altruistic. There are companies that are very savvy, et  
8 cetera, et cetera. And all of that energy efficiency that  
9 happens, state building codes, et cetera, helps the system  
10 avoid or defer fixed costs. And this is basically a situation  
11 where it is the non-participants who benefit essentially as  
12 free riders, people who fail to take advantage of the latest  
13 technologies that are out there. They are getting the benefits  
14 of avoided high cost investment in new power plants without  
15 participating in the effort to make the economy and the energy  
16 system as efficient as possible.

17 And so a lot of the focus on the RIM test has been on  
18 it's inequitable to impose costs on people who are  
19 non-participants, because it's sort of some kind of a  
20 cross-subsidy. But in reality I think in the long-term it's  
21 the other way around. It's the non-participants who are really  
22 the free riders on the investments of people who are helping to  
23 keep the total system cost down.

24 Now, let me get into the details of this. And for  
25 those who are not mathematically focused, I apologize in

1 advance. But I've put up here the equation from the California  
2 Standard Practice Manual for the RIM test, slightly simplified  
3 for presentation purposes. But we have on the top the  
4 benefits, which are the avoided costs of energy for the  
5 utility, and then on the bottom, the three components of the  
6 costs under the RIM test, which is the revenue loss to the  
7 utility of not getting revenues from selling electricity, the  
8 program administration costs of the energy efficiency program,  
9 and the payments to participants to incentivize their  
10 participation in the program.

11 This is illustrated here in an analysis from Georgia  
12 Power, a recent analysis that they did. And I want to point  
13 out the relevant magnitudes of these values. So, again,  
14 revenue loss, program administration costs, and participant  
15 incentive costs. And I apologize for the slightly strange  
16 letters, but those are the letters in the California Standard  
17 Practice Manual, so I thought I would use that. So here,  
18 notice that this column right here, this is the utility's  
19 avoided cost. And C1 here is actually the revenue loss to the  
20 utility.

21 And notice that those are the two numbers that  
22 dominate the equation. This particular comparison here is at  
23 100 percent incentive level. So this is the utility paying 100  
24 percent of the cost of the energy efficiency installation at  
25 customer sites. Down here at the low incentive level, this is

1       the utility paying 25 percent. And so you can see that at any  
2       level of incentive, all the way down to zero percent, it is not  
3       the program incentive piece which is right here, C2, and it's  
4       this dark one there, but it's the other -- it's the revenue  
5       loss and the benefits that drive the equation. Those are the  
6       two most important pieces of this equation. So even for free  
7       energy efficiency, it's not the cost to runs the program that  
8       really matters in the RIM test analysis.

9                   So, again, coming back to this equation, I've taken  
10          that revenue loss factor here and I've broken it out into its  
11          component parts, which are rates times the demand change. And  
12          that's how you calculate revenue loss. And, again, there are  
13          some issues there in terms of energy costs and capacity costs  
14          that really matter.

15                  Now, when you're talking about an energy efficiency  
16          program, these three components on the right, and you're going  
17          to have to memorize and imagine some colors here. These are  
18          the green -- this is a green background that you don't see here  
19          for EG, PRC, and INC. These are fairly certain. Now, I mean,  
20          certain is a relative term, but there is a lot of good  
21          engineering work that has be done on energy efficiency  
22          programs, and the costs and the demand change in those programs  
23          are based on all this experience. We've been doing these  
24          programs for decades across the country, and we can,  
25          furthermore, as we apply these programs, learn from their

1 results over the first couple of years and modify our findings  
2 and really hone in on those numbers pretty well. And these are  
3 projected out over the lifetime of the measure. So this is  
4 going to be a 20 to 30-year estimate.

5 In comparison -- oh, great, I get some color here --  
6 the yellow sections here are numbers that are typically modeled  
7 statically in a RIM test evaluation. We assume that utility  
8 avoided costs are some forecasted future growth in fuel costs  
9 and generation plan, and we think, okay, that's pretty -- we  
10 pick sort of one scenario and model that. And on the bottom  
11 rates are also primarily the utility's expectation for how  
12 rates are going to work. And rates, again, are not just based  
13 on the cost, but they are also policy decisions of the  
14 Commission as to how rates will be structured. The balance  
15 between a fuel cost and a capacity cost and how those will be  
16 reflected on customers' bills.

17 So this calculation is not just simply an engineering  
18 calculation, it also reflects a view of the world over the next  
19 30 years in terms of fuel costs, in terms of generation  
20 additions, what kind of generation additions we're going to  
21 make, how much they are going to cost. Those are driven by  
22 decisions in China and India that affect the cost of these  
23 generation additions. Transmission and distribution, what are  
24 the costs of that? How is that going to work? What are other  
25 states going to do? Are they going to become the exporters or

1 importers of power? All of these things affect these numbers  
2 in reality, and we pick one future and put it into this test in  
3 order to evaluate this thing over here, which is the energy  
4 efficiency measure.

5           In theory, if it's well-applied, and it often is by  
6 many utilities, you've got a very consistent approach to  
7 evaluating the utility avoided costs and the rates. You use  
8 the same assumptions. But when you apply in many states, and  
9 this is -- I'm thinking here of Georgia where we've got this  
10 situation very acutely, we've got avoided costs being  
11 forecasted out into the foreseeable future at five to seven  
12 cents, but they're considering building nuclear power plants in  
13 the state at 10 to 12 cents a kilowatt hour.

14           So you've got a mismatch there in the equation based  
15 on this assumption. You've got rates based on one thing and  
16 costs, the benefits side of the equation, based on another. So  
17 you are underestimating the benefits, overestimating the costs.  
18 So you think you're evaluating this over here, but what you're  
19 really evaluating, again, going back to that graph I showed you  
20 earlier in the presentation, is the difference between these  
21 two numbers.

22           So it's sort of -- to conclude this part of what I'm  
23 presenting, the RIM test can really overstate the upward  
24 pressure or, theoretically, the downward pressure on rates,  
25 because most of the factors that really drive this part of the

1 equation here are really outside of the structure that really  
2 affects the -- excuse me, are outside of the cause and effect  
3 relationship between energy efficiency and system costs.  
4 Avoided fuel costs, those are outside of the control of this  
5 measure, because those are not -- those are not part of the  
6 utility's earning stream. Avoided fixed costs are critical.

7 The only place where energy -- excuse me, these are  
8 actual savings to the system right here. This is the area  
9 where there is actually an upward pressure, usually, again, in  
10 the short term only on rates, is the reduced contribution to  
11 system fixed costs. And the rate of depreciation and the rate  
12 design, both of those factors, how quickly we depreciate the  
13 plans, how rates are designed effect how big a factor this one  
14 is compared to these other two. It's supposed to have some  
15 different coloring here between this one and these two to  
16 distinguish the fact that this is the piece of this part of the  
17 equation that really reflects the upward pressure on rates.  
18 All of the rest of this really reflects other factors that are  
19 driving the overall system dynamics. And a lot of key  
20 assumptions are made that get lost in the final analysis.

21 These limitations are often ignored. I put a quote  
22 in here. I'm not going to read it. You can't read it from  
23 there due to this color situation. But the California Standard  
24 Practice Manual discloses these problems, and yet they are  
25 often ignored.

1           The RIM test is useful. I do want to emphasize that  
2 there are uses for it. It is not a completely misguided tool.  
3 It's useful for comparing programs with highly variable scopes.  
4 So, for instance, a program that has a strong component on  
5 demand response versus one that has energy efficiency -- if you  
6 are doing sort of internal comparisons or one that has  
7 different financing tools in place, it's useful for that. It's  
8 very useful for studying fuel substitution issues, when you've  
9 got things like gas hot water heaters or electric hot water  
10 heaters. It is, finally, also very useful for program design  
11 evaluations, just seeing how the program worked in practice and  
12 understanding how it might be improved. So for those purposes,  
13 I think the RIM test is useful. But I do not think it's useful  
14 for any of the three purposes that I set up at the beginning of  
15 the presentation.

16           So, again, here is what I said earlier about what the  
17 purposes of the cost-effectiveness definition might be. And  
18 here is my recommendations on this:

19           First, the system level commitment to demand-side  
20 management, I think that you need to set a DSM plan target that  
21 is analyzed more on an integrated resource plan framework. The  
22 underlying concept here is similar to the total resource cost  
23 test, but it is a multi-dimensional analysis of all of the  
24 potential supply and demand-side resources modeled together out  
25 in the future to see what is the lowest total system cost which

1 will result in the lowest average rate in the future, and that  
2 will reduce the upward pressure on rates most effectively if  
3 you look at that over the long term. And when you're making  
4 decisions about power plants and DSM programs that have 20 to  
5 30-year lifetimes, focusing on the next three to five years of  
6 rates is a mistake.

7                 Second, in the area of program evaluation, I think  
8 the total resource cost test is appropriate. And as the staff  
9 mentioned, there is a provision for consideration of  
10 externalities. I think those can be considered in that if the  
11 Commission so decides, and we would support adding some of  
12 those externalities in. Particularly we would support using  
13 some kind of a cost of carbon adder into these evaluations to  
14 reflect the fact that we are likely to see that kind of  
15 regulation at the federal and state level in the near future.

16                 And, finally, at the measure implementation level, I  
17 would argue for actually a more aggressive cost-effectiveness  
18 test. And what I have in mind here is sort of when the trucks  
19 roll, what do you do question. When the truck pulls up at the  
20 house or the business to deliver energy efficiency services,  
21 you should not be evaluating at that point the measures based  
22 on looking at the all-in costs of the program. You should be  
23 saying, now that I'm here, and now that I've made a decision to  
24 invest in Measures 1 through 5, if I on the spot discover that  
25 Measures 6, 7, and 8 look attractive, we didn't think they

1       were, the test should be, really, will the customers' total  
2       bill go down if we implement these programs? And then you need  
3       to sort of figure out what is the fair deal to strike between  
4       the utility or whoever the administrator of that program is and  
5       the customer in paying for that measure. But it really should  
6       be a customer rate test at that point, after the program has  
7       been designed, after the trucks have rolled.

8                 And this is to avoid the problem of stranded  
9       opportunities. Because once you're on site and you've invested  
10      in getting the program delivery personnel on site and you're  
11      ready to go, that is a huge investment, and it's not one that's  
12      likely to be repeated for that same customer again for many  
13      years. And so sort of postponing other measures that might not  
14      have been included or might be not quite cost-effective in that  
15      initial decision, at the point that you're there you need to be  
16      even more aggressive. And I could talk in more detail about  
17      that at another time when we're talking about program design  
18      and implementation.

19                 I would like to give credit in this. I've used a  
20      wide variety of sources, and I didn't want to provide all the  
21      citations for the work that we've done. At Southern Alliance  
22      we don't do our original resource. We very much stand on the  
23      shoulders of others. But I want to give special credit to a  
24      recent set of white papers from MSB Energy Associates that were  
25      presented to the Georgia DSM Working Group that our

1 organization participates in, and those were just released in  
2 the past few weeks. And I'm happy to share those with staff if  
3 that would be of interest.

4 Thank you very much.

5 MR. FUTRELL: Thank you, John.

6 Next up we have Mr. Chris James. Chris is with  
7 Synapse Energy Economics. He is appearing on behalf of  
8 Mr. Jerry Karmas with Environmental Defense has arranged his  
9 participation. And Chris is going to be joining us by  
10 telephone. We'll be operating his slides.

11 Chris, are you with us?

12 MR. JAMES: I am.

13 MR. FUTRELL: Okay. Go ahead, please. I'll be  
14 operating your slides. If you will just give us a notification  
15 when you want a slide to advance, we'll do that for you.

16 MR. JAMES: Great. And I really appreciate Chris  
17 Potts for helping me out this morning.

18 If I understand from John, do we have color for you  
19 all on the screen?

20 MR. FUTRELL: Yes. You're in good shape.

21 MR. JAMES: Okay. Great, because if we don't, some  
22 of my slides will be difficult to see.

23 I wanted to begin by just supporting John Wilson's  
24 points. The framework that he presented in terms of this issue  
25 is correct, and his statements on sort of the scope, the lost

1 opportunities, those type of things are very important to  
2 consider. And I will be highlighting those as I go through my  
3 presentation, but I first wanted to recognize John and his  
4 great work and also to indicate support for that.

5 The perspective that I'm going to be showing this  
6 morning is really from a national lens with a number of recent  
7 studies and facts that we have seen over the last six to 12 or  
8 18 months. And I'm doing this to provide an overall context  
9 for you all that are considering this important issue. There  
10 are a number of important international and global factors that  
11 are affecting how we view all energy issues, and I think the  
12 opportunities that Florida has today to consider this issue  
13 going forward really can emphasize the degree to which  
14 demand-side management programs can help to sort of emphasize  
15 local control over what really is becoming a very tough issue  
16 to deal with on the global and international level.

17 So, Chris, if we could go to the second slide in  
18 terms of the overview of my presentation this morning to  
19 provide that context. We have seen the cost of new generation  
20 escalate substantially, and this is really happening across the  
21 country, regardless of whether we are talking about a coal,  
22 oil, natural gas, or a nuclear plant. We have seen significant  
23 increases in costs for both labor and materials. The factors  
24 that are driving these increases are not temporary. John  
25 alluded to what is occurring in China and India, and certainly

1 those factors are going to continue.

2                 In the last year, in part because China has become a  
3 net coal importer, domestic U.S. coal suppliers have actually  
4 recognized that they can increase their profits by accessing  
5 international markets and, in fact, are doing so. Coal from  
6 the United States is now being shipped to other countries, and  
7 that is putting pressure on domestic fuel prices, as well.

8                 In addition, just the general increase in raw labor  
9 and materials costs have risen dramatically since 2003. And,  
10 again, that is pretty much across the board, regardless of the  
11 materials that you're discussing.

12                 If we could turn to the next slide, Chris. Again,  
13 John made this point eloquently. What we are really focusing  
14 here on is that consumers pay bills. Indeed, in the short  
15 term, rates may go up, but their bills will decrease. If I'm a  
16 business, and I install very efficient lighting and variable  
17 speed drives and motors and, you know, more efficient HVAC  
18 systems, I will see those benefits immediately. If incentives  
19 are used to help pay for those, those, indeed, may raise rates  
20 in the short term, but the benefits start immediately and are  
21 cumulative, depending on the life of the measure being looked  
22 at. And we generally use a period of eight to 14 years,  
23 depending upon the particular measure or the portfolio of  
24 measures being considered.

25                 Go to the next slide. There is quite a bit of good

1 news, however, especially in the New England and Middle  
2 Atlantic regions. In the last two years, the independent  
3 system operator for New England completed an exercise that we  
4 refer to as the forward capacity market. And in that  
5 proceeding demand-side measures are valued the same as  
6 supply-side resources. And what we saw in the first auction  
7 that was completed just two months ago was that over 600  
8 megawatts of demand-side resources cleared that auction, and we  
9 believe contributed to overall lower capacity prices that will  
10 be seen in New England. As more demand-side measures -- and I  
11 use demand-side measures also to include demand response, which  
12 we have a fairly aggressive program here. So as those continue  
13 to develop, we will expect for capacity prices to be reduced  
14 even further in subsequent auctions.

15 The second point is that in both average efficiency  
16 programs, as well as what we refer to as leading programs,  
17 those states that I've shown in the third bullet, for example,  
18 the costs of these programs and the savings are being achieved  
19 at less than half the cost of new generation. Leading states,  
20 such as Connecticut, Vermont, and California are achieving  
21 savings at one percent of sales, for example. Connecticut and  
22 Vermont are in a trajectory to achieve 2 percent of sales this  
23 year or next. And, actually, Vermont is even on a higher  
24 trajectory than that.

25 Several states have passed legislation that requires

1 all cost-effective efficiency to be obtained in those states.  
2 Those include five of the six New England states, basically all  
3 six New England states except for New Hampshire, California,  
4 and then we have seen recently in Maryland with the Empower  
5 Maryland Act that passed just two weeks ago, and then a recent  
6 action by New York to direct NYSERDA to develop a plan that in  
7 these states there really seeing starting as early as 2010 not  
8 only the ability to flatten load growth, but actually to  
9 decrease it in real terms. And that will produce significant  
10 savings in those jurisdictions.

11 The last bullet recognizes a provision that's  
12 included in Senate Bill 2191, which is also known as the  
13 Lieberman-Warner Bill. There is a provision that allows states  
14 that have adopted energy efficiency programs, decoupling,  
15 aggressive building codes, et cetera, to be eligible for extra  
16 greenhouse gas allowances in the first three years after that  
17 legislation passes and is enacted. And, obviously, those  
18 allowances do have monetary value that is an additional benefit  
19 to those states that have passed those programs.

20 If we could have the next slide, Chris. On the  
21 supply side, I just want to talk in a little more detail about  
22 the economic influences that we are seeing. In addition to the  
23 cost of new generation and the fuel, material, and labor cost  
24 increases that we are seeing, supply-side resources are exposed  
25 to a higher risk from greenhouse gas regulations, as well as to

1       future volatility from fuel price. Also, continued reliance on  
2       supply-side resources increases our risk to energy security, as  
3       well as, you know, exposing overall to climate change and  
4       global warming.

5               Okay. Go to the sixth slide, and I'll get into some  
6       details on the cost of new generation. Recent filings that we  
7       have seen reflect that new coal prices are coming in at 9 to 11  
8       cents per kilowatt hour. A recent filing by Baltimore Gas and  
9       Electric is expecting even higher costs of 10 to 12 cents per  
10      kilowatt hour. We are seeing similar trends in oil and gas,  
11      and for nuclear we have seen even higher trends. Some of you  
12      may be aware of the FP&L announcement that expected nuclear  
13      costs to come in at what are predicted to be very high rates  
14      going forward.

15               These costs are increasing due to a variety of  
16       factors, not only due to global demand, but in many cases the  
17       labor rates themselves have increased. For example, in one  
18       filing that we reviewed in Oklahoma, the architect and  
19       engineering costs rose from about \$220 per kilowatt hour to  
20       \$350 per kilowatt hour just over an 18-month period. The  
21       reason for that is that a lot of firms that were affected by  
22       the last recession in 2000 and 2001 have not restaffed in part  
23       because of uncertainties of the market. And in so doing there  
24       is an incredible demand for their resources and they have had  
25       to raise rates in order to, you know, supply that demand. And

1 we don't expect that staffing to increase, especially with the  
2 current uncertainty that we are seeing.

3 At the bottom of Slide 6, this table comes from a  
4 recent report that Synapse released. It was a report that we  
5 prepared for the Grace Foundation called "Don't Get Burned, the  
6 Risk of Investing in New Coal Plants." And this is just an  
7 abstract of some of the materials price increases that we have  
8 seen, nickel, copper, cement, iron and steel, et cetera. The  
9 first column after the commodity where it shows average  
10 escalation from 1986 to 2003, basically reflects an increase  
11 that was approximately the same as that of inflation.

12 The next column is the average annual escalation that  
13 we have seen from December 2003 to April 2007. And then the  
14 final column on the right is the difference between the recent  
15 increase compared to the historic average. And you can see  
16 that it has just been a significant increase across the board  
17 for all those materials that are then reflected in the costs  
18 that we are seeing for new generating plants.

19 Go to Slide 6 -- excuse me, Slide 7. In addition to  
20 construction costs, the fuel prices are also driving rate  
21 increases at existing plants. We're seeing a number of  
22 requests for rate increases across the United States. This is  
23 just a sampling of several that have been filed recently,  
24 starting with the AEP filing in West Virginia at the end of  
25 February to raise rates by 17 percent due to an increase in

1 coal prices. Wisconsin Power and Light has filed for a fuel  
2 rate increase there. Southern California Edison, ditto,  
3 because of natural gas prices. And, finally, Center Point in  
4 Minnesota has filed a rate increase due to the increase in  
5 natural gas. This is just a sampling across the United States.  
6 There are many such others that you are probably aware of or  
7 have heard about, and this is something that we follow quite  
8 closely.

9                 The next slide, Chris. Going forward in the future,  
10 we don't see this trend changing. EIA, which is fairly  
11 conservative in terms of their forecast typically is showing  
12 higher natural gas prices in the near future to continue,  
13 especially the increased demand from India as well as other  
14 countries. We expect to see that price pressure sustained.

15                 Okay. Let's go to the next slide, Slide Number 9.  
16 So, what can we do on the demand-side to limit risk? And these  
17 measures that I had mentioned earlier are much more  
18 cost-effective than supply-side measures. The first point that  
19 I wanted to make is that energy efficiency and conservation are  
20 typically defined differently. Energy efficiency are the day  
21 in, day out measures that are working whether it's lighting, or  
22 motors, new building design, those type of things that are  
23 available, you know, 24/7.

24                 Typically, the word conservation is applied during  
25 periods of peak demand when folks are asked to or businesses

1       are asked to shift load to a different period or to do  
2       something more aggressive than they would otherwise do. And I  
3       know the terms are used sometimes interchangeably, but in the  
4       states that we have worked in and in our previous proceedings  
5       we are familiar with, we try to distinguish those two. And  
6       energy efficiency being the preferred term to talk about the  
7       types of programs that are the subject of this workshop today.

8                  To complete the three-legged stool on the  
9       demand-side, the demand response is very important for periods  
10      of peak demand, especially where we see loads being driven, for  
11      example, by winter electric heating or in summer by  
12      air-conditioning. Demand response programs can help with  
13      energy efficiency to reduce peak hourly prices during those  
14      periods that often coincide with extended periods of hot, humid  
15      weather or very cold weather.

16                  There are a number of benefits in addition to energy  
17      benefits from demand response. Obviously, you're deferring the  
18      need to upgrade or install new transmission lines. There are  
19      benefits to reducing peak hourly prices. And for states that  
20      import power or import power during certain periods,  
21      demand-side measures can decrease the amount of imports needed,  
22      as well. And there are a number of environmental benefits. In  
23      addition to greenhouse gases, reductions in ozone precursors as  
24      well as fine particulate matter, both of which are significant  
25      air quality issues in many parts of the United States.

1               Okay. Let's go to Slide Number 10. In this slide,  
2 which I hope you all can see clearly, there are a lot of  
3 numbers there, but this is an evaluation of a commercial  
4 lighting program from Xcel Energy in Minnesota. Minnesota is  
5 one of a couple of states that uses all five of the California  
6 tests. And what's, I think, important here is that if you look  
7 at the rate impact test column, which is in the middle, these  
8 measures would have failed using RIM by about two mills, and  
9 would not have been implemented in Minnesota. This would have  
10 left a tremendous amount of savings on the table, as well as,  
11 obviously, not being able to reduce demand in that state.

12               And I think another point that I would make from this  
13 is on the participants' net costs where you see incremental  
14 capital and incremental O&M and rebates, the rebates represent  
15 the participants' costs, which include program administration.  
16 The rebates are about 20 percent of the total in this  
17 particular example. And obviously this is a commercial and  
18 industrial sector example.

19               In the residential sector, which is more  
20 decentralized, some incentives may be higher, though one of the  
21 trends that we have seen in that sector is rather than provide  
22 incentives directly to the consumer, the typical one being a  
23 reduction in like a compact fluorescent light bulb, a lot of  
24 programs are actually directing incentives upstream to the  
25 manufacturer so that the manufacturer is encouraged to produce,

1 say, more efficient appliances that would then be sold  
2 throughout their state. The net benefit to the consumer is the  
3 same, but the actual overall benefit from the company's  
4 perspective is much greater and has much more certainty. And  
5 that trend is being seen in a number of the leading states now.

6 Let's go to the next slide. Just to talk about RIM a  
7 little more. John has done a great job, I think, going through  
8 the equation and factors and things like that, but I wanted to  
9 provide a little more background based on our experience. The  
10 first point being that something that is free will fail the RIM  
11 test. If I'm giving away some more efficient measure or  
12 whatever it may be, and I run that through the RIM equation, it  
13 will result in a ratio of less than one. And that seems to be,  
14 at least from a conceptual basis, you know, a rather strange  
15 result.

16 Another point that I would make is that if RIM were  
17 applied to supply-side resources, only new plants that reduce  
18 rates would be constructed. And I think we would agree that  
19 that would result in very few new generating plants being built  
20 if the same tests were applied on the supply side as they were  
21 on the demand side. We would not build many plants at all.

22 The third point is that a number of non-participants  
23 who choose to participate will certainly save more in direct  
24 energy costs than they would if they chose not to participate.  
25 In the next two slides I want to show just some examples of

1 what are happening in several leading programs now across the  
2 country.

3 So if we could turn to Slide Number 12. These are  
4 summaries of programs from Vermont, California, Connecticut,  
5 and then Sacramento. And there are a lot of data on this  
6 slide, and I certainly will not go through this in detail,  
7 given time, as well as I'm sure you all want to eat lunch at  
8 some point. But the take-home messages here are that the row  
9 that has annual megawatt hours saved over megawatt sales,  
10 Vermont, California, and Connecticut are achieving  
11 approximately one percent of sales in this slide. And this is  
12 for the period 2004 to 2005. These have actually increased  
13 quite a bit since this slide was prepared. This was taken from  
14 the National Action Plan for Energy Efficiency Report that was  
15 prepared by EPA and the Department of Energy. Both Vermont and  
16 California, as I mentioned, are on a trajectory to achieve much  
17 higher rates than that.

18 Slide 13, which has the same four jurisdictions,  
19 talks about the cost of energy efficiency and the avoided cost  
20 in each of those jurisdictions. You see that the lifetime cost  
21 of energy efficiency is somewhere between one and three cents  
22 per kilowatt hour, and that the cost of energy efficiency as a  
23 percent of avoided energy cost in Vermont, California, and  
24 Connecticut is all less than 30 percent. And even in  
25 Sacramento, it's still only 63 percent of the avoided cost.

1               Okay. The next slide is a slide that one of my  
2 colleagues is putting together and it will be presented at the  
3 ACEEE conference in August. So you all are actually the first  
4 people to see this slide, because the paper is still in draft  
5 form, and this is a view that looks backwards. I know there is  
6 a lot of dots there. I'm assuming -- I'm hoping there is a lot  
7 of different colors that show up. But this is a view that  
8 looks backwards at all of the programs that you see listed  
9 there, Connecticut, Massachusetts, Seattle, Pacific Gas and  
10 Electric, et cetera. And we looked at what these companies and  
11 municipalities have been able to achieve as a percent of sales  
12 and what the costs are.

13               And as a result of that analysis, this graph, we  
14 think, shows some very, you know, illuminating things. The  
15 first being is that it appears to debunk one of the theories  
16 that many folks had, including many energy efficiency program  
17 managers, that the deeper the savings are that at some point  
18 your costs will increase. We have not seen that as yet, even  
19 at, you know, one to two percent savings as a percent of sales.  
20 If anything, it appears that the costs are flattening or  
21 perhaps even decreasing.

22               And, you know, I want to emphasize this is a  
23 backwards view, you know, looking at what has been achieved to  
24 date. It does not make any forecast about what might happen in  
25 the future. But it certainly is, we think, a very great

1 snapshot in terms of what has happened, and these are all  
2 current data.

3 One of the reasons we sort of drilled into why we  
4 were seeing these factors was that the assumption being that  
5 the deeper you went in efficiency that the farther up the  
6 supply curve you will be and, therefore, higher costs. The  
7 reason that we are not seeing that so far is that in many cases  
8 we're seeing technology advances over time to meet the  
9 challenge, to meet the certainty that is provided by these  
10 programs. And there have been a number of economies of scale  
11 that have been able to have been realized as a result of the  
12 programs that have been implemented in these jurisdictions.  
13 This may change in the future, especially in those states that,  
14 as I alluded to earlier, have passed all cost-effective  
15 efficiency programs. But even so, when the cost of new  
16 generation is 9 to 11 cents, we have quite a ways to go before  
17 we even come anywhere close to that, even at half of those  
18 rates.

19 All right. Let's go to Slide 15. I just want to sum  
20 up a little bit here before getting into my recommendations  
21 section. On oil and gas, we're seeing world oil demand and  
22 supply continue to escalate. All of the forecasts coming out  
23 of EIA and other governmental agencies expect oil to remain  
24 above \$100 per barrel for the rest of this year. Gasoline  
25 prices are now at record levels and those are expected to

1 continue, as well as the uncertainty over those prices.  
2 Natural gas prices are expected to remain high, as well. And  
3 residential electricity prices are expected to grow as a result  
4 of the fuel increases that we have seen this year and in the  
5 past.

6 Slide Number 16. Going forward, I wanted to just try  
7 to capture some of these elements and put them in the  
8 recommendations. The rate impact measure test is one of five  
9 tests that can be used. Some states like Minnesota and  
10 Wisconsin use all five, and that can be a very good way to look  
11 at different programs. I think John made this point,  
12 especially when you are talking about programs that allow  
13 switching between gas and electric, it can be an effective  
14 measure for that.

15 The sole use of RIM, though, tends to have a snapshot  
16 view of what's occurring and misses the real opportunities to  
17 achieve cost-effective savings that accumulate over time and  
18 are less than half of that cost of the new generation. Energy  
19 efficiency load management and demand response are all part of  
20 a diverse portfolio and certainly should be considered in that  
21 context.

22 I would also mention that demand reductions benefit  
23 everyone, even those who don't participate or install the  
24 measures. Reduction in peak electricity demand reduces prices  
25 during those hours. Reduction in base also reduces prices and

1 also reduces the need for less efficient and more expensive  
2 resources to operate.

3 Slide 17. Additional benefits, including the T&D  
4 deferrals and that the way that the Lieberman-Warner Bill is  
5 currently constructed, states are eligible for extra  
6 allowances. Florida is not currently eligible for those  
7 allowances, but it could be if it were to impose or pass  
8 legislation requirements that are consistent with those that  
9 would satisfy the eligibility criteria for those provisions.

10 In terms of how this could be achieved -- the next  
11 slide, Chris -- Florida can, indeed, ramp up its existing  
12 demand savings over a five or so year period, the one percent  
13 of sales, and probably better than that. We think that's a  
14 fairly average type of increase that could be achieved. And I  
15 wanted to, you know, just emphasize that demand-side savings,  
16 we try to think of them as bonds, as part of a, you know,  
17 rational and diverse portfolio, reducing risk exposure to rate  
18 and bill increases and that the benefits accumulate over time.

19 My next slide has contact information as well as a  
20 phone number. I wanted to conclude with just a little more  
21 background based on experience. When a lot of the eastern  
22 states as well as western states restructured their electric  
23 markets in the late 1990s, there was considerable resistance to  
24 incentive type programs for energy efficiency as well as  
25 renewable energy development from business and industry

1       associations. But what we have seen -- and many of the members  
2       of the associations now sit on the boards of the efficiency  
3       programs. What we have seen is these associations are now some  
4       of the best supporters of these programs, because they've seen  
5       the benefits that their members can directly achieve. We've  
6       had customers here in the northeast, commercial and industrial  
7       customers, install measures and immediately see their bills  
8       decrease by 20 to \$50,000 per year. That's a very effective  
9       message going forward, and it's one that is certainly nice to  
10      see from across the board, and not just from, you know, an  
11      advocate's position, but that business understands the benefits  
12      of efficiency as well as the long-term accumulated benefits, as  
13      well.

14                   So I want to thank everyone for listening, and thank  
15      the staff for their work in patching me in as well as getting  
16      my presentation uploaded. And I understand there is time for  
17      questions now if I remember the format of this workshop.

18                   Thank you very much.

19                   MR. FUTRELL: Thank you, Chris. And we are going to  
20      just move on in our agenda to our next speaker. Thank you for  
21      participating.

22                   And next we will have Mr. Gary Brinkworth with the  
23      City of Tallahassee to talk about their recent analysis of  
24      energy efficiency programs and the programs that they are  
25      offering.

1                   Gary.

2                   MR. BRINKWORTH: Well, I'm going to be doing sort of  
3                   a little different presentation than what we've been seeing so  
4                   far today. I'm going to talk a little bit about the actual  
5                   experience we had here in the City of Tallahassee in terms of  
6                   selecting cost-effective DSM as part of our recent integrated  
7                   resource planning study, and talk a little bit about how we got  
8                   from where we were on DSM portfolios to where we are now, and  
9                   how we integrated that analysis into our IRP process.

10                  As it says, we did develop those during the IRP  
11                  study. We used kind of a unique analysis that doesn't really  
12                  involve any of the five standard tests, but it mimics a couple  
13                  of them, and we are going to talk about that as we kind of go  
14                  along. It's an ambitious expansion of the city's current DSM  
15                  portfolio. You can see some of the statistics I'm showing you  
16                  at the bottom of this slide. A fairly significant reduction in  
17                  demand and energy by the end of our planning period there,  
18                  which was 2026 for the last study that we did. And,  
19                  furthermore, it's going to ensure -- the current portfolio will  
20                  ensure that we actually will need no new resources in our  
21                  overall portfolio until after 2016.

22                  So let me talk a little bit about how we got to this  
23                  new portfolio. We started with a pretty traditional DSM kind  
24                  of analysis based on RIM and the participant test used to  
25                  select measures that we were going to include for consideration

1       in the IRP study. We looked at about 191 measures as part of  
2       our first step screening process.

3                  Our avoided unit at that point was a gas-fired  
4       combined cycle unit. When we ran the traditional tests,  
5       nothing passed the RIM. Too attractive -- the avoided unit  
6       actually was kind of too attractive based on our current  
7       generation portfolio and, of course, we had the lost revenue  
8       issues that you've been hearing discussed this morning already.  
9       And so as a result, we didn't have anything that passed. We  
10      went back before our city commission and said, you know, that's  
11      not really going to give us anything in terms of a dynamic  
12      portfolio to choose from when we finally get to running our  
13      cases in the IRP. And so we asked for permission from our  
14      commission to use a slightly different method than we had  
15      historically used, and that was to come back and say, all  
16      right, what if we choose everything that passes the participant  
17      test and the TRC test, and it can score on RIM anything all the  
18      way down to .75, and maybe that will generate more results for  
19      us.

20                  And so when we did that analysis, we found out that  
21      we had -- we went from nothing passed to 38 measures that  
22      passed, and you can see the statistics here. Most of those  
23      were commercial measures that actually passed that composite  
24      analysis, that would pass participant and TRC and then pass  
25      with a RIM score above .75. It still didn't give us quite the

1       bundles that we were looking for, and so the commission said go  
2       back and try again. So we backed up and put together a new  
3       team to help us out, including Navigant Consulting, and also  
4       some folks from Synapse, who we just heard a discussion from  
5       just a minute ago.

6                 And we started kind of back at the beginning and  
7       said, all right, what we want to do is characterize, perhaps, a  
8       more complete list of measures. And, in fact, we ended up with  
9       a new set of 269 measures that we hadn't looked at before in  
10      addition to the ones that we had already looked at. And what  
11      we decided we wanted to do was take an approach that, first of  
12      all, looked at the DSM measure on a leveled basis against a  
13      comparable supply-side resource with an idea that what we would  
14      do is screen out those things that were actually more expensive  
15      than the supply-side alternative, carry only those ideas or  
16      measures that passed that busbar screening into the next step  
17      where we would go and build bundles. And so that was the next  
18      step.

19                 As we looked at market potentials, we looked at  
20      implementation rates and penetration assumptions and built  
21      various bundles of measures, and then did a little of what  
22      Navigant calls a meta-analysis. We looked at a bunch of other  
23      studies that had been done around the country to see what level  
24      of system savings other people were seeing. So that as we were  
25      building up our bundles into a portfolio that we were not

1 getting a result that was inconsistent with what we were seeing  
2 around the country. So it was just kind of like a benchmark  
3 check.

4 And then we went and developed hourly load shapes for  
5 these bundles. So we put together measures that made sense  
6 into bundles that attacked either end uses or particular market  
7 segments and then created hourly load shapes that represented  
8 how that bundle behaves over time. And then we rolled all  
9 those up into a portfolio and used it as a modifier to the load  
10 forecast that's part of our integrated resource planning  
11 process.

12 So the measured data -- this is just a slide that  
13 kind of points out what we pulled together. Everybody kind of  
14 knows how to do this. A lot of the measured data came from  
15 places that had just done some pretty expensive -- I'm sorry,  
16 pretty extensive studies. This study of ours we did beginning  
17 in 2004 and it felt like it lasted 20 years. If you were here  
18 locally, you know, you sort of thought that. We thought it  
19 lasted 20 years. It didn't get an approval from our commission  
20 until December of 2006. So it was like a two-year analysis. A  
21 lot of these sources -- there are some new sources that came  
22 out during the course of that process. But these are kind of  
23 where we got the things with Navigant in the lead trying to  
24 help us put all this stuff together.

25 So let's talk a little bit about the busbar screening

1 step. This is really where we started our process. We took  
2 these measures that Navigant had pulled together for us, and we  
3 calculated the leveledized cost of these measures over the life  
4 of the measure, and then compared it to a supply-side resource  
5 that has a comparable duty cycle and leveledized the cost of that  
6 resource over the life of the measure. So that we are  
7 basically comparing apples and apples as close as we can on  
8 supply side and demand side. And then said what we would do is  
9 we would take all the measures that were cheaper than  
10 generation based on that definition.

11 So now this is a slide of just an example of one of  
12 several of the curves that we used in this particular process.  
13 And what you see, again, is my colors turned out sort of okay.  
14 We're still having some color opportunities (sic). But the  
15 three curves that are on this slide are peaking resources;  
16 LM6000A, the 7FA, and the 7EA combustion turbine, which run  
17 between -- and this is a 20 to 30 percent capacity factor  
18 chart. So you have peaking units on here. And then what you  
19 do is you plot the leveledized cost of all of those DSM measures  
20 that have a similar duty cycle, a 20 to 30 percent capacity  
21 factor duty cycle. And what you see is virtually everything  
22 passes in terms of being cheaper than supply.

23 Now, there is just a couple of things that are more  
24 expensive, and we sort of labeled those so we would kind of  
25 know what they are. A couple of PV systems that are really

1       expensive, a particular CFL replacement program, and one of the  
2 assumption on Energy Star dishwashers. But pretty much  
3 everything else is below these curves. We found that kind of  
4 to be the case across the board when we looked at this, and so  
5 the screening step didn't really reject measures so much as it  
6 just confirmed what we thought going in, which was most of  
7 these conservation measures were going to be cost-effective or  
8 we should carry them forward into the analysis.

9           So even though those three or four dots show up above  
10 the curve, we actually carried those over and put them in  
11 bundles, as well. So we didn't actually use that screening  
12 step to reject anything, it was just kind of there to give us  
13 another sense of what was cost-effective, maybe, and how it fit  
14 together.

15           Now, in this slide the colors didn't come out at all,  
16 but this is pretty basic stuff anyway. Market-size analysis,  
17 of course, starts with the overall markets. You begin to cut  
18 that down through various stages of eliminating things like  
19 only the facilities and homes and businesses with a particular  
20 end use that you're targeting. You look for only the feasible  
21 solutions that you can do in those facilities. You try and get  
22 rid of your free riders, and then we also took only the willing  
23 customers, because we know there are some group of customers  
24 that won't do it regardless. So that gets us our market size.

25           And then on market penetration we assumed some fairly

1 aggressive things to get us good market penetration. One of  
2 those was pretty aggressive incentives. Now, the City of  
3 Tallahassee's programs up to this point were all loan-based  
4 programs. We didn't really give incentives. What we did was  
5 we loaned customers money at a fairly low rate and we collected  
6 that on their utility bill.

7           What we're doing now is talking about incentive-based  
8 programs, and so one of the things that we did was move in a  
9 direction of looking at some fairly aggressive incentives,  
10 because what we wanted was a two-year payback period, generally  
11 speaking, for most of our measure bundles. And so that meant  
12 we were going to have to give some fairly aggressive numbers,  
13 put some fairly big dollars on the table which our commission  
14 had to agree to approve in order to stimulate customer  
15 participation. And you see some of the examples on this slide  
16 of what we chose to do. And we used kind of guiding principles  
17 for payback acceptance based on -- particularly in the  
18 residential marketplace you can see two and three-year payback  
19 periods, kind of move your acceptance a little bit.

20           And that's really what this next slide is about. The  
21 curve on the left is a residential payback acceptance curve  
22 that shows what percentage of market penetration you achieve  
23 with what kind of payback. We capped our market assumptions at  
24 80 percent of the willing customer market just as a  
25 conservative estimate. The curve on the right, of course, is a

1 penetration curve that assumes a fairly traditional kind of  
2 grow your market penetration over time, so you don't assume  
3 that you jump right out with a big -- with a big penetration in  
4 your market because you have to roll out your program, you have  
5 to get your customers to buy into it. So both of those  
6 characteristics were also included in the way that we built our  
7 bundles.

8               When we got the bundles in an area where they were  
9 beginning to look like that we could estimate an impact in the  
10 savings number, at least from a static test perspective, we  
11 then jumped over and look at this meta-analysis step. And  
12 said, okay, are we way out of line? Are we consistent with  
13 what other people are doing? Basically, the end result of that  
14 analysis was to tell us we were pretty well on target. Because  
15 on the average, at least of the studies, the current studies  
16 that we looked at at the time, people were projecting .7 to .9  
17 percent of sales as an annual average savings number. Our  
18 analysis to that point of the bundles showed that we were going  
19 to have about that number, about .7 percent. So we felt pretty  
20 good about what we had come up with in terms of just the  
21 bundles and what their impact was going to be.

22               Load shape development. Again, at that point in time  
23 our best data was a data set from California. So we took  
24 hourly load shape data from that California data set for the  
25 bundles, now, not for the individual measures, because we had

1 rolled those measures up into bundles that attacked particular  
2 end uses or market segments. And then we mapped all of our  
3 measures into these bundles, rolled them up into one or more  
4 portfolios that I'm going to talk about in a minute, and then  
5 ran them through our IRP tool.

6 So our cost-effective test basically happened in the  
7 integrated resource planning runs, the 25-year present worth  
8 revenue requirements analysis where you're looking at various  
9 permutations and combinations of supply-side resources. We did  
10 apply the DSM portfolio as a load modifier. So what happened  
11 is we made the going-in assumption let's apply the portfolio  
12 and then let the software optimize around that portfolio to see  
13 what other supply-side resources it would choose given the  
14 assumption that that DSM portfolio was fully effective.  
15 Then we went back and tested other variations of the DSM  
16 portfolio and did that again.

17 So we assumed, like, what if you only get half of  
18 what you thought that portfolio was going to be? You go back  
19 and run the optimization again. We made some assumptions about  
20 some program impacts being frozen after a certain point in  
21 time. If you only had a certain amount of willing customer  
22 participation, what was going to happen there. So we did  
23 several iterations of this optimization, and then let our  
24 criteria, if you will, be the leveled present worth revenue  
25 requirement number that we would ordinarily use in any other

1 system planning analysis when it comes to the end of choosing a  
2 case out of the IRP study.

3 This is a slide -- these next two just kind of give  
4 you an idea about what is in our portfolio as a result of that  
5 analysis, and these are just kind of grouped. Again, you can  
6 see they are end use kind of things. These are not bundles  
7 that are particular measures. It should be no surprise, given  
8 our climate and everything, that about 42 percent of this  
9 summer peak reduction comes from space conditioning measures,  
10 that's changes in HVAC systems, controllable thermostats,  
11 insulation, all those things that have something to do with  
12 space cooling or space heating.

13 And the same thing is true here in the annual energy  
14 savings. Again, dominated by space conditioning, 47 percent of  
15 the portfolio is really in that end use. Both residential and  
16 commercial applications are in this portfolio, by the way.

17 Now, this is a curve that kind of shows you where we  
18 ended up in terms of our load forecast. This is our load  
19 forecast. The line at the top is the load forecast without any  
20 DSM on it at all. This green line right here is if we only do  
21 the residential part of the portfolio, and then the blue line  
22 is if we do the residential and the commercial portfolio. And  
23 you can see actually that what ends up in this portfolio,  
24 because of the way it's designed, that we basically have flat  
25 demand growth. It actually dips down a little bit here in the

1       2016, 2017, 2018 number.

2                 When we get out here to 2026, that peak demand right  
3 there is about eight megawatts below what our peak last year  
4 was. So we've essentially created a portfolio that's going to  
5 flatten our load over a 20-year period, presuming that all of  
6 our customers, of course, step up to the table. And those of  
7 you that are our customers, we're expecting you to jump on  
8 board, okay, and be part of this success story.

9                 This is one of the several charts that I used with  
10 the city commission to show that this was a smart idea without  
11 getting into all of the pain and grief and agony of what those  
12 cases are at the bottom of this chart. These bars show the  
13 present worth revenue requirements over the 20-year planning  
14 study window for four different assumptions that relate to the  
15 DSM portfolio. One is that we don't have a DSM portfolio.  
16 That's what the base is. That's these blue bars. The red bars  
17 are the portfolio, the way it was designed for 100 percent  
18 achievement of what's called achievable potential, which  
19 recognizes these willing customers and all that kind of stuff.

20                 This bar that you can't see, it's actually a  
21 different color, this one is no new participation after 2016.  
22 So we said what happens if regardless of what we do, we can't  
23 get anybody until after 2016, but we continue to spend money to  
24 promote the program, we just don't get anymore folks. And then  
25 the last bar over here is what if we only get half of what we

1 had projected originally. So this is like a 50 percent  
2 scenario. So we would promote the program, but we only get  
3 half of the participation.

4           What you see is that without exception, the plans  
5 that include some version of this DSM portfolio are clearly  
6 less expensive on a present worth revenue requirements basis  
7 than the plan that had only the very minimal DSM that's part of  
8 our embedded programs right now. And some of these variations,  
9 for those of you that may be system planner geeks like me in  
10 the audience, know these numbers are on a 20-year PWR basis.  
11 Those differences are huge in planning cases, because we're  
12 talking about a long period of time with a lot of growth in  
13 costs and load.

14           So there wasn't any question in our commission's mind  
15 that we ought to do this. And so even before the whole  
16 planning study was done, they had already directed us to do all  
17 this DSM anyway, and then we would work out the optimized  
18 supply scenario after that.

19           So this slide is in here just to kind of acknowledge  
20 there is some good and bad things about this method that we  
21 applied. We think the good things include -- we did a  
22 cost-effectiveness screening up front. We kind of looked at  
23 this supply versus demand kind of thing on a busbar basis.  
24 Again, like I said, we didn't reject anything, but we think it  
25 was a good step for us. We think that approaching this DSM

1 planning process in bundles the way we did, rolling them up  
2 into a portfolio, makes more sense because we focused on the  
3 end uses or market segments, which is really the way that you  
4 end up rolling out these programs anyway. You don't really  
5 roll them out as individual measures so much as you are trying  
6 to tack in uses. So we like the fact that we rolled them up.  
7 We like the fact that it is a dynamic analysis, because it  
8 allowed us to recognize what happens to system dispatch and how  
9 that changes and how costs change over time as opposed to  
10 taking a snapshot or a static analysis like many of those  
11 California tests do.

12 And, lastly, it was really understandable from our  
13 policymakers' perspective. It was easier for us to come in and  
14 talk about this portfolio and the bundles and how it changed  
15 our overall plan, than to get down into arguing and talking to  
16 them about what a benefit/cost ratio was and what the  
17 difference between RIM and TRC is. So we like the way that we  
18 were able to present the information.

19 Now, on the maybe minus side -- and, of course, I  
20 think that first bullet is probably true of just about any  
21 method that we use these days for DSM cost-effectiveness. When  
22 you have a supply-side alternative that is really low cost and  
23 very available to you as a utility, it's very hard for the DSM  
24 measure to beat that option, particularly when you're looking  
25 at this on a present worth revenue requirements basis over the

1 life of a long-range IRP study.

2                 And the other one is maybe it requires a little bit  
3 more effort. Clearly, it was a team effort from our  
4 perspective and took a long time to wade through all the  
5 measures to build up the load curves, to put things together in  
6 bundles, and then to run those scenarios through the IRP. So  
7 it's a little bit more process oriented, but we think that it  
8 is applicable to other folks.

9                 Now, will other utilities get the same kind of  
10 results we did? Probably not, because our circumstances are  
11 pretty unique in terms of our current generation fleet and our  
12 fuel mix. But we think the approach offers some interesting  
13 opportunities to incorporate the dynamic nature of what you  
14 would ordinarily do in IRP modeling anyway, with a cleaner way  
15 maybe to select DSM options.

16                 So, that's it.

17                 MR. FUTRELL: Thank you, Gary.

18                 Next we've got Mr. David Barclay. David is with the  
19 Gainesville Regional Utilities. He's got a few comments on  
20 their approach to DSM.

21                 David.

22                 MR. BARCLAY: Thank you and good afternoon.

23                 I'm going to go with a little bit different of a  
24 presentation, kind of like Gary did. And I think it kind of  
25 matches up, kind of the next step after the work that

1 Tallahassee has been doing.

2 Just a little background. Gainesville Regional  
3 Utilities, this is who we are. Our peak capacity, 481 last  
4 summer, and our total installed capacity is 611.

5 And these are our DSM commitments as they stand right  
6 now. And you can basically see that we have an incremental  
7 demand commitment of 48 megawatts through 2017, and 128,000  
8 megawatt hours through 2017. This translates to approximately  
9 a 60 percent decrease in demand and growth for our utility and  
10 a 22 percent decrease in energy growth for our utility through  
11 2017.

12 And I just put one graph in my slide presentation  
13 that kind of shows you how we're diverging from the historical  
14 trend of -- the other line is not showing up, but there is  
15 another line that continues along this trend, which was our  
16 forecast without DSM, and then you can see that there is a dip  
17 that comes through. You can see the line a little bit there, I  
18 guess.

19 And what led us down this path was, basically, we  
20 went through an IRP process, and at the end of the IRP process  
21 our city commission gave us some direction. And Gainesville  
22 City Commission's direction is up on the screen. And some of  
23 the important parts I kind of want to highlight are: They  
24 wanted us to use the total resource cost test to pursue all  
25 cost-effective and feasible demand-side measures. And just as

1       important for us was that we needed to ensure that the needs of  
2       low income customers are addressed in those programs and not  
3       ignored. Because the city commission knew going into this that  
4       there is going to be some rate impact through the horizon for  
5       our utility, and they wanted to make sure that those customers  
6       were specifically addressed. And later in the presentation I  
7       have a couple of programs that we are doing for those.

8                   So this is the process that we went through. The  
9       public discussion process started around 2002 with our IRP  
10      process. And after the course of having about 50 or 60 public  
11      meetings and meeting with the city commission several times, we  
12      identified that we did need a new economical baseload capacity  
13      in Gainesville and that we also wanted to pursue some  
14      demand-side management. And the city commission hired a  
15      consulting firm, ICF Consulting, to go through and look at our  
16      various options as supply-side resources and demand-side  
17      resources were concerned.

18                  At the end of that independent review, they gave us  
19      the direction on the previous slide, and staff went out and  
20      visited energy efficiency leaders throughout the U.S., which  
21      I've listed here, Austin Energy, Burlington, Vermont --  
22      Burlington Electric in Vermont, Long Island Power Authority,  
23      Sacramento Municipal Utility District, and Pacific Gas and  
24      Electric. A couple of the utilities that have already been  
25      mentioned today. We went to those utilities to speak with them

1 and find out how did they implement their measures, what kind  
2 of costs were they looking at, what measures did they think we  
3 could look forward to and how they came up with those.

4 These were the programs that resulted after those  
5 trips and out of our integrated resource plan. I'm going to  
6 talk in a little more detail on the ones that are bolded.

7 And like Gary mentioned in his presentation, none of  
8 this is really possible without a commitment from the  
9 community. Because at the end of the day what we are doing is  
10 we're asking our customers in Gainesville to participate in the  
11 set of programs that we offer. Even if you cover 100 percent  
12 of the expense, you still have to have someone who says, I'm  
13 willing, you know, come over here, do a retrofit in my house,  
14 put PV panels on my house, change out my HVAC system. And in  
15 most cases, you're not paying 100 percent. It's not a free  
16 ride for those customers. So they have to be able to  
17 participate and willing to put up their own money.

18 And as you can see, the results that we have had so  
19 far has resulted in Gainesville Regional Utilities' customers  
20 spending \$7.5 million over about the last year and three  
21 months. Now, that 7.5 million resulted in 17,541 megawatt  
22 hours of savings, which is about a four to five-year payback  
23 for our typical customer in Gainesville's service area. And so  
24 if you think back to the participation curve, the payback  
25 acceptance curve that Gary was showing, that kind of puts us on

1       a flat part of the curve. So we offered incentives of about \$3  
2       million, which brought the payback for those customers to about  
3       two and half years, which really moved us up that participation  
4       curve and got us some more participants.

5                 And just kind of some on-the-ground experience, there  
6       are programs -- lighting retrofits for commercial customers  
7       has been huge for use. And you will go into a customer -- and  
8       we were going to customers two years ago, three years ago and  
9       saying you've got to change out these T-12s. You can put in  
10      some T-8s. And the customer said, yeah, yeah, I know, I know.  
11      And they would have -- we could show them papers that said they  
12      had a two-year payback, a one-year payback, even, and they  
13      wouldn't do anything. But when you walk in with our custom  
14      business rebate, and you say, we'll pay for 50 percent of the  
15      savings -- I mean, 50 percent of the costs up to \$40,000, now  
16      they are suddenly interested in talking about a good  
17      investment, even though the investment is only marginally  
18      better than it was in the first place. But what I think  
19      happens is that they see that the utility is now not just  
20      saying, oh, you'll save energy; they're saying, we'll pay you  
21      to save energy. We believe in it so much that it's going to  
22      help us and you that we'll actually put up some of our own  
23      money for that.

24                 These are some of the stand-out programs that we've  
25      had so far. The custom business rebate is probably the biggest

1       one for us definitely, because it counts for 40 percent of our  
2       savings in our first year. The other thing with it is that it  
3       doesn't work under RIM. And when we were using the rate impact  
4       measure test, this kind of program wouldn't have panned out  
5       because the energy savings from this program are enormous. And  
6       so then you come into the question of do you have a  
7       disincentive to offer the program. And we definitely did under  
8       RIM, because the lost revenues were overcoming any benefit we  
9       had from it.

10           The way this program works is we have some  
11       spreadsheets and some calculations, we look at a customer's  
12       building, and we get an engineering analysis of what the energy  
13       savings will be, and then we calculate what incentive GRU can  
14       offer for that. The majority of these to date have been  
15       lighting retrofits, because it's got a quick, easy payback for  
16       the customer. We have some contractors in the area who are  
17       willing to do the work. But we have also done some things like  
18       some motor controls and some energy management systems which  
19       have larger peak impacts.

20           The low income energy efficiency program, or the  
21       LIEEP program, is one of those programs that we've implemented  
22       to help the low-income customers that will be affected by rate  
23       increases over now and in the next few years. And this program  
24       has gone past weatherization. And, basically, the way the  
25       program works is GRU writes a voucher for up to \$3,000 to any

1 local contractor who is on our preferred contractor list. And  
2 that contractor can then go meet with individual customers and  
3 work out with them what the best improvements are for their  
4 home. A GRU energy auditor then comes out and makes sure that  
5 those are improvements that, indeed, need to be done in the home,  
6 and then up to \$3,000 of work on average is done in those  
7 homes. And the program has been hugely successful, and we've  
8 been able to get some discounted prices for these customers,  
9 too.

10 We've been able to do complete HVAC replacements,  
11 instantaneous gas water heater replacements, and full house  
12 insulation, along with a couple of other projects when we  
13 worked with the general government side of our city who was  
14 doing rehabs on homes anyway, where they put in new efficient  
15 roofs and things of that nature, which we couldn't afford  
16 through our program, but kind of leveraging things together, it  
17 has happened. So that's been a very successful program. We've  
18 done 100 homes through that so far, and we're planning on  
19 doubling that, hopefully, in our next budget.

20 And solar photovoltaic has been another standout  
21 program for us. Fortunately for us this year the state was  
22 offering an incentive through the Florida Energy Office, and  
23 GRU was offering an incentive on top of that of \$1.50 a watt.  
24 So over the period of January to February, 2007 to 2008, 193  
25 kilowatts was installed in Gainesville Regional Utilities'

1 service area. And that works out to about 17 percent of the  
2 total that was installed through the state's program between  
3 July 2006 and February 2008.

4 Gainesville Regional Utilities' service area  
5 represents one percent of the state's population. So we took  
6 that as a real strong commitment from our community that we had  
7 a good incentive, and that they were interested in installing  
8 solar.

9 And then one more program that has definitely been  
10 impacted by a switch to TRC is a refrigerator recycling  
11 program. Refrigerator recycling saves an enormous amount of  
12 energy. We're basically removing that second refrigerator,  
13 which probably some of you today have in your garage or on your  
14 porch, which is holding some kind of frosty beverage, and  
15 that's about it. Well, when someone replaces a refrigerator,  
16 it's often easy to just say, well, let me put the other one out  
17 in the garage. Well, we come in and we offer an incentive.  
18 Let's take that out. We'll take it from you. It's going to  
19 save you instantly, because there is no cost to it. It's a  
20 huge energy saver, but it is big on lost revenue, so it  
21 wouldn't normally work under a rate impact scenario.

22 In the phase that we're in right now, because we've  
23 been running our programs for a little over a year, is the  
24 continuous review phase, because these programs cost a good  
25 deal of money. We have, you know, a budget of over \$3 million

1       in our budget for these programs. We need to make sure that  
2       our investment is really purchasing what we're after.

3                   So in addition to just keeping up with all the  
4       programs and making sure they all succeed, trying to remove any  
5       barriers that occur along the way, we also have to do  
6       measurement and verification, which I think is a key part of  
7       any DSM portfolio. And measurement and verification is  
8       basically -- and since I have the fox in the henhouse up here,  
9       we'll just say you don't count your chickens before they're  
10      hatched. So measurement is counting the eggs. Verification is  
11      coming back in a year and counting the actual chickens. So we  
12      count how many HVAC replacements we have, but then we have to  
13      go back and look at the data, the billing data, the revenue  
14      data, and say are our customers actually seeing energy  
15      reductions in the field. And that's the phase of the program  
16      we're on right now.

17                  We started our measurement and verification this week  
18      with KEMA Consulting, and I'm hoping that we will have some  
19      really good results to show in about six months. And our  
20      approach so far has been to have early review. We work with  
21      our peer utilities, and specifically last May we had Roger  
22      Duncan from Austin Energy come out and review our programs to  
23      see if we were on the right track. Austin Energy is typically  
24      considered one of the energy efficiency leaders in the nation.  
25      We thought it would be great to have them come out, take a look

1 at our programs and see if we are doing the right kind of  
2 things, if we are running our programs correctly. And they did  
3 that, and it was of no cost to us, so it was perfect. Moving  
4 on with the third party, M&V with KEMA, and then we are going  
5 to adjust our programs as necessary over time.

6 So, in conclusion, I think that the total resource  
7 cost test was the right decision for Gainesville. It came out  
8 of a long process for us, and it was the decision the city  
9 commission wanted to move forward with. It was the decision  
10 our community wanted. And our goals are only going to be able  
11 to be achieved with a continued community effort. It's not  
12 going to happen if it's just the utility. It's really got to  
13 be all the stakeholders have to be brought in. And like I said  
14 before, I think M&V and continuous review is a key part of any  
15 DSM program.

16 Thank you.

17 MR. FUTRELL: Thank you, David.

18 Our next speaker is Mr. John McWhirter.

19 MR. McWHIRTER: Mark, Mr. Lilly and I are going to  
20 take about 20 minutes. Would you rather do it before lunch, or  
21 after lunch, or during lunch?

22 MR. FUTRELL: We'll go ahead and try to do it now.

23 You guys go ahead and get started. We'll fly right through.

24 MR. McWHIRTER: It's difficult, because it's hard to  
25 listen when you have a hungry stomach, and it's hard to listen

1       when you're sleepy right after you've eaten, but I'll try to  
2 energize you the best I can. It occurs to me that on Harry  
3 Truman's desk there was a sign that said "The Buck Stops Here."  
4 And it's really happening again. We had an energy problem in  
5 the late 1970s when the Florida Energy Efficiency Act was  
6 passed because costs were high, interest rates were high,  
7 people were excited about it, and that's when you started on  
8 your energy efficiency programs that Judy has told you about  
9 earlier.

10           Governor Bush, when the energy got high again,  
11 appointed the 2020 Commission to determine where we're going to  
12 be in 2020, and that commission came back with proposed  
13 legislation that resulted in an energy act. And then there was  
14 another energy act in 2007, which Governor Crist vetoed because  
15 it didn't do enough. Then he did his executive orders  
16 mandating certain levels of RPS and so forth. And today on the  
17 special order of the calendar of the House you have House Bill  
18 7135, which is the Consensus Energy Bill. And the Legislature  
19 isn't going to make the decision. They're sending the buck  
20 back to you, Mark.

21           So, who is FIPUG? I was intrigued by the last two  
22 presentations. In their ten-year site plan, Tallahassee has  
23 749 megawatts of installed capacity. Gainesville has 632  
24 megawatts of installed capacity. FIPUG is composed of  
25 industrial people. They are not always the same. They

1 participate year in and year out determining -- based upon  
2 what's impacting them at the time. But their total consumption  
3 of energy approximates the total output of Gulf Power. Their  
4 total installed cogeneration capacity approximates, or is a  
5 little bit more than Gainesville, and a little bit more than  
6 Tallahassee. So they are big consumers.

7 You've heard -- the first five presentations were  
8 made by people who are environmental philosophers and  
9 economists. The last two were by utilities, and now you are  
10 going to hear from a customer. Just before lunch when you're  
11 hungry or -- but I'll go into that later.

12 In any event, what is FIPUG interested in? And it  
13 seemed to me that what you're interested in is set out in the  
14 five questions that you asked. And so I went back to the  
15 legislation that was passed in 1981 or '80, the Florida Energy  
16 Efficiency Act, and I underlined certain things, and I numbered  
17 certain things. And it looked to me that the energy act, which  
18 is still incorporated in the act that's in the special order  
19 today in the House, is they want to increase the development of  
20 cogeneration; two, increase conservation of expensive resources  
21 such as petroleum fuels; three, reduce and control the growth  
22 rates of electric consumption; and, four, reduce the growth  
23 rates of weather-sensitive demand.

24 Your first question, then, was what is each  
25 cost-effectiveness test designed to achieve? Well, I presume

1       that the cost-effectiveness tests, first of all, are designed  
2       to follow the legislative mandate as to what you're trying to  
3       do with your goals. But then it occurs to me that different  
4       people have different concepts of what they would like to see  
5       the goals achieve. And as has been pointed out by every  
6       participant so far today, utilities necessarily must be  
7       concerned about their lost revenue. We want stable, reliable,  
8       viable utilities, but you can't do things that will take away  
9       their revenue to the degree that it imperils their existence.  
10      And the people that I represent strongly support reliable  
11      electrical energy, and we strongly support them making a  
12      viable, but not excessive, income.

13           So where are we? Environmentalists focus -- well,  
14      utilities focus on Item 4. Item 4, as you recall, is  
15      controlling peak demand. And we'll get into that a minute  
16      later. That preserves revenue, because it doesn't reduce  
17      energy consumption, and energy consumption is where utilities  
18      make their money.

19           Environmentalists focus on Items 2 and 3, which is  
20      reducing consumption. And they recognize that it is important  
21      to protect the utilities' revenue, so they come up with  
22      programs, one of which is called decoupling, which enables the  
23      utilities to preserve their revenue while their customers are  
24      consuming less electricity. That is very similar to the  
25      programs that were used in the depression to protect farmers.

1 They paid farmers not to produce goods, because competitive  
2 competition was driving down the price and bankrupting the  
3 farmers. So with decoupling, the utilities will get the same  
4 amount of revenue, but they don't have to produce as much  
5 electricity.

6 FIPUG, what do we do? Well, when they have waste  
7 heat or when they can use fuel more efficiently, FIPUG members  
8 and other large businesses go into cogeneration. And that's  
9 why their cogeneration has grown to the level that it has  
10 today. And Mr. Lilly is going to tell you about what his  
11 company has done and what it has done to save energy. They do  
12 that because they can do it -- there's a ceiling on what they  
13 will have to pay on their electric bill before they will  
14 generate electricity. When the price gets too high, they  
15 either leave the state -- Stauffer Chemical Company is a good  
16 example. It was a large customer of Progress Energy. It moved  
17 its -- they used elemental phosphate to make toothpaste and  
18 soap. They moved their operation to Wisconsin where the power  
19 prices were less than Florida and shipped phosphate to  
20 Wisconsin, because it was cheaper to operate there.

21 Plants have been closed in Florida. Production has  
22 been moved to other states in response to high electric bills.  
23 But there are great opportunities for energy efficiency within  
24 industry. So industry diligently tries to achieve 2 and 4,  
25 because -- they don't want to consume electricity because they

1 want to save money, and in order to stay in business they have  
2 to operate within their budgets and show a profit. Large  
3 businesses would use other devices, as Mr. Lilly will tell you,  
4 to achieve energy conservation if there were some incentive to  
5 do it.

6 Recently filed ten-year site plans show something  
7 that I thought would be of interest. This hasn't been  
8 mentioned by other people. It may be inaccurate, and I welcome  
9 anybody that thinks what I'm going to produce in this next  
10 slide is inaccurate, to look at it and correct it, and let me  
11 know and let the Commission know if what I've said is  
12 inaccurate. I am not a mathematician. I'm not an economist.  
13 I just look at numbers and sometimes make mistakes.

14 But here is what I saw adding up the installed  
15 capacity of the state's largest utilities and looking at what  
16 they forecast as their demand. Now, this is the ten largest.  
17 It doesn't get down to GRU, but it covers all the IOUs. And  
18 what that shows is what has happened in the past. And the  
19 growth rate from 1991 to 2006 was an average growth rate of  
20 close to four percent. They project that the average growth  
21 for the next ten years is going to be a little more than two  
22 percent. And maybe that's because of conservation, I don't  
23 know.

24 But what we do see is that in 2007, the ten biggest  
25 utilities didn't install enough capacity to meet the demand of

1       all the customers at the time of their summer peak. They don't  
2 have enough capacity to meet the demand of all the customers at  
3 the time of summer peak, and they won't have enough capacity  
4 until the year 2016, when Progress Energy brings into play its  
5 next nuclear plant. And here's a graph of that. The red  
6 column shows what the demand at the time of summer peak is, and  
7 the installed capacity is the blue column.

8                 Now, how do they meet this capacity shortfall? The  
9 capacity shortfall is met by buying power from Georgia, but the  
10 problem is we only have transmission capacity to bring in 3,400  
11 megawatts from Georgia. So you need to build more transmission  
12 up in North Florida, especially along the west coast. And, as  
13 you see, inadequate. And then purchases from one another.

14                 What happens is they use the benefit of fuel  
15 diversity. Florida is a long state, and as a consequence it is  
16 cool and raining in some parts of the state and warm in others.  
17 And they can buy -- through the good Florida transmission grid,  
18 they can buy from one another to meet these demands. The other  
19 thing they do is load management, Item Number 4, which  
20 utilities concentrate on. And what they do is they cut off the  
21 demand of interruptible customers, load management commercial  
22 customers, and residential customers with air-conditioning and  
23 heaters, they cut them off in peak periods in order to provide  
24 service for the other people. There's one problem with that,  
25 however, and that is they've signed up over a million

1       residential customers, that's why when I showed you the other  
2       graph, it didn't correspond exactly with what the utilities  
3       tell you, because they tell you what their reserve margin is.  
4       And the reserve margin doesn't count these million customers  
5       that can be cut off. And so they can cut them off if they need  
6       to and if they can't buy from someone else. And the problem  
7       with that from the residential perspective is that those people  
8       can terminate their agreements within 30 days. So if it gets  
9       too hot or too cold, and a lot of people get excited, they can  
10      say I don't want to do this anymore. I want to become a firm  
11      customer again. And so you're going to have a serious capacity  
12      problem.

13                  The fourth item is conservation and energy  
14          efficiency. That also shows in the ten-year site plans  
15          utilities rely on conservation and energy efficiency. And in  
16          the opinion of everyone that has spoken here today so far,  
17          energy efficiency is the low-hanging fruit, the greatest  
18          opportunity in the near term to meet this capacity shortfall  
19          that I've suggested to you.

20                  Are the methods capturing all the benefits? FIPUG  
21          says no, and the reason is because of the RIM test. Everybody  
22          has talked about the RIM test today. And the problem with the  
23          RIM test is, I believe, and this is just my opinion, but I  
24          believe it was based on the California manual. The RIM test  
25          was adopted in California at a time when most utility revenue

1       came through base rates. And if that was the case, there would  
2       be a rate increase if base rates fell off. And, of course, as  
3       you know, we had rate cases by every one of the four  
4       investor-owned utilities every year from 1973 through 1979.

5                 But in the latter part of the '70s they came up with  
6       a unique concept, and that unique concept was cost-recovery  
7       clauses. Today, 70 percent of the utility revenue for  
8       investor-owned utilities comes through cost-recovery clauses,  
9       not base rates. Base rates are undisturbed by most  
10      expensive -- especially the expensive fuel expense. But what  
11      is the problem with that?

12               I show you here. The RIM test -- and this is very  
13      simplified. The RIM test has many other components, such as  
14      avoided plant, but the RIM test here focuses only on what  
15      happens with fuel. Well, if you save a million kilowatt hours,  
16      you will result as a benefit of fuel cost savings, based upon  
17      this utility which charges 4-1/2 cents, now they mostly charge  
18      more than that, but it would save \$45,000 in fuel cost.

19               But the problem with the RIM test is they also count  
20      that as a cost, because the utility doesn't get that \$45,000 in  
21      revenue anymore. Ha! And they also lose their base energy  
22      charge and they lose -- they won't lose their demand charge,  
23      because demand will probably stay the same. But under the RIM  
24      test, you can see the deficit from that million kilowatt hour  
25      reduction is 63,000. The savings were only 45,000. What

1 happens? It flunks the RIM test. So programs that save fuel,  
2 that conform to Items Number 2 and 3 in the statute, which is  
3 still in the statute, will fail the RIM test. So your question  
4 was what's not working? That's what's not working.

5 Gainesville and Tallahassee have abandoned the RIM  
6 test, and they use a total resource test. They acknowledge  
7 that you can't look at the rates. But we've still got to  
8 protect the utilities, okay. How do these methods impact the  
9 level of conservation goals? They kill them.

10 This gives you a description of what the RIM test is,  
11 you were shown that earlier today. And the rate impacts, the  
12 last one on the bottom, is revenue loss, but that revenue loss  
13 is not just the revenue that the utility uses to make its  
14 profit and cover its fixed costs. It's the revenue that's  
15 replaced by fuel cost. You know, if you don't burn the fuel,  
16 you don't have the cost, so you shouldn't count that revenue.

17 Whether other methods should be -- the method should  
18 be modified. I won't go into all that, except as pointed out  
19 earlier, the costs are going up. For Florida Power and Light  
20 in its ten-year site plan it says when it puts in this gas  
21 plant, it's going to cost \$565 per kW. For the uprate it's  
22 going to cost \$4,431 per kW. So it's going to cost a lot more  
23 money.

24 A national comparison of residential rates sorted by  
25 size. And I would certainly welcome anybody to tell the rest

1       of the story if this is inaccurate. What I did was --  
2       utilities file a form with the Department of Energy, the Energy  
3       Information Agency every year and say what their residential  
4       sales are, what the residential revenue is, and the number of  
5       residential customers. It doesn't say what I've shown in this  
6       next two exhibits, because they don't go that far. But you can  
7       download it as a spreadsheet, and you can determine what the  
8       average consumption of the customers are, and what the  
9       customers pay on their monthly bill.

10           And look a here, what I've done is taken the largest  
11       99 utilities in the United States, using the Department of  
12       Energy figures, and find out how Florida customers' bills, not  
13       the rate they pay per kilowatt hour, but their bills compare to  
14       the other utilities. And lo and behold, our customers don't  
15       buy just 1,000 kilowatt hours a month on average, even though  
16       we've got a lot of vacant condos, and so forth, the customers  
17       buy 1,264 kilowatt hours a month from Tampa Electric, and their  
18       bill is \$138.63.

19           Now, I don't know if this is before the 14 percent  
20       tax, local tax, add-on or after. I suspect that it's after. I  
21       also suspect that the revenue that is going to be generated by  
22       the building of nuclear plants may offset some of the concerns  
23       of local government because the utility taxes are going to go  
24       up quite substantially to the local government when you have  
25       that 14 percent overlay. Of course, on small business it's 26

1 percent overlay.

2 Now, the problem as I see it is what can customers  
3 afford to do more? What can we afford to do more? And to wind  
4 up, one of the concerns is that you shouldn't look at costs  
5 alone. You should look at societal cost and other  
6 externalities. We fought this battle back in the early '80s.  
7 And at that point in time, my group said it didn't look like  
8 the total resource test was all that good, because people could  
9 come up with marvelous ideas of how many fish were going to be  
10 killed as a result of the coal sulfur-dioxide going into the  
11 atmosphere and then into the water, and they could artificially  
12 change the numbers.

13 That still exists. Now, the problem is that the  
14 legislation that's going to be enacted for the energy, what it  
15 does is it says you shall look at non-economic costs. I would  
16 suggest to you that while you're doing it, you do it very  
17 carefully and get the non-economic costs that are easily  
18 quantifiable.

19 And now I will surrender the podium to Mr. Lilly.

20 MR. LILLY: Thank you, John. First of all, let me  
21 say that my ten minutes will not take as long as Mr.  
22 McWhirter's ten minutes took. I'll get you through this just  
23 as fast and as painlessly as I possibly can.

24 My name is Henry Lilly. I've been managing a large  
25 power account for CF Industries for 22 years now, and I've

1 learned a few things about energy management. And I would like  
2 to share some of that with you here this morning.

3                 First of all, let me tell you a bit about CF  
4 Industries. We are a large industrial company. We manufacture  
5 fertilizer at our Plant City Complex. I'm chief engineer at  
6 the Hardee Phosphate Complex, responsible for energy  
7 management, among other things. We also have our Tampa  
8 facility that is on TECO Energy, as is our Plant City Complex  
9 and our Bartow Complex.

10               At the Hardee Phosphate Complex, we are solely  
11 powered by Progress Energy, and our total facilities consume  
12 approximately 581,000 megawatt hours of electricity annually.  
13 Hardee will purchase 318,000 megawatt hours from Progress  
14 Energy Florida in 2008, with repeating maximum demands, that is  
15 monthly demands of around 57-1/2 megawatts; 17.7 percent of our  
16 operating costs are for purchased electrical power, and that's  
17 second only to employee wages. CF employs about 1,000  
18 well-paid industrial workers at our complexes in Central  
19 Florida.

20               We produce approximately 3.6 million tons of  
21 phosphate rock at the Hardee mine and 2 million tons per year  
22 of dry granulated fertilizer products at Plant City. CF  
23 cogenerates approximately 260,000 megawatt hours annually at  
24 our Plant City Complex from waste heat that comes from sulfuric  
25 acid production. We export two megawatts to TECO.

1           We're in the phases of strategic planning that will  
2 have us to increase fertilizer production by another 10 percent  
3 by 2009. And we are also considering an additional fertilizer  
4 production increase of yet another 10 percent, and that brings  
5 us to a bit of a dilemma, which we'll talk about in a couple of  
6 minutes.

7           Our facilities operate 24/7; 81 percent of CF's  
8 electrical demand is during Progress Energy's off-peak periods.  
9 We run a pure off-peak schedule when lower production  
10 requirements allow, and that reduces our on-peak demand to  
11 below five percent. And from the 57 megawatts I showed you a  
12 while ago, that's less than 3 megawatts when we are capable of  
13 doing that. We're an interruptible customer, and when the peak  
14 demand gets too high, the utility just disconnects us. We  
15 avoid on-peak consumption at every opportunity.

16           We build and maintain over 20 miles of power lines at  
17 no expense to the utility. That's distribution class power  
18 lines on our own property. Our project's personnel consider  
19 energy efficiency in every evaluation. And let me assure you  
20 CF Industries is an energy-efficient customer. When we found  
21 that we could use the waste heat to produce electricity, the  
22 savings justified constructing internal electric generation.  
23 The reduction in our electric bill will cover the capital cost  
24 of generation within a reasonable time, and the cost savings  
25 provided sufficient incentive to make the energy investment

1       that we made when we started cogeneration.

2                  TECO's average 2008 fuel cost is projected to be  
3       \$53.59 per megawatt hour. CF cogeneration reduces TECO's fuel  
4       cost by nearly 14 million annually, but it doesn't qualify as a  
5       cost-effective conservation program according to our utility.  
6       For the 12,000 megawatt hours we sell to TECO each year, CF has  
7       paid less than TECO's average fuel cost, and we have received  
8       absolutely nothing for the capacity that we have in place.

9                  A good program that fails under current evaluation.  
10       This is a program that was a part of my -- we had a million and  
11       half ton per year plant in Hardee County. We increased our  
12       capacity to 3-1/2 million tons per year. And so faced with the  
13       challenge of building such a large facility, we took 15,000  
14       premium efficiency motors from the existing facility, took them  
15       south, added another 50,000 horsepower to that group of motors  
16       and built our new complex, which I call Hickory, which is the  
17       Hardee County relocation and expansion project. I will call  
18       the original plant Hardee 1 and the new plant Hardee 2 during  
19       the presentation.

20                  We purchased all of that horsepower for our new  
21       facility, and those were premium efficiency motors. A modest  
22       incentive from FPC at that time encouraged CF to make an energy  
23       efficiency investment that electrical bill savings alone would  
24       not justify. Large motors are very expensive. Premium  
25       efficiency motors cost even 20 percent more.

1                   Unlike cogeneration, the savings on our power bill  
2 didn't justify the cost. FPC reimbursed \$6 a horsepower, while  
3 our company paid around \$134 per horsepower. When we purchased  
4 another 3,000 horsepower in premium efficiency motors in '98,  
5 we were told that partnering with industry to be more energy  
6 efficient when buying large motors was no longer considered  
7 cost-effective.

8                   CF's original decision reduced demand by .85  
9 megawatts, annual consumption by 5,100 megawatt hours, and the  
10 savings to Progress Energy Florida will be \$225,000 this year  
11 based on that original decision.

12                  A recommendation for regulatory philosophy. Our  
13 utilities are conflicted in their programs to reduce demand and  
14 usage because it lowers sales. Now that we have a mandate to  
15 make Florida greener, we need to seize the opportunity to  
16 implement and maintain programs that have major impact on our  
17 future carbon footprint. The FPSC must play a major role in  
18 designing and implementing energy conservation programs.

19                  Utility managers have many responsibilities. Their  
20 primary responsibility to their families and holding companies  
21 and lenders for increased profits conflicts with their  
22 obligations to their captive customers and the environment.  
23 The regulators -- you regulators can even the playing field by  
24 devising means to protect customers in the environment without  
25 depriving utilities of their operating costs and a fair return

1       on the investment.

2             This is an outlay of a typical phosphate mine. We  
3 start in a mine area with a dragline and a very large pump  
4 line. That represents about 12,000 horsepower. That dragline  
5 can represent 3,500 horsepower, 5,000 horsepower, something in  
6 that range. Half of the power is consumed here in the plant  
7 itself. We bring matrix, which is a composite material. We  
8 dig it out of the ground. It's made up of clay and sand and  
9 phosphate rock.

10           Every living cell in the world has phosphorous. It  
11 will die without phosphorous. Every living cell in our bodies  
12 have phosphorous. We know of no way to synthetically make  
13 phosphorous, so we must have this material to grow food to  
14 sustain our lives. So, nonetheless, that's what we are doing.  
15 We're taking this -- pardon me. We're taking the matrix from  
16 the draglines. We're taking it through the plant. We're  
17 stripping out phosphate rock in the washer, in the sizer, and  
18 in the flotation. Then that rock goes to the loadout. From  
19 there it goes into rail cars and off to Plant City.

20           In the meantime, the clay is put into a large lake, a  
21 man-made lake. That clay consolidates to a very thick  
22 material. We pump it with dredges. We now have three dredges  
23 on site -- I've got a big thumb, I guess -- and then that  
24 thickened clay is brought up. It looks like toothpaste coming  
25 out the end of the line. We mix that with sand. We put that

1 back into the cuts where the draglines have originally been,  
2 and we reclaim the land with that. That's the overview.

3 And we have implemented energy efficiency programs.  
4 We have implemented programs that are positive for the  
5 environment in every one of these aspects of our operations.  
6 Now, let me just go through those very quickly. In 1987, we  
7 were given a mandate to cut our power use to implement an  
8 energy efficiency program. And we realized -- we realized  
9 reductions of 39.1 percent in the kWh per matrix ton mile in  
10 those big pump lines. That is huge. And 10.2 percent kWh per  
11 matrix ton that we process in our plant, and our overall  
12 reduction of kWh per matrix ton was 33.2 percent. That's  
13 enormous. And there are so many industrial plants around  
14 Florida, industrial facilities that can do this, just like we  
15 did at CF.

16 CF implemented another energy conservation program at  
17 our 3-1/2 million ton per -- in April of '06, and overall plant  
18 reduction is about 13 percent, and the potential is at least 23  
19 percent. Although both programs have been highly successful,  
20 potential exists for further reductions in kilowatt demand and  
21 kWh usage. The same magnitude of reductions exists in all of  
22 our homes and offices, schools, industrial plants throughout  
23 Florida. And I'm just asking that you would please send  
24 signals via our utility bills to reinforce the benefits of  
25 reducing demand and usage that will make Florida greener.

1           This is a chart of what we've done in the plant at  
2 Hardee. The dark blue line is made up of a composite of all  
3 the dark blue diamonds. It represents a time period from  
4 September 1995 through June of 2004. That's the dark blue  
5 line. And month by month we plotted these points of data.  
6 Some months we were horrible. Some months we did very well.  
7 Then in July of '04 we expanded our operations. One of our  
8 pump lines went from four miles out to six miles, and we became  
9 less efficient. And you see what happened here. If you look  
10 at the pink squares represented by the pink line, you can see a  
11 dramatic increase in kWh per ton that was processed in our  
12 beneficiation plant. A tremendous increase.

13           And the boss looks at me, and he says, Henry, what  
14 are we going to do about this? So we got a group together, and  
15 our energy conservation program that was started in April of  
16 2006 and is going on today, represented by the yellow line, was  
17 able to -- and the triangles, if you will, was able to move us  
18 from -- let's take a point right here in the middle of the  
19 chart of 8-1/2 kWh per ton, brought us down to somewhere in  
20 this vicinity, less than 7-1/2, a 13 percent improvement.

21           One month I actually operated at 23 percent  
22 improvement, and I will guarantee you we can operate there  
23 given enough time and enough effort devoted to programs such as  
24 this. The potential savings are there in industrial plants all  
25 over the state. But when I see the presentations like I've

1 seen here today, I hear a lot about what is being done for  
2 residential, and I hear a lot about the commercial energy  
3 efficiency programs. But I'm here to tell you I've got, I  
4 think, the best energy efficiency program in the state of  
5 Florida. And I'm really not being encouraged to do this. But  
6 I'm glad I work for a company that's willing to do the right  
7 thing, but there are a lot of companies out there who aren't.

8                   So other things we've done, in 2007 we started to  
9 install 12 miles of pipeline. Now, I can stay with status quo,  
10 a 20-inch pipeline, add a lot more pumps, burn a lot more fuel,  
11 use a lot more electricity, or I could take a risk. I could  
12 buy a bigger pipeline that had lower frictional losses and not  
13 buy anymore. So I spent my money on a pipeline instead of  
14 spending it on motors that would consume power and fuel right  
15 on.

16                   Now, it takes some guts, especially when the pumping  
17 experts say I think you're walking on thin ice here. But,  
18 again, we need signals sent to us that make us do the right  
19 thing for the environment to use the bigger pipeline, even  
20 though some people say it's going to plug. And that's a scary  
21 thing when you think a six-mile pipeline might plug. But you  
22 have the opportunity to send signals to industrials to  
23 re-examine all their engineering and to do the right thing to  
24 make Florida greener and reduce our carbon footprint.

25                   I'm aware of 13 2,000 horsepower variable frequency

1       drives -- I'm getting ready to maybe buy another one -- that  
2       represent 26,000 horsepower in the state of Florida. When I  
3       asked my utility what type of an incentive do you have, because  
4       I'm doing the right thing for the environment. I'm putting in  
5       something that's more expensive, but more energy efficient.  
6       Nothing there, I'm told.

7                 The benefits of cogeneration and energy efficiency.  
8       No environmental emissions, no consumption of fossil fuel  
9       resources, no construction of inefficient generators to serve  
10      the peak load.

11               We're currently increasing sulfuric production at  
12      Plant City. We're evaluating opportunities to generate  
13      additional clean power. We're considering the shutdown of some  
14      older sulfuric production facilities that are less suitable to  
15      power generation. Considering the retrofit of heat recovery  
16      technology into existing new sulfuric plants with a potential  
17      of an incremental increase in that export power of 10 megawatts  
18      to 37 megawatts. At the same time down at the mine I'm asking  
19      corporate for money to add another 9500 horsepower that will  
20      grow to 17,000 horsepower, and maybe 20,000 horsepower.

21               I started out at my new mine with a 38 megawatt  
22      demand. I'm up to around 57. I predict we'll peak around 70.  
23      Now, this is such an ironic situation in that I have waste heat  
24      at Plant City, and I would love to have it at the mine, but the  
25      way the structure is it's not cost-effective for us to build

1       all that additional generating capacity and give the power away  
2       at Plant City. So the way the scenarios sit now, we can't  
3       afford the additional production -- electrical cogeneration in  
4       Plant City, but we will continue purchasing that power from  
5       Progress Energy. TECO will burn more power, more fuel.  
6       Progress Energy will burn more fuel under the present scenario,  
7       and I find that very ironic.

8                  Problem. Current cogeneration power values do not  
9       reflect fair market values.

10                 Solutions. Net billing and wheeling.

11                 Let me thank you for allowing me to come and make  
12       this presentation. And I hope you understand that CF  
13       Industries tries to do the right thing for the environment, and  
14       all I'm asking is that you send us some signals that say keep  
15       on keeping on, and other people out there who aren't doing the  
16       right thing.

17                 Thank you.

18                 MR. FUTRELL: Thank you.

19                 We'll take a lunch now. We'll come back at 1:45 and  
20       get started with the discussion period. Thank you very much.

21                 (Lunch recess.)

22                 MR. FUTRELL: -- we are going to kind of try to  
23       follow that format. We've asked some of our staff to  
24       participate with us and go through some questions to try to  
25       engage the dialogue. And, again, this is going to be an open

1       forum. We want to encourage as many folks that wish to come up  
2 and participate.

3                 And, again, the first area that Judy set up for us  
4 was in the areas -- really what are the tests designed to  
5 achieve? What's the purpose of the tests?

6                 And we want to start off with Karen, one of our staff  
7 members, Karen Webb. Start off with one of our first questions  
8 in support of that issue.

9                 MS. WEBB: I know some of the speakers this morning  
10 spoke to this, but our overarching question was what is the  
11 goal of utility-sponsored conservation?

12                 MR. FUTRELL: Anybody?

13                 MS. WEBB: I believe, Mark -- if I may, some of the  
14 items that were thrown out during the formal presentations,  
15 maybe that will help get things started here -- I believe it  
16 was Mr. Wilson with the Southern Reliance for Clean Energy who  
17 spoke to enhancing security, energy security, reducing the  
18 pollution associated with global warming and reduction of  
19 costs. Perhaps that is a starting point for discussion.

20                 UNIDENTIFIED SPEAKER: Well, I agree with him.

21                 MS. CLARK: I'm Susan Clark. I'm here on behalf for  
22 the IOUs: Florida Power and Light, Progress Energy, Gulf Power  
23 and Tampa Electric Company.

24                 I don't have anything really to say, Karen, with  
25 respect to that. I think those are inputs to the

1 cost-effectiveness test that they seem to be advocating. And I  
2 guess I would be curious as to how are they planning to  
3 quantify those so that, you know, you can measure them in a  
4 cost-effectiveness test.

5           If I can just sort of make a statement about the  
6 goals and what I think should be the overall theme as you do  
7 set goals and think about energy conservation. I'm not sure --  
8 I appreciate the fact that we've learned things today about  
9 different people's views on what should be part of an analysis  
10 when you look at energy efficiency. But I do think that the  
11 better forum to actually make some decisions on the tests you  
12 use and, frankly, what are the inputs into your tests will be  
13 part of the goals-setting process. And when I listened to some  
14 of these comments today, they seemed to be suggesting that a  
15 potential study needs to be done. And as I understand it,  
16 staff and the IOUs have already embarked on determining the  
17 parameters of a potential study. So that was done in the  
18 mid-'90s, and I think it's time to do it again, and staff is  
19 doing that, and I think that is a good thing.

20           So I really think when you move to the actual  
21 goals-setting and going through the process after you've looked  
22 at the potential and then request the utilities to do those  
23 cost-effectiveness tests. And as I recall, in the '90s they  
24 were asked to do tests that included RIM and TRC, and then it  
25 gave the information needed to make some decisions on what

1       goals should be established.

2                 I see the debate sort of focusing on what are the  
3       inputs that should go into the test, and then what's fair to  
4       all the customers. And I think those are things that you  
5       decide as you move forward in setting the goals. But there are  
6       things we think that are appropriate to include. And I think  
7       staff is well-aware of them. Demand and energy reduction, the  
8       impact on rates, emissions, too.

9                 I think we've heard some statements that energy  
10      efficiency will reduce emissions. Well, there are some  
11      scenarios under which that may not be true. And I've seen that  
12      presentation, I think, made to the Florida Energy Commission.  
13      So I agree it's something that needs to be looked at, but I  
14      don't think you can make the assumption that by implementing  
15      you will always reduce emissions. It depends on what it does  
16      to your dispatch.

17                 You need to look at the cost of it, the cumulative  
18      present value of revenue requirements. Fuel usage needs to be  
19      looked at, as well. And then you do need to look at the  
20      impacts on the stakeholders.

21                 And, finally, there are some programs, as have been  
22      mentioned, that are taking place that are going to have an  
23      impact, such as the cap and trade. The Legislature is looking  
24      at that, and I think if there is implementation of the cap and  
25      trade, you will, in effect, have a cost that has to be

1 incorporated into your analysis of a supply side. And that  
2 will flow through to make programs that might not have been  
3 energy efficient -- I mean, cost-effective without them, and it  
4 brings that sort of monetizing what is perceived to be an  
5 impact into the analysis. So that's just an overall view and  
6 theme we would like to make sure the staff keeps in mind.

7 MR. FUTRELL: Any follow-up? Any other comments on  
8 that?

9 MR. KRASOWSKI: Yes, Mark.

10 MR. FUTRELL: Mr. Krasowski.

11 MR. KRASOWSKI: Bob Krasowski. I'm with the Florida  
12 Alliance for a Clean Environment. I'm a customer ratepayer  
13 coming from sort of a grassroots perspective on this. And it's  
14 always been kind of confusing to me as what is each  
15 cost-effective test designed to achieve in relation to what I  
16 perceive as being a value of the tests that we now use. We use  
17 three of them. When I first entered an effort to understand  
18 how things work here in Florida, I heard so much about the RIM  
19 test, but I know that's it the other -- TDC (sic) and the other  
20 tests also. But the RIM seems to trump those. And I think  
21 for the purpose of my comments at this moment, what was  
22 demonstrated with the Tallahassee Utilities and what they've  
23 accomplished through other methods of analysis, of  
24 cost-effectiveness, of demand-side management, is certainly  
25 better than what the state is doing is my impression, you know,

1 from what I've seen and heard. And I've made an effort to  
2 understand all this.

3           I participated in various proposed projects from coal  
4 to nuclear in front of the -- as part of the discussion in  
5 front of the PSC. And I just don't see how these existing  
6 tests serve the public. And so I see the Tallahassee utility  
7 being effective in serving the interests of their customers,  
8 who they are. They are self-owned from what I understand.  
9 Whereas the utility I'm a customer of, and the utilities, the  
10 IOUs, the cost-effectiveness tests don't really seem to work,  
11 and it's because they don't address every aspect. They don't  
12 have a broad range of analysis.

13           I've been here before where the utilities have  
14 opposed spending a fraction of a penny to perform solar thermal  
15 projects, but they're willing to spend \$5 a month or \$9 a month  
16 for customers to pay for nuclear power plants. And there's a  
17 lot of gray area in between there. So, if, in fact, what  
18 people have said earlier today, and I don't know where all the  
19 environmentalists went, the ones that presented today. I don't  
20 see them sitting out here, just for the record. So if anybody  
21 reads this, they know there is a lot of people missing.

22           So I just -- I'm trying to understand why this is.  
23 Is the PSC not representing the interests of the people, but  
24 they are representing the interests of the utility? And what  
25 makes me question that is in the RIM standard the loss of

1 revenue is factored in there. Who else enjoys a protection  
2 against their loss of revenue in industry? I mean, if IBM  
3 enjoyed that, the new clones never would have happened. But I  
4 don't want to digress or get off the point too much. But I  
5 think -- I guess it's really unclear to me what -- I think I  
6 understand what these cost-effective tests are designed to  
7 achieve, but I don't think they are doing the public very much  
8 good. And my comparison -- my reason for saying that is what  
9 is done in Tallahassee. And if anybody wants to defend the PSC  
10 as opposed to what Tallahassee does, I would really be  
11 interested in understanding what they are saying.

12                  Thank you.

13                  MR. FUTRELL: Well, since you have raised that, I  
14 would like to get folks' opinions, especially if the IOUs are  
15 willing to chime in on what your initial impression is of what  
16 Gary and his folks at the City of Tallahassee did in their  
17 analysis. Is that something we need to think about? What's  
18 your thoughts on what Tallahassee has done in their analysis?

19                  MR. ROWE: Hi, this is Dennis Rowe (phonetic) with  
20 FPL. We've talked with Gary in the past about his analysis.  
21 We've also spent a little bit of time talking to Navigant who  
22 did some of the work. And I think, you know, we are a little  
23 concerned why nothing they looked at passed RIM. And I think  
24 it's really a function of, you know, how fast you are growing,  
25 what your reserve margins are, potentially what your avoided

1           unit might be, those types of things.

2           I think we found, you know, most of the IOUs in  
3 Florida have a fairly broad portfolio of measures that, in  
4 fact, do pass RIM. So as Gary alluded at the end of his  
5 presentation, I don't know if it's something unique in their  
6 situation where they couldn't find any measures that passed  
7 RIM, but, you know, we found where the growth and -- you know,  
8 in our integrated resource planning process, we, in fact, find  
9 things that pass cost-effectiveness. And, you know, we think  
10 we've been pretty successful in doing that.

11          MS. HARLOW: Dennis, this is Judy Harlow with staff.  
12 I wanted to ask you specifically, and I know we are not really  
13 in the methodology portion right now, but Mark raised the issue  
14 of Tallahassee. What did you think of running the measures as  
15 a bundle through the IRP process, similar to looking at another  
16 supply-side alternative?

17          MR. ROWE: I'm sorry, Judy, someone was coughing, I  
18 didn't hear you.

19          MS. HARLOW: What did you think about the specific  
20 part of Tallahassee's methodology of running the DSM measures  
21 as a bundle through the IRP process, similar to how the utility  
22 would look at a supply-side alternative?

23          MR. ROWE: In fact, we do something very similar to  
24 that. We don't do it as a bundled set of measures, but once  
25 we've done the initial screening using cost-effectiveness, we

1       actually take portfolios of measures, bundle them together and  
2       run them just like they were supply-side options as part of our  
3       IRP process. So, you know, that's kind of the back-end check  
4       to make sure that although it passes the cost-effectiveness,  
5       it's still -- we run it against the total system, and that, in  
6       fact, it still remains cost-effective. So we do do that.

7                  MS. HARLOW: This is Judy Harlow again. If I could  
8       get back on the philosophy of the DSM test, it seems to me, and  
9       I don't want to speak for Tallahassee, but having worked here  
10      for a long time on conservation, I know that the Commission and  
11      staff looks at conservation from the point of view of rates not  
12      rising higher than they would have otherwise been. And my  
13      impression of Tallahassee's reasoning or philosophy is the  
14      same. It's the methodology that's different. So I know we are  
15      going to get into the details later of the specific  
16      methodologies and whether they actually accomplish that  
17      philosophy, but I wanted to ask Gary if he's in the room, if he  
18      agrees that Tallahassee's philosophy is to hold rates at a  
19      level that is not higher than they would have otherwise been.

20                 MR. BRINKWORTH: We always like to raise rates.  
21      That's what utilities like to do. I think you've characterized  
22      that right. I think what the city commission's viewpoint was,  
23      especially as we looked at DSM, was that they were clearly  
24      willing to allow for some rate increase flexibility. And you  
25      saw that when we went to them and they said we can be flexible

1       on our RIM score criteria. And when we got them to agree to  
2       that the first time, we said there's a potential here that  
3       there will be some upward rate pressure. But we wanted to do  
4       that in order to diversify our portfolio, because, obviously,  
5       again, our particular situation, as you know, is basically  
6       solely a gas-fired utility. So we are looking at ways to  
7       mitigate our portfolio risk a little bit on the resource side.  
8       DSM plays a really important part in that along with renewables  
9       for us.

10           So I think the Commission looked at the long-term  
11       potential for rate increases that might have otherwise occurred  
12       had we not committed to DSM, and allowed us to at least see  
13       some short term, maybe, upward rate pressure. I mean, we  
14       talked about that this morning, that in the near term possibly  
15       rates could creep up, and then they go down in the long term.  
16       I didn't show any of those graphics in my presentation today,  
17       but clearly some of the work that we did with our own  
18       commission in those workshops clearly showed that costs will go  
19       up in the near term with that aggressive DSM portfolio just  
20       because you're spreading the same fixed costs over fewer  
21       kilowatt hours. There is no place for it to go but up. But  
22       over the long term it's clearly going to be lower.

23           So I think what you said is right, we're obviously in  
24       the mode of wanting to hold our rates, but we understand that  
25       over time there can be some variation where maybe you have some

1 higher rates in the near term than you might otherwise have  
2 seen so that your rates are more stable longer term. And I  
3 think the commission -- our commission was willing to kind of  
4 trade that off, near-term impacts versus long-term benefits.

5 MS. HARLOW: And I know you mentioned this earlier,  
6 but just for the record, that fuel diversity benefits is  
7 especially important to your utility, is that correct?

8 MR. BRINKWORTH: It's critical for us, yes.

9 MR. McWHIRTER: Judy, one thing I think you have to  
10 recognize in your analysis is the difference in the capital  
11 structure of a municipal utility from an investor-owned  
12 utility. A municipal utility has no investors. It's 100  
13 percent debt, and debt doesn't bear income tax, the interest on  
14 it. So normally the interest is lower. When you compare that  
15 to a utility that has 60 percent equity, in order to get an  
16 after tax return of 11.75 percent, which is the midpoint  
17 presently allowed, they have to charge on the equity component  
18 something close to 18 or 19 percent, plus a depreciation rate  
19 on top of that. So you've got a very significant difference in  
20 the needs of IOUs.

21 Also, IOUs being investor-owned, have to show current  
22 earnings that are good to keep their investors happy; whereas,  
23 a municipal utility can take that long-term view. And they can  
24 also, because they have bonded indebtedness and they have a  
25 renewal and replacement fund that must be set aside, a lot of

1 times that fund can be utilized to ameliorate the immediate  
2 impact on rates based upon what's going to happen in the  
3 future.

4 MR. TRAPP: Mark, may I have a follow-up on one of  
5 your questions with Florida Power and Light?

6 Hi. I'm Bob Trapp with staff.

7 MR. ROWE: Yes, sir.

8 MR. TRAPP: You mentioned that you do a back end  
9 system analysis that is more like the Tallahassee approach to  
10 check to see whether or not the measures that you've put  
11 together remain cost-effective when you look at them from a  
12 system-wide basis. And the question I had was, do you do that  
13 before or after the RIM test?

14 MR. ROWE: It would be after. We use the initial  
15 screen using the cost-effectiveness tests, and then after we  
16 actually develop the potential, so how much of each one are we  
17 going to do based on them being found cost-effective, then  
18 those get bundled and that's what gets integrated as part of  
19 our integrated resource planning process.

20 MR. TRAPP: I would observe that the RIM test tends  
21 to result in more emphasis, I guess, on peak demand reduction  
22 as opposed to energy savings. If you were to put the TRC test  
23 measures through that same type of analysis, have you done  
24 that, first of all, and do you think that would show that the  
25 additional energy savings associated with the TRC test might

1 move some types of plants in the future such as that you have  
2 long-term lower revenue requirements?

3 MR. ROWE: I mean, it's a potential. You know, we  
4 haven't done that analysis in years, but it very well could.  
5 It would be something that we would have to do, I think.  
6 Getting back to our initial comments that as we go through this  
7 process of setting goals, you know, those are the things we  
8 ought to be looking at in coming up with, here is the two  
9 portfolios, potential RIM portfolio. Our TRC portfolio, based  
10 on our current assumptions, our current data, our current  
11 analysis, side by side, these are the impacts.

12 MR. TRAPP: So to the extent that we enter into the  
13 goal-making process, and we identify basically what we're  
14 calling the unconstrained inventory that is not affected by  
15 economics, it would be prudent to run not only the tests that  
16 you normally run, but to run them through some type of system  
17 analysis as well before we do the cuts in the different  
18 cost-effectiveness tests?

19 MR. ROWE: That would be absolutely something we  
20 would consider, sure.

21 MR. TRAPP: All right. Let me end with one  
22 observation. Also, one of the things that bothers me about the  
23 RIM test as it stands is it assumes instantaneous rate relief.  
24 I'm not sure that's an accurate measure of upward rate  
25 pressure, since we have such a time difference between actual

1       rate cases, and there are a number of other financial and  
2       economic factors that come into play in a company's  
3       determination as to whether or not they are going to need rate  
4       relief. So it seems to me that some of this additional  
5       analysis would be warranted to try to better get a handle on  
6       the actual short-term and long-term rate impacts. And that's  
7       just an observation; you don't have to respond if you don't  
8       want to.

9                    MR. ROWE: No. I think you are absolutely right. I  
10          mean, one of the things that we would propose is, as part of  
11          setting goals and developing potential portfolios to address  
12          goals is to look at things like rate impacts and when they  
13          might actually happen. I think that's absolutely the correct  
14          thing to do.

15                    MR. TRAPP: I can't help myself. One last question.  
16          The incentives, though, that you pay to participating  
17          customers, those are passed directly through the conservation  
18          cost recovery clause, are they not?

19                    MR. ROWE: That's correct.

20                    MR. TRAPP: They do have an immediate effect on  
21          rates.

22                    MR. ROWE: Yes, they do.

23                    MR. TRAPP: One should probably consider that.

24                    Thank you.

25                    MR. ROWE: Okay.

1                   MR. PRICE: Yes, Mark. Again, my name is Snuller  
2 Price. I was asked to be here, not as an advocate -- thank you  
3 for the mike -- not as an advocate, but just to provide some  
4 technical support. And I think with this last exchange, I  
5 think it's really important to distinguish -- and this gets to  
6 the goal of energy efficiency programs -- between what you're  
7 measuring with the different cost tests. I think the RIM test,  
8 if we're looking at revenue requirement and whether the revenue  
9 requirement would generally go up or down with efficiency, the  
10 RIM test isn't telling us that. There is a different test for  
11 that, it's called the utility cost test. And we've been, I  
12 think, a little loose in our language between impact on rates  
13 and impact on bills. And you get a very different result. It  
14 sounds like a subtle thing, but it's quite different.

15                  It's true that you can have an impact on rates and  
16 rates may increase, but that overall in a service territory the  
17 revenue requirement is lower and the customers' bills are  
18 lower. So it seems like if we get back to this goal on energy  
19 efficiency, and the goal is for a non-participating customer.  
20 So somebody who is not doing any energy efficiency not to  
21 increase their bill at all, then you would use the RIM test.  
22 But if your goal is to run an efficiency program that gets the  
23 overall bills of all of the customers in a service territory  
24 lower, then you should replace the RIM test with the utility  
25 cost test. And the rates/bills dynamic is tricky language,

1 because it sounds pretty similar, impact on rates, impact on  
2 bills, but, in fact, it gives you a very different portfolio of  
3 energy efficiency programs.

4 MR. FUTRELL: Did you have a comment, sir?

5 MR. SIBLEY: Yes.

6 MR. FUTRELL: Please identify yourself.

7 MR. SIBLEY: My name is John Sibley.

8 (Inaudible.)

9 MR. SIBLEY: All right. Thank you. My name is John  
10 Sibley. I am program director for the Southeast Energy  
11 Efficiency Alliance. We cover 11 states, including Florida.  
12 We are based in Georgia, and that's my home state, and so what  
13 I speak of is mainly from Georgia experience with little or no  
14 Florida experience. But there were a couple of observations I  
15 wanted to make related to the conversation that were sort of  
16 between the Tallahassee way as compared to the FPL way.

17 And one observation, based on the Georgia experience,  
18 is that if you run the RIM test first and then take out and get  
19 down to things that pass the RIM test and then do your  
20 bundling, you tend to leave out a lot of things that would make  
21 perfectly good sense if you started with bundles and thought  
22 about what would fit together as a bundle. And take just the  
23 example of a residential audit. In Georgia, I'm aware of a  
24 process that started with 500 measures through the sorting and  
25 down through RIM it gets down to well under 20 percent of those

1 measures before any bundling starts.

2           And as an example, in the residential audit area,  
3 something that fell out of the process early on was simply  
4 tuning up the air-con system of the home, which happens to be a  
5 very useful thing to do and can save a lot of energy, but it  
6 didn't make it through the screens very well initially. If you  
7 start with bundles and thinking about what might fit together  
8 as bundles before you start screening things down, you tend to  
9 add those things in, or as I think John Wilson was saying, when  
10 you're out there on the ground making that decision, do I tune  
11 up this air conditioner or not, you don't run the RIM test on  
12 that. You're out there working on the house, and it makes  
13 nothing but sense to tune up the air conditioner. But if you  
14 run it through the screening process, it runs RIM first and  
15 takes everything out until you only bundle the things that are  
16 left that passed those tests, you never get the right bundles  
17 together. So that's one reason I think the sort of system  
18 approach helps in the beginning.

19           The other thing is that the thought was made, I  
20 guess, that you didn't bring the charts that show the sort of  
21 long-range rate impacts. But those can be done, and they do  
22 tend to show some greater increase in rate over the -- you  
23 know, if it's a 20-year planning horizon, you will show over  
24 the first part of that planning horizon that there is an  
25 increase in rates, but it will show over the back end of that

1 planning horizon a decrease in rates. So that when you take  
2 the RIM test as sort of that thing which tells you about impact  
3 on rates or upward pressure on rates, you're totally losing  
4 sight of something that's easy to graph, which is that over a  
5 planning horizon of 20 years, if you chart the impact on rates  
6 from the beginning to the end of things that will not pass the  
7 RIM test, you, nonetheless, will see that over the long haul  
8 the impact on rates is fairly level. And, in fact, in the  
9 later years the impact on rates is down, not up. Is that not a  
10 fair statement?

11 MR. FUTRELL: Okay. Any other comments on our first  
12 topic?

13 MR. WILSON: Yeah, sure. John Wilson. Since it was  
14 teed up with my point, and I saw a skeptical look on some of  
15 the -- or some skeptical responses on including externalities  
16 in the sort of definition of cost effectiveness, I wanted to  
17 kind of elaborate on that.

18 I would probably depart from a lot of my colleagues  
19 and environmental and energy advocacy groups in advocating a  
20 relatively narrow set of things that ought to be considered in  
21 a cost-effectiveness evaluation that are outside of the sort of  
22 strict economic criteria that are applied in Florida. I tend  
23 to think that if you gum up the analysis with too many sort of  
24 squishy things, it ends up looking like our tax code. And  
25 there's lots of noble intent in our tax code, but I think --

1 and I'm speaking of the federal tax code, not the Florida one,  
2 which I'm sure is very thoughtful and sensible. But, you know,  
3 you tend to wonder if it really all works. Each individual  
4 incentive makes a lot of sense on its own, but doesn't.

5 I think the kind of things that ought to really be  
6 strongly looked at in a cost-effectiveness test that go beyond  
7 the strict what is the cost to deliver the electricity, what is  
8 the cost to save it, would be the things that could transform  
9 into economic costs in the foreseeable future. And I think the  
10 most salient example of that is the cost of carbon, which is  
11 currently being looked at at the federal and the state level.  
12 And I think it would be confusing and maybe even inappropriate  
13 for the utilities to come forward and throw in their opinions,  
14 each individual one as to what the cost of carbon is and try to  
15 sort all that out.

16 I think this is really a policy decision for the  
17 Commission to make. I mean, it represents a view of the future  
18 that is about the public interest, and it might want to  
19 consider adopting a limited number of very specific and  
20 tangible things that it wants to have looked at in the  
21 evaluation of the integrated resource plans and the DSM plans  
22 by the utilities. And I think that it should prioritize those  
23 things which could translate into an economic cost. And so if  
24 we are making investment decisions today, there may be  
25 financial implications for those that we can't predict exactly,

1 because we don't know what the rules are going to be. But the  
2 reality is that we don't know what the rules are going to be  
3 about a lot of things. We don't know what fuel costs are going  
4 to be, and so forth. And so I think a thoughtfully developed,  
5 forward looking, and clear Commission policy on that matter  
6 would be very helpful and would give good guidance to the  
7 utilities.

8                 And then as those costs either become tangible in the  
9 sense that if laws are passed and carbon taxes, for example,  
10 are in place, or a carbon cap and trade policy is in place,  
11 then you would just -- you take out that sort of intangible  
12 cost, because now it's built into the actual financial costs.  
13 Or if it turns out that we move away from those policies, then  
14 the Commission can adjust its decision.

15                 The same thing goes with energy costs. We probably  
16 underestimated the rate at which energy costs would be rising  
17 if you look back five or ten years ago. Well, we're making  
18 adjustments now.

19                 Thank you.

20                 MR. FUTRELL: John, I want to ask you a follow-up on  
21 that. You know, utilities typically perform sensitivity  
22 studies on varying scenarios, and high fuel costs, high load  
23 growth, things like that, low load growth. Along those lines  
24 of what you're saying, would you think it would be a sensible  
25 thing to perform some sort of sensitivity using the DSM

1 cost-effectiveness tests with varying levels or some level of  
2 carbon costs included, just to get a sense of what -- if those  
3 costs were deemed to be some likelihood of occurring in the  
4 near future, to get a sense of what the impact would be on  
5 potential savings.

6                   MR. WILSON: Three thoughts on that. First, is that  
7 I think that that sort of analysis would be essential input  
8 into any Commission decision on this matter. I think you  
9 need -- you know, and that's going to be a very high level  
10 analysis. You don't want to ask our friends at FPL to go out  
11 and do a complete system plan under 14 different scenarios and  
12 submit it, and then maybe the Commission will decide something.  
13 So I think we're talking about high level analysis to give you  
14 a sense of what will matter and what won't. What's at stake?  
15 How big are the stakes?

16                   My second comment in response to that is I actually  
17 talked to folks at Minnesota -- whatever the name of the  
18 commission is there, I guess it's a utility commission -- about  
19 a planning process that's somewhat similar to that. It sounds  
20 pretty exhausting. I know you all probably work, you know,  
21 short days, especially when there is rate cases and integrated  
22 resource plans to work on because those are really easy to do.  
23 And the idea of adding a lot of sensitivity analyses in a  
24 detailed way to that could be pretty exhausting.

25                   That said, I think if the Commission said, you know,

1       there are two or three things we want to balance here as  
2       opposed to a single perspective on the world, and we want you  
3       to submit some fairly well-defined answers to our questions,  
4       and then we will select among them when we see what the  
5       implications are. We'll strike that balance. I think that  
6       makes sense. I mean, it's a widely understood principle of  
7       utility ratemaking that it's a balancing act between competing  
8       interests, none of which can be satisfied perfectly.

9                 And so in that sense, I think a set of well-defined  
10      sensitivity analysis informs a balancing test, because you need  
11      to know -- you know, when you've got the teeter totter how far  
12      out on that teeter totter are the different things and how much  
13      do they weigh? And so you probably need a bit of information  
14      in that way. But I think it could be overdone to the point  
15      where it's just burdensome to everyone involved.

16                 And speaking from an organization with far less  
17      resources to delve into that than a lot of the others in these  
18      issues, we're actually for a relatively simple, clear process,  
19      but yet we want everything taken into consideration. So,  
20      again, we have to strike a balance in our perspective in order  
21      to be reasonable.

22                 Thanks.

23                 UNIDENTIFIED SPEAKER: Mark, can I --

24                 MR. FUTRELL: Go ahead.

25                 UNIDENTIFIED SPEAKER: If I could, just one

1 observation I think might be helpful and sort of along that  
2 point with how California treats carbon and the externality  
3 issue. California, obviously, fairly progressive in its energy  
4 efficiency policy, actually does not do any externalities, per  
5 se. So we do a TRC test, but they are all monetizable actual  
6 costs.

7               What that brings up, though, is carbon. And the  
8 California Commission does include a value of carbon, and the  
9 reason why is because the forecast of avoided costs that a  
10 utility is going to save over the life of the measure if it is,  
11 depending on the measure, five years, ten years, twenty years,  
12 your forecast of value of avoided carbon has to consider the  
13 fact that it may have a value at some point. And if you are  
14 doing a forecast based on expected value, there is some  
15 probability that it will be zero. There is some probably that  
16 it will be high. And the expected value of carbon over the  
17 life of the measures in your forecast, just like all the other  
18 benefits of it, you know, expected capacity value savings,  
19 energy capacity value savings is looked at as a monetized cost  
20 and included in a TRC perspective.

21               MS. CLARK: If I can ask, didn't they actually put a  
22 price on it?

23               UNIDENTIFIED SPEAKER: Yes.

24               UNIDENTIFIED SPEAKER: I'd like to --

25               MR. FUTRELL: Go ahead.

1                   UNIDENTIFIED SPEAKER: -- ask a quick question on  
2 that? Does the price have basically -- essentially a load  
3 shape in the sense that it varies over time and so it could  
4 actually be incorporated into the total system operating cost?

5                   UNIDENTIFIED SPEAKER: That's right.

6                   UNIDENTIFIED SPEAKER: Okay.

7                   UNIDENTIFIED SPEAKER: If folks are interested, I can  
8 provide a little background, since my company, E3, helped lead  
9 the process to bring stakeholders together on defining the  
10 avoided cost for carbon and the other avoided costs. And what  
11 was agreed was we would do, basically, a fairly low value of  
12 carbon, this was done in 2004, of something like \$8 per ton.  
13 And then a fairly rapid increase over time. It's something  
14 like a 5 percent rate, something like that. That's the value  
15 per ton.

16                  Now, the question, of course, comes, well, how many  
17 tons do you save? And the answer to that depends on when  
18 you're saving energy. So we used actually 8,760 hours, a whole  
19 year's worth based on the market prices in the wholesale market  
20 to, basically, compute an implied heat rate of the unit, the  
21 marginal unit that's operating, and that gets us to an  
22 intensity saved in each hour. So I don't know if that answers  
23 the question, but, yes, it's in California an hour estimate of  
24 what the marginal carbon savings is for every kilowatt hour  
25 saved.

1                   UNIDENTIFIED SPEAKER: Mark, can I asked a question?  
2         The topic we're on is the goal of utility conservation. And I  
3         think what I heard our existing goal is to keep rates as low as  
4         possible to non-participants. That's kind of been the goal of  
5         the Commission for years. And I heard the City of Tallahassee  
6         saying that's still their goal, even though there might be some  
7         increases in the early years but decreases in the later years.

8                   What we're faced with, and see if I'm wrong here, is  
9         using lost revenues you're looking at immediate rate increases,  
10        what the impact would be immediately, and the City of  
11        Tallahassee is looking at longer term rate impacts. But the  
12        Commission is charged with setting goals every ten years. So  
13        is that something that we should consider as kind of our window  
14        instead of somewhere in between? We have to set -- ten-year  
15        goals is what we're setting. We come up every five years, but  
16        we set a ten-year horizon. And I'd like to hear some input.  
17        Do you think that's something we need to consider as maybe the  
18        rate impact over that horizon as opposed to lost revenues  
19        immediately or a 20-year and let it be longer?

20                  MR. GUYTON: Excuse me. This is Charlie Guyton. I'm  
21        here on behalf of Gulf Power today. If I understand the  
22        current process, Tom, I'm not sure that I would agree or  
23        suggest that it fairly characterizes that the calculation of  
24        lost revenues or what I would call transfer payments from  
25        participants to non-participants is captured only in the

1 immediate term future. I mean, the way the portfolios are  
2 done, you have measures that are captured each and every year  
3 of the analysis. So I don't think we're talking about just a  
4 rate impact in year one. I think we're talking about the rate  
5 impact associated with each of the measures as they're added  
6 over the ten-year goal period.

7 So I don't think it's entirely accurate to think  
8 about that as being an immediate rate impact. I think the way  
9 the RIM portfolio is quantified and captured now, you're  
10 capturing the rate impact of the RIM portfolio measures over  
11 the life of the analysis, and not just in year one or year two.

12 UNIDENTIFIED SPEAKER: I guess I would agree in a  
13 sense that certain components of the calculation are as were  
14 represented there, but other inputs into the rate impact  
15 measure actually represent measurements of capacity that could  
16 be avoided. And so it's not a transfer payment in the sense  
17 that you are redistributing the burden in a sense of paying for  
18 existing capacity. It's about -- you know, in a sense the rate  
19 impact measure test incentivizes bringing more capacity on  
20 line, because that cost is considered a negative in the rate  
21 impact measure. Or saving -- avoiding those costs is a  
22 negative in the rate impact measure test. If you don't build  
23 that plant, that actually hurts the result in the rate impact  
24 measure test.

25 But I wanted to answer your broader question. I

1 think in a sense discounting has a lot to do with that. I  
2 mean, you're not going to see much effect from the years 29 and  
3 30 in that test. But I think that a ten-year horizon, if it  
4 was artificially applied, would, in a sense, put -- again,  
5 would disadvantage demand-side resources compared to  
6 supply-side resources.

7 I mean, when you look at a new power plant, you don't  
8 just look at the ten-year impact of that power plant. And so I  
9 would say that I don't think that that kind of a look is the  
10 appropriate thing. I think the City of Tallahassee's approach  
11 is pretty much exactly what I was suggesting for the broad  
12 system-wide look. And it's obviously got to be handled a  
13 little differently with an investor-owned utility than when  
14 it's a municipal utility for the reasons said earlier. But I  
15 think that long-term look is the right way to go.

16 UNIDENTIFIED SPEAKER: But does every measure have  
17 the same life at the power plant?

18 UNIDENTIFIED SPEAKER: No, of course not.

19 UNIDENTIFIED SPEAKER: Okay.

20 UNIDENTIFIED SPEAKER: No. But, I mean, those are  
21 factored into the analysis. So the measures that have a very  
22 short-term impact, because they're just simply accelerated  
23 replacement or something like that, will not factor into the  
24 long-term benefits. But I think, for instance, with new home  
25 construction and that sort of thing, you do see 30-year

1       lifetimes of measures in those kind of programs. It's going to  
2       have a pretty marginal impact, because of discounting when  
3       you're looking at the out years, but I think you would still  
4       need to compare supply-side and demand-side resources on  
5       parity.

6                    MR. GUYTON: Tom, I think that's the analysis that's  
7       currently being done. As you know, the goals are set for ten  
8       years, but the planning horizon is 30 or more years. And the  
9       analysis is capturing the longer planning horizon. It's not  
10      limited to the five years of initial goals or the ten-year  
11      entire goal period. So I don't want there to be a  
12      misimpression about what's actually being analyzed. I think  
13      you're capturing the longer term impacts there.

14                  In terms of the -- I'm not sure I fully appreciated  
15      the remark about capacity avoidance, but that treatment is, of  
16      course, the same for purposes of both RIM and TRC. I mean,  
17      avoided capacity or benefits associated with conservation are  
18      both in the test, so there's no difference between the two  
19      tests in terms of that element.

20                  MR. FUTRELL: Okay. I think we are getting into some  
21      of the technical aspects of the tests, and so I think we ought  
22      to move into our next topic about whether tests are capturing  
23      all the benefits and costs of conservation.

24                  And, Mr. Brown, I think we've got another few  
25      questions to follow up there.

1                   MR. KRASOWSKI: Excuse me, Mark. Before we leave  
2 this, I'd like to just comment on a few brief things. Okay?

3                   In terms of the carbon that was mentioned, recently  
4 the Florida Public Service Commission evaluated two proposals  
5 for power plants, one coal plant, one nuclear. And carbon on  
6 the supply side is factored at a wide range of costs. So, it's  
7 my understanding we could just take that carbon evaluation cost  
8 and apply it as a savings when you go to efficiency or clean  
9 energy, okay.

10                  To me, once again, as a ratepayer, I don't see why a  
11 utility should be paid a benefit for energy they don't provide.  
12 I know some people are into programs that do that. I don't go  
13 along with that at all, okay? You know, they should be in a  
14 free market.

15                  In these two cases, these two cases I'm referring to,  
16 the coal and the nuclear case, the nuclear and the coal plants  
17 were compared to other fossil fuels or other nuclear fuels, but  
18 not to a matrix of efficiency. So we never got an analysis of  
19 what efficiency might do instead of building these other  
20 plants. And what I heard today, which I've heard many times  
21 before, but if we heard today that there are numerous  
22 opportunities for gains in regard to efficiency, and it has  
23 been proven through the Tallahassee program, and until we get  
24 comprehensive in our analysis, we're not going to come to  
25 understand the true bottom line of the value of any of these or

1 all of these programs, and we'll just keep doing what we're  
2 doing. But, I guess, the purpose of this today is to come up  
3 with, maybe, a new strategy. And that's all I wanted to say as  
4 far as this right now. Thanks.

5 MR. FUTRELL: Thanks, Bob. And, again, I would  
6 remind folks before you speak if you would identify yourself,  
7 just to help as we go back and build the transcript.

8 We are ready to move into some more specifics on the  
9 tests.

10 Mr. Shevie Brown is going to have our next question.

11 MR. BROWN: Thank you, Mark.

12 My name is Shevie Brown. I'm with staff. My  
13 question relates to how the demand and energy savings are  
14 estimated. And I am wondering, based on your experiences or  
15 your opinions, rather, do you think that the way that those  
16 savings are estimated, is that accurate? And, also, if you  
17 guys know of any tests or anything like that that has been  
18 conducted, as well.

19 MR. GUYTON: In terms of assessing potential, they  
20 are estimated in a lot of ways. For measures that have been  
21 employed by utilities in the state, they have measurable data  
22 because this Commission has required monitoring of the values  
23 that have been saved. So for measures that have been  
24 implemented, the utilities have, to the extent that they've  
25 been using those measures, pretty solid measures of the savings

1       associated with those particular measures.

2                 And those can change, and they can change fairly  
3 dramatically in Florida. When we looked at this very issue  
4 back 15 years ago, we found that people were suggesting that  
5 perhaps we use savings values out of the northeast as opposed  
6 to the south. And, obviously, the weather differentials on  
7 some of these measures can be quite dramatic.

8                 So the best source of information are the savings  
9 that are actually achieved for measures that have been  
10 implemented in Florida. And sometimes those can vary by  
11 utility, even from the northern part of the state to the  
12 southern part of the state. Once you get beyond that, then you  
13 have to look at other alternative measures, and sometimes one  
14 has to look at engineering estimates that are developed by,  
15 essentially, third parties that will quantify that. Sometimes  
16 there are measures for other utilities that are readily  
17 available that can be captured.

18                 And if I go much further I'm going to go beyond my  
19 expertise, and we probably ought to be talking to the people  
20 that are sitting behind me that actually use those to address  
21 that. But as I understand it, there are a wide variety of  
22 potential quantifications of savings, and the best ones are the  
23 ones that are readily applicable for which we have experience  
24 in the state.

25                 UNIDENTIFIED SPEAKER: Your question was just about

1       energy efficiency measures, right, and not about supply side  
2       and quantification, correct?

3                    MR. FUTRELL: Right. Right.

4                    UNIDENTIFIED SPEAKER: Okay. Yeah, I want to agree  
5       totally with that and just add a couple of points. First, is  
6       that there is also -- in terms of quantifying the costs, there  
7       are costs incurred at different points along the way, and I  
8       referred to this in my presentation. The cost to simply  
9       initiate a relationship with a customer can be pretty high. It  
10      takes a lot of effort to convince someone to allow a utility  
11      into their house or their business, just simply because it's a  
12      time impact on -- you know, people have to give up other  
13      opportunities in their life to spend time with a utility to  
14      decide whether or not they're going to install something or  
15      cooperate with them in some project. And then once you are  
16      there, you've got the cost to implement the measures on a  
17      case-by-case basis.

18                  The second thing that you've got to measure is how  
19      the equipment or the change in things actually affects energy  
20      use and the load shape -- you know, I mean, the shining example  
21      that everybody loves to use in these is compact fluorescents.  
22      But the load shape for a compact fluorescent outside my house  
23      on the front porch is very different from the one in my  
24      kitchen. And so when I was alluding to cost-effectiveness  
25      tests when you're in the field and at the site, you've got to

1 have sort of a judgment call that's going to be made by people  
2 there and they are not going to have a detailed computer  
3 simulation model to run about, gee, we came in here to do  
4 Project X, but actually I see now that I'm here that it makes  
5 sense, actually, to do this. And I've got some of this out on  
6 my truck. I can go bring it in and install it or I can provide  
7 this service on the spot and add to the quality of the program  
8 overall.

9                 And so I think measurement and verification is a  
10 really complex process, and I think a really sophisticated  
11 utility energy efficiency program is going to be doing that at  
12 every level of the analysis, all the way from the IRP and DSM  
13 plan all the way down to the guy with the associate's degree  
14 who shows up, you know, as the energy efficiency delivery  
15 person on the truck. And I think that it is important for the  
16 Commission to lay a solid basis for that in terms of its policy  
17 and what it expects the utilities to deliver and then get out  
18 of the way and let the utilities, whether they are public or  
19 private or municipal, do a good job of it.

20                 MR. GUYTON: Shevie, I was reminded as well that in  
21 addition to the established programs you have a whole host of  
22 pretty robust and vigorous research and development projects  
23 that have been done by utilities in the state. So you may have  
24 experience on some of the measures from those, even some that  
25 have been rejected as not being cost-effective that would

1 provide another sound analytical base which would be far  
2 superior than just using general engineering estimates.

3 MR. FUTRELL: Similar, if you have some experience  
4 with -- you've seen studies through the years where some  
5 estimates have changed, particularly not just in the savings of  
6 the individual measures, but, for example, in folks' behavior  
7 and how they change, their behaviors changed, and where  
8 estimates have changed significantly or to some degree over  
9 time, what do some of the studies you've seen show in that  
10 regard?

11 UNIDENTIFIED SPEAKER: So, again, I could probably  
12 talk most about California's experience. And I agree that --  
13 and it's been a very sort of strong element of California's  
14 efficiency program to do tracking of programs and measurement  
15 and verification over time. I think that we went through a  
16 period in the 1990s really on what was called market  
17 transformation. We were sort of trying to transform the market  
18 and use incentives over time to change people's behavior and  
19 make it become more -- it's just sort of a matter of standard  
20 business or standard construction practice, or standard  
21 industrial process, depending on which sector you are in to  
22 start using the energy efficiency technologies without a  
23 utility program. So the goal was to sort of phase itself out.

24 I think that right now California spends something  
25 like -- the investor-owned utilities programs are something on

1       the order of \$700 million a year. And I think that the  
2       measurement and verification is somewhere between 8 and 10  
3       percent of that amount of money spent on measurement and  
4       verification. And it's very important.

5                 The way they do it is they define what they call a  
6       logic model. So what are we trying to do in terms of behavior?  
7       And then they go and they check, to the extent they can,  
8       whether they're getting customers to make choices that  
9       correspond to the logic of how they think the program is going  
10      to roll out. I think that the big area that has been sort of  
11      looked at very carefully lately in California is on compact  
12      fluorescents and whether or not they are getting as many  
13      incremental adoptions on compact fluorescent lights as they  
14      expected given their logic model. And the programs that we are  
15      seeing for the next program cycle, I think, reflect some of  
16      those changes. So there is a dynamic effect, and I do think it  
17      is important.

18               I think California is an outlier in terms of the  
19       percentage spent on measurement and verification. I did a  
20      quick study for the EPA, the national action plan for energy  
21      efficiency on this, and I think that there were other numbers  
22      like two percent, something like that, I think was spent in New  
23      York, and others. Obviously, you want to do it as effectively  
24      as you can so you are not spending money for nothing. I don't  
25      know if that helps.

1                   UNIDENTIFIED SPEAKER: Would you say the bulk of  
2 their expense is on, let's say, tracking participation to make  
3 sure they're getting the amount of participation they  
4 anticipated or actually looking at demand and energy savings of  
5 a particular measure, and does that match their estimate?

6                   UNIDENTIFIED SPEAKER: I think kind of both. I think  
7 going -- there is this exercise of spending the M&E budget as  
8 effectively as possible, so they'll look at a few different  
9 things. One is did the installs actually go out there? We use  
10 a lot of third-party contractors. You want to make sure that  
11 if we did so many of such units they are actually there. I  
12 think that there is some spending on a sample of customers in  
13 terms of their energy use, buy-in use, in terms of load  
14 management metering type activities. Measurement and  
15 verification isn't my specialty, but I don't know if that helps  
16 you.

17                  MR. FUTRELL: Okay. Thank you. Any other follow-up  
18 on that? Okay. We'll go to our next question along this line.  
19 Steve Garl.

20                  MR. GARL: I'm Steve Garl from the PSC staff.

21                  Following up on the discussion of estimates and  
22 projections and customer behavior, how are capacity deferral  
23 benefits affected by the ability of customers to leave  
24 programs?

25                  MS. CLARK: You know, I would just answer that we've

1 seen how they are affected when we had -- I can't remember  
2 when we had the heat wave. But we had -- what was it, in '89  
3 or -- no, '99, or something like that. And we did have  
4 customers, the residential customers who could leave, on  
5 30-days notice leave. And at the time there was a concern  
6 about that. And we looked at the margin of reserve. And I  
7 think you need to look at what makes up the margin of reserve  
8 that you're using. How much is bricks and mortar and how much  
9 are you relying on that demand-side management to do that.

10 UNIDENTIFIED SPEAKER: Can I follow on that? I've  
11 heard from Gary and from the gentleman from GRU that a lot of  
12 their benefits they are really relying on customer commitment.  
13 Is that something we should start looking at in these programs  
14 of more customer commitment, perhaps 60 days, 90 days, I don't  
15 know. I'm just throwing it out there. Is that something to  
16 look at if it's becoming more of a critical part of our  
17 portfolio?

18 MS. CLARK: Oh, absolutely, Thomas. This is Susan  
19 Clark. I would urge that you do have to look at that. And if  
20 you are looking at 60 or 90 days, that's not time to build a  
21 plant. And if you have significant numbers of people leaving  
22 that program, it can have a large impact. So that is one of  
23 the considerations that you need to look at when you determine  
24 how much you're going to rely on that energy efficiency or  
25 demand-side management.

1                   UNIDENTIFIED SPEAKER: Is the question primarily  
2 referring to demand response?

3                   UNIDENTIFIED SPEAKER: Yes.

4                   UNIDENTIFIED SPEAKER: Okay. So we are not talking  
5 people withdrawing from energy efficiency programs, because  
6 generally that's pretty locked in, right?

7                   UNIDENTIFIED SPEAKER: Well, when you consider some  
8 of the changes in efficiency ratings that have been put out  
9 over time and --

10                  UNIDENTIFIED SPEAKER: I mean, in terms of customers  
11 withdrawing. I mean, customers are not going to respond to a  
12 heat wave and --

13                  UNIDENTIFIED SPEAKER: Generally, no. No.

14                  UNIDENTIFIED SPEAKER: -- and go out and purchase a  
15 less efficient air conditioner.

16                  UNIDENTIFIED SPEAKER: Right.

17                  UNIDENTIFIED SPEAKER: They might buy another one,  
18 but --

19                  UNIDENTIFIED SPEAKER: But, for example, compact  
20 fluorescents, a customer may not like the light quality and  
21 decide to change out or things of that nature. Is that --

22                  UNIDENTIFIED SPEAKER: I think that is taken into  
23 account in measurement and verification. They come back --  
24 ideally you have a program where it requires return visits to  
25 certain locations on a, you know, certain basis. And you

1 figure out the shape of disadoption, I guess. And that's  
2 factored into the effectiveness of the measure. So that's part  
3 of those protocols, I believe.

4           I had one brief comment on the demand response. I'm  
5 not a big expert in that area or anything, but I have seen a  
6 number of private companies who are now packaging up demand  
7 response resources and then reselling them to the utilities.  
8 And I don't know if that's an approach that is being used much  
9 in Florida right now. The people I've talked to about it are  
10 in other parts of the country. But it can be a good way for  
11 the utilities to have a firmer basis for planning, because  
12 there is somebody under contract who is contractually obligated  
13 to deliver that DR resource. And if they don't, they have to  
14 go out and spend money very quickly to acquire additional  
15 resources or they pay a very large penalty.

16           UNIDENTIFIED SPEAKER: I think we started doing  
17 those. One utility, I think TECO has programs doing that,  
18 where a third-party contracts for so many megawatts of that.

19           MS. CLARK: Tom, the only other thing I would point  
20 out is I think there has been the phenomena of customers  
21 adopting energy efficiencies that are not just demand-side  
22 management, but then making it up with new appliances and  
23 other -- that their actual usage stays the same.

24           MR. GUYTON: I think the only other thing that I  
25 would observe there is that I think this is an important issue,

1           but it is as much an issue of program design as anything else.

2           UNIDENTIFIED SPEAKER: I think that the intent of the  
3 question is to -- we talked about putting DSM and supply on  
4 par, or on the same field, and maybe they're not, because of  
5 these differences. There are differences. It might be  
6 customer choice. They might want to get off of a demand  
7 response program, let's say. How does a utility plan for that?  
8 I mean, even though they do a load management, they still have  
9 to build capacity in case that customer leaves. Some of it  
10 anyway. They have to take that into account. So that's what  
11 we are trying to feel, how do you -- how do you really get them  
12 on par?

13           UNIDENTIFIED SPEAKER: The analogy is not perfect,  
14 but it's essentially like a capacity factor. I mean, if you  
15 say, well, we're counting on every single demand response  
16 customer to stay enrolled for a year, that's like saying we're  
17 counting on every single gas plant to operate every time you  
18 flip the switch. Well, I mean, both of those expectations are  
19 absurd.

20           So the question is, you need to go out and do proper  
21 measurement and verification, and then you develop a sense of  
22 what is the responsiveness of that resource to the  
23 circumstances in reality. And then that's taken into account.  
24 And if an energy efficiency measure results in bounceback from  
25 the customer -- I always forget the term, the correct term.

1       But as she described correctly, people going out and,  
2 basically, adding more electricity use to the system because  
3 they've saved electricity, that's got to be counted into as an  
4 effect of the measure. It's absolutely part of the  
5 calculation. And when you're talking about cost-effectiveness,  
6 you're talking about the bottom line result, not about, sort  
7 of, some artificial midpoint that Jerry picks out of the  
8 results. We want this done right.

9                   MR. BRYANT: Mark, Howard Bryant with Tampa Electric.  
10 Just to talk a little bit about demand response load management  
11 type programs and whether or not -- there's a couple of issues.  
12 The longevity of the customer participating is certainly a key.  
13 And as Susan alluded to, in '99 and 2000, when several of us  
14 were exercising control three, four, and even five days in a  
15 row, people did begin to leave. But the other thing about load  
16 management is we typically state its demand and energy savings  
17 at times of system peak, winter and summer.

18                   A key consideration, though, is the fact that you  
19 might need to utilize load management in April or May when you  
20 have units down for maintenance and the temperature may be only  
21 82 or 83. And the load that you are getting for load  
22 management at that particular point in time is different than  
23 what you are going to get at 92 on a summer afternoon. And so  
24 I guess I would suggest that a kW of load management is not  
25 necessarily on an equal basis with a kW coming from a plant,

1 because the plant is there, and if you turn it on, it's going  
2 to work. We hope. But load management at 82 versus load  
3 management at 92 is totally different, and so you may not quite  
4 get the load that you're looking for.

5 MR. FUTRELL: We need a follow-up on that one, okay?  
6 Kind of along the same lines of matching supply and demand  
7 resources, we have another question from Shevie.

8 MR. BROWN: Yes, this is Shevie again. My question  
9 is in regards to should the avoided unit match the duty cycle  
10 of the energy efficiency and demand-side management measure?  
11 For example, displacing generation that you would use for,  
12 let's say, an electric water heater to solar.

13 MS. CLARK: Would you try that one more time?

14 MR. BROWN: Okay. Let's say you have an avoided  
15 unit, and that unit, let's just say it's going to be a water  
16 heater, an electric water heater. The question is should that  
17 unit match the duty cycle of energy efficiency and demand-side  
18 management that you would use towards a solar product, for  
19 using the generation from solar instead of electric?

20 MR. GUYTON: I think the simple answer to that is no.  
21 I mean, I don't think you have a correlation. I mean, you have  
22 a wide variety of duty cycles associated with energy efficiency  
23 and the demand-side management measures. You have different  
24 attributes for, you know, essentially three basic types of  
25 generation. And I don't think you have a very good correlation

1       between various measures where you could say this measure more  
2       closely matches a peaking type unit; this measure more  
3       appropriately matches a cycling or intermediate type unit; or  
4       this measure matches more closely the base load unit. At least  
5       that's not the way the analyses typically have been structured.

6                  There is a great deal more flexibility in terms of  
7       the measures than there is to the match of the types of the  
8       units. And, of course, even the same types of units on  
9       different systems perform different functions, depending upon  
10      what the other units are and what their dispatch  
11      characteristics are. So I've not seen that type of analysis.  
12      It doesn't suggest to me that it would be appropriate. It's a  
13      refinement that I'm not sure the Commission would need to  
14      undertake.

15                  MS. HARLOW: This is Judy Harlow with staff again. I  
16       know that Mr. Brinkworth from Tallahassee had -- well, I  
17       believe you said that you compared DSM to a unit with a similar  
18       duty cycle as a screen before you ran your IRP test with  
19       bundles. Is that correct?

20                  MR. BRINKWORTH: That's right. And that's where we  
21       think that relationship does work. Is if what you are trying  
22       to do is take a universe of measures and bring it down to  
23       something that you can then create your bundles from. We chose  
24       to do that screen based on consistent duty cycles as it were.  
25       So we took measures that primarily affected peak use and

1 screened them against those CT curves. That's what I showed in  
2 the presentation. And you saw that for the most part those  
3 things were less expensive, the measures were.

4 If you do it over the measure life, you put those two  
5 things on a comparable basis. Now, our experience was that we  
6 didn't see a lot of rejection of large numbers of measures  
7 based on that. But we weren't really sure how that would turn  
8 out until we did it. And we thought it was appropriate to use  
9 that as a screen, because we didn't think it would be  
10 economically fair to screen out measures that had a low  
11 capacity factor if you want to think about measures having a  
12 capacity factor. You wouldn't want to screen those out against  
13 a base load power plant, for example, because the economic  
14 tradeoff isn't actually fair.

15 And so we weren't really sure how it was going to  
16 turn, like I said. And when we did the screening, we didn't  
17 actually reject that many measures anyway. But we do think  
18 that's an appropriate way to do screening, at least on a busbar  
19 basis, before you build your bundles like we did and then run  
20 them through the system analysis.

21 UNIDENTIFIED SPEAKER: And, Gary, I understand on  
22 your screening there were a few measures that did not pass the  
23 screen, but you carried them forward anyway into the bundles.

24 MR. BRINKWORTH: We did, because there were so few  
25 that failed. When we got together as a team and looked at the

1 screening, we said, we're only going to drop -- I think maybe  
2 in total it may have been like 25 of the 260-some-odd measures.  
3 And we said, you know, for the purposes -- and some of those 25  
4 were things that we knew some of our customer segments were  
5 really interested in. So we said maybe we can bundle them in a  
6 way that overall the package will still be cost-effective.

7 MR. TRAPP: Mark. Bob Trapp, Commission staff. Let  
8 me ask some simple questions that a beach bum from Jacksonville  
9 Beach can get a handle on. There were some nuances I thought I  
10 picked up in some of the presentations this morning that I want  
11 to address with these questions, and it has to do with this  
12 matching theory. Is it in the ratepayers' best interest to pay  
13 an avoided nuclear cost for a conservation measure that doesn't  
14 operate 24/7? Boy, I stumped everybody.

15 UNIDENTIFIED SPEAKER: No. I mean, I think both your  
16 question and the previous question get at the point of sort of  
17 the use of avoided costs in these screening tests. And the  
18 problem is that the concept of avoided cost is a marginal  
19 concept. And when we are looking over the long-term impact of  
20 a program, the assumptions that go into a marginal cost  
21 analysis break down. They don't apply. We're talking about  
22 load changes over decades of 10 or 20 or 30 percent, or even  
23 more. And the load change can come in the negative direction  
24 from the energy efficiency or DSM measure, or it can come in  
25 the positive direction from economic growth. And so whatever

1       your marginal unit of energy is over those 8,000-plus hours of  
2       the year, that changes over time. And you can build that into  
3       a dynamic forward-looking IRP, or whatever, but then you get  
4       into the system analysis.

5                 So it's sort of this strict screening tool saying  
6       let's do a -- and I agree with the gentleman from Gulf Power's  
7       point of view that you don't want to get incredibly detailed  
8       about this and pick out, you know, 30 supply-side resources to  
9       match up with 30 demand-side -- you know, all these different  
10      demand-side resources. And so I agree you don't want to screen  
11      a peak-oriented energy efficiency measure against a base load  
12      nuke plant cost.

13               I mean, I think I agree with your premise there. But  
14      I think also the perspective from Tallahassee where they just  
15      sort of break it into large bins, you might think of it, and  
16      screen them in groups like that also is a very constructive way  
17      to look at this approach. So I think it's sort of everybody is  
18      right here, in a narrow sense.

19               MR. TRAPP: So, if you take the measures and -- and  
20      the art is going to be in the bundling, I guess. You bundle  
21      them in such a way that you approximate as closely as possible  
22      the unit that you are trying to avoid, or the effect you're  
23      trying to avoid in the plan. I mean, if you do a system  
24      approach, it's going to show you the difference in revenue  
25      requirements associated with a construction plan associated

1       with specific units. The idea of conservation is to bundle in  
2       such a fashion that it maximizes the revenue difference between  
3       those two plans. And that's a system approach. We would keep  
4       talking about taking that system approach down to its little  
5       screening components that are trying to simplify this equation,  
6       that's where I begin to get lost and confused.

7                     UNIDENTIFIED SPEAKER: Well, I think that was the  
8       point I was trying to make in my presentation, is you've got to  
9       have a different approach at different levels of analysis.  
10      Once you sort of say, okay, we've identified some bundles and  
11      some levels of expenditures over the next ten years for these  
12      plans, it seemed to fit in well with the IRPs for the  
13      utilities. It seemed to be more cost-effective than supply  
14      options that they might otherwise pursue. Then the next step  
15      is to get the programs actually approved. That's a separate  
16      regulatory step. And at that point you can simplify the  
17      analysis down, and you could actually use the expectations of  
18      that overall bundle in terms of its TRC score, for instance,  
19      and use that as a reference point for evaluating the specific  
20      programs that the utility might pursue.

21                  And so I think you can sort of derive down  
22      simplifications as you get narrower and narrower in your scope  
23      until you've actually got the guy on the truck in the field who  
24      has got to make just very simple calculations in order to  
25      determine whether or not to provide a service when he's on

1 site.

2                   MR. TRAPP: Let me ask Gary, when you look at your  
3 bundles, how do you separate the cats from the dogs so that you  
4 wind up with something other than cogs? You know, it seems to  
5 me if you combine a black dog with a white dog, you get a  
6 Dalmation, which is a desirable breed. But if you combine cats  
7 and dogs, you come up with a cog. And you have some programs  
8 that may be very, very revenue detrimental, but they are being  
9 offset by other programs that are very beneficial.

10                  MR. BRINKWORTH: Well, I should say I think when we  
11 bundle the measures, or at least when our team, Navigant and  
12 the rest of the team, worked with us on those measure bundles,  
13 I think our objectives were first to look at what end use we  
14 were trying to attack. Like, for example, space conditioning  
15 is one of those things I mentioned in the pie charts.

16                  And so if you look at space conditioning and say what  
17 kind of measures do I bring together that are complimentary  
18 that I can put together in a package that makes sense to  
19 address that particular end use or that particular piece of the  
20 market. And then you do that for a couple of other end use  
21 segments. Then when you put those together, you have to  
22 recognize that they play off of each other. And so there are  
23 some adjustments that you make when you roll those bundles up  
24 into the portfolio. You have to recognize that some of these  
25 bundles might knock heads with each other a little bit.

1                   Somewhere in that process some of those individual  
2 measures, if they were pulled out of the bundle and subjected  
3 to a static cost/benefit screening probably wouldn't pass. But  
4 when you put them together, you allow them to kind of offset  
5 one another so that some extra savings may be -- if you want to  
6 think about it that way, some surplus savings from one of the  
7 measures that was in that bundle kind of offsets the other one.

8                   And, again, that's what we saw when we did our  
9 analysis, that when we used our single avoided unit approach to  
10 screen things, we got a completely different result than when  
11 we screened based on measure life with sort of like duty  
12 cycles, because we recognized in our particular situation that  
13 a combined cycle unit, for example, with the kind of avoided  
14 costs that we were looking at versus our embedded system cost  
15 was going to reject a number of measures that really don't have  
16 the performance characteristics of a combined cycle unit, at  
17 least not on our system. And we knew there were clearly  
18 measures that were only going to operate, like the graph I  
19 showed this morning, in the 20 or 30 percent capacity factor  
20 range. It didn't seem rational for us to screen those out  
21 against a resource that would run 60 or 70 percent of the time,  
22 or maybe more.

23                   Again, on a system like ours, it would be different  
24 than a system like Florida Power and Light's, for example. But  
25 I think when you put these measures together, at least our

1       experience was, and our design team basically convinced us that  
2       we wanted to carry the most measures we could as far into the  
3       analysis as we could get before we start screening things out.  
4       And so left to ourselves -- and that's one of the reasons when  
5       Tom ask me what about those measures that screened out, we kept  
6       them anyway, because our argument in the team was, if they  
7       really are that bad, they'll fall out later, because the bundle  
8       won't perform correctly, and then we'll have to go back and  
9       back those out.

10                  And as it turned out, they didn't penalize us any.  
11                  We still showed, as I showed in the slides, some significant  
12                  benefit, again, looked at over the planning window.

13                  MR. TRAPP: So simply stated, it is possible out  
14                  there that you could have one program that was absolutely  
15                  demand reduction and is kind of a peaker.

16                  MR. BRINKWORTH: Uh-huh.

17                  MR. TRAPP: And then you can have another program  
18                  that's nothing but energy. And normally the energy would be  
19                  thrown out because it was a RIM dog, but if you put the two  
20                  together, you might actually get not the avoidance of a peaker,  
21                  but the avoidance of a midrange base load unit, which would  
22                  have more value presumably.

23                  MR. BRINKWORTH: That certainly was our experience.

24                  MR. TRAPP: Thank you.

25                  MR. BRINKWORTH: And I guess, Bob, just to follow-up.

1       An example that came before the Commission recently was the  
2       Progress Energy program where they combined solar water  
3       heating, a big energy saver, with load management, a big peak  
4       saver, combined them together, and it managed to pass RIM and  
5       the other tests. The Commission approved that and it has been  
6       offered to the customers.

7                    MR. FUTRELL: Any other follow-up on this discussion?

8                    UNIDENTIFIED SPEAKER: I would just point out I think  
9       that's very important when you're looking at the cost tests and  
10      what they apply to make this distinction between whether the  
11      cost tests are important to apply measure-by-measure or whether  
12      it is the portfolio that has to pass the cost tests. It seems  
13      like that should be part of the discussion, as well.

14                  Again, in California the focus is on the overall  
15      portfolio. And the reason why is it's not so much this mixing  
16      of peak measures versus energy saving measures, that would be  
17      important if you kept the RIM test, I think, but it's also a  
18      customer equity issue. You know, you want to have energy  
19      efficiency programs that are available for all your customer  
20      classes. And so, for example, in one area that's really  
21      problematic, if you only do measure-by-measure  
22      cost-effectiveness is low income, because often you have to  
23      provide high incentives because they have very little capital,  
24      or what have you. So a low income set of programs may not pass  
25      the cost-effectiveness screen that you have, but including

1       those with the others, the whole portfolio can still be  
2 cost-effective.

3                  We also had the example of an industrial customer  
4 this morning that was talking about not having programs for  
5 their particular application and others. So in order to get  
6 the sort of broad range of customer classes involved in energy  
7 efficiency programs, it may be important to do a portfolio  
8 basis.

9                  MR. MCWHIRTER: May I ask a poser? John McWhirter,  
10 who represents industrial customers. In a bygone era, when you  
11 did a cost of service study, and you tried to determine what  
12 cost it is to serve an interruptible industrial customer, and  
13 the theory was that that customer would be a high load factor  
14 customer. Principally, it would work, you know, 80 percent of  
15 the -- an 80 percent load factor. And they said generation  
16 planners say we don't have to build a plant to serve that  
17 customer, because we can interrupt him at any time; and,  
18 therefore, that should be taken into consideration with some  
19 modifications in the cost of service study.

20                  In the current era, an interruptible customer is  
21 considered to be a conservation program. And from that  
22 viewpoint they say, well, all we need to deal with this guy is  
23 a peaker, and so the avoided cost is not the avoided cost of a  
24 base load plant, it's the avoided cost of a peaker. And,  
25 therefore, all interruptible programs are determined presently

1 to be not cost-effective. I was wondering what your philosophy  
2 was on that.

3 UNIDENTIFIED SPEAKER: I think that the overriding  
4 sort of avoided cost estimation should be basically looking at  
5 the utility resource plan. What investment it is that's going  
6 to be avoided? I mean, that's the ideal thing, so you could  
7 link up what your program is doing with what behavior you're  
8 changing or what cost the utility is actually spending.

9 I'm not familiar enough with what's happening in  
10 Florida's resource plans and the need for base load versus peak  
11 load to know which it is. Both can provide capacity, it just  
12 depends on the other needs of the system.

13 MS. CLARK: Bob, could we just add -- Dennis would  
14 like to add something on the issue of the bundling.

15 MR. BRANDT: This is Dennis Brandt. I guess the only  
16 concern I have -- or one of the concerns we have about bundling  
17 is if you take measures that you know aren't cost-effective and  
18 you bundle them with measures that are cost-effective to come  
19 up with, in a sense, a portfolio, that by math was going to be  
20 less cost-effective than it would be if only cost-effective  
21 measures were there, part of your concern is -- you've got to  
22 be really, really good at forecasting the take rates of the  
23 measures that weren't cost-effective versus the ones that were,  
24 or conceivably you end up with an overall portfolio that's not  
25 cost-effective. So, to the extent that you can rely on measure

1 cost-effectiveness, you kind of avoid that problem. So we've  
2 always strived to try to focus as much as we can on measure  
3 cost-effectiveness.

4 MS. HARLOW: And, Dennis, let me ask you this. This  
5 is Judy. If you bundle measures that are noncost-effective --  
6 let's just use RIM as an example, under the RIM test -- with  
7 those that would be cost-effective under the RIM test to create  
8 that bundle that Mr. Brinkworth is talking about, whenever we  
9 are looking at cost-effectiveness, there is some assumption  
10 there about what your incentive level is that you're going to  
11 pay the customer. So if you bundle that noncost-effective  
12 measure with a cost-effective measure, are you, in effect,  
13 reducing the incentive that you would pay under that  
14 cost-effective measure as opposed if you looked at it alone?  
15 Sorry for that convoluted question.

16 UNIDENTIFIED SPEAKER: Well, first of all, I think it  
17 doesn't really matter what cost-effectiveness test we're  
18 talking about. So regardless of what the end test is, it's  
19 really a function of bundling things that pass and don't pass.  
20 And you're right, to make something that doesn't pass pass, you  
21 are going to have to, in a sense, subsidize it from the one  
22 that does. So I guess one way to do that would be to lower the  
23 incentive for the one that does pass and pay more for the one  
24 that doesn't.

25 UNIDENTIFIED SPEAKER: I think, too, what we heard is

1       with Mr. Brinkworth from Tallahassee that some of the programs  
2       were left in because they had desire from the customers to  
3       offer these types of programs. There was a public outcry, if  
4       you will, for them. And this goes to what I think Mr.  
5       McWhirter brought up is that municipalities are on a different  
6       capital structure than an IOU. They're a municipality. Their  
7       customers are their constituents, as well, where with an  
8       investor-owned utility it's a little different. So I think we  
9       have to keep that in mind that there may be a little bit  
10      different points of view here as to why things are done.

11           UNIDENTIFIED SPEAKER: And I agree to the extent that  
12       if something makes sense for the customer, we ought to be  
13       telling them about it and, you know, we can't offer it through  
14       an incentive, you can't offer it through a program, but -- for  
15       instance, many of the things that we tell our customers about  
16       in our energy audits don't necessarily result in our programs.  
17       So, you know, we tell them about things for them to do on their  
18       own that makes sense for them to do. And to the extent that  
19       they do them, we encourage them. They ought to do those  
20       things. It doesn't mean we have to have a program to address  
21       them.

22           UNIDENTIFIED SPEAKER: That led into an interesting  
23       question I have. Does the utility's customer education  
24       programs kind of go counter to RIM, because a lot of what you  
25       tell them end up lost revenues to the utility. Am I right on

1           that or is it --

2           UNIDENTIFIED SPEAKER: I mean, to the extent we tell  
3       customers to do things that we don't have programs for, there  
4       are lost revenue associated with those.

5           UNIDENTIFIED SPEAKER: Okay.

6           MR. GUYTON: But, as you know, there is a specific  
7       statutory mandate to do that.

8           UNIDENTIFIED SPEAKER: I understand.

9           MR. GUYTON: So, I mean, it's justifiable under FEECA  
10      because the audit program is required.

11          MR. TRAPP: Do you tell them about vampire load? Do  
12       you tell them if they just get a gang switch and put their  
13       televisions, and stereos, and clocks, and everything all on one  
14       gang switch and turn it off when you go to work that they would  
15       save ten percent of their energy bill?

16          UNIDENTIFIED SPEAKER: We do. We call it phantom  
17       load, but, yes. So we do talk to our customers about phantom  
18       loads. You know, your chargers and your set top boxes and all  
19       those types of things that you don't think about when we do  
20       energy audits, you know, we educate customers about those types  
21       of things.

22          MR. KRASOWSKI: Excuse me. Have I mentioned lately  
23       that as a customer of an IOU, I don't appreciate that I have to  
24       pay a benefit to that utility for their lost revenue due to  
25       efficiency. I think I said that already, but the point comes

1 up again now.

2 Any programs that they have to inform their customers  
3 about energy saving programs that they aren't compensated for  
4 have been mandated, you know, so they have to do that. That's  
5 one of the two program, DSM programs I believe the IOUs in the  
6 State of Florida have to provide, okay.

7 Now, I don't know if it's appropriate at this time,  
8 but I understand that the DSM programs are completely  
9 voluntary. Now, if the standards of -- if the Florida  
10 Legislature -- and I don't know, this might relate also to  
11 Tallahassee. It's a question I have for Tallahassee. If those  
12 standards that are contained within the DSM programs were  
13 raised to be the minimum standards applicable to energy use in  
14 Florida -- let's take, for example, appliances. If people  
15 could only purchase high energy efficient appliances and then  
16 the monies that were going to be directed to building the power  
17 plant to provide energy for the inefficient appliances they  
18 would have bought are applied to assisting these people pay for  
19 the increase in efficiency over time, well, then, you wind up  
20 with a more efficient operation, and then you don't need the  
21 plant, and then people start saving money, okay. If those DSM  
22 programs were addressed in that way, they were made to be the  
23 new baseline, why couldn't we do something that way?

24 And I'll ask the gentleman from Tallahassee a  
25 question. Did you consider through county codes or city codes

1       the requirement of some of these programs that you've  
2       developed, like in particular the building construction codes  
3       specific to your town to bring up all of those efficiencies?  
4       And I'm sure you have all the background information, Florida  
5       Solar Energy Center and, you know, appliances and things like  
6       that.

7                    MR. BRINKWORTH: This is Gary Brinkworth. In our  
8       design process we clearly reflected not only where the building  
9       codes are now, but as you saw on our portfolio, we have some  
10      new construction measures that are part of that which recognize  
11      where the Florida Building Code is headed. And, also, some  
12      likely additional adjustments to that that if we had to make a  
13      projection about over time. So I think my answer, if I  
14      understand the question right is, yes, we did recognize both  
15      increasing efficiency standards for appliances, as best you  
16      can, I mean, as you look out in the future I'm not really sure  
17      where those are going, but you figure they're going up, and  
18      building code standards, as well. So we tried to reflect those  
19      in our impact analysis as we were building the bundles and  
20      rolling that up into a portfolio.

21                  So part of that is embedded in our analysis already.  
22       The rest of it I guess we have to get through M&V and other  
23       kinds of monitoring processes as this portfolio actually plays  
24       out in our service territory, and we get to make a better  
25       assessment about whether we are getting the impacts that we

1 thought we were for the incentives that were put in.

2 MR. KRASOWSKI: Thank you.

3 MR. FUTRELL: Okay. Well, the magic word was  
4 mentioned in the last comment back and forth about lost  
5 revenues, and we have a question on that line from Ms. Joanne  
6 Chase of our staff.

7 MS. CHASE: Hi. I'm Joanne Chase with the PSC staff.

8 My question does have to do with lost revenues, and  
9 it's considered a cost to the utility in these analyses, and my  
10 question is, is it really, given how ratemaking works, at least  
11 here in Florida? We all know that revenues of utilities will  
12 fluctuate up and down for a lot of factors. Sometimes it's  
13 greater than expected due to weather. There's no -- I don't  
14 think there is any guarantee for a utility that their revenue  
15 is like trued-up or that they are always recovering revenue  
16 that is lower than they might have expected.

17 And so my question is, is it truly a cost to the  
18 utility all the time? And should we perhaps be considering  
19 something like the utilities, where they are, their earning  
20 level? Whether they are earning within their authorized range,  
21 whether there is growth in that utility service area that maybe  
22 can overcome the lost revenue? I would like your thoughts on  
23 that.

24 MR. GUYTON: This is Charlie Guyton. There are a  
25 couple of -- not that this question reflects it on your part,

1        Joanne, but there are a couple of erroneous impressions that  
2        have been stated around the table today about lost revenues.

3           Lost revenues is an element of cost and it's really  
4        probably a bit of a misnomer, because it's really talking about  
5        a shift of revenue requirements from participating customers  
6        who are avoiding billing determinants by employing energy  
7        efficiency measures. And the revenues that are associated with  
8        those losses are going to have to be made up by the  
9        participating customers, because there's a fixed or finite  
10      amount of revenue requirements that's necessary for the company  
11      to earn its authorized rate of return.

12           So if you diminish billing determinants over here,  
13      and you still have a fixed amount of revenue requirements you  
14      have to recover, what happens is that the general body of  
15      ratepayers are going to have to pay higher rates to make sure  
16      that the revenue requirements are covered. That's the  
17      underlying assumption in the RIM test. It is, if you will, a  
18      simplifying assumption. But one has to make some assumption  
19      about revenue requirements and their recovery for purposes of  
20      trying to measure the rate impact.

21           I don't think it is practical to try to define the  
22      nuances in terms of where a utility is in terms of it's earned  
23      return as to this element of what I'll call shift or transfer  
24      payments of revenue requirements from one subset of customers  
25      to another. It isn't any more practical to try to address that

1 than it is trying to address cost savings measures that a  
2 utility might undertake between revenue requirements cases.

3 It is a necessary simplifying assumption of the  
4 analysis, and I think it's the most reasonable assumption to  
5 make. But what I want to take issue with is the suggestion  
6 that the utility gets a benefit of lost revenues. The utility  
7 doesn't get a benefit of lost revenues under the RIM test.  
8 What the RIM test avoids -- what the RIM test assumes is the  
9 utility will be ultimately made whole around its revenue  
10 requirements. The people that get the benefit under the RIM  
11 test to the people that don't are the participants. They lower  
12 their portion of the revenue requirements and they shift the  
13 parts of those revenue requirements that they're not going to  
14 have to pay to the nonparticipating customers.

15 So it's not the utility that gets the benefit. It's  
16 the participants that get the benefit to the detriment of the  
17 non-participants. And that's one of the values of the RIM  
18 test. That is one of the faults or omissions of the TRC test,  
19 because it allows that shift from participants to  
20 non-participants. And that's why the Commission has, over a  
21 period of close to 20 years now, stuck with tests that don't  
22 come up with DSM winners and losers. If you use the  
23 participants test and you use the RIM test, then you know both  
24 groups of customers, the participants and the nonparticipants,  
25 will be made whole. But if you go to the TRC, you're going to

1 end up with winners and losers. And the suggestion that you  
2 ought not have conservation winners and losers, pitting  
3 participants against non-participants, particularly when some  
4 of the non-participants may be people that were early adopters,  
5 people that have already adopted, or people that just don't  
6 have the wherewithal to adopt. So I hope that's responsive.

7 MS. CHASE: It is, and I understand what you are  
8 saying. I guess my problem with that is that would be true in  
9 isolation, if we were to look at this situation in isolation.  
10 But there are a lot of other factors that are affecting the  
11 utility's revenue requirement up or down. And if you -- and  
12 the only way that those revenues are passed on to the general  
13 body of ratepayers is if the rates were to actually change.  
14 And that would only happen if you were -- if the utility was  
15 outside of its, you know, its range of return on equity.

16 So, I'm not saying that that's the answer to look at  
17 that, because I realize that complicates things probably quite  
18 a bit. But giving it some other weight or giving it some other  
19 consideration, because it isn't -- it isn't always a true cost,  
20 in my view, unless the utility is -- unless it's significant  
21 enough, and especially a utility were there is growth in  
22 customers. You're going to be getting additional revenue with  
23 basically the same investment you got due to those additional  
24 customers. So it just seems like that's not being factored in  
25 somehow.

1                   MR. GUYTON: Well, I understand and appreciate the  
2 observation. I think it is a true cost, but, as you know,  
3 between revenue requirements cases there are a variety of  
4 measures that change up and down as you go through. And as you  
5 analyze this, you can't capture all of those. And the  
6 alternative is, is that when we're trying to do the analysis,  
7 one would update that every time you proposed a new program or,  
8 for that matter, you could revisit it in six months, 12 months  
9 in.

10                  The alternative would be to create kind of an  
11 instantaneous series of ongoing revenue requirements  
12 proceedings, which are just not practical. And because that's  
13 not practical, the RIM test makes that a reasonable but  
14 simplifying assumption. And I think it's a better assumption  
15 to make than -- at least any that I've heard advanced, given  
16 the reality of rate setting over a period of time. And that it  
17 is episodic rather than continuous.

18                  MR. KRASOWSKI: Hey, Mark, could I ask a question,  
19 follow up to that?

20                  So let me make sure I've got this right, if I may.

21                  MR. GUYTON: Sure.

22                  MR. KRASOWSKI: And I really appreciate your  
23 explanation, it has clarified things. So in terms of existing  
24 financial commitments, the utility has a specific concern in  
25 regards to the RIM test being applicable to energy efficiency

1 costs and stuff. But do you make a distinction for new energy,  
2 like the lady was just implying? So if we were to  
3 hypothetically -- if we were to marry efficiency to meet all  
4 new needs, there would be no need for a RIM test to justify  
5 that cost and the utilities would have no justification for  
6 wanting to recover the lost revenue in that specific instance.  
7 Is that not correct?

8 MR. GUYTON: I'm sorry, but I just didn't understand  
9 your question.

10 MR. KRASOWSKI: Okay. Well, that's all right,  
11 because that happens a lot with me. But let me try to clarify  
12 it, then, okay? Is there a distinction between -- now, what I  
13 understood from what you said, that your concern was that if we  
14 went to an efficiency practice that saved energy and money to  
15 the customer who was putting in the efficient unit, then  
16 that -- because of lost revenue -- because of your commitment  
17 to the financial profile of your existing condition, that lost  
18 revenue, other people would have to fill in the gap. Correct?  
19 I mean, if there is an efficiency, the RIM test allows you, the  
20 utility, to reclaim the lost revenue?

21 MR. GUYTON: No. That's kind of where it breaks  
22 down. I mean, what the RIM test recognizes is not that there  
23 is going to be a recovery of that, but that if you have ten  
24 billing determinants that you're spreading your revenue  
25 requirements over, and you lose three of them, then you -- and

1 now the cost per billing determinant for the remaining seven is  
2 going to go up to get the same amount of revenue. And that's  
3 all that the RIM test recognizes, that the revenue requirements  
4 don't change. It's just who ends up paying the revenue  
5 requirements change.

6 MR. KRASOWSKI: Okay, yeah. Okay. I got that.

7 MR. GUYTON: Okay.

8 MR. KRASOWSKI: Okay. I'll accept that. So there is  
9 your preexisting condition. You have the ten that were paying  
10 in. Now only seven are paying in. So their rate goes up.

11 Now, if five more people move onto the system, and  
12 those five are efficient, energy efficient, there is no impact  
13 on the ten if those five are -- electricity is provided through  
14 efficiency. So what I'm trying to get from you is that if you  
15 cover new generation needs through efficiency, just the new  
16 portion, just that fraction -- or not fraction, it's a  
17 substantial amount, but that portion of it, through efficiency,  
18 and you do it in an incremental way over the years, year by  
19 year by year, there is no cost, lost revenue to the utility.  
20 And the utility is trying to claim a benefit from efficiency  
21 that's not -- that they don't own. So would you agree to the  
22 idea that if efficiency represents growth, the displacement of  
23 the growth need, there is no claim to displace revenue by the  
24 utility?

25 MR. GUYTON: No.

1                   MR. KRASOWSKI: Why not? Could you please --

2                   MR. GUYTON: I'll try. What you're developing here  
3 through a rate is the relationship of costs and expenses to  
4 revenue. And one can't necessarily equate the cost associated  
5 with growth to just the cost of new generation. There are a  
6 whole host of other costs that are captured through a rate. I  
7 mean, there is distribution, there's transmission, there's  
8 administrative and general cost. And one can't look at it  
9 simply as a piece-part of generation in isolation. And the  
10 general assumption of ratemaking is that for those new  
11 customers, the general relationship between revenues and  
12 expenses are going to be the same over time as your existing  
13 relationship.

14                  Now, that's a simplifying assumption, because one  
15 doesn't know how the relative expenses and revenues in that  
16 relationship is going to change over time. But I don't think  
17 the corollary that you are suggesting is appropriate or is  
18 necessarily the only assumption. But that relationship is  
19 going to be completely offset.

20                  What the utilities are planning for and they're  
21 capturing in their calculation right now is avoided cost  
22 associated with new incremental generation. And they're  
23 capturing the costs associated with serving that new customer.  
24 So you're capturing that in the cost-effectiveness test right  
25 now. So I don't think there is a one-for-one offset.

1           If you capture it due to energy efficiency, what  
2 you're measuring is the relative ability of energy efficiency  
3 to recover those costs as opposed to a supply-side alternative.  
4 And if it is more cost-effective to do it through demand-side  
5 than it is through supply-side, then the test will show it is  
6 cost-effective, and the DSM measure will be implemented.

7           However, if it's more cost-effective to do it on the  
8 supply-side than it is through the energy efficiency, it won't  
9 be cost-effective; and, therefore, you ought to build the  
10 supply-side option. And that's what the test shows.

11          MR. KRASOWSKI: Well, I appreciate your explanation,  
12 and maybe I oversimplified it by painting a picture that would  
13 have made all new generation totally separate from the  
14 existing. But I still am interested to see new expanded clean  
15 energy efficiency separated out from the scenario to get a true  
16 value of that, because I don't think the utilities deserve an  
17 income from that, from that portion, that element of that.

18          And as far as understanding which supply-side or  
19 demand-side is most cost-effective, and cost-effective includes  
20 how it impacts your business in the definition, but with trying  
21 to understand that, I don't see how that's being done today,  
22 because efficiencies are not completely analyzed in the state  
23 of Florida, as far as I understand. The program hasn't been  
24 developed to the point where we really have comprehensive  
25 insight. And the comparisons -- when there is an application

1 for new supply-side, there is no comparison to a matrix or a  
2 complete comparison to efficiency measures. So there's a lot  
3 of -- I have a lot more questions, I guess, than answers, but  
4 thank you for the opportunity to ask them.

5 MS. HARLOW: I have a question for Charlie, or some  
6 of the other IOUs, and I see that he jumped when I said his  
7 name, but I have a pretty basic question. We keep talking  
8 about lost revenues, lost revenues. I understand why lost  
9 revenues are in the RIM test. I understand your point about  
10 the shift of revenue requirements between participants and  
11 non-participants, but if you look at the Commission's manual  
12 for cost-effectiveness tests, how we calculate lost revenues is  
13 not defined. The specific rate that the utility is to use, at  
14 least in my reading, is not defined.

15 And so my question to the utilities is, what rate are  
16 you using in your calculation of lost revenues? Are you using  
17 full retail that includes cost-recovery clause, or are you  
18 using simply a base rate?

19 UNIDENTIFIED SPEAKER: I think I drew the short straw  
20 on that one. Tampa Electric has been utilizing the base rate  
21 component for lost revenues for a number of years. There are  
22 debates over what is the appropriate number to put in for lost  
23 revenues. Should there be fuel put in there, should there not  
24 be fuel put in there. When the current methodology that we  
25 employ now -- and I say we, meaning what was promulgated by the

1 rule and then subsequently given to the utilities to use in '90  
2 or '91 -- one of the debates at that time, and Roland Floyd was  
3 here at the time, was, you know, how do you calculate lost  
4 revenues? And you may recall a fellow by the name of Jerry  
5 Kordecki. He and I came up, and we talked with Roland and some  
6 folks and said we really think it just ought to be base rates.

7           Actually, we hedged on moving toward just the fixed  
8 component of base rates, because if there was a variable  
9 component we thought maybe that ought to be thrown out. But we  
10 sort of settled on just the base rate component itself. So  
11 what does that do for you? It helps the RIM test. We all  
12 agree to that, because it is a smaller component of lost  
13 revenue. And I will not sit here, though, and say that all the  
14 utilities are doing it the same way, nor would I argue that  
15 this is the right way. But there are debates that have  
16 occurred on what should be the appropriate lost revenue number  
17 to be used.

18           So, I think it behooves us on a going-forward basis  
19 to, perhaps, establish what really ought to be the right one,  
20 or -- I don't know if you'll reach a consensus there, but, at  
21 least, you know, what's the vote going to show type of thing.  
22 But I think we ought to get to that kind of a number for  
23 consistency purposes.

24           MR. TRAPP: Do you concur with Charlie's assessment  
25 that the purpose of RIM is only to address cross-customer

1       subsidization, and that the company being altruistic has no  
2       stake in the game with respect to lost revenues?

3           UNIDENTIFIED SPEAKER: Well, I agree with Charlie to  
4       the extent that I understand Charlie, and let me explain what  
5       that means. (Laughter.)

6           MR. GUYTON: Oh, please don't.

7           UNIDENTIFIED SPEAKER: The lost revenue component is,  
8       I believe, exactly as he explained it. It's the fact that a  
9       set of participants are no longer using a certain amount of  
10      kilowatt hours, thereby reducing the base revenue component.  
11      And so that base revenue component was established in a  
12      previous rate case, and it was determined to be appropriate to  
13      manage the utilities' costs that they would incur on a  
14      going-forward basis. And so that piece is now going to be  
15      shifted over to other ratepayers at some point in time.

16           MR. TRAPP: Other than perhaps an argument for  
17      low-income customers, then it just comes down to a policy  
18      decision by the Commission as to whether or not they want to  
19      continue to pursue with this concept of no losers, everybody  
20      wins with conservation, or you didn't conserve, tough. You get  
21      to pay a little extra. Is that what it comes down to?

22           UNIDENTIFIED SPEAKER: I think we've talked among  
23      ourselves and suggested the fact that we really are reaching a  
24      policy point in time. I personally believe that.

25           MR. SIBLEY: I would like to jump in, if I may --

1       John Sibley of the Southeast Energy Efficiency Alliance -- on  
2       the dialogue around the burden-shifting aspect of RIM and  
3       what's going on there. Because, I mean, the overriding concern  
4       should be, should it not, to provide the power that Florida  
5       needs to maintain its quality of life at the lowest overall  
6       cost at the lowest general revenue requirement. And to say  
7       something passes the RIM test, doesn't really tell you that --  
8       I mean, it's clear that energy efficiency can help with that,  
9       can reduce the overall revenue requirement. And to say that a  
10      particular measure doesn't pass the RIM test, doesn't  
11      necessarily mean that you are not going to be able to reduce  
12      the overall revenue requirement. It's really telling you about  
13      this cost shifting question.

14           And that's not really a cost-effectiveness question,  
15       if you frame it that way. It's a fairness question. It's a  
16       question of should you have winners and losers. But there are  
17       a lot of ways of addressing a fairness question that are other  
18       than throwing out a measure that is cost-effective for the  
19       system as a whole. One way to address fairness is to be sure  
20       that all classes, and easily within classes, everybody has  
21       access to the same kinds of measures or programs that will  
22       allow them to be more cost-effective.

23           If you've got a situation such as was mentioned where  
24       some people just don't have the means, and you can have like  
25       what you do with weatherization, you can have responses within

1       your system that address that issue. It seems to me there's a  
2       flip side of that which is that, you know, energy costs are  
3       going up for all of us. One of the ways that customers can  
4       manage their energy bills is through energy efficiency  
5       opportunities. And one of the things you're doing with RIM is  
6       you're eliminating energy efficiency opportunities for people  
7       who might like to be participants.

8                   So it seems to me that if you think about it as a  
9       burden shifting thing, which makes it a fairness thing, then  
10      you need to think about the ways within the system that you can  
11      adjust to make the system overall fair, not just say that means  
12      we've got to throw out a measure that is clearly cost-efficient  
13      in terms of reducing the overall cost to the system.

14                  MR. FUTRELL: I would like to follow up Howard --

15                  UNIDENTIFIED SPEAKER: Can I --

16                  MR. FUTRELL: Sure.

17                  UNIDENTIFIED SPEAKER: Not to butt in, Mark. I'm  
18        sorry. At my age things don't stay in here very long, and so  
19        it's, you know, kind of helpful. Just to clarify our  
20       perspective, and when I say our perspective, I really think it  
21       is the utilities' relative to what was said about RIM denies  
22       the opportunity for energy efficiency to be done. We would not  
23       agree with that because, case in point, this past November when  
24       we had our last workshop, I think you were able to see a  
25       multitude of measures that are, in fact, energy efficiency

1 measures that are RIM cost-effective and have been for years  
2 and continue to be promoted with our customers. And that's  
3 kind of across the board for all the utilities. So we wouldn't  
4 agree with that.

5                 And I guess I would add to that the fact that we've  
6 heard about the EEI -- or not the EEI, but EIA, Energy  
7 Administration -- we've heard about some of their statistics  
8 being provided here today. And I think if you will look at  
9 some of those statistics you'll find that Florida utilities,  
10 for the last five to six years, have ranked extremely high. If  
11 not in the top ten, certainly within the top 20 or so. And I  
12 think you will find Florida Power and Light just might still  
13 lead the nation in what is being accomplished through energy  
14 efficiency relative to what's being reported. So we would take  
15 issue with the fact that RIM specifically prohibits energy  
16 efficiency measures from being installed in the marketplace.

17                 MR. FUTRELL: Howard, on the idea of lost revenues,  
18 obviously, with the existing programs that are offered, there  
19 is a level of lost revenues occurring right now that are  
20 tolerable because they pass the RIM test. Is there a way, some  
21 sort of -- and maybe someone can help us. Going forward is  
22 there a way, given that we're in -- despite our current  
23 economic conditions we find ourselves in, there is still  
24 projected -- growth is expected to continue. We're still in a  
25 growth state. And given that, is there a way to get some sort

1       of a sense of is there a level of lost revenues that are  
2       tolerable, given we're in a growth state?

3                   UNIDENTIFIED SPEAKER: I don't know how to respond.  
4       I don't have a response necessarily, just to think about that.

5                   UNIDENTIFIED SPEAKER: I can talk a little bit about  
6       a tool -- we have got this exact same question in the National  
7       Action Plan for Energy Efficiency, which the Department of  
8       Energy, EPA, is leading, and they asked our firm to do,  
9       basically, a non-proprietary calculator tool that is  
10      essentially a revenue requirement calculation with estimates on  
11      forecasts of costs, forecasts of growth, and it's publicly  
12      available.

13                  I'm sure the utilities could do a similar type of  
14      analysis, but you can, in fact, do a forecast of growth and a  
15      forecast in the changing growth and look at what happens to,  
16      you know, equity returns on, you know, investor-owned utilities  
17      or debt coverage ratios on a publicly owned utility, and we  
18      have.

19                  MR. FUTRELL: Any more follow-up on lost revenues?

20                  Yes, sir.

21                  MR. LILLY: I think that's an excellent point that  
22      the -- my name is Henry Lilly. I'm with CF Industries. I  
23      think that's an excellent point, and I appreciate your question  
24      so much. And we all know that we live in a state that people  
25      just can't get here fast enough and construct new houses, and

1       the rate of growth with the utilities. And it somewhat seems  
2       to me absurd that we talk about loss of revenues because  
3       someone would be more efficient and ask for an incentive to be  
4       more efficient when we are exploding in growth all around.

5                 I'm not advocating that it's the right thing to do,  
6       but we see, and especially down in Polk County where I come  
7       from, impact fees. And folk who are coming here sometimes are  
8       paying higher taxes, and the impact fees, because folk are  
9       moving here and bringing children into our school districts.  
10      And so we see that all over Florida, I'm sure. But to me it  
11      seems quite illogical to talk about loss of revenues when we're  
12      exploding in growth. Just a comment.

13                 MR. FUTRELL: Thank you.

14                 UNIDENTIFIED SPEAKER: One last comment, Mark. I  
15       think, before we move on from lost revenue, I kind of agree  
16       with, I think, the gentleman on staff that was asking -- at  
17       least with the question or premise, does it come down to a  
18       policy decision? And from my perspective, it seems like it  
19       really does. It seems like right now with the current  
20       cost-effectiveness test that Judy so eloquently put up this  
21       morning, the policy is really to keep non-participants, so  
22       those customers who are not doing energy efficiency keep their  
23       bills as low as possible. And I think that the current policy  
24       with the RIM test probably achieves that.

25                 And most other states I believe -- the only other

1 state that I know that takes that policy choice is Georgia, but  
2 I could be wrong. There might be a few others. I think most  
3 states look at it differently. They look at overall would my  
4 energy efficiency program reduce bills? So including both the  
5 participants and the non-participants, recognizing that there  
6 is a transfer. Okay. So I do think it comes down to a policy  
7 choice.

8 MR. FUTRELL: Thank you.

9 And we'll move on to our next question and something  
10 that we've touched on earlier in the presentations, and Ms.  
11 Clark mentioned in her opening remarks this afternoon about the  
12 effect on emissions.

13 And Ms. Webb has a question to follow up on that.

14 MS. WEBB: Yes. Like Mark said, several of the  
15 formal presenters did discuss whether energy efficiency and  
16 demand-side management reduced emissions. And it seemed the  
17 overall answer was yes. But when I spoke with Ms. Clark, the  
18 lead off question, you did indicate that that was not  
19 necessarily the case. And I would like for you to expand on  
20 that a little bit if you would.

21 MS. CLARK: I might quickly get beyond my ability to  
22 do that. But as I do understand it, it's a matter of what is  
23 the generation plant you are avoiding and how does it affect  
24 your dispatch. So you might have -- you might, in fact, be not  
25 dispatching the plant with the least emissions, and so your

1       emissions actually would go up.

2                 Now, I'm sort of doing that from memory from a  
3 presentation that was given to the Energy Commission. And let  
4 me just see if there is somebody who can add a little bit to  
5 that.

6                 MR. BRANDT: Hi, this is Dennis Brandt. I think,  
7 first of all, it depends on the emission type. I think that  
8 also is a consideration. But if you think about it, if you  
9 have a very, very efficient plant that you are going to avoid  
10 and you're going to run your older plants that were less  
11 efficient more, then you could potentially have a case where  
12 you actually increase emissions. So, you know, it's the whole  
13 effect of how efficient the plant you are avoiding versus the  
14 rest of your fleet.

15                 MR. TRAPP: But if you do a system analysis, and that  
16 system analysis takes into consideration the sensitivities  
17 associated with some assumed cost for carbon emissions, that  
18 will show you the effect on an environmental dispatch as  
19 opposed to an economic dispatch, won't it? So is that not yet  
20 another test we need to look at?

21                 MR. BRANDT: Well, I think the question was does it  
22 increase emissions or not. So I'm not sure --

23                 MR. TRAPP: Well, I agree with your answer that it  
24 may.

25                 MR. BRANDT: Right.

1                   MR. TRAPP: Anything may or may not increase  
2 emissions, and it may forestall the installation of a more  
3 efficient utility supply-side measure.

4                   MR. BRANDT: That's correct.

5                   MR. TRAPP: But my concern is with whether we are  
6 doing system analyses, as we do in power plant certifications,  
7 or whether we're doing simplified static RIM/TRC analyses, kind  
8 of going to the Gary Brinkworth approach of let's test our  
9 assumptions through system analyses.

10                  MR. BRANDT: And I think when we talked earlier, your  
11 question in that same area is, you know, after we do our  
12 cost-effective screening analysis that we talked about, FPL  
13 actually does a complete system analysis in the DSM portfolio.

14                  MR. TRAPP: So the question is should you include in  
15 that analysis maybe a look at an impact on emissions?

16                  MR. BRANDT: It's something that very well could be  
17 considered.

18                  MR. TRAPP: Because, I mean, I think part of what I'm  
19 hearing today is that we are faced with a new issue on the  
20 table that we really haven't had before. Well, we've had it  
21 before, but we have addressed it before. We put SO<sub>2</sub> in NOX.  
22 We internalized those costs.

23                  MR. BRANDT: That's correct.

24                  MR. TRAPP: We have one sitting out there that's  
25 still external, though. But everybody suspects that maybe it

1       should be internalized, but we are not quite there yet. We're  
2       trying to figure out what to do in the meantime. So it seems  
3       to me that what -- as Bob suggested earlier, what the  
4       Commission has done at least in need determinations is to run  
5       some of those sensitivity tests. Maybe we need to add that  
6       additional level of sensitivity testing when we set goals.

7                   UNIDENTIFIED SPEAKER: Well, I think this goes back  
8       to the discussion that was earlier about whether you run  
9       sensitivity analysis rather -- or there's actually a decision  
10      about what that cost should be.

11                  MR. TRAPP: Well, you've got to assume what the cost  
12      should be before you do the sensitivity analysis. But, I mean,  
13      again, the sensitivity analysis to me fine-tunes your final  
14      decision. It doesn't necessarily tell you what to do, it just  
15      kind of fine-tunes the inputs with which the policymakers then  
16      have to make the tough choices in it. And, you know, it ain't  
17      a science, it's an art.

18                  UNIDENTIFIED SPEAKER: Yes, sir.

19                  MR. BRINKWORTH: Mark, Gary Brinkworth with  
20      Tallahassee. Since we are talking about this emissions impact  
21      and DSM, and all that stuff, the results I showed in our cases  
22      from this morning did include carbon costs in those total  
23      system revenue requirement bars that you were looking at. So  
24      we did, in fact, put an estimate of what we thought CO2  
25      compliance might be, both a low, medium, and high estimate in

1       our cases, so that that would come out in our  
2 cost-effectiveness analysis.

3                 And it is part of what allowed some of those DSM  
4 portfolio options to look even more to show an even bigger gap  
5 between the base plan and the plans that have the portfolio in  
6 it is because there were some additional CO2 compliance costs  
7 in there. And we looked at them both with and without, but, I  
8 mean, we went ahead and did that because we know that this  
9 issue was coming up.

10               And we also saw a little bit of what Dennis was  
11 talking about in that our particular generation fleet has some  
12 inefficient units in it right now. And the DSM portfolio  
13 impact in the early years actually drove up our emissions  
14 profile, because we were retaining those older units longer  
15 than we would have in the base case where we retired them and  
16 replaced them with a more efficient generating unit. So we  
17 kind of saw both of those effects, but they are captured in the  
18 system analysis like you're talking about.

19               MR. TRAPP: But when you pick, how did you pick? Did  
20 you pick in favor of increasing those emissions, or did you  
21 pick in terms of reducing those emissions?

22               MR. BRINKWORTH: Well, I think we ask our commission  
23 which way they wanted to do, and they actually had a series of  
24 criteria that they wanted to apply.

25               MR. TRAPP: They had the balance.

1                   MR. BRINKWORTH: Right. The balance between the vote  
2 profile --

3                   MR. TRAPP: They vote, we don't.

4                   MR. BRINKWORTH: -- and strict cost.

5                   MR. FUTRELL: Okay. If there's no other follow up on  
6 that, let's take about five minutes and take a little break,  
7 and then we'll get back and try to get to the end here. We've  
8 got a few more questions that staff wants to ask, and then  
9 allow anybody here to throw anything open to discuss further.  
10 So we'll take about five minutes.

11                  (Recess.)

12                  MR. FUTRELL: Okay. We've got a couple of more  
13 questions from staff, and Mr. Garl is going to ask our next  
14 question.

15                  MR. GARL: Steve Garl, again, from the staff.

16                  Hearing the City of Tallahassee's discussion about  
17 kind of modifying their criteria for the RIM test brings up a  
18 little broader question. Should a utility use a banded  
19 approach to cost-effectiveness?

20                  MR. GUYTON: Steve, this is Charlie Guyton. I really  
21 don't know how to answer the question without knowing  
22 specifically what you mean by a banded approach.

23                  MR. GARL: For example, a band like in a range. Like  
24 in the case of the City of Tallahassee, they said they pulled  
25 the test from one down to .75, and that has moved more measures

1           into consideration.

2           If we put more bands in there and maybe weighted them  
3       and, obviously, there would have to be some bottom point where  
4       it wouldn't be considered, maybe even combining tests and  
5       making acceptable marginally acceptable bands to not just throw  
6       out something because it didn't meet some arbitrary level.

7           MR. GUYTON: Well, I was with you until you stopped  
8       at arbitrary level. There's nothing under the existing  
9       cost-effectiveness rule that would preclude utilities from  
10      attempting to justify something that didn't pass RIM at 1.0.  
11      This Commission in its goals proceeding said it was going to  
12      set goals based on RIM at 1.0, and it gave the utilities  
13      flexibility to come in and propose things that might be below  
14      that.

15           The Commission made a policy decision to craft  
16      things, programs so it would have the information to have all  
17      three tests available to it. And then after it made that  
18      policy decision to ask for all three tests, it subsequently in  
19      setting goals, decided that it was going to limit it to two  
20      tests, participants and RIM, but gave the utilities flexibility  
21      to look at things that may not pass RIM, but might pass TRC on  
22      kind of a case-by-case basis.

23           That was the Commission's policy decision and,  
24       certainly, one it was in a position to make and it has chosen  
25       to make. And that policy decision was based upon about ten

1 years of fairly intense debate about what the appropriate  
2 cost-effectiveness measure and choice of those measures should  
3 be. And that was largely framed RIM versus TRC debate,  
4 although I think it's probably more properly characterized as  
5 RIM plus participants versus TRC.

6 But I think the simple answer is that the utilities  
7 have that flexibility. They've chose not to do that to avoid  
8 having DSM winners and losers, so that's certainly a reasonable  
9 position for the utilities to take.

10 MS. HARLOW: Charlie, this is Judy. One way to look  
11 at a banded approach on a cost-effectiveness would be what  
12 Steve referred to which is to look at a banded approach on the  
13 result. Another way would be similar to how we look at  
14 supply-side options at the Commission, which is to change the  
15 inputs. For example, fuel. The utilities often do a high base  
16 case and a low fuel estimate when they do a need determination  
17 analysis.

18 And, I know when Mr. Futrell asked us to go back and  
19 look at conservation and come up with any questions we might  
20 have about changing the methodology, I've worked with this so  
21 long that I thought I was a little stuck in a rut. So I  
22 thought how else can I look at this and trigger new ideas. So  
23 I went and look at a need determination. And I thought, well,  
24 what are we doing in terms of supply that might be different,  
25 because my feeling is we should look at these things in a

1 similar way. And so I wanted to ask you how you felt or the  
2 other utilities felt about any kind of a change in a banded  
3 approach or looking at various changes in inputs that go into  
4 the cost-effectiveness test.

5 MS. CLARK: Judy, I guess -- I think Charlie will  
6 answer this. This is Susan. It just seemed to me when you are  
7 looking at cost-effectiveness tests, you know, it's how far you  
8 want to go in setting your goals. And getting to your inputs,  
9 I do think that you may want to test the validity of your  
10 inputs. Do these make sense? And in that scenario you might  
11 use different values.

12 But getting to how you set the goals, I think  
13 certainly -- well, shouldn't you favor those programs that have  
14 no losers over other ones? I mean, it just seems to me that  
15 that is a good way to approach it. Now, the question is should  
16 you go further than that? And I think as Charlie pointed out,  
17 the Commission did leave the flexibility to do that. And I  
18 think their words were something where, you know, it fails the  
19 RIM by a marginal amount, but there are significant benefits  
20 that you wanted to see the utilities come in with those  
21 programs. So Charlie's right. In your order you do leave the  
22 flexibility to do that.

23 And as you did those initial goals, you asked the  
24 utilities to come in with goals that are set on both criterias,  
25 and the Commission looked at that and made the conclusion to do

1       the RIM. So I don't know -- I guess I'm not sure that I think  
2       that kind of banded approach would be helpful.

3                   MR. GUYTON: There's one other observation that I  
4       would share in that regard. At least when you are in goal  
5       setting, I think the utilities are going to be a little bit  
6       reluctant to embrace the banded approach if you are going to  
7       use it to set goals. Because one of the outstanding issues  
8       from the original goal proceeding that the Commission  
9       intentionally left open was what is the impact if you fail to  
10      achieve your goals, and will you potentially be subject to  
11      penalty if you fail to meet the goals? And that's been kind of  
12      a sword hanging over everybody's neck for a number of years  
13      now.

14                  And there was some real discussion as to whether this  
15      ought to be an aspirational goal or, you know, this is a  
16      mandated goal and potential penalties. And particularly if  
17      you're looking at goals where a utility may underperform and  
18      suffer a penalty, I think the utilities are going to be  
19      reluctant to adopt something that has a banded approach of that  
20      nature.

21                  So, you know, it may play in some measure or context  
22      in a larger policy issue as to, you know, what the purpose of  
23      the goals are and the expectation of achieving them. Having  
24      said that, I mean, a banded approach low/high is not something  
25      that is completely foreign to utilities, and, you know,

1 sensitivity analyses are something that they are accustomed to  
2 running.

3 On the other hand, you could take what is already a  
4 very complex goal-setting process, doing achievable  
5 potential -- technical potential and achievable potential, and  
6 if you add a series of sensitivities you could create the work  
7 load to a point where it just becomes unmanageable. So you've  
8 got to balance all those considerations in.

9 MR. FUTRELL: Gary, to follow up on this line of  
10 questioning, this idea of a banded approach to looking at  
11 cost-effectiveness. Could you give us some quick background  
12 on when in your presentation you identified that you looked at  
13 measures that passed RIM above a .75 level. Can you give us  
14 some background on how that number was arrived at and what  
15 exactly that -- what comfort that gave you by setting  
16 that level.

17 (Inaudible, electronic noise.)

18 MR. BRINKWORTH: All right. Let's try that. Sure.  
19 The .75 level, we got that from looking at -- in the initial  
20 screening, kind of traditional RIM screening that we did at the  
21 very beginning of our analysis, it obviously showed us how all  
22 those programs stacked up, and we looked at the amount of lost  
23 revenues from those various programs. And using that number,  
24 that's kind of how we backed into the .75, because we actually  
25 talked to our commission and said are you willing to accept

1       some level -- this kind of goes back to that question you were  
2       asking before about is there a level of tolerance -- can you  
3       tolerate a certain amount of lost revenue?

4           And when we discussed that with our commission, they  
5       said, yeah, we can accept something in between here and here.  
6       And they gave us a dollar range for lost revenues. And we took  
7       that and went back, basically, and looked in our early results  
8       and said, okay, so what if we -- that correlates to something  
9       right around this .75 ratio, for the most part, on RIM scores.  
10      And so that's where we came up with that value.

11       So we said it has still got to make sense to the  
12      customers, so it has to pass the participant test, it has to  
13      pass TRC, so for the whole body of ratepayers in the service  
14      territory it's got to make sense. And then we're willing to  
15      accept a certain level of lost revenue that correlated to this  
16      RIM score ratio that was less than 1.0.

17       Now, unfortunately, it didn't generate a bunch of  
18      measures for us, but that was kind of the logic, was we walked  
19      into that place of saying there's a certain amount of revenue  
20      loss we are willing to accept, or kind of said a different way,  
21      the way some of my commissioners put it is we're willing to ask  
22      non-participants to take a certain amount of cost penalty in  
23      order to be able to offer a bigger portfolio to the greater  
24      body of ratepayers.

25           MR. FUTRELL: Okay. Let's move on to our next

1 question that kind of feeds into the next question that Karen  
2 has got for us.

3 MS. WEBB: My question takes us back to some of the  
4 formal presentations. We heard three, maybe four speakers  
5 mention specific measures that would be excluded by the RIM  
6 test. I can go into those if you would like, but I'd like to  
7 hear any feedback, if I could, on any specific measures  
8 particularly the utilities know of that would not pass the RIM  
9 test that might pass, say, the total resource cost test.

10 MS. CLARK: You know, I don't -- it strikes me you  
11 would have to do the -- I don't know that we could say just  
12 off-the-cuff. I think you would have to do some analysis.

13 UNIDENTIFIED SPEAKER: I think maybe a better way to  
14 address it is we've got the presentation that was given at the  
15 last workshop where there was a comprehensive list of all the  
16 measures that the utilities did have that passed RIM. I think,  
17 you know, we feel confident those pass RIM as opposed to which  
18 ones do not. So that might be a good source to look at.

19 MS. WEBB: Of those that did pass?

20 UNIDENTIFIED SPEAKER: Right.

21 MS. WEBB: But I suppose all the environmental  
22 representatives have -- well, Mr. Krasowski is here, and I  
23 don't know if the ones that formally presented this morning are  
24 here, but some talk was given as to programs that would flunk  
25 RIM, such as free programs would not pass the RIM test, the

1       refrigerator recycling program would not pass the RIM test,  
2       and, I believe, growth control programs were said to not pass  
3       the RIM test. Is there anyone still in attendance that can  
4       speak to those or other measures that might not pass the RIM  
5       test?

6                    MR. BRANDT: Just in general, also -- this is Dennis  
7       Brandt for FPL, I'm sorry. You know, it's not like a measure  
8       flunks the RIM test or passes. It all depends on the  
9       individual utility, how they choose to administer the program,  
10      so there is lots of variables. So I'm not sure there is this  
11      category that says, pass RIM, fail RIM and we can use that cart  
12      blanche across the board. (Inaudible, electronic noise.) I  
13      mean, just because something passes in GRU doesn't mean it's  
14      going to pass FPL, vice versa. So I would like to, I guess  
15      summarize. I don't see that there is a list that says for  
16      everybody this is what passes RIM, and this is everything that  
17      passes TRC.

18                  UNIDENTIFIED SPEAKER: But I think this illustrates  
19      probably a larger point that she needed to give some  
20      consideration to. It is very hard to answer that type of a  
21      question without performing an underlying analysis where you've  
22      done comparable portfolios under different tests. And just as  
23      it's difficult to answer that, I think it's very difficult for  
24      the Commission to make a meaningful decision about potentially  
25      changing its approach to cost-effectiveness without having that

1 kind of analysis performed so that it knows actually what the  
2 potential impact is, both in terms of measures and savings and  
3 rates.

4 So trying to address cost-effectiveness outside that  
5 context is really missing a significant body of information  
6 that would be valuable to a decision-maker, to the policymaker,  
7 which would suggest that making this decision now as opposed to  
8 trying to do it in the context of a goals proceeding where you  
9 have a great deal more informed -- a great deal more  
10 information so that you can make informed decision-making  
11 suggests that you really ought to defer that decision to when  
12 you have the data as opposed to now when you're trying to make  
13 the decision in the abstract.

14 MR. KRASOWSKI: Excuse me, Mark. I must say that I  
15 agree with the gentleman from FP&L, and that's why no new  
16 utilities' energy producing projects should be approved until  
17 all of the efficiency and renewable, but we're talking  
18 efficiency today, efficiency opportunities have been analyzed  
19 and measured and are thoroughly understood so that we can know  
20 where we are. We're approving things here in Florida that  
21 might not be justified or needed.

22 Thank you.

23 MR. FUTRELL: Okay. We have one more question from  
24 staff. Ms. Chase.

25 MS. CHASE: Joanne Chase with the PSC staff.

1                 The last question that we have has to do with  
2 programs that have been found to be -- that it has been decided  
3 that should be funded by the participants only. I think we  
4 heard some examples today when the companies were talking about  
5 some things that are discovered maybe during an energy audit,  
6 suggestions made that don't really rise to the level of a  
7 program that should be part of the DSM portfolio or anything.

8                 And my question is how do we maximize the potential  
9 benefits of these types of things? I mean, are these the kinds  
10 of things that are put into a utility's educational program or  
11 informational -- how does that information get to more than  
12 just that one customer?

13                 MS. CLARK: You know, it's a matter of making it  
14 clear when you do the audit that these things can be done and  
15 continuing contact with them so they understand that. And I  
16 would add that, you know, one of the things I've heard in the  
17 Energy Commission is there needs to be more public education --

18                 MS. CHASE: Right.

19                 MS. CLARK: -- and public outreach on that, and there  
20 has been some suggestion that it is a state responsibility to  
21 assist in that, to provide that education and urge people to  
22 implement those things that will benefit them and do it on  
23 their own.

24                 MS. CHASE: Well, does each utility now, do you all  
25 have your own programs such as that, the education for the

1 consumer on conservation or whatever, or do you pool your  
2 resources and maybe have a statewide effort? Is there any  
3 thought given to that?

4 MS. CLARK: I'll ask in a minute about the statewide  
5 effort, but they do have TV spots, radio spots, that to some  
6 extent need to be tailored to each company, because there are  
7 different programs that work for each company. I know Gulf  
8 Power has the one where the appliance calls up the owner of the  
9 house and asks if he can go to sleep. And Tampa Electric has  
10 one with a local personality known -- I guess he was a  
11 Buccaneer, right -- who urges people to do that. And FP&L had  
12 one designed to address commercial customers. And I'm just  
13 trying to think what Progress' was. Oh, the guy who dressed up  
14 as a light bulb, PFL.

15 MS. CHASE: Yeah.

16 MS. CLARK: But I think -- in a minute I'll speak to  
17 the statewide, but I think for each utility they are sensitive  
18 to what works with their customers and to pair them up with  
19 other programs so that they can maximize the effect of them.

20 UNIDENTIFIED SPEAKER: But, I guess, you know, if the  
21 benefits of the -- I guess the utilities have a role here, but  
22 I think there's other people that have a role. And I think to  
23 the extent that, you know, the state has a role to help educate  
24 consumers, too, we don't think they are a replacement for one  
25 or the other. They are actually complementary. And the more

1       people that hear about this stuff, the more likely it is that  
2       it finally sinks in and stuff actually happens.

3               MS. CLARK: I know awhile back the Commission did  
4       some that I thought were effective. I never appeared in them,  
5       but I thought they were effective.

6               MR. KRASOWSKI: Excuse me, Mark. Again, a quick  
7       question.

8               Why is it in Florida that the utilities are given the  
9       control of the demand-side management programs? I understand  
10      in other states, and I think in California, there is a general  
11      fund that all ratepayers pay into, and then I -- I'm not sure.  
12      I'd like to understand. Maybe somebody can answer that. Then  
13      that money is used to advance efficiency programs.

14              Is it the Legislature that set that rule that the  
15       utilities would carry this off? Why don't we have a separate  
16       entity to do that?

17              MR. FUTRELL: The Legislature decided in 1980 that  
18       the utilities would essentially be the agents to deliver energy  
19       efficiency programs to the customers.

20              MR. KRASOWSKI: Okay.

21              MR. FUTRELL: Initially, the legislation applied to  
22       all utilities, and there was and has been an energy office that  
23       has had varying levels of funding and activity throughout  
24       the -- since the late '70s, and that has been the state level  
25       approach to providing energy efficiency information and

1 funding.

2 MR. KRASOWSKI: Are you familiar with the California  
3 method as far as the fund that's under --

4 MR. FUTRELL: I know they have a public benefits  
5 fund.

6 MR. KRASOWSKI: Yes.

7 MR. FUTRELL: And that has been advocated here by  
8 some folks in the Energy Commission that have advocated looking  
9 at that concept for the state.

10 MR. TRAPP: Let us also mention that, you know, it's  
11 not just a utility thing. Different agencies have held the  
12 energy office, who at one time had oil refund monies to expend.  
13 There are still programs being administered, although not as  
14 well-funded, through the energy office. There is also programs  
15 with respect to the building code at the state level and at  
16 local levels. And there has also been action in Florida with  
17 regard to appliance efficiencies. So, you know, I think that  
18 the state legislature and the Governor have all formulated our  
19 energy policy in Florida to -- again, not just utilities, but  
20 tried to address all the aspects. And I think they're meeting  
21 today on this topic matter. But our role, the PSC's role is to  
22 find in Chapter 366, the Florida Energy Efficiency Conservation  
23 Act, and it has specific guidelines which we must follow. It  
24 is also the subject of debate today over in the Legislature.

25 UNIDENTIFIED SPEAKER: Just really quick, Mark.

1       There is the question about California and how we fund in  
2 California efficiency programs. It's actually a combination.  
3 So there is a public goods charge on everybody's bill, but  
4 there is also procurement money from the utilities, and it's a  
5 mix of both.

6                   MR. GUYTON: And while it's not a matter of public  
7 policy, it shouldn't be forgotten there are energy service  
8 companies out there that have entered the market because  
9 there's an economic advantage and incentive for these private  
10 entities to provide these services, as well. So there are  
11 also, unlike back in 1980 when FEECA was passed, there are  
12 those entities as well that are promoting some things on behalf  
13 of customers that are not constrained by the cost-effectiveness  
14 tests that we're talking about today.

15                  MR. FUTRELL: Okay. Does anyone have any closing  
16 remarks they would like to make before we adjourn?

17                  Any members of the public want to make a comment?  
18 Yon.

19                  MR. BRANDT: Thank you. Yon Brandt (phonetic),  
20 Advanced Green Technologies. It's unusual of me to actually  
21 listen most of the day and not speak at all. I think one of  
22 the things we've done here today is we actually skipped over  
23 the goal question. And I think it's a little tough to decide  
24 which calculators work for what if we haven't really decided  
25 what we want to accomplish.

1                 The main thing I keep hearing is participants,  
2 non-participants. I think the goal of everyone in the room is  
3 to make all non-participants, to make them participants and to  
4 figure out how to make, you know, as many of them get involved  
5 in some sort of energy efficiency.

6                 We really want to reduce energy consumption. You  
7 know, conserve and then reduce. And I don't know how renewable  
8 energy plays into it, or, you know, the renewable energy  
9 incentives, but I think they did definitely play a vital role,  
10 depending on what -- you know, obviously, there is a question  
11 of base load and off-duty cycling and other things of that  
12 nature. But I definitely think that, you know, to find a goal  
13 specifically on what the Commission wants to do, what the  
14 utilities want and can do, and what the public is willing to  
15 do. I really was in Tallahassee to find, you know, what the  
16 payback was for the adoption curve, you know. And I think  
17 different technologies will also have different payback. And  
18 that's where, you know, the calculations will come in. But,  
19 you know, the overall state goal should be on getting all  
20 non-participants to participate, and those that are  
21 participating, to get them to participate even more.

22                 MS. CLARK: Mark.

23                 MR. FUTRELL: Yes.

24                 MS. CLARK: This is Susan. I guess I do. It's sort  
25 of to articulate a little bit on what Mr. Yon just said, and

1       that is that -- I think I've forgotten your name -- that's your  
2       first name. Excuse me.

3                  You know, I think it is important to have clearly  
4       articulated policies that you are wanting to achieve. But what  
5       I hear today, and I think it has been clear by the discussion  
6       that these are all things that have to be considered as part of  
7       a goals-setting process. And as you move through that process,  
8       all these issues are things that can only be resolved after  
9       you've had a thorough analysis.

10                 And I think as I understand what you are addressing  
11      through doing a potential study and the steps you intend to  
12      take, that you will be doing that thorough analysis. And I  
13      think the focus needs to remain to be on customers. What are  
14      the impacts to the customers. And that should be the focus as  
15      you go through this process.

16                 Thank you.

17                 MR. BRANDT: If I could just add one more thing.

18                 MR. FUTRELL: Yes.

19                 MR. BRANDT: You Brandt, again. You know, it is  
20      about the impact to the customers that's important, but let's  
21      not just think about the short term or the financial impact to  
22      them. Let's also think on the environmental impact to them and  
23      the environment around them. And, you know, the fifth question  
24      on the round table discussion was non-economic benefits and the  
25      societal benefits in terms of including that.

1           You know, a lot of utilities have had great success  
2 with pilot projects, incentivize energy efficiency and  
3 renewable energy incentives. I mean, that's why the federal  
4 government put that off in the same department, it's the Office  
5 of Energy Efficiency and Renewable Energy.

6           You know, and let's -- I think with that is to figure  
7 out how to get it to work not only on a -- to increase the  
8 portfolio of renewable energy on, you know, low fuel cost  
9 production, like solar and wind, like the Governor has been  
10 emphasizing. And how to get them to reduce that and get them  
11 more involved in energy conservation. But we really have to  
12 look at the societal benefit, as well, not just the financial  
13 impact.

14           MR. KRASOWSKI: Mark, may I? Thank you.

15           As a resident ratepayer and citizen of Florida, I've  
16 been living here like 28 years now and stuff, I see the need  
17 for energy, and I see opportunities to provide for that need.  
18 But there seems to be a disconnect between evaluating our  
19 options on an equal plain. Like the discussion that -- or the  
20 idea that we're going to proceed with spending from 12 to \$16  
21 billion on one form of energy plant without a comprehensive  
22 evaluation of what we could get over the next ten years, which  
23 is the time before that project would start producing, with  
24 that 12 to \$16 billion in terms of energy efficiency doesn't  
25 seem to represent adequate analysis to me. And that's just as

1       a common person ratepayer.

2           I certainly appreciate that it is a very complicated  
3       issue, and there is a lot of smart people working on it, but it  
4       seems that what should be in the best of worlds, the ideal  
5       world something crying out for solution is prevented from  
6       realizing the solution because of politics and the economics of  
7       the special interests that are already involved in the process.

8           It's almost like you're trying to remodel a house  
9       when you're living in it as opposed to starting from scratch  
10      and building a new house. But, you know, I wish you the best  
11      of luck, because it impacts me, and, again, I have an interest  
12      in this. But I just think a lot of effort has to be made in  
13      making sure we have all the information we need and all the  
14      comparisons can be done before we move forward on one thing or  
15      another. So thanks for the opportunity for speaking up.

16           MR. FUTRELL: Thanks, Bob.

17           Okay. We will close the proceedings today and thank  
18       you for joining us. As Judy mentioned earlier, there will be a  
19       transcript that we will make available on or after May 12th.  
20       We will distribute that to everyone on our contacts list. We  
21       would request that if you would like, please feel free to  
22       provide written comments, and use the topics that she outlined  
23       as a template. Feel free to go off into other topics if you  
24       would like. And we would like to see those by May 21st.

25           And, also, we'll have a follow-up workshop on May

1       30th where we will discuss incentives for demand and  
2       supply-side efficiency measures. You will be getting the  
3       notice information on that shortly.

4 Thank you very much. Have a nice weekend.

5 (Whereupon, the workshop was adjourned.)

\* \* \* \*

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 STATE OF FLORIDA )

2 : CERTIFICATE OF REPORTER


3 COUNTY OF LEON )

4  
5 I, JANE FAUROT, RPR, Chief, Hearing Reporter Services  
Section, FPSC Division of Commission Clerk, do hereby certify  
that the foregoing proceeding was heard at the time and place  
herein stated.

7 IT IS FURTHER CERTIFIED that I stenographically  
8 reported the said proceedings; that the same has been  
transcribed under my direct supervision; and that this  
9 transcript constitutes a true transcription of my notes of said  
proceedings.

10 I FURTHER CERTIFY that I am not a relative, employee,  
11 attorney or counsel of any of the parties, nor am I a relative  
or employee of any of the parties' attorney or counsel  
12 connected with the action, nor am I financially interested in  
the action.

13 DATED THIS 12th day of May, 2008.

14  
15   
16 JANE FAUROT, RPR  
17 Official FPSC Hearings Reporter  
FPSC Division of Commission Clerk  
(850) 413-6732

18  
19  
20  
21  
22  
23  
24  
25

## ERRATA SHEET

DO NOT WRITE ON TRANSCRIPT - ENTER CHANGES HERE

IN RE: DOCKET NO. UNDOCKETED STAFF WORKSHOP  
NAME:  
DATE: April 25, 2008