


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 090009-EI

In the Matter of:

NUCLEAR COST RECOVERY CLAUSE.
_____ /



VOLUME 3

Pages 449 through 654

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

COMMISSIONERS

PARTICIPATING: CHAIRMAN MATTHEW M. CARTER, II
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER KATRINA J. McMURRIAN
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

DATE: Tuesday, September 8, 2009

TIME: Commenced at 2:20 p.m.
Concluded at 4:30 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: RAY D. CONVERY
Court Reporter
(850) 224-0722

ORIGINAL

DOCUMENT NUMBER-DATE

09340 SEP-98

FPSC-COMMISSION CLERK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME:	PAGE NO.
JOHN J. REED	
Cross Examination by Mr. Moyle	453
WILLIAM REED JACOBS, JR.	
Direct Examination by Mr. McGlothlin	471
Prefiled Direct Testimony Inserted	473
Cross Examination by Mr. Davis	487
Cross Examination by Mr. Moyle	489
Cross Examination by Mr. Anderson	490
Redirect Examination by Mr. McGlothlin	495
ARNOLD GUNDERSEN	
Direct Examination by Mr. Davis	500
Prefiled Direct Testimony Inserted	502
Cross Examination by Mr. Moyle	526
Cross Examination by Mr. Anderson	527
Redirect Examination by Mr. Davis	542
MARK COOPER	
Direct Examination by Mr. Davis	547
Prefiled Direct Testimony Inserted	549
Cross Examination by Mr. Anderson	592
Redirect Examination by Mr. Davis	595
LYNN FISHER and DAVID RICH	
Prefiled Testimony Inserted	602
STEVE SCROGGS	
Direct Examination by Mr. Anderson	606
Prefiled Rebuttal Testimony Inserted	609
Cross Examination by Mr. McGlothlin	641

EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NUMBER:	ID.	ADMTD.
40 through 45		470
46 through 60	588	600
61 through 69	522	546
70	601	601
71, 72	prev. marked	639
131		453
135 Gundersen District Court	532	---
136 Gundersen 11th Circuit	532	---

P R O C E E D I N G S

1
2 (Transcript follows in sequence from
3 Volume 2.)

4 CHAIRMAN CARTER: We are back on the record,
5 and before we continue with our cross-examination, I've
6 spoken with the parties before I left and asked you to
7 review the document on -- refresh my memory, staff, on
8 that exhibit number. 131. Okay, let's hear the parties
9 on the exhibit and also the objections, and then,
10 Ms. Helton, I'll come your way.

11 MS. HELTON: Actually, Mr. Chairman, I think
12 we could maybe avoid most of that. The parties, it's my
13 understanding, have come to an agreement, and the cover
14 page, pages 9, 12, and 31, everyone agrees that that
15 should be admitted into the record, and with the
16 exception of page 31 most of which is confidential, the
17 rest of it is public information.

18 CHAIRMAN CARTER: Is there any objection?
19 Okay, then --

20 MR. YOUNG: Mr. Chairman --

21 CHAIRMAN CARTER: Okay. For the record.

22 MR. YOUNG: Just for the record, I gave
23 Mr. Steve Larson a copy for Commissioner Argenziano so
24 she can have a copy.

25 CHAIRMAN CARTER: And for the record, make

1 sure that we have the version that will actually be
2 entered in for the record.

3 MS. HELTON: Yes, sir. I think that's been
4 distributed by Florida Power & Light just before we came
5 back from lunch.

6 CHAIRMAN CARTER: Okay. Then without as
7 modified, Exhibit 131 will be entered into the record.

8 (Exhibit No. 131 admitted into the record.)

9 CHAIRMAN CARTER: When we last left, I think,
10 Mr. Moyle, you were up for cross-examination. You are
11 recognized, sir.

12 CROSS EXAMINATION

13 BY MR. MOYLE:

14 Q Thank you, Mr. Chairman.

15 Mr. Reed, good afternoon. I'm John Moyle. I
16 represent the Florida Industrial Power Users Group. I
17 have some questions for you this afternoon.

18 Can you just tell us a little bit about your
19 educational background, please?

20 A Certainly. I have a Bachelor of Science in
21 economics and finance from the Wharton School at the
22 University of Pennsylvania. I've also taken
23 postgraduate work in securities as necessary to maintain
24 my securities licenses, continued with the continuing
25 education requirements for that.

1 Q Okay. One of the earlier FPL witnesses
2 indicated that you had done a review. I think I had
3 asked her about audits, and you're not an accountant or
4 a licensed CPA; are you?

5 A No, we have CPAs on our staff but we would not
6 assign a CPA to a construction audit or a management
7 audit like this.

8 Q Okay. And so, with respect to the notion of
9 any audit work, accounting audit work that was done
10 above and beyond, y'all did not perform any such
11 function, correct, as part of your scope of services?

12 A Not an accounting audit, that's correct.

13 Q Now I want to just follow up on some questions
14 that were asked of you specifically with your Exhibit
15 JJR-1, page 36 of 36.

16 A And again, that's JJR-1 to the May 1st?

17 Q Yes, sir. Now, you were here when Mr. Scroggs
18 testified earlier; correct?

19 A Yes.

20 Q And I asked him what the costs were as he sat
21 here today, and he gave a range of 16 to \$18 billion.
22 Do you recall that?

23 A Yes.

24 Q Okay. So, if you were looking at your chart
25 there -- did you assume that those were all-in costs or

1 overnight costs?

2 A All-in costs.

3 Q So if you look at your chart there, you used a
4 project cost of 14 billion; correct?

5 A And again, you're looking at page 36 of that
6 document?

7 Q Yes, sir.

8 A Yes.

9 Q Given what a previous witness testified about
10 a 16 to \$18 billion range being the most current,
11 wouldn't you agree that your all-in number, if you were
12 going to pick a midpoint, would be \$17 billion?

13 A Again, if you're trying to do an average of
14 the -- what was the midpoint and the upper end of the
15 range, I think you can do that; you can average the two
16 figures. I would point out, by the way, that the range
17 is captured on this, and the calculation in fact that I
18 was doing earlier is shown here. The \$8,071 per KW
19 which is in the notes is the upper end of the range.

20 Q Yes, sir. And the date of the estimate that
21 is reflected in this chart is October of 2007, correct?

22 A Yes, for Florida Power & Light.

23 Q All right. And that's approximately two years
24 old, correct?

25 A Yes.

1 Q So just -- I'm just trying to get you to
2 confirm that the better number for the purposes of use
3 today would be, given Mr. Scrogg's testimony about the
4 cost being between 16 billion and 18 billion, if you
5 were to pick the midpoint of that, it would be
6 17 billion; correct.

7 MS. CANO: Excuse me, Mr. Chairman. I'm
8 sorry. Could you clarify? Are you saying that
9 Mr. Scroggs specified 16 to 18 because I think that may
10 be a mischaracterization of his testimony?

11 MR. MOYLE: I thought that was his answer when
12 I asked him, as we sit here today, what's your estimate
13 as to the cost of the 6 and 7, and he said a range of 16
14 to 18 billion. I mean, the record would have it, but
15 that was my recollection.

16 MS. CANO: Okay. Thank you.

17 BY MR. MOYLE:

18 Q So, just so the record's clear, you did answer
19 that -- if Mr. Scroggs said 16 to 18, that, on current
20 information, you would use 17 as a midpoint; correct?

21 A Yes, if you want to assume that those two
22 figures represent the current bound.

23 Q And you don't have any reason to believe that
24 those -- that range is not current, correct?

25 A No. I think Mr. Scroggs' testimony speaks for

1 itself. He said today the number would be closer to the
2 upper end of the range. I'm not sure those two specific
3 figures were the bounds, but --

4 Q You were asked some questions about an
5 announcement made by Duke with respect to an Ohio
6 project, and I'm not sure you indicated what that
7 announcement was. Would you go ahead and clarify that
8 for the record, please?

9 A Duke has announced its intention to build a
10 new nuclear facility in Ohio using the EPR technology.

11 Q And did they announce that that was being
12 suspended or halted?

13 A No. I think the -- there may be two different
14 pieces of information going on here. They made an
15 announcement with regard to proceeding with a new
16 project in Ohio. They also made an announcement with
17 regard to potentially delaying their commencement of
18 operation for a plant in North Carolina.

19 Q Okay. And I was unclear as to that. So in
20 North Carolina, they indicated they may slow down; is
21 that correct?

22 A Yes, both a nuclear plant and two gas-fired
23 plants.

24 Q On page 14, line 12 of your testimony --

25 A Again, is this the May or the March?

1 Q This is the May.

2 I found interest, your use of a phrase, "The
3 best athlete should be utilized to undertake each
4 portion of the Turkey Point 6 and 7 Development."
5 What's the point you were trying to make by using the
6 term "best athlete"?

7 A They're using a matrix organization for the
8 staffing of the new nuclear program cutting across
9 divisions and departments within the company and trying
10 to tap into the best talent wherever they are within the
11 organization.

12 Q Does that best-athlete analogy carry over with
13 respect to outside vendors, third-party contractors,
14 that the FPL project team should try to get the best
15 athlete to undertake services?

16 A Yes. I think the concept is the same. You
17 want to assemble the best team internally and externally
18 to get the job done.

19 Q I had referred during some previous
20 cross-examination to your report with respect to the
21 strategies of retaining engineering services, and I want
22 to spend a few minutes and just get your view and
23 thoughts on that.

24 You would agree that the -- to the extent that
25 work can be subjected to competitive bidding, that it

1 should be competitive bid if able to be done; right?

2 A I certainly agree there should be a preference
3 for competitive bidding and that is the company's
4 preference. There are a number of cases where both sole
5 source and single source justification is warranted.

6 Q And with respect to the engineering work
7 related to the license application, that process was
8 competitively bid; correct?

9 A And by "license application," do you mean the
10 COLA with the NRC?

11 Q Yes, sir.

12 A That's correct, it was.

13 Q And who were the companies that sought to do
14 that work, if you recall?

15 A Initially there were six companies which got
16 cut down to four, and those are identified on page 11 --
17 I'm sorry, it's referred to as page 15 of 36 of my
18 report, which is JJR-1.

19 Q And ultimately that work was awarded to
20 Bechtel, is that right?

21 A That's correct.

22 Q And Bechtel is an engineering company that's
23 well respected in the industry?

24 A Yes.

25 Q And Bechtel would also be capable, would they

1 not, of doing the preliminary engineering work that was
2 sole-sourced to Black & Veatch?

3 A It was single-sourced, which is a slight
4 difference from sole sourcing, but yes; they could have
5 done that as well.

6 Q And FPL made a decision to sole source that
7 work to Black & Veatch largely so that Black & Veatch
8 could develop experience with the AP1000 reactor,
9 correct?

10 A I'd say it goes beyond that. As I said, they
11 did it -- they used a single source justification
12 largely because it would help develop a more competitive
13 response later in the project to competitive bidding.

14 Q And they didn't do any kind of quantitative or
15 qualitative analysis to make that determination, did
16 they?

17 A They did a back-of-the-envelope calculation
18 that said the costs that were being let in the BVZ
19 contract were significantly less than one tenth of
20 one percent of the total project cost, and if, by
21 enabling more competition to bid for the larger EP
22 contract or the EP&C contract, they felt they had the
23 potential to achieve more than a hundred million in
24 savings, a very large multiple of the cost of the BVZ
25 contract.

1 Q What was the contract award of the BVZ
2 contract, do you know? You said one tenth of one
3 percent of 18 billion. What's the number for the
4 contract?

5 A I said substantially less than that. I know
6 the number. I'm just trying to make sure that it wasn't
7 confidential, but let me just go with range. It was
8 less than ten million.

9 Q And on page 22 of your report, you state, and
10 I quote, "By single sourcing the procurement of
11 engineering services from BVZ, this vendor will gain
12 experience with the AP1000 reactor in the PTN 6 and 7
13 project and FPL will increase the competitive
14 environment for constructions services for the AP1000."
15 That's a true and accurate statement, correct?

16 A Can you just tell me again what page you were
17 on?

18 Q Page 22.

19 A Twenty-two of 36?

20 Q I'm sorry. It's page 26 of 36. Page 22 at
21 the bottom.

22 A Okay. Yeah, I think you captured that
23 correctly.

24 Q Is it your understanding that part of a
25 business model is to award contracts not necessarily on

1 the best price but in order to increase markets and
2 increase competition? Is that a legitimate business
3 practice in your judgment?

4 A If it will benefit the project overall. We're
5 not looking a macroeconomic benefit for the entire
6 industry, but if it would benefit the project to enhance
7 competition for a later stage of bidding, yes; that's a
8 viable objective.

9 Q And you talk about a back-of-the-envelope
10 analysis. Did you see any kind of analysis that was
11 performed?

12 A Mr. Scroggs made reference to those order of
13 magnitude numbers in his testimony, as I recall.

14 Q You -- in response to some questions
15 previously on cross-examination, you indicated I believe
16 that you had shared your report with FPL prior to it
17 being issued; is that correct?

18 A Yes.

19 Q And what was the purpose of that?

20 A We wanted to run our -- especially our draft
21 conclusions by them before the report was filed here at
22 the Commission.

23 Q Presumably that would -- there was a review
24 done of that and some feedback was given to you prior to
25 finalizing your report?

1 A That's correct.

2 Q And presumably the feedback was taken and some
3 changes were made to the final report as compared to the
4 draft report?

5 A I don't think there were any meaningful
6 changes made to the final report. My purpose in having
7 the review done was to make sure the company didn't
8 disagree with our conclusions. If they were going to
9 take a position in the case that said we disagree with
10 Concentric's Conclusion No. 7, I wanted to know before
11 we filed, but as I indicated, there was no disagreement
12 with our recommendations.

13 Q And why would that be important to know that
14 prior to filing?

15 A I would want to provide additional support and
16 justification for why we felt that was appropriate.

17 Q Can I refer you to page 3 of 36 of your
18 exhibit? And you were asked some questions, I believe,
19 about this page earlier. Tell me when you're there, if
20 you would.

21 A Page 3 of 36, I have that.

22 Q Okay. The last bullet down talks -- and I'll
23 quote -- about "developing a clear process for ensuring
24 vendors with similar scopes for work at FPL's affiliate,
25 NextEra Energy's unregulated Point Beach Nuclear Power

1 Plant in Wisconsin appropriately bill NextEra Energy and
2 FPL for the work being performed at each plant."

3 Presumably that was an area that you identified some
4 improvement could be made, correct?

5 A Yes.

6 Q And you're aware that FPL Energy has a number
7 of nuclear units, correct?

8 A Yes, I am.

9 Q Are you aware of any power plant, of a nuclear
10 power plant in the United States that has ever been
11 built in which the construction portion was split from
12 the engineering and procurement portion?

13 A Yes, there are some. I'd have to go back and
14 review the construction from the '70s and '80s to give
15 you names, but there were a number of plants where the
16 utility themselves undertook the construction but they
17 farmed out the engineering work. So certainly in those
18 cases where the utility was their own, essentially,
19 general contractor, they separated those two.

20 Q There hasn't been a situation in which, to use
21 a general-contracting analogy, a general contractor was
22 hired for -- directly with the utility for engineering
23 and procurement and then the owner executed a separate
24 and apart contract for the construction that you're
25 aware of; correct?

1 A Not for nuclear. It has been the case for
2 coal in the past and it is the case currently for coal
3 and other new nuclear, but to date there hasn't been two
4 separate contracts issued for EP&C for an existing
5 nuclear plant.

6 Q Wouldn't you agree that splitting out the
7 construction piece from the engineering procurement
8 could potentially lead to greater disputes about scope
9 of services and responsibility as to who was supposed to
10 do what as compared to combining all three elements
11 together?

12 A It could. I think it also could produce very
13 substantial benefits. As I mentioned in my testimony,
14 we're currently advising another client that's choosing
15 the exact same strategy that FPL is, and we've carefully
16 reviewed their basis for that decision and I fully
17 support it. There are potentially very substantial
18 customer benefits separating the EP work from the
19 construction work.

20 Q Let me refer you to page 17 of 36 of your
21 report, and tell me when you're there.

22 A I have that.

23 Q Under the observations, the third paragraph,
24 you state, "Concentric has noted that four vendors were
25 issued contracts that include similar scopes of work for

1 PSL-1 and 2 and PTN-3 and 4, as well as for the work
2 concurrently progressing at FPL's affiliate, NextEra
3 Energy's unregulated Point Beach Nuclear Power Plant."

4 I'm not clear as to what you were trying to
5 capture when you indicated that there were four vendors
6 doing work on contracts that contained similar scopes of
7 work. Could you explain?

8 A Okay. There are uprates going on at,
9 obviously, St. Lucie and at Turkey Point, and there also
10 is a pair of uprates going on at Point Beach 1 and 2.
11 The company is using the same vendors for four vendors
12 at all six projects if you will. It's a matter of
13 ensuring that the contractor is charging the right
14 project. Obviously, making sure that any costs that
15 should be charged to St. Lucie, which is the NextEra
16 plant -- I'm sorry -- to Point Beach which is the
17 NextEra plant, is very important. So we want to make
18 sure that all the charges are properly captured and go
19 to the right entity.

20 Q And I guess that was the point that we talked
21 about earlier with respect to your recommendation to
22 improve the capture of costs to make sure they're
23 properly allocated, correct?

24 A Yes.

25 Q There's been some discussion about joint

1 venture operations or strategic partnerships. Are you
2 familiar that some of the rating agencies and Wall
3 Street have indicated that such strategic partnerships
4 should be fully explored by utilities seeking to build
5 nuclear power plants?

6 A I'm very familiar with the rating agencies'
7 views on that, yes.

8 Q Do you concur with those views?

9 A Yeah, in general I do. It's especially
10 important for smaller utilities to pursue those types of
11 partnerships, and if you look at the ones that are being
12 pursued today, it's largely the case they are companies
13 with a market capitalization that's lower than FPL's,
14 but to diversify risk and to make sure you have adequate
15 access to capital, many of the smaller companies are
16 pursuing those kinds of JVs.

17 Q And that analysis wouldn't necessarily be
18 limited to small companies. To the extent that you can
19 diversify risk even with companies with larger economic
20 profiles, you still would be able to benefit and
21 diversify risk if a strategic partnership were forged;
22 correct?

23 A There are tradeoffs. You can diversify risk,
24 but you also lose output to the facility. If you're a
25 larger facility that needs all of the output by the

1 expected operation date, then your incentive to pursue a
2 JV is obviously less.

3 Q Do you know how many units are currently
4 proposed to be built in Florida, new nuclear power
5 plants?

6 A Four units.

7 Q In your professional view, do you think it
8 would make sense for there to be efforts to explore a
9 joint venture so that risk between -- risk, as it
10 ultimately falls on consumers, could be mitigated by
11 possibly a joint venture relationship?

12 A I'm not going to offer a view with regard to
13 Progress. I'm really here just talking about FPL. I'm
14 very comfortable that FPL can pursue the two units it's
15 pursuing on its own.

16 Again, the tradeoff there is, if they were to
17 bring partners in, which is something they are
18 considering, you have to understand that they'll be
19 relinquishing part of the output and they'll need to
20 replace that with other capacity.

21 Q Yes, sir, and I appreciate that. And I guess
22 the point I was trying to make in terms of asking you
23 the question is to ask you to consider that question
24 from the point of view of consumers. You would agree
25 that consumers potentially could be less at risk to the

1 extent that a joint venture type arrangement were forged
2 and -- to develop nuclear power plants in the state of
3 Florida, correct?

4 A Not necessarily. Consumers of any individual
5 utility may have less financial risk, but to the extent
6 you then have to replace that capacity with gas-fired
7 capacity, you may have more fuel price risk. Consumers
8 in the state as a whole aren't going to be affected,
9 obviously, by the JV, assuming that there's JV partners
10 in Florida.

11 Q Would it be correct to characterize, as to
12 FPL's off-ramp strategy, that it is hedging its bets
13 with respect to the development of a future nuclear
14 power plant project in Florida?

15 A I don't think hedging. I think they're
16 preserving maximum optionality, and I think that's
17 appropriate.

18 MR. MOYLE: Mr. Chairman, if I could have one
19 minute.

20 CHAIRMAN CARTER: Okay. Take a moment.

21 MR. MOYLE: That's all I have. Thank you.

22 CHAIRMAN CARTER: Thank you. Staff, you're
23 recognized.

24 MR. YOUNG: No questions.

25 CHAIRMAN CARTER: Commissioners? Redirect?

1 MS. CANO: No redirect?

2 CHAIRMAN CARTER: Exhibits? From Staff's
3 Comprehensive Exhibit List, Nos. 40 through 43; is that
4 correct?

5 MS. CANO: FPL moves Exhibits 40 to 43.

6 CHAIRMAN CARTER: Are there any objections?
7 Without objection, show it done.

8 (Exhibit Nos. 40, 41, 42 and 43 admitted into
9 the record.)

10 CHAIRMAN CARTER: Anything else for this
11 witness on direct?

12 Thank you, sir. You may be excused.

13 Call your next witness. Oh, Mr. McGlothlin,
14 you're recognized, sir.

15 MR. MCGLOTHLIN: OPC calls Dr. William Jacobs.
16 Dr. Jacobs arrived after you administered the
17 oath earlier.

18 CHAIRMAN CARTER: Okay. Dr. Jacobs, would you
19 please remain standing and raise your right hand.

20 Are there any other witnesses that were not
21 here this morning that will be testifying in the FPL
22 case?

23 Okay. Would you please stand and raise your
24 right hand as well.

25 Whereupon,

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

WILLIAM REED JACOBS, JR.

was called as a witness on behalf of Office of Public Counsel, and, having been duly sworn, was examined and testified as follows:

CHAIRMAN CARTER: Thank you. Please be seated.

You may proceed Mr. McGlothlin.

DIRECT EXAMINATION

BY MR. MCGLOTHLIN:

Q Please give us your full name and your business address, sir.

A My name is William Reed Jacobs, Jr. My business address is 1850 Parkway Place, Marietta, Georgia.

Q Dr. Jacobs, on behalf of the Office of Public Counsel, did you prepare prefiled direct testimony in this case?

A Yes, sir; I did.

Q Do you have that document before you?

A Yes, I do.

Q Do you have any changes or additions or corrections to make?

A No, I did not.

Q Do you adopt the questions and answers contained in this document as your testimony before the

1 Commission?

2 A Yes, I do.

3 MR. MCGLOTHLIN: I request that the prefiled
4 testimony of Dr. Jacobs be inserted at this point.

5 CHAIRMAN CARTER: The prefiled testimony of
6 the witness will be inserted into the record as though
7 read.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

DIRECT TESTIMONY**Of****WILLIAM R. JACOBS JR., Ph.D.**

On Behalf of the Office of Public Counsel

Before the

Florida Public Service Commission

Docket No. 090009-EI

I. INTRODUCTION**Q. PLEASE STATE YOUR NAME, TITLE AND BUSINESS ADDRESS.**

A. My name is William R. Jacobs, Jr., Ph.D. I am a Vice President of GDS Associates, Inc. My business address is 1850 Parkway Place, Suite 800, Marietta, Georgia, 30067.

Q. DR. JACOBS, PLEASE SUMMARIZE YOUR EDUCATIONAL BACKGROUND AND EXPERIENCE.

A. I received a Bachelor of Mechanical Engineering in 1968, a Master of Science in Nuclear Engineering in 1969 and a Ph.D. in Nuclear Engineering in 1971, all from the Georgia Institute of Technology. I am a registered professional engineer and a member of the American Nuclear Society. I have more than thirty years of experience in the electric power industry including more than twelve years of power plant construction and start-up experience. I have participated in the construction and start-up of seven power plants in this country and overseas in management positions including start-up manager and site manager. As a loaned employee at the Institute of Nuclear Power Operations ("INPO"), I participated in the Construction Project

1 Evaluation Program, performed operating plant evaluations and assisted in
2 development of the Outage Management Evaluation Program. Since joining GDS
3 Associates, Inc. in 1986, I have participated in rate case and litigation support
4 activities related to power plant construction, operation and decommissioning. I have
5 evaluated nuclear power plant outages at numerous nuclear plants throughout the
6 United States. I am currently on the management committee of Plum Point Unit 1, a
7 650 MWe coal fired power plant under construction near Osceola, Arkansas. As a
8 member of the management committee, I assist in providing oversight of the EPC
9 contractor for this project. My resume is included as Exhibit WRJ-1.

10

11 **Q. WERE YOU ASSISTED BY OTHER GDS PERSONNEL IN THIS EFFORT?**

12 A. Yes I was. The GDS team involved in the review and evaluation of the requests for
13 authorization to recover costs consisted of me, Mr. James P. McGaughy, Jr., a former
14 nuclear utility executive with over 37 years of experience and Mr. Cary Cook, a
15 Certified Public Account with extensive experience in utility regulation. The resumes
16 of Mr. McGaughy and Mr. Cook are attached to my testimony related to Progress
17 Energy Florida filed in this docket.

18

19 **Q. WHAT IS THE NATURE OF YOUR BUSINESS?**

20 A. GDS Associates, Inc. ("GDS") is an engineering and consulting firm with offices in
21 Marietta, Georgia; Austin, Texas; Corpus Christi, Texas; Manchester, New
22 Hampshire; Madison, Wisconsin, Manchester, Maine; and Auburn, Alabama. GDS
23 provides a variety of services to the electric utility industry including power supply
24 planning, generation support services, rates and regulatory consulting, financial
25 analysis, load forecasting and statistical services. Generation support services

1 provided by GDS include fossil and nuclear plant monitoring, plant ownership
2 feasibility studies, plant management audits, production cost modeling and expert
3 testimony on matters relating to plant management, construction, licensing and
4 performance issues in technical litigation and regulatory proceedings.

5

6 **Q. WHOM ARE YOU REPRESENTING IN THIS PROCEEDING?**

7 A. I am representing the Florida Office of Public Counsel.

8

9 **Q. WHAT WAS YOUR ASSIGNMENT IN THIS PROCEEDING?**

10 A. I was asked to assist the Florida Office of Public Counsel to conduct a review and
11 evaluation of requests by Florida Power and Light (FPL) for authority to collect
12 historical and projected costs associated with extended power uprate ("EPU") projects
13 being pursued at Turkey Point Units 3 and 4 and St. Lucie Units 1 and 2, and
14 historical and projected costs associated with FPL's Turkey Point Units 6 and 7,
15 through the capacity cost recovery clause.

16

17 **II. SUMMARY OF REQUESTS FOR AUTHORIZATION TO**

18 **COLLECT COSTS**

19 **Q. PLEASE SUMMARIZE FPL'S REQUEST FOR COST RECOVERY IN THIS**
20 **DOCKET UNDER THE NUCLEAR COST RECOVERY CLAUSE.**

21 A. FPL is requesting to recover a net amount of \$62,792,990 in 2010. This consists of
22 2010 projected costs of \$151,610,759 and 2008/2009 over recovery of \$88,817,769.

23

1 **III. METHODOLOGY**

2 **Q. PLEASE DESCRIBE THE METHODOLOGY THAT YOU USED TO**
3 **REVIEW AND EVALUATE THE REQUESTS FOR AUTHORIZATION TO**
4 **COLLECT COSTS SUBMITTED BY FPL UNDER THE NUCLEAR COST**
5 **RECOVERY CLAUSE.**

6 A. I first reviewed the Company's filings in this docket and assisted in the issuance of
7 numerous interrogatories and requests for production of documents. To evaluate the
8 contracting process employed by the Company, I reviewed requests for proposals
9 issued by the Company, the bid evaluations conducted on proposals received in
10 response to the requests for proposals, and the contracts awarded to the winning
11 bidders. For single or sole source contracts, I reviewed the single or sole source
12 justifications to ensure that they met the requirements of the governing company
13 procedures.

14 To evaluate the issues related to project schedule and risk management, I reviewed
15 many internal documents, status reports and correspondence with regulatory
16 authorities.

17
18 **Q. HOW DID YOU DETERMINE IF THE COSTS REQUESTED FOR**
19 **RECOVERY BY THE COMPANIES WERE PRUDENT AND**
20 **REASONABLE?**

21 A. The Company must employ prudent contracting and project management and risk
22 management procedures and practices to ensure that the costs are prudently incurred.
23 The scope of work must be reasonable and the Company must ensure that the costs
24 are reasonable by means of competitive bidding or other methods, such as
25 comparisons with similar projects for which the cost is known. I also reviewed the

1 project management procedures and practices that will be used in an effort to manage
2 the projects prudently as they move into the implementation stage.

3
4 In addition to the above reviews, Mr. Cary Cook reviewed the requests to ensure
5 proper accounting treatment and accurate calculation of the various amounts
6 requested for recovery by the Company.

7
8 **Q. PLEASE DESCRIBE YOUR REVIEW OF THE PROJECT MANAGEMENT**
9 **PROCEDURES AND PRACTICES UTILIZED BY FPL.**

10 A. As the projects move into the implementation phase, prudent project management and
11 risk mitigation will be important to ensure that projects are completed on schedule
12 and within budget. Project management procedures and practices that we reviewed
13 include establishment of project budgets, monitoring of budget variances, corrective
14 actions for budget variances, establishment of project schedules, and monitoring of
15 project schedule variances, and corrective action for schedule variances.

16 **IV. ISSUES AND CONCERNS**

17 **Q. HAVE YOU IDENTIFIED CONCERNS WITH FPL'S FILING?**

18 A. Yes. I have identified three concerns with FPL's filing. The first is with FPL's
19 decision to retain BVZ as the preliminary engineer and FPL's plan for a separate
20 construction contractor for the Turkey Point 6 and 7 projects. My second concern is
21 with the FPL's analysis of the long term feasibility of the Turkey Point 6 and 7
22 projects. My final concern is with FPL's refusal to conduct an analysis to identify
23 equipment in the EPU projects that would meet the "separate and apart" criterion.

24

1 Q. PLEASE EXPLAIN YOUR CONCERN WITH FPL'S RETAINING BVZ AS
2 THE PRELIMINARY ENGINEER AND FPL'S PLAN TO UTILIZE A
3 SEPARATE CONSTRUCTION CONTRACTOR FOR TURKEY POINT 6
4 AND 7.

5 A. FPL has separated the construction function from engineering and procurement in its
6 organization of the Turkey Point 6 and 7 project. FPL has retained a consortium of
7 Black and Veatch and Zachry Constructors (BVZ) to provide pre-construction
8 engineering. I believe that the hiring of BVZ and FPL's plan for a separate
9 construction contractor may ultimately result in higher costs for this project. This
10 approach is referred to as an EP and C approach rather than the Engineer, Procure,
11 Construct (EPC) approach used by other AP1000 projects, in which all functions are
12 performed under one contract.

13

14 Q. WHY ARE YOU RAISING THIS CONCERN AT THIS TIME?

15 A. I raise this issue now so that it is clear that the potential for increased costs was
16 identified without the benefit of hindsight in future prudence determinations.

17

18 Q. PLEASE EXPLAIN THE BASIS FOR YOUR CONCERNS WITH FPL'S
19 APPROACH TO CONTRACTING FOR THE TURKEY POINT 6 AND 7
20 UNITS.

21 A. The Turkey Point 6 and 7 project is a very large and complex project. The nuclear
22 steam supply system (NSSS) supplier and designer, the secondary plant supplier and
23 designer and the constructor must interface with each other frequently. The
24 extremely complex work activities and interfaces between contractors could result in

1 numerous disputes between contractors. The use of separate contractors results in
2 higher risk to the FPL and the potential for numerous scope disputes. The modular
3 construction planned for TP 6 & 7, with over 250 separate modules, requires
4 extremely close cooperation between the designer and construction contractor from a
5 very early stage in the project. An EPC-type contract utilizing a turn-key approach
6 with a single entity clearly reduces the risk for FPL. This type of contract places the
7 burden and risk on the consortium (Westinghouse and Shaw Stone & Webster) to
8 manage the interface between the engineering, procurement and construction areas.
9 The consortium would be fully accountable for any delays resulting from these
10 interfaces. In addition, under the EPC approach each member of the consortium
11 could, in most circumstances, be jointly and severally liable for the actions of the
12 others, thus reducing the risk to FPL if one entity fails to perform. Finally, the
13 Westinghouse / Shaw consortium will have gained significant experience from earlier
14 AP 1000 projects and will incorporate the lessons learned into the TP 6&7 project.
15 The use of a construction contractor without familiarity with the AP1000 design and
16 without the benefit of the earlier AP1000 projects will likely result in a repeat of the
17 lessons learned on the earlier AP1000 projects and additional costs to the project.

18

19 **Q. DOES BVZ FIT THIS DESCRIPTION?**

20 A. Yes, they do. FPL's Single Source Justification for hiring BVZ contains a rather
21 remarkable statement. Note: this is not a typo.

22

23

24

25

26

27

28

29

1 (Emphasis added). (FPL Response to OPCPOD 16 at FPL006691,
2 Exhibit WRJ(FPL)-2.)
3

4 **Q. HAVE ANY OTHER UTILITIES CHOSEN TO USE THE EP AND C**
5 **CONTRACTING APPROACH SELECTED BY FPL?**

6 A. No, they have not. All other U.S. utilities that have signed a contract for construction
7 of a new nuclear power plant have chosen the EPC approach.
8

9 **Q. PLEASE EXPLAIN THE CONCERN YOU HAVE WITH FPL'S**
10 **FEASIBILITY ANALYSIS OF THE TURKEY POINT 6 AND 7 UNITS**
11 **PROVIDED IN THIS FILING.**

12 A. The detailed analysis of the long term feasibility of the Turkey Point 6 and 7 project
13 is provided in the testimony of Dr. Steven Sim. Dr. Sim calculated the breakeven
14 overnight capital cost for the new nuclear units based on five forecasts of key
15 assumptions: (1) forecasted Summer peak load, (2) forecasted natural gas costs, (3)
16 forecasted oil costs, (4) forecasted uranium costs, and (5) forecasted environmental
17 compliance costs for carbon dioxide. Dr. Sim then compared the calculated break
18 even cost for 9 different scenarios to FPL's non-binding estimated range of capital
19 costs for the new nuclear units in 2007\$ of \$3,108/kw to \$4,540/kw and concluded
20 that the Turkey Point 6 and 7 project is still projected to be a solidly cost-effective
21 addition for FPL's customers. My concern is that Dr. Sim only did half of the job.
22 While he updated the break even cost based on updated assumptions and forecasts, he
23 did not update the estimated cost of the nuclear units. Without an updated cost of the
24 nuclear units, the comparison is of little value to this Commission in determining the
25 long term feasibility of the units.

1 Q. PLEASE EXPLAIN THE CONCERNS THAT YOU HAVE WITH FPL'S
2 FILING RELATED TO THE SEPARATE AND APART ISSUE.

3 A. A stipulation between OPC and FPL related to the separate and apart issue is shown
4 on page 29 of the Final Order in Docket No. 080009-EI. This stipulation states:

5 OPC and FPL stipulate that as it applies to nuclear uprate
6 projects, the NCRC should be limited to those costs that are
7 separate and apart from nuclear costs that would have been
8 necessary to provide safe and reliable service had there been no
9 uprate project.

10
11 FPL has steadfastly refused to conduct the necessary analysis to confirm that the
12 uprate costs for which it is requesting recovery are separate and apart from nuclear
13 costs that would have been necessary to provide safe and reliable service had there
14 been no uprate project. FPL addresses the separate and apart issue in the March 2,
15 2009 testimony of Mr. Rajiv Kundalkar. In his testimony, Mr. Kundalkar rejects
16 OPC's request that FPL conduct a study to identify each component that may need to
17 be replaced during the 20 years of extended operation. Mr. Kundalkar states:

18 This approach however, is inherently inconsistent with the true
19 manner in which nuclear plants are maintained – which requires
20 constant and real-time monitoring, surveillance, and
21 maintenance decisions – and it was determined that such a study
22 would not yield meaningful or useful results.

23
24 I agree that nuclear plant maintenance involves real time monitoring and maintenance
25 decisions. However, in addition to day-to-day maintenance, nuclear utilities conduct
26 long term capital spending studies to identify large capital expenditures many years in
27 advance. These studies identify equipment that may need to be replaced many years
28 in the future for reasons of economics, obsolescence or other factors. I do not agree
29 that this type of study would not yield meaningful results related to the separate and
30 apart issue. In my opinion, FPL has been uncooperative in resolving this issue and
31 has not acted in the spirit of the stipulation in Docket No. 080009-EI.

1 **V. CONCLUSIONS AND RECOMMENDATIONS**

2 **Q. WHAT ARE YOUR CONCLUSIONS CONCERNING FPL'S FILING IN THIS**
3 **DOCKET?**

4 A. 1. FPL's decision to use a contracting method that separates
5 engineering and procurement from construction may result in
6 significant additional costs.

7 2. FPL's feasibility analysis of the Turkey Point 6 and 7 project did
8 not include a necessary update of the estimate cost of the project.

9 2. FPL did not conduct the "separate and apart" analysis
10 envisioned by the settlement in Docket No. 080009-EI.

11
12 **Q. WHAT ARE YOUR RECOMMENDATIONS CONCERNING FPL'S FILING**
13 **IN THIS DOCKET?**

14 A. I recommend the following concerning FPL's filing in this docket:

15 1. The Commission should take notice that additional costs may
16 result from FPL's decision to retain BVZ and organize the
17 project with a construction contract that is separate from the
18 engineering and procurement contract, and inform FPL that FPL
19 will be required to demonstrate that the project contracting and
20 BVZ decision do not result in additional costs to the project.

21 2. The Commission should order FPL to prepare a revised estimate
22 of the cost of the Turkey Point 6 and 7 project and incorporate
23 the updated cost in a renewed analysis of the long term
24 feasibility of the project.

1 3. The Commission should order FPL to conduct the “separate and
2 apart” analysis that was requested by OPC and envisioned in the
3 stipulation in Docket No. 080009-EI.

4 **Q. DOES THAT CONCLUDE YOUR TESTIMONY?**

5 **A. Yes, it does.**

6

1 MR. McGLOTHLIN: And for the information of
2 the court reporter, there are redacted and confidential
3 versions of the testimony and exhibits.

4 CHAIRMAN CARTER: Okay.

5 BY MR. McGLOTHLIN:

6 Q Dr. Jacobs, did you also prepare the exhibits
7 that are attached to your prefiled testimony?

8 A Yes, I did.

9 MR. McGLOTHLIN: Those have been identified as
10 44 and 45 in the prehearing order.

11 CHAIRMAN CARTER: Forty-four and 45, for the
12 record, the Comprehensive Exhibit List.

13 (Exhibit Nos. 44 and 45 marked for
14 identification.)

15 BY MR. McGLOTHLIN:

16 Q Are you prepared to summarize your testimony,
17 Dr. Jacobs?

18 A Yes, I am.

19 CHAIRMAN CARTER: Dr. Jacobs, were you here
20 when I -- no, you weren't, when I gave my little --

21 THE WITNESS: I don't believe I had the
22 benefit of that, sir.

23 CHAIRMAN CARTER: Okay. Let me tell you about
24 the lights is that green is always good. When the amber
25 light comes on, you have two minutes. When the red

1 light comes on, you have 30 seconds, okay.

2 THE WITNESS: Yes. I don't think that will be
3 a problem.

4 CHAIRMAN CARTER: Good. Mr. McGlothlin.

5 BY MR. MCGLOTHLIN:

6 Q Dr. Jacobs, on your mark, please proceed.

7 A Thank you.

8 Good afternoon, Chairman Carter and
9 Commissioners. Again, my name is William R. Jacobs.
10 I'm testifying for the Florida Office of Public Counsel
11 with regard to the FPL filing in this matter. I have
12 identified three issues or concerns with FPL's filing,
13 and I'll go over those very briefly.

14 First I believe that FPL is considering using
15 a separate construction contractor separate from the
16 engineering and procurement contractor for the Turkey
17 Point 6 and 7 project. I believe that this could lead
18 to additional costs when compared to more traditional
19 EPC contracting methods that other AP1000 utilities are
20 using.

21 This is a very complicated project. They're
22 requiring a great deal of coordination between the
23 engineering and procurement and construction, and
24 between the engineer and constructor, and I believe that
25 having a separate construction contractor certainly

1 opens the door for a lot of additional concerns about
2 scope and responsibility in various areas.

3 As the Turkey Point units I believe are -- I
4 refer to them as the second wave of the AP1000 projects.
5 We heard a little bit earlier about waves, and I think
6 there's -- the Westinghouse/Shaw Consortium building the
7 initial wave is going to gain considerable experience in
8 building these plants that would be valuable to the
9 Turkey Point project.

10 I have not said that, by virtue of their
11 retaining Black & Veatch and Zachry, that they have not
12 foreclosed the EPC option, and I have not stated that
13 that option has been foreclosed, but I raise the issue
14 at this point in time just to ensure that it was brought
15 up early in the process so that, if it does result in
16 additional costs down the road, we wouldn't be accused
17 of having identified this only with the benefit of
18 hindsight.

19 My second concern is with FPL's feasibility
20 analysis. I think they appropriately identified changes
21 in the key parameters of the alternatives, such as gas
22 prices, carbon tax, appropriately calculated the
23 break-even capital costs for comparison with an
24 alternative project; however, in my view they only did
25 half the job. They did not update the potential cost of

1 the nuclear units.

2 Now, we've heard testimony earlier today that,
3 well, they didn't think anything had changed, but I
4 believe a number of the inputs have changed. There's
5 been -- with the economy, I know labor rates have
6 changed, and I believe it would have been worthwhile
7 taking the effort to update or at least look at the
8 capital cost concerns for the Turkey Point units and
9 then compare an updated cost.

10 And, finally, last year we talked about the
11 separate-and-apart analysis. I believe that FPL -- it
12 was my understanding they agreed to provide a 20-year
13 capital analysis of projects that might be needed in
14 order for the plant to run for 20 years, and they have
15 not provided that information.

16 That concludes my opening remarks.

17 MR. MCGLOTHLIN: We tender the witness.

18 CHAIRMAN CARTER: Thank you. Mr. Davis?

19 CROSS EXAMINATION

20 BY MR. DAVIS:

21 Q I have just a couple of questions, Dr. Jacobs.

22 A Yes, sir.

23 Q First of all, you have a conclusion on page 11
24 of your testimony, or a recommendation, I should say,
25 line 22, and that's your Recommendation 2. Can you read

1 that, please?

2 A Yes. I say, "The Commission should order FPL
3 to prepare a revised estimate of the costs of the Turkey
4 Point 6 and 7 Unit," their project, "and incorporate the
5 updated cost in a renewed analysis of the long-term
6 feasibility of the project."

7 Q Now, you understand that, under the
8 Commission's rule for long-term feasibility, that they
9 have the option of approving or not the long-term
10 feasibility analysis presented by FPL?

11 A The Commission has that, is that your
12 question?

13 Q Yes. It states that they approve or not.

14 A I believe the Commission has a lot of
15 discretion in that area. I'm not aware that they have
16 to give it an up-or-down vote.

17 Q If the Commission did not approve the
18 long-term feasibility analysis presented by FPL, then
19 FPL would have the option for coming back with a revised
20 analysis; correct?

21 A Yes, I believe that's correct.

22 MR. DAVIS: Okay. Thank you.

23 CHAIRMAN CARTER: Mr. Moyle?

24 / / / / /

25 / / / / /

CROSS EXAMINATION

1
2 BY MR. MOYLE:

3 Q I just have one question with respect to the
4 discussion about strategic partnerships. In your
5 professional judgment and expert opinion, would it make
6 sense for strategic partnerships to be explored by the
7 two large investor-owned utilities in the state that are
8 moving forward with nuclear projects?

9 A You know, I have not studied that issue at
10 all. I would say it could make sense. I couldn't --
11 I'm not prepared to suggest one way or another how that
12 would turn out.

13 MR. MOYLE: Thank you.

14 CHAIRMAN CARTER: Ms. Cano or Mr. Anderson?

15 MR. ANDERSON: Yes, I have some questions --

16 CHAIRMAN CARTER: You're recognized.

17 MR. ANDERSON: -- Chairman Carter, thank you.

18 CHAIRMAN CARTER: By the way, Ms. Cano, have I
19 been mispronouncing your name? Did I get it right?

20 MS. CANO: Cano.

21 CHAIRMAN CARTER: Oh. I was in the
22 neighborhood. Mr. Anderson.

23 MR. ANDERSON: Thank you, and I neglected to
24 introduce my colleague, Ken Rubin, who was here earlier
25 today, who will be back.

1 CHAIRMAN CARTER: For the record?

2 MR. ANDERSON: Yeah, but it's his first time
3 appearing before the Commission. I intended to
4 introduce you, but Ken Rubin will be back also.

5 CHAIRMAN CARTER: Looking forward to it.

6 Thank you.

7 CROSS EXAMINATION

8 BY MR. ANDERSON:

9 Q Good afternoon, Dr. Jacobs.

10 A Good afternoon.

11 Q I want to clarify something up front here. I
12 just had walked down to page 29 from last year's nuclear
13 cost recovery order. Do you have that there?

14 A Yes, I do.

15 Q Okay. It says Docket No. 080009EI, page 29,
16 right?

17 A Yes.

18 CHAIRMAN CARTER: Do you have other copies,
19 counsel?

20 MR. ANDERSON: No, but we'll just go on.

21 BY MR. ANDERSON:

22 Q The order states, doesn't it, about two thirds
23 down the page, "We note that actions on the specific
24 audit findings are in the scope of an additional
25 stipulation that are not -- the stipulation was joined

1 by AARP and FIPUG and the stipulation reads --" and this
2 is the stipulation -- "OPC and FPL stipulate that, as it
3 applies to nuclear uprate projects, that NCRC should be
4 limited to those costs that are separate and apart from
5 nuclear costs that would have been necessary to provide
6 safe and reliable service had there been no uprate
7 project," right?

8 A Yes.

9 Q Okay. It goes on to say, "OPC and FPL will
10 work with PSC staff to develop an NFR form for use in
11 the 2009 hearing cycle that specifies information the
12 utility will provide in support of its request in the
13 uprated costs and its NFCR -- C filings are separate and
14 apart from the costs that would have been necessary to
15 provide safe and reliable service without the uprate,"
16 right?

17 A Yes.

18 Q And just to be real clear because we don't
19 want any understanding -- you know, you're not stating
20 that this information says that FPL agreed and then
21 breached an agreement to do a 20-year analysis; right?

22 A That's correct.

23 Q Okay. Thanks.

24 And are you aware that the Florida Public
25 Service -- I'm sorry -- Florida Public Service

1 Commission staff held a workshop after last year's
2 hearings?

3 A I'm aware of that, yes.

4 Q I think in November of 2008, and
5 Mr. McGlothlin was there. You weren't there, but he
6 referred to you. You probably talked to him about that,
7 right?

8 A Yes, I'm aware.

9 Q And you're aware that the separate-and-apart
10 considerations were discussed at those meetings?

11 A Yes.

12 Q And that there were informal data requests
13 made by staff of the utilities, FPL and Progress Energy;
14 right?

15 A I believe that's correct, yes.

16 Q And FPL responded to those requests, right?

17 A Yes.

18 Q Okay. Would you agree that in business
19 situations there are often more than one course of
20 action that a manager could choose?

21 A That's correct.

22 Q And the role of a manager is to identify
23 alternative courses of action, consider the benefits and
24 detriments of alternatives based upon facts known at the
25 time and make a reasonable decision based upon the

1 choices and information available; right?

2 A I think generally, yes. I don't disagree with
3 that.

4 Q You --

5 A I don't disagree with that.

6 Q Thank you.

7 At page nine of your testimony, lines 6 to
8 7 --

9 A Yes.

10 Q -- you state at line 6 to 7, "All other U.S.
11 utilities that have signed a contract for construction
12 of a new nuclear power plant have chosen the EPC
13 approach," right?

14 A That's correct.

15 Q You know that FPL has not signed a
16 construction contract, right?

17 A I do know that, yes.

18 Q And we've not signed an EPC contract either,
19 right?

20 A That's correct.

21 Q There are several other companies developing
22 nuclear projects in the United States?

23 A Yes.

24 Q Specifically several other companies like FPL
25 have selected the Westinghouse AP1000 design?

1 A That's correct.

2 Q Duke has a filed an application for NRC
3 license review for an AP1000 design?

4 A Yes.

5 Q Also true for Progress Energy Carolinas?

6 A Yes.

7 Q The Tennessee Valley Authority?

8 A That's correct.

9 Q And FPL has filed an application for NRC
10 license review for an AP1000 design, right?

11 A Yes.

12 Q None of Duke or Progress Energy Carolinas or
13 TVA or FPL has entered into a construction contract for
14 the AP1000 design, right?

15 A That's correct.

16 Q And none of those companies has signed an EPC
17 contract to date either, right?

18 A That's correct.

19 Q So it would be accurate to state that, of the
20 U.S. entities developing AP1000 projects, as of today,
21 some have signed an EPC contract, some have not; right?

22 A That's correct, but the only companies who
23 have actually signed contracts have in fact signed EPC
24 contracts. That's my point in here.

25 Q And just to be clear, and my point is that

1 there are other people who are developing projects who
2 haven't signed such contracts at this point; right?

3 A That's correct.

4 MR. ANDERSON: Good. That's all we have for
5 this witness. Thank you.

6 CHAIRMAN CARTER: Staff?

7 MR. YOUNG: No questions.

8 CHAIRMAN CARTER: Commissioners?

9 Redirect, Mr. McGlothlin?

10 MR. MCGLOTHLIN: Briefly.

11 CHAIRMAN CARTER: Yes, sir.

12 REDIRECT EXAMINATION

13 BY MR. MCGLOTHLIN:

14 Q Dr. Jacobs, counsel for FPL referred you to
15 the language of the stipulation that was contained in
16 the last order, and it referred to the analysis of the
17 equipment that would be necessary for safe and reliable
18 service of an existing nuclear unit. Do you recall that
19 language?

20 A Yes, sir.

21 Q What time horizon for analysis would you think
22 would be adequate to identify such equipment that would
23 be necessary for continued safe and reliable services?

24 A I believe that, in the context of this
25 analysis, that the utility would need to look at a

1 20-year time horizon. That would be essentially the
2 remaining lifetime, operating life of these plants, of
3 the plants that are being uprated.

4 Q Is that possible to do?

5 A Yes, it is. I have seen such an analysis.

6 Q Can you identify anybody who has performed
7 such an analysis?

8 A Yeah, I don't think it's --

9 MR. ANDERSON: I'd object. This is beyond the
10 scope of the cross-examination which I very deliberately
11 limited.

12 MR. MCGLOTHLIN: The questions went to the
13 language of the stipulation, and the implication was
14 that there were horizons -- that FPL has satisfied the
15 test laid out in that language, and Dr. Jacobs has just
16 said that in his opinion it would require a 20-year
17 analysis. I think it's a natural follow-through to ask
18 if anyone has been able to do that which he recommends
19 to be done.

20 MR. ANDERSON: And I'm sorry, but very, very
21 briefly. My point was the assertion was made that we
22 had agreed to do something which we did not do, and I
23 wanted to point out what the stipulation said we did
24 agree to do. Our point is we kept our word. We're
25 not -- you know, we did not examine further on the

1 nature of his analysis, and that was the sole purpose
2 and that's as far as it went.

3 CHAIRMAN CARTER: Ms. Helton. Well, at least
4 we made it past lunch today.

5 MS. HELTON: I was thinking I would get off
6 easy today.

7 Mr. Chairman, I think that Mr. Anderson opened
8 the door and that Mr. McGlothlin's question is
9 appropriate.

10 CHAIRMAN CARTER: Overruled. You may proceed.

11 THE WITNESS: Yeah, I saw a 20-year analysis
12 in the context of one of our clients that was
13 considering renewing the license of the plant, a nuclear
14 plant for an additional 20 years, and it was the logical
15 exercise that they undertook, before embarking on this
16 license renewal project, to look at the equipment of the
17 plant from an economic basis and determine which
18 equipment would likely have to be replaced so that the
19 plant could operate safely and reliably for that 20-year
20 time frame, and that was the type of analysis that we
21 were requesting FPL to conduct.

22 BY MR. MCGLOTHLIN:

23 Q Counsel for FPL asked you about -- asked you
24 to agree that one role of a businessman is to lay out
25 alternative actions and choices, and you said

1 you generally didn't disagree with that. Do you
2 remember that question and answer?

3 A Yeah. I thought that was sort of
4 hypothetical, but, yes; I remember that.

5 Q Let's assume that the business in question is
6 a regulated electric utility.

7 A Yes.

8 Q Do you think that a regulated utility that
9 lays out alternative actions and choices and then makes
10 a poor choice that results in unreasonably high costs
11 should be held accountable by that decision?

12 A Yes; yes, I agree with that.

13 Q Counsel for FPL asked you to agree that there
14 are several other utilities in addition to FPL who are
15 consider -- who are moving forward with the AP1000
16 technology. Do you recall that question and answer?

17 A Yes.

18 Q And you agreed that several have not signed an
19 EPC contract. Do you remember that?

20 A Yes, sir.

21 Q Have they signed an alternative contract that
22 separates out the construction company --

23 A No, they have not signed any contract at this
24 point.

25 Q If they were to choose to do that, do you

1 think they would have the same exposure to increased
2 costs as you've identified in this proceeding?

3 A Yes.

4 MR. McGLOTHLIN: No further redirect.

5 CHAIRMAN CARTER: Exhibits?

6 MR. McGLOTHLIN: OPC moves 44 and 45 which
7 were attached to his prefiled testimony.

8 CHAIRMAN CARTER: Are there any objections?

9 MR. ANDERSON: No.

10 CHAIRMAN CARTER: Okay. Forty-four and 45 are
11 entered.

12 (Exhibit Nos. 44 and 45 admitted into the
13 record.)

14 CHAIRMAN CARTER: Okay. Anything further for
15 this witness on direct?

16 Thank you. You may be excused.

17 Mr. Davis, call your next witness.

18 MR. DAVIS: Mr. Chairman, we have a little
19 problem of a witness who hasn't arrived yet. We have
20 two witnesses, and we would request to take
21 Mr. Gundersen first and Mr. Cooper second.

22 CHAIRMAN CARTER: Let's take the one you've
23 got. Thank you.

24 MR. DAVIS: So SACE calls Mr. Arnie Gundersen,
25 and he has been sworn.

1 CHAIRMAN CARTER: He has been?

2 MR. DAVIS: Yes.

3 Whereupon,

4 ARNOLD GUNDERSEN

5 was called as a witness on behalf of Southern Alliance
6 for Clean Energy, Inc., having been previously sworn,
7 was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. DAVIS:

10 Q Mr. Gundersen, good afternoon. Could you
11 state your name and business address for the record,
12 please.

13 A Good afternoon, Mr. Commissioner and
14 Commissioners. My name is Arnold Gundersen, spelled
15 with an E and not an O, and I work with Fairwinds
16 Associates, with an E, in Burlington, Vermont.

17 Q What's your business address?

18 A 376 Apple Tree Point Road.

19 Q And, Mr. Gundersen, have you prepared prefiled
20 testimony in this proceeding and have you also prefiled
21 exhibits that were dated July 15th, 2009?

22 A Yes, I did.

23 Q And if you were to be asked the same questions
24 as posed in your prefiled testimony today, would your
25 responses be the same?

1 A Yes, they would.

2 Q Is there any exception to that that you wanted
3 to state?

4 A Yeah, there was one word I typed wrong on page
5 ten, line 12. The word "coal" should have been
6 "fossil." and I apologize for that.

7 Q Okay. Now, with those corrections, would your
8 testimony be the same or would your responses be the
9 same if I were to ask you the questions today?

10 A Yes, they would.

11 MR. DAVIS: Okay. At this point, Mr. Chair,
12 we ask that the testimony of Mr. Gundersen be entered
13 into the record as though read.

14 CHAIRMAN CARTER: The prefiled testimony of
15 the witness will be inserted into the record as though
16 read.

17

18

19

20

21

22

23

24

25

1 **IN RE: NUCLEAR PLANT COST RECOVERY CLAUSE**
2 **BY THE SOUTHERN ALLIANCE FOR CLEAN ENERGY**
3 **FPSC DOCKET NO. 090009-EI**

4
5 **DIRECT TESTIMONY OF**
6 **ARNOLD GUNDERSEN**

7
8 **I. INTRODUCTION AND QUALIFICATIONS**

9 **Q. Please state your name and business address.**

10 **A.** My name is Arnold Gundersen. My business address is Fairewinds Associates, Inc,
11 376 Appletree Point Road, Burlington, VT 05408.

12

13 **Q. Please tell us how you are employed and describe your background.**

14 **A.** I am employed as a nuclear engineer with Fairewinds Associates, Inc and as a part-
15 time college professor with Community College of Vermont. I have a Bachelor's and a
16 Master's Degree in Nuclear Engineering from Rensselaer Polytechnic Institute (RPI) cum
17 laude. I began my career as a reactor operator and instructor in 1971 and progressed to
18 the position of Senior Vice President for a nuclear licensee. A copy of my Curriculum
19 Vitae is attached as Exhibit AG-1. I have qualified as an expert witness before the NRC
20 ASLB and ACRS, in Federal Court, before the State of Vermont Public Service Board
21 and the State of Vermont Environmental Court. I have also given testimony in cases in
22 Canada and the Czech Republic. I am an author of the first edition of the Department of
23 Energy (DOE) Decommissioning Handbook.

1 I have more than 35-years of professional nuclear experience including and not limited
2 to: Nuclear Plant Operation, Nuclear Management, Nuclear Safety Assessments,
3 Reliability Engineering, In-service Inspection, Criticality Analysis, Licensing,
4 Engineering Management, Thermohydraulics, Radioactive Waste Processes,
5 Decommissioning, Waste Disposal, Structural Engineering Assessments, Cooling Tower
6 Operation, Cooling Tower Plumes, Consumptive Water Loss, Nuclear Fuel Rack Design
7 and Manufacturing, Nuclear Equipment Design and Manufacturing, Prudency Defense,
8 Employee Awareness Programs, Public Relations, Contract Administration, Technical
9 Patents, Archival Storage and Document Control, Source Term Reconstruction, Dose
10 Assessment, Whistleblower Protection, and NRC Regulations and Enforcement.

11

12 II. PURPOSE AND SUMMARY OF TESTIMONY

13 **Q. What is the purpose of your testimony?**

14 **A.** I have been retained by the Southern Alliance for Clean Energy (SACE) to evaluate
15 the potential for scheduling delays and resulting uncertainty in the licensing and
16 construction of four AP 1000 reactors proposed for construction in Florida by Progress
17 Energy Florida (PEF) (Levy Units 1 and 2) and Florida Power and Light (FPL) (Turkey
18 Point Units 6 and 7), and the effect of these delays and uncertainty on the long-term
19 feasibility of completion of these reactors.

20

21 **Q. Please summarize your findings.**

22 **A.** In my opinion, there are numerous potential scheduling obstacles and resulting
23 uncertainties, which will be faced by both FPL and PEF in the licensing and construction
24 of their proposed AP 1000 nuclear units at Levy County and Turkey Point. These delays

1 and uncertainties have not been taken into account by PEF and FPL, and therefore, PEF
2 and FPL have not shown the long-term feasibility of completing these new nuclear units.

3

4 **Q. What are these obstacles?**

5 **A.** These obstacles include:

- 6 1. Because the 10 CFR Part 52 licensing process for the AP 1000 is brand new and
7 has never been applied before, there is definite scheduling uncertainty due to
8 licensing delays.
- 9 2. Hurricanes Katrina and Rita demonstrated that major construction projects are
10 subject to delays due to the worldwide demand for construction materials and
11 skilled labor. It is very likely that those nuclear construction materials in highest
12 demand will face shortages and procurement delays given the great number of
13 nuclear power plants proposed for construction in the Southeastern U.S.
- 14 3. The nuclear industry as a whole is facing a labor shortage due to the limited
15 qualified individuals capable of performing this work.
- 16 4. Building nuclear power plants is a complicated construction process in which
17 scheduling delays, lengthy construction times, and delayed operation is routine.

18

19 **Q. Are you sponsoring any exhibits to your testimony?**

20 **A.** Yes, I'm sponsoring the following exhibits:

21 AG-1. CV

22 AG-2. NuStart Letter

23 AG-3. Moody's 2009

24 AG-4. Regulatory Risks

- 1 AG-5. COMSECY-09-0003
- 2 AG-6. NRC Jaczko Speech
- 3 AG-7. 2007 ANS Meeting
- 4 AG-8. Finnish Nuclear Trouble

5

6

III. LICENSING

7 **Q. How does the newness of the 10 CFR Part 52 licensing process for the AP 1000**
8 **add to scheduling uncertainty?**

9 **A.** The first obstacle involves the NRC licensing process itself. No AP 1000 reactor has
10 successfully completed the NRC review and 10 CFR 52 licensing process and has been
11 allowed to begin construction. Therefore there is no road map and clear administrative
12 process for either PEF or FPL to follow during the licensing and construction of either
13 the Levy County or the Turkey Point Units. It was anticipated that the NRC combined
14 construction operating license process would enable the AP 1000 to move more quickly
15 through licensing and construction, but instead the AP 1000 units have suffered
16 numerous scheduling delays. In fact Westinghouse has already submitted 17
17 amendments to its standard application for the AP 1000 in response to questions from the
18 Nuclear Regulatory Commission. Therefore, it is quite likely that additional amendments
19 will occur before AP 1000's standard application is approved.

20 Currently there are 14 Westinghouse AP 1000 nuclear reactors planned for construction
21 at seven sites throughout the South. NuStart, a consortium of U.S. utilities and energy
22 companies preparing to build the newly designed AP 1000 reactor, planned for the
23 leading AP 1000 nuclear reactors to be Bellefonte Units 3 and 4; however, NuStart
24 decided to change the Westinghouse reference plant from Bellefonte Units 3 and 4 to

1 Vogtle Units 2 and 3 on April 28, 2009. This change in reference plant design further
2 slows the NRC decision-making process. On April 28, 2009, NuStart, the AP 1000
3 Consortium, requested that the NRC use its own procedures to change the reference site.
4 In Exhibit AG-2, NuStart Letter to NRC, NuStart wrote,

5 *"We understand that an orderly transition of reference plant activities from*
6 *Bellefonte to the VDGP will be necessary to fully effect this change in*
7 *designation while ensuring efficient use of NRC resources please take the*
8 *steps necessary to implement this change."* [Marilyn K. Ray, President of
9 NuStart Energy, to U.S. Nuclear Regulatory Commission (NRC), Attention
10 Document Control Desk, April 28, 2009]

11 My review of NRC documentation shows that NRC currently has no internal procedures
12 with which to perform the change of a reference plant site from Bellefonte to Vogtle,
13 thereby introducing additional scheduling uncertainty.

14
15 **Q. Isn't this problem of licensing delay just an internal problem with the NRC?**

16 **A.** No, the financial community, which provides the capital investment for the
17 construction of nuclear power plants, is also expressing significant concern regarding the
18 predictability of the NRC licensing process. In a 2009 report, Moody's Financial
19 Services stated that, *"nuclear is a bet the farm risk"*. The Moody report, attached as
20 Exhibit AG-3 Moody's 2009, noted that,

21 *"...regulatory risk will persist over the longer term and we increasingly*
22 *think it unlikely that everything will work out as intended we are concerned*
23 *with the size of investments being made even before the NRC grants a*
24 *COL"*. [Moody's Global Infrastructure Finance Special Comment, New

1 Nuclear Generation: Ratings Pressure Increasing, June 2009]

2 Furthermore, a January 15, 2008 report in Power Magazine entitled "Regulatory Risks
3 Paralyzing Power Industry While Demand Grows", attached as Exhibit AG-4, Regulatory
4 Risks, quotes a 2007 Moody's report as saying that the NRC 42 month COLA (Combined
5 Operating License Application) process "*remains untested*". Power Magazine also said
6 that, "*...opponents of the nukes are likely to litigate NRC decisions adding time money*
7 *and doubt to the process.*" [Kennedy Maize and Dr. Robert Peltier, Regulatory Risks
8 Paralyzing Power Industry While Demand Grows, Power Magazine, January 15, 2008]

9

10 **Q. Is the NRC concerned about issues with the COLA (Combined Operating**
11 **License Application) evaluation process?**

12 **A.** Yes, concerns about scheduling issues inherent in the COLA process are even evident
13 within the Nuclear Regulatory Commission. The NRC Executive Director of Operations
14 said in a February 4, 2009 memo to the NRC Commissioners, attached as Exhibit AG-5
15 COMSECY-09-0003:

16 *"...the reviews to date have shown that the schedules and activities related*
17 *to design reviews and COL applications are subject to changes that in turn*
18 *require the staff to shuffle projects and establish new priorities."* [R. W.
19 Borchardt, Executive Director for Operations to NRC Chairman Klein,
20 Designation Of The Office Of New Reactors As Lead Office For New And
21 Advanced Reactor-Related Rulemakings, COMSECY-09-0003, February 4,
22 2009]

23 Moreover, NRC Chairman Gregory B. Jaczko has clearly stated that the process is not
24 fully vetted. In his prepared remarks to the Regulatory Information Conference on

1 March 11, 2009, attached as Exhibit AG-6, NRC Jaczko Speech, The Honorable Gregory

2 B. Jaczko said,

3 *"Finally, I'll touch on an area of new reactors in which I do not think we*
4 *have fully learned the lessons of the past. The Commission made a strong*
5 *effort to learn lessons from processes that did not work – so much so that*
6 *we flipped the application process from 'build first and then license,' to*
7 *'license first and then build.' This greatly lessens the financial risk involved*
8 *but unfortunately applicants have not used this process as intended.*

9 *At the heart of this change was that the key to success is having completed*
10 *designs done early. But we are right back into a situation where we have*
11 *incomplete designs and less than high quality applications submitted for*
12 *review. The very first application we received was on hold for a year and a*
13 *half during which time we could only do minimal work on it. In fact, the*
14 *NRC had to withdraw the hearing opportunity because that applicant was*
15 *not ready and the agency was only able to re-notice it last month. Even*
16 *today, almost a fifth (3 of 17) of the COL applications we have received are*
17 *on hold at the request of the applicants themselves. Vendors are revising*
18 *four of the new plant designs.*

19 *The temptation is to plow on anyway and conclude that if plants got*
20 *licensed in the 1960s and 1970s under less than ideal conditions, it won't be*
21 *the end of the world if the current process begins to look more and more*
22 *like that one. But everyone would be better served by focusing on the lesson*
23 *of all those plants that never got built and concentrating on getting designs*
24 *completed first. Of course, it is up to licensees to decide which process to*

1 *follow. The Commission made it clear, however, that if licensees choose not*
2 *to follow the new Part 52 process of referencing an early site permit and a*
3 *certified design in their applications, they do so 'at their own risk.'*

4 *I challenge the industry to focus on those projects that are most likely to go*
5 *forward and get their design and environmental work done, so that success*
6 *can be used as a model for others to follow."*

7 The fact that the COLA process remains untested further adds to the scheduling and
8 licensing uncertainty for the Turkey Point 6 & 7 and Levy County Units.

9

10 **Q. Has the NRC elaborated on the issue of scheduling delays with the COLA?**

11 **A.** No, the NRC has made several public comments, but has not published an overall
12 analysis of the scheduling problems and delays inherent with a generic COLA.

13

14 **Q. Please delineate any additional site-specific licensing process concerns for either**
15 **the Levy Units or Turkey Point.**

16 **A.** On a more specific case-by-case site-licensing basis, the schedule for the Levy
17 County Units received a setback on July 8, 2009 when the NRC Atomic Safety and
18 Licensing Board (ASLB) ruled that it would hear several contentions brought forward by
19 The Green Party of Florida, the Ecology Party of Florida and the Nuclear Information
20 and Resource Service. The ASLB granted standing to the three petitioners who
21 challenged the proposed PEF nuclear power plant in Levy County and will hear
22 petitioners on three of their legal arguments on why the plant should not be built. The
23 arguments, which ASLB accepted for further analysis and review, are the Units' impact
24 on wetlands, waterways, and habitat, and PEF's proposed disposal process for its

1 hazardous nuclear waste.

2 In the same way that the NRC ASLB has concerns, there are additional site-specific
3 obstacles which will be encountered at both sites as part of the 10 CFR 52 licensing
4 process. For instance, the generic COLA process has not taken into account the critical
5 emergency planning issues involving other nuclear reactor units that are in close
6 proximity or share the same site. In particular, no assessment has been conducted and no
7 plan has been developed concerning the close proximity of the Levy County Units to the
8 Crystal River reactor. The Levy County site is only 8 miles from the Crystal River
9 reactor and therefore the Levy County Units and its surrounding communities must also
10 be engaged in emergency planning considerations with Crystal River. The two proposed
11 Turkey Point reactors share a site with two other nuclear reactors as well as three coal
12 plants, and the complicated emergency planning issues resulting from so many power
13 plants at one site have not been considered or addressed by the generic COLA process.
14 Such emergency planning will require a lengthy interface with NRC as well as federal,
15 state, and local emergency planning agencies which will necessitate public hearings and
16 public comments before the process is complete.

17

18 **Q. Are there additional site-specific licensing issues which may delay construction?**

19 **A.** Yes. PEF requested a Limited Work Authorization at Levy County, meaning that the
20 NRC allows the energy company or utility to begin construction work at the proposed
21 nuclear plant site prior to NRC approval of the corporation's full application. In fact,
22 when it became apparent that there might be unique geological problems associated with
23 the Levy County site, PEF withdrew its Limited Work Authorization request. Currently,
24 it is uncertain whether these geological discoveries may negatively impact the viability of

1 the Levy County site for operating any nuclear power plant. PEF has formally
2 acknowledged that being unable to do work under its Limited Work Authorization
3 request has already delayed its start up schedule by approximately 20-months, which
4 implies inherent increases in cost, which costs have not yet been addressed in its
5 application.

6

7 **Q. Are there any additional concerns for delays for the construction of Turkey**
8 **Point 6 and 7?**

9 **A.** Yes, there are two significant problems that have already been uncovered at Turkey
10 Point that must be reviewed and analyzed. Indeed, because the Turkey Point application
11 is a more recent application, there may be other unique problems associated with this
12 project, which have yet to be discovered by the NRC or FPL.

13 Grid stability is the first major problem of concern in evaluating the Turkey Point site,
14 which once again, is an issue that has not been addressed in the generic COLA process.

15 Grid stability is especially critical to nuclear power plants because an unstable grid will
16 cause unanticipated shutdowns (SCRAMS) in operation and therefore challenge safety
17 systems. The NRC has determined that safety systems frequently challenged by grid
18 stability can be a precursor to a nuclear accident.

19 The Turkey Point site will have seven power plants occupying the same site, which is
20 what presents the unique problems and significant concern regarding grid stability. To be
21 more specific, the transmission corridor from the site is very limited because the ocean
22 bounds the site on one side, which leaves a very narrow corridor through which the
23 power from all seven units must be transmitted. Another major concern is that this
24 narrow transmission corridor is subject to weather related problems that would impact the

1 availability of seven operating units let alone just one operating nuclear plant.
2 Second, salt-water is currently used to cool the other five operating power plants, and it
3 appears that this cooling canal connected to the cooling towers may be leaking salt-water
4 into local aquifers thereby contaminating the entire area's fresh water supply. This
5 problem is called salt-water intrusion and would most certainly be further compounded
6 by adding two more nuclear power plants to this sensitive environmental area.
7 Unfortunately the problem of possible salt-water intrusion into the ground water near the
8 Turkey Point site has not yet been evaluated in the generic COLA process.

9

10 **Q. Is there potential for additional delay and uncertainty in the licensing process as**
11 **the units end the construction phase?**

12 **A.** Yes, the industry is currently focused on the front end of the licensing process, but
13 when construction nears completion, there are also many opportunities for further
14 licensing delays. Delayed licensing means uncertainty in the form of delayed operation,
15 delayed power generation, and increased costs to Florida's consumers. More specifically,
16 10 CFR 52.98 allows for new material to be considered after the reactor design has been
17 certified. Every nuclear power plant that has ever been constructed has faced design
18 changes as construction has proceeded; therefore it is completely unrealistic to assume
19 that the initial AP 1000 reactors will not encounter design changes as construction
20 progresses at various sites around the country. Therefore, in my opinion, it is clear that
21 the multiple conditions delineated in Part 52.98, which allow for further delays to
22 consider new information, will apply to these to projects and will introduce additional
23 risk and uncertainty for scheduling delays.

24

1 **Q. What are your conclusions regarding the Licensing process for FPL Turkey**
2 **Point Units 6 and 7 and PEF Levy County Units 1 and 2?**

3 **A.** In my opinion, the licensing process is strewn with obstacles for both Levy County
4 and the Turkey Point projects. Some of these obstacles are generic Westinghouse AP
5 1000 issues while others are clearly site-specific. Nevertheless, it appears that neither
6 FPL nor PEF have allowed for the impact of significant licensing delays and other
7 uncertainties in either of their applications or in their planning processes for the licensing
8 and construction of Turkey Point Units 6 and 7 and Levy County Units 1 and 2.
9 Therefore, in my opinion, neither FPL nor PEF have shown the long-term feasibility of
10 completing Turkey Point Units 6 and 7 and Levy County Units 1 and 2.

11

12

IV. CONSTRUCTION MATERIALS

13 **Q. In your opening summary, you said, “Hurricanes Katrina and Rita**
14 **demonstrated that major construction projects are subject to delays due to the**
15 **worldwide demand for construction materials and skilled labor. It is very likely**
16 **that those nuclear construction materials in highest demand will face shortages and**
17 **procurement delays given the great number of nuclear power plants proposed for**
18 **construction in the Southeastern U.S.” Please explain how construction materials**
19 **may cause construction delays and uncertainty.**

20 **A.** In my opinion, the second major obstacle for FPL and PEF in meeting their proposed
21 construction schedules involves the availability of nuclear grade materials to be used in
22 the construction of these projects. There is already a significant international shortage in
23 quality nuclear grade construction materials, which I believe will be compounded by the
24 need to obtain both quality construction materials, but also to obtain materials that are

1 nuclear grade American Society of Mechanical Engineering certified.

2 In the Department of Energy's (DOE) October 22, 2005 report entitled "Nuclear Power
3 Plant Construction and Infrastructure Assessment", DOE states,

4 *"The most significant manufacturing concern and the associated*
5 *construction schedule risk is that reactor pressure vessel fabrication could*
6 *be delayed by the limited availability of nuclear grade large ring forgings.*

7 *These forgings are currently available from one Japanese supplier."* [Page
8 iv]

9 A sole-source supplier of such a critical component presents significant problems and
10 concerns including but not limited to: labor issues, quality issues, and Acts of God.

11 More specifically, given that the only facility in the world to manufacture these forgings
12 is located in Japan, an earthquake or typhoon could hamper the facility's production and
13 delivery of these forgings for months if not years.

14 An extensive amount of time at the American Nuclear Society (ANS) 2007 convention
15 was spent discussing supply-chain challenges, according to Power Engineering
16 Magazine, attached as Exhibit AG-7 2007 ANS Meeting. For instance, in 1980 "*more*
17 *than 500 companies in the United States carried N-stamps [Nuclear Stamps]...Today that*
18 *number is around 100."* [Teresa Hansen Associate Editor, The Nuclear Renaissance's
19 Future, Power Engineering, September 2007, Pages 46 to 50] Additionally, Power
20 Engineering's review of the ANS convention noted that,

21 *"Few companies in the United States can provide large complement*
22 *castings and only one US company can manufacture large nuclear grade*
23 *components. ...This lack of US-based manufacturing means that*
24 *constructors/owners of new US nuclear reactor plants will be competing*

1 *with nuclear plant constructors/owners around the world."*

2 The Power Engineering article also emphasized that as compared to 1980, "*Today, the*
3 *competition and supply chain are international."*

4 Furthermore, in its summary of the ANS convention, Power Engineering Magazine added
5 that,

6 *"Competition from overseas markets and plans to increase nuclear plant*
7 *building in the United States will cause supply problems in 2013 and 2014.*
8 *... the supply of concrete, reinforced steel, large bore piping, small bore*
9 *piping, structural steel and conduit will be constrained."*

10 The Power Engineering Magazine analysis also emphasized that, "*... high demand and*
11 *limited supply will cause material prices to increase."*

12 Many nuclear grade component and material suppliers have dropped out of the business
13 during the past 30 years due to the stringent manufacturing requirements, the high cost of
14 trained personnel, and the lull in nuclear power plant construction. Now, since there is a
15 broad international demand for these limited resources, I believe that the schedule for
16 these units will be adversely impacted by shortages in nuclear grade materials. In my
17 opinion, PEF and FPL have not considered equipment shortages when considering the
18 long-term feasibility of these reactors.

19

20 **V. NUCLEAR PERSONNEL**

21 **Q. Do you anticipate skilled labor shortages during the time period in which these**
22 **reactors are being designed and constructed?**

23 **A. Yes, the third obstacle to implement the proposed construction schedules involves the**
24 **availability of trained engineers and construction personnel to support the construction of**

1 these projects. In its October 22, 2005 report entitled "Nuclear Power plant Construction
2 and Infrastructure Assessment" DOE said,

3 *"Hiring the highly skilled and highly valued construction workers needed to*
4 *build nuclear units is expected to be a challenge. Qualified boilermakers,*
5 *pipefitters, electricians, and ironworkers are expected to be in short supply*
6 *in local labor markets. The use of workers from other communities and*
7 *states travelers will be required for these construction trades."*

8 Given that all of the AP 1000 reactors are presently in the southern states, and that four of
9 the AP 1000 reactors will be in Florida, I believe there will undoubtedly be a regional
10 drain of qualified construction personnel therefore making it challenging to complete any
11 of these projects on time and within budget.

12 In its September 2007 issue, Power Engineering Magazine had an extensive report on the
13 American Nuclear Society's (ANS) annual conference. Attached as Exhibit AG-7. In
14 regards to skilled labor, the report noted that:

15 *"Edward Wick of Shaw Stone and Webster also spoke during the session and said*
16 *that he believes the challenges faced by companies looking for craft labor are much*
17 *larger than those faced by companies looking for engineers and scientists ...The*
18 *labor shortage is very real for the construction industry... not only are there limited*
19 *numbers of skilled craft workers available, but multiple industries are courting*
20 *those workers.... The nuclear industry is competing with fossil plants, refineries,*
21 *manufacturing and other industries for skilled labor."*

22 Power Engineering also noted that shortages are not only in the crafts but affect engineers
23 and technicians as well. *"During the opening plenary Art Stahl said one of the biggest*
24 *challenges is finding qualified people -- including craft labor, technicians, engineers and*

1 *scientists -- to support construction and operation ...40% of the current nuclear power*
2 *plant workers are eligible to retire within the next five years". He also added, "... only*
3 *8% of the current nuclear plant workforce is under 32 years old."*

4 My experience as an expert for the State of Vermont leads me to concur with Mr. Stahl's
5 comments above. The Vermont State Legislature appointed me to the Vermont Yankee
6 Nuclear Oversight Panel (VYNOP). The VYNOP was created by the Legislature to
7 assist it in its evaluation of Vermont Yankee's application to extend its license for 20
8 more years. As a VYNOP member, I determined that shortages in engineering personnel
9 were likely to adversely impact Vermont Yankee beginning as early as 2010.

10 I believe that the shortage of craft labor within the state of Florida will be a problem in
11 and of itself. However, it is my opinion that this problem is exacerbated due to the
12 simultaneous planned construction of numerous power plants in the Southeastern U.S.

13 Additionally, in my opinion, further pressure will also be added by the ongoing and
14 extensive growth in international nuclear power markets, which may also cause a drain
15 on technical and engineering personnel. Since the international power market pays
16 extensive bonuses and all living expenses to technical and engineering personnel, this
17 may be a unique enticement to a segment of technical and engineering employees who
18 may wish to work outside the U.S. for several years. Furthermore, the 100 nuclear
19 reactors presently in operation are nearing 40 years of operating history and most of their
20 experienced technicians and engineers are nearing retirement. Because these plants are
21 seeking 20-year life extensions, they are recruiting heavily from colleges and drawing
22 heavily on the newly minted engineers and technicians in order to meet staffing
23 requirements. I believe that the addition of several dozen new advanced reactors will
24 place a significant burden on staffing of engineers and technicians for the foreseeable

1 future. In my opinion, FPL and PEF have not anticipated the shortage of skilled craft,
2 engineering, and technical personnel in their consideration of the long-term feasibility of
3 these Florida units.

4

5

VI. CONSTRUCTION DELAYS

6 **Q. Should the COLA's be approved, do you anticipate construction delays?**

7 **A.** Yes, building a nuclear power plant is an extraordinarily complicated process.

8 During my 38 years of experience in the nuclear industry, I have never seen a nuclear
9 power plant meet its construction schedule without repeated modifications and delays.

10 The corollary to that statement is that I have never seen a nuclear plant be built faster
11 than its schedule anticipated. Since the AP 1000 design is brand new, the evidence from
12 previous radically new designs has shown that delays should be anticipated in the initial
13 units to be built, including Levy County and Turkey Point. These AP 1000 projects will
14 encounter scheduling delays inherent in any large construction project. While some of
15 these problems will be site specific, many others will most likely be due to problems
16 encountered as other AP 1000 reactors are licensed and constructed.

17 I've been following the problems with new the Generation 3 Finnish reactors in

18 Olkiluoto, Finland for several years. A May 29, 2009, New York Times article entitled

19 In Finland, Nuclear Renaissance Runs into Trouble, encapsulates these problems in a
20 single contemporaneous article attached as Exhibit AG-8 Finnish Nuclear Trouble.

21 In its report, the New York Times noted that this power plant design "was supposed to be
22 the showplace of a nuclear renaissance... its modular design was supposed to make it
23 faster and cheaper to build. And it was supposed to be safer too." However, the Finish
24 reactors ran into numerous delays. The report noted that construction delays included:

1 poor concrete, inexperienced contractors, and the lack of professional knowledge by
2 some of the contract personnel. Times reporter James Canter wrote that as a result of
3 these delays the estimated prices climbed by 50% and that the utility is no longer willing
4 to make certain predictions on when or if the plant will ever go online. He added that this
5 Finnish reactor was part of a new fleet of reactors that were to be standardized "down to
6 the carpeting and the wallpaper", and that this "early experience suggests that new
7 reactors will be no easier or cheaper to build than the ones of a generation ago when cost
8 overruns ...ended the last nuclear construction boom."

9 In this article, Professor Paul Joskow of MIT is quoted as saying that "a number of US
10 companies have looked with trepidation on the situation in Finland... the rollout of new
11 nuclear reactors will be a good deal slower than a lot of people were assuming." "To
12 streamline construction, the Nuclear Regulatory Commission in Washington has worked
13 with the industry to approve a handful of designs. Even so, the schedule to certify the
14 most advanced model from Westinghouse has slipped during the ongoing review of its
15 ability to withstand the impact of an airliner," according to Canter.

16 The New York Times ended its in-depth expose with two important quotes. First, a
17 Morgan Stanley financial analyst said, "The warning lights now are flashing more
18 brightly than just a year ago about the cost of new nuclear". The second expert, a project
19 manager at the Finnish plant, quoted by The Times said, "We have had it easy. This is at
20 least a geologically stable site... earthquake risk in places like China and the United
21 States or even the threat of a storm surge means building these reactors will be even
22 trickier elsewhere."

23 I believe there are significant construction risks that will be faced by the proposed new
24 Florida reactors. Based upon these risks, it is my opinion that neither FPL nor PEF have

1 shown the long-term feasibility of completing the Levy County units or TP 6 and 7.

2

3

VII. CONCLUDING TESTIMONY

4 **Q. Are there indications that FPL and PEF are aware of the issues you have**
5 **identified?**

6 **A. Yes, careful reading of documents provided by both FPL and PEF indicate that their**
7 **executives are aware of the very obstacles I have identified in this report.**

8 PEF executive Daniel Roderick stated, on page 6 line 9 of his Need Docket testimony,
9 that the Levy County schedule "...estimates are based on the best information available to
10 the company at this time." Additionally, he stated that there are a number of factors
11 including but not limited to: permitting and licensing delays, labor and equipment
12 availability, and "imposition of new regulatory requirements" "to name only a few"
13 factors that would adversely "affect the project cost". This testimony suggests that Mr.
14 Roderick is indeed aware of many of the problems I anticipate impacting the Levy
15 County Units. However, despite being aware of the issues, it is my opinion that PEF has
16 not adequately addressed these problems in the information provided to the State of
17 Florida.

18 In his May 1, 2009 testimony, FPL executive Steven Scroggs said that the construction
19 schedule for the Turkey Point Units was "... the earliest practical deployment schedule."
20 (Page 2, line 14). On page 14, Mr. Scroggs briefly touched upon some of the same cost
21 concerns as Mr. Roderick did in his testimony. Scroggs said, "market forces, such as
22 demand from other international and US nuclear projects, keep the qualified nuclear
23 supply chain highly utilized, maintaining elevated price levels... or changes to the number
24 or capabilities of qualified vendors in the nuclear supply chain will impact pricing". On

1 page 17 Scroggs also said, "Due to the unique contracting challenges presented in the
2 new nuclear deployment ...FPL may not obtain terms, conditions, scope and payment
3 schedules that represent an acceptable expenditure plan given the economic, legislative,
4 and regulatory environment." It is my opinion that Scroggs is suggesting that FPL's
5 schedule is simply unachievable, as the "earliest practical" schedule does not imply that it
6 is the most likely schedule to be achieved, especially given the international market
7 forces he identifies in his testimony.

8 In summation, I believe that the scheduling assumptions used for the four AP 1000
9 reactors proposed to be constructed in Florida are not prudent, as there appears to be no
10 contingency for the obstacles and uncertainty that I have discussed above which are
11 highly likely to occur. Therefore, in my opinion, neither FPL nor PEF have shown the
12 long-term feasibility of completing these reactors, nor have they shown that these very
13 optimistic schedules are even achievable and it is most likely that cost overruns and
14 schedule delays are unavoidable.

15

16 **Q: Does this conclude your testimony?**

17 **A: Yes.**

1 MR. DAVIS: And we also request that the
2 prefiled exhibits that are labeled for Mr. Gundersen
3 as --

4 CHAIRMAN CARTER: For identification, Nos. 61
5 through 69 --

6 MR. DAVIS: Yes.

7 CHAIRMAN CARTER: -- from staff's
8 comprehensive exhibit list.

9 MR. DAVIS: Thank you.

10 CHAIRMAN CARTER: Okay. You may proceed.

11 (Exhibit Nos. 61, 62, 63, 64, 65, 66, 67, 68
12 and 69 marked for identification.)

13 BY MR. DAVIS:

14 Q Okay. Do you have a summary of your
15 testimony, Mr. Gundersen?

16 A Yes, I do.

17 Q Could you present that, please.

18 A Thank you.

19 Mr. Chairman and Commissioners, in my prefiled
20 testimony I applied 35 years of industry experience in
21 nuclear power plant engineering and construction, and
22 I've looked at the long-term feasibility of the Florida
23 Power & Light Turkey Point Units 6 and 7.

24 My testimony is focused on the fact that there
25 are a number of major obstacles to a timely licensing

1 and construction of the units which results in
2 significant uncertainties in regards to scheduling and
3 costs. These obstacles were foreseeable, they are
4 foreseeable, and they will be foreseeable. They're not
5 unique to Florida Power & Light. Such obstacles are
6 being faced in the nuclear industry throughout the
7 world.

8 I've identified four major obstacles which
9 confront Florida Power & Light in what I believe is an
10 overly optimistic and unrealistic assessment of Turkey
11 Point's licensing, construction and operation timeline.

12 The first is that there will be licensing
13 delays due to the lengthy and necessary Nuclear
14 Regulatory Commission review of these new AP1000
15 designs. The second is that there will be equipment
16 bottlenecks due a limited supply chain of qualified
17 nuclear grade vendors. The third is that the nuclear
18 industry is already experiencing significant labor
19 shortages, and those labor shortages are likely to
20 continue or worsen because of an aging work force, and
21 also because of a lack of experience of nuclear
22 qualified construction personnel. And, finally, the
23 sheer complexity of building something as complicated as
24 an AP1000 design is a problem in itself.

25 FPL plans to construct a plant that is newly

1 designed. The design has not been licensed yet -- has
2 not been approved yet by the Nuclear Regulatory
3 Commission. Industry history is clear that such
4 scenarios have always caused significant construction
5 and operational delays.

6 Based on these obstacles, it's my opinion that
7 the schedule is not realistic, and not only is the
8 schedule likely to slip, which I perceive as pushing it
9 sideways, but it's also likely to elongate because of
10 problems once the construction process gets going.

11 The net effect of the four obstacles makes it
12 extremely unlikely that the Turkey Point units will be
13 completed in the overly optimistic schedule that Florida
14 Power & Light has presented.

15 In its testimony, Florida Power & Light has
16 acknowledged the same four obstacles that I did;
17 however, despite the fact that Florida Power & Light
18 acknowledged these obstacles, their rigid urgent
19 schedule and other assumptions have neglected to
20 accommodate the obstacles in the form of scheduling
21 delays and other contingencies. Because of the fact
22 that the schedule has not accommodated these
23 schedules -- potential schedule slippages, I believe
24 Florida Power & Light has not demonstrated the long-term
25 feasibility of the reactors.

1 The process that all the reactors to date,
2 including Turkey Point 1 and 2 and St. Lucie were built
3 under was 10 CFR 50. Well, 10 CFR 50 plants are no
4 longer being licensed. This is a 10 CFR 52 plant that
5 is brand-new and, in fact, no plant has ever made it
6 through that process. So we've got a new process with a
7 new plant that's never been licensed, operated or
8 constructed, and yet we have a very tight construction
9 schedule which I deem to be overly optimistic.

10 Finally, it's not just the licensing of these
11 units that's an issue, it's the construction pipeline
12 which is dry and needs to be re-primed. It's the fact
13 that an aging work force, including guys like me -- 40
14 percent of the people in the industry are eligible for
15 retirement in the next five years, and it's the fact
16 that this is a very complicated process.

17 The net effect of all of this is that the
18 obstacles I've discussed were foreseeable in '02 and in
19 '07 and '08 and now in '09. They will continue to be
20 foreseeable in the future. They're not unforeseeable
21 events which just fall from the sky.

22 A realistic schedule for Turkey Point would
23 include allowances for delays and uncertainties which I
24 have identified and would make it obvious to this
25 commission that the so-called urgent schedule proposed

1 by Florida Power & Light is not feasible. The
2 scheduling ratchet can only turn one way, toward a
3 longer schedule and not a shorter one.

4 Thank you.

5 CHAIRMAN CARTER: Thank you. Mr. Rehwinkel?

6 MR. RHEWINKEL: No questions.

7 CHAIRMAN CARTER: Mr. Moyle?

8 CROSS EXAMINATION

9 BY MR. MOYLE:

10 Q One question.

11 So, in terms of what you're asking this
12 commission to do, would you clarify that, please?

13 A I think that the process you're going through
14 now -- in the process you're going through now, Florida
15 Power & Light should be required to add contingencies
16 into the schedule which then, of course, would lengthen
17 the schedule and, of course, then increase the price,
18 and I think that the feasibility analysis should be
19 based on a realistic schedule which, of course, then
20 would have a realistic price.

21 MR. MOYLE: Thank you. That's all I have.

22 CHAIRMAN CARTER: Staff, you're recognized.

23 MR. YOUNG: No questions.

24 CHAIRMAN CARTER: Commissioners, any
25 questions?

1 MR. ANDERSON: I have a few.

2 CHAIRMAN CARTER: Oh, sorry, Mr. Anderson.

3 Mr. Anderson.

4 MR. ANDERSON: I'll admit to trying to go
5 super-fast --

6 CHAIRMAN CARTER: No, that's okay. Go ahead.
7 I must have had a brain cramp.

8 MR. ANDERSON: May I proceed?

9 CHAIRMAN CARTER: Yes, sir. You're
10 recognized.

11 CROSS EXAMINATION

12 BY MR. ANDERSON:

13 Q Thanks.

14 Mr. Gundersen, you filed your testimony on
15 July 15; is that right?

16 A That's correct.

17 Q You were hired by SACE about two weeks before
18 your testimony was due, correct?

19 A Yes, that's correct.

20 Q Your testimony about both FPL and Progress'
21 projects, right?

22 A Yes, that's correct.

23 Q Prior to filing your testimony, your total
24 work time was 31 hours?

25 A Correct.

1 Q About 20 percent of that time was preparing
2 testimony, right?

3 A Correct.

4 Q So about six hours, right? Twenty percent of
5 31 is roughly six, is that right.

6 A Yes, that's correct.

7 Q Thank you.

8 You swore an oath today that the information
9 in your testimony is true and correct, right?

10 A That's correct.

11 Q Please open your testimony with me to page
12 ten, lines 11 to 12.

13 A Yes, that's correct.

14 Q Directing your attention to page ten, lines 11
15 to 12, you state that the two proposed Turkey Point
16 reactors share a site with two other nuclear reactors as
17 well as three coal plants, right?

18 A That's correct.

19 Q Turn to page 12.

20 A That was --

21 Q Okay. I'm sorry?

22 A I corrected that in the errata at the very
23 beginning of my testimony today.

24 Q Okay. You state at page 12, lines 2 to 4 --

25 A Okay.

1 Q -- that salt water is currently used to cool
2 the other five operating plants, right, and it appears
3 that this cooling canal connected to the cooling towers
4 may be leaking salt water into local aquifers thereby
5 contaminating the entire area's fresh water supply. You
6 say that, right?

7 A Yes, that's what it says.

8 Q All the statements that you put in your
9 prefiled testimony in your six hours of writing that I
10 just read, they're all wrong; aren't they?

11 A No. That's a poorly worded sentence, and four
12 of the five units are cooled on the --

13 Q Let me ask some general questions.

14 A It's a poorly worded sentence, and I wish I
15 had time to write it better, but it's not all wrong.
16 No, I disagree.

17 Q Well, there are no coal plants at Turkey
18 Point?

19 A I corrected that with my counsel like a day
20 after I wrote this. My counsel said that we could
21 correct it in an errata today.

22 Q No cooling towers at Turkey Point Units 1
23 through 4?

24 A Unit 5 is the one with the cooling towers.
25 The other ones are on the serpentine path that runs

1 through the swamp.

2 Q As Mr. Scroggs points out in his rebuttal
3 testimony, right?

4 A I said it was a poorly worded sentence, but
5 there is a serpentine path that crawls through the
6 swamp, and there is a cooling tower there for the other
7 unit, and I'm sorry that they got combined.

8 Q Okay. Look at page 11, lines 20 to 23.

9 A I'm on page 11. What lines?

10 Q Lines 20 to 23. You state that the existing
11 units are connected to the transmission grid through a
12 single coastal transmission corridor, correct?

13 A No, I don't say it's a single transmission
14 corridor. I said there's a narrow transmission
15 corridor.

16 Q A narrow transmission corridor --

17 A Yeah.

18 Q -- right. Isn't it a fact though that there
19 are actually two independent transmission corridors that
20 go in entirely different directions from the plant?

21 A Well, the load is to the north, so the
22 transmission corridors go to the north, and there's a
23 several-mile gap between them, but I think the point
24 still stands that they are -- grid stability is an issue
25 anyway.

1 Q You're not testifying here today as an expert
2 on grid stability, are you?

3 A The topic of that paragraph was grid
4 stability, and putting two transmission lines relatively
5 close together geographically causes grid stability
6 issues.

7 Q You've never worked as a system operator for a
8 utility, is that right?

9 A I worked for a utility, but I wasn't a system
10 operator.

11 Q You didn't work in transmission system
12 operations, correct?

13 A That's correct.

14 Q So you were not responsible for proper voltage
15 regulation and all those types of things in that type of
16 system operation, right?

17 A No, I was a licensing engineer on a nuclear
18 unit so --

19 Q Exactly, good.

20 I'm going to pass out two exhibits. To save
21 time, I'll pass them out at the same time.

22 CHAIRMAN CARTER: Do you need numbers?

23 MR. ANDERSON: Yes, sir.

24 CHAIRMAN CARTER: The first would be 135.

25 Short title, please.

1 MR. ANDERSON: Gundersen District Court.

2 CHAIRMAN CARTER: 135, Gundersen District
3 Court. And 136.

4 MR. ANDERSON: Gundersen 11th Circuit.

5 CHAIRMAN CARTER: Gundersen 11th Circuit.

6 Okay. Let's make sure all the parties get them before
7 you go.

8 MR. ANDERSON: And I've marked on these in
9 yellow for everybody to make it a little easier to see.

10 CHAIRMAN CARTER: You may proceed.

11 (Exhibit Nos. 135 and 136 marked for
12 identification.)

13 MR. ANDERSON: Thank you. Looking at Exhibit
14 135 --

15 MR. DAVIS: I haven't gotten a copy of those
16 yet.

17 Okay. I'm sorry. They were left up here.

18 Is this a time to offer an objection, Mr.

19 Chair, to the use of those exhibits as being --

20 CHAIRMAN CARTER: Sure. You're recognized to
21 speak to the objection.

22 MR. DAVIS: Thank you. Mr. Chair, these

1 sorry. I don't know who is --

2 CHAIRMAN CARTER: I was just telling him,
3 Commissioner, to check and make sure his microphone was
4 on because I can barely hear him myself.

5 COMMISSIONER ARGENZIANO: And I'm not sure who
6 it is.

7 MR. DAVIS: I'm sorry.

8 CHAIRMAN CARTER: It's Mr. Davis from SACE.

9 COMMISSIONER ARGENZIANO: Okay. Thank you.

10 MR. DAVIS: I'm sorry, Commissioner, this is
11 Gary Davis representing SACE.

12 These are two exhibits that are court opinions
13 about Mr. Gundersen's testimony in a wholly different
14 matter that relate to whether his testimony was
15 admitted. It has nothing to do with the matters in this
16 case or certainly not with his qualifications, and I'm
17 sure Mr. Gundersen can explain this. It happens to have
18 been a case against Florida Power & Light FPL in which
19 he was proffered as an expert witness, and it was a tort
20 claim having to do with the operation of a nuclear power
21 plant, but other than that, it has nothing to do with
22 the matters in this case and do not -- and neither of
23 these exhibits go to his credibility because they relate
24 to a very specific set of circumstances and what's
25 called the Daubert Test under the Federal Rules of

1 Evidence.

2 CHAIRMAN CARTER: Before I go to Mr. Anderson,
3 any other parties want to be heard on the objection?

4 Mr. Anderson, to the objection to 135 and 136.

5 MR. ANDERSON: Sure. At page 12, lines 2 to 4
6 that we just read, the witness talked about how cooling
7 towers which, by the way, are not serving four of the
8 units at the site he points to, may be leaking salt
9 water into local aquifers thereby contaminating -- and
10 it goes on.

11 The District Court in the *Finestone* case,
12 which I've handed you the District Court order and the
13 11th Court affirmance order, specifically discusses and
14 rejects Mr. Gundersen's qualifications to testify as to
15 soil or water movement around a nuclear site. So it's
16 absolutely dead on, and in fact in that case all of Mr.
17 Gundersen's expert witness report was rejected under the
18 Daubert Standard which is established so people properly
19 qualify their expert witnesses. It's the exact same
20 issue he's raising here. This is the exact same type of
21 point that the United States district judge here in
22 Florida heard what he had to say, found he did not have
23 the qualifications, and it was upheld by the 11th
24 Circuit Court of Appeals as the kind of scientifically
25 unsupported leap of faith condemned by Daubert. So this

1 is clearly relevant to the opinions of the witness and
2 the credibility that this commission should attach to
3 the opinion of Mr. Gundersen.

4 CHAIRMAN CARTER: Ms. Helton.

5 MS. HELTON: Thank you, Mr. Chairman. In our
6 order establishing procedure, we have some standard
7 language in there, and that requires, "and each party's
8 prehearing statement shall set forth the following
9 information in the sequence listed below," and one of
10 the items mentioned is any objections to a witness'
11 qualifications as an expert. "Failure to identify such
12 objection will result in restriction of a party's
13 ability to conduct voir dire absent a showing of good
14 cause at the time the witness is offered for
15 cross-examination at hearing.

16 Now, I haven't -- admittedly have not looked
17 at Florida Power & Light's prehearing statement to know
18 whether they have made such an objection or not.

19 MR. ANDERSON: The distinction is --

20 MR. DAVIS: They have not.

21 CHAIRMAN CARTER: Hang on a second.

22 Mr. Anderson, to the --

23 MR. ANDERSON: Our obligation under the
24 prehearing order is, if we wish to exclude his testimony
25 entirely from the evidence and to bring a motion to

1 strike, for example, we'd need to do that in advance.
2 What I'm cross-examining is as to the weight the
3 Commission should give this witness based upon
4 qualifications. It's always appropriate to interrogate
5 a witness concerning their qualifications and
6 particularly where you have something, you know, so
7 specific.

8 We're not opposing the admission of his
9 evidence. You didn't hear us do that. That's what that
10 portion of the prehearing order says, but the prehearing
11 order and the order establishing procedure do not limit
12 cross-examination on the qualifications of a witness.

13 CHAIRMAN CARTER: Commissioner Skop.

14 COMMISSIONER SKOP: Thank you, Mr. Chairman.

15 Just to Mr. Anderson, so I understand, the
16 objection is basically that FPL is has not objected to
17 the witness testifying as an expert as they would have
18 properly done in the prehearing order, but they are
19 objecting to the admission via -- of these two exhibits
20 as a contemporaneous objection based upon the lack of
21 meeting the Daubert Standard; is that correct?

22 MR. ANDERSON: I'm sorry. I don't quite
23 follow you, Commissioner Skop, but what --

24 CHAIRMAN CARTER: Just reframe your objection.

25 MR. ANDERSON: Good, and I'm not objecting,

1 I'm cross-examining. And the point is that, whereas
2 here you have so thoroughly a vetted consideration by a
3 district court and a court of appeals of a specific
4 issue as a person not having qualifications that could
5 be relied upon, the point is that that is worthy of
6 consideration as the Commission decides how much weight
7 to given evidence. That's all.

8 And just to be clear, we're happy
9 Mr. Gundersen is here today. The purpose of these
10 hearings is to be as transparent as we can, have people
11 from different backgrounds provide their testimony so it
12 could be subject to consideration because we're all --
13 you know, as a state, we're all in this together in
14 these hearings as we go forward, but in weighing the
15 evidence, the point is is some opinions are better than
16 other opinions because of qualification or otherwise.
17 That's just what we're showing by cross, and I would
18 have been done with the exam by now.

19 MR. DAVIS: I object to Judge Anderson giving
20 the statement of how to weigh evidence to the Board of
21 Commissioners here.

22 CHAIRMAN CARTER: Ms. Anderson -- Ms. Helton.
23 That was a little more specific than before.

24 MS. HELTON: Well, you know, I see the
25 requirement in our order establishing procedure a little

1 bit differently than Mr. Anderson does. It's my
2 understanding for as long as I've been here at the
3 Commission, Mr. Chairman, that witnesses, unless they're
4 clearly testifying to facts, are presumed to be experts,
5 and if a party wishes to challenge whether someone is
6 offering expert testimony and therefore giving opinion
7 testimony, they need to do that up front, and the reason
8 being so that we can timely prepare for the proceedings
9 and make sure that enough time is allotted to allow voir
10 dire to happen in the case.

11 From what I've heard, it seems to me that,
12 yes, we do allow the companies and the parties to go
13 into the expert qualifications a little bit to give you
14 the flavor, but in my mind this has gone beyond that.

15 CHAIRMAN CARTER: Anything further, before I
16 rule, from either of the parties?

17 MR. ANDERSON: No.

18 CHAIRMAN CARTER: Your recommendation, Ms.
19 Helton, on Exhibit 135 and 136?

20 You remember it was Mr. Davis' objection.

21 MS. HELTON: No, I'm not -- I do. I'm just
22 trying to --

23 MR. DAVIS: May I raise one other objection?

24 CHAIRMAN CARTER: No, no, no, not yet. I
25 think we're -- Ms. Helton, do you need to hear more?

1 MS. HELTON: I think the point's been made,
2 Mr. Chairman, and these are court cases and not the
3 typical type of evidence that we'd admit into an
4 administrative proceeding.

5 MR. ANDERSON: And you just made a good point
6 because these are actual court decisions. So there's
7 really no need for them to be admitted in the record.
8 The Commission could take notice of them or, you know, I
9 can just brief them. So that may make it that much
10 simpler.

11 CHAIRMAN CARTER: Okay. Let's make it that
12 much simpler then. So they're not --

13 MR. DAVIS: Thank you, Mr. Chairman.

14 CHAIRMAN CARTER: I think I followed your
15 logic, Ms. Helton, but based upon the reason given, not
16 admitted at this time.

17 Mr. Anderson.

18 MR. ANDERSON: That was going to be my last
19 line of questioning, and we'll make those points based
20 upon the court documents in the brief. So we have
21 nothing further for the witness.

22 CHAIRMAN CARTER: Okay. Now staff.

23 MR. YOUNG: No questions.

24 CHAIRMAN CARTER: Commissioner McMurrian,
25 you're recognized?

1 COMMISSIONER McMURRIAN: Thank you.

2 Mr. Gundersen, in your summary you talked
3 about the AP1000 being I think you said a complicated
4 design. Did I get that right?

5 THE WITNESS: Yes.

6 COMMISSIONER McMURRIAN: Is there a design
7 that you think is more appropriate than the AP1000?

8 THE WITNESS: No, I think -- you know, all of
9 these -- a nuclear reactor or a nuclear power plant is a
10 complicated design, and I think the point I was trying
11 make is that, you know, if you're building a house, a
12 schedule can slip, and this is clearly a significantly
13 more complicated piece of hardware than that. No, I
14 don't believe that the boiling water or the French
15 design is any less complicated than the AP1000.

16 COMMISSIONER McMURRIAN: So is it your
17 position that new nuclear plants should not be built?
18 Is that what you're saying?

19 THE WITNESS: No, I don't think I said that.

20 COMMISSIONER McMURRIAN: No, I don't think you
21 did say that. I'm just trying to understand what --

22 THE WITNESS: What I'm saying is right now,
23 depending on which schedule you look at, it's about --
24 if they get an LWA, they'll probably -- they're planning
25 on building the thing in about four years after the --

1 because the LWA allows them to do some site prep. If
2 they don't, it might be five or six, but the net effect
3 of all the uncertainties that I talked about, the
4 licensing delay potentially impacting LWA or the broader
5 issue of the AP1000 design can delay this. Once they
6 get to the field, especially given that there's no
7 engineering in an EP contract or an EPC contract at this
8 point, to assume that the plants are going to be built
9 by 2018 I think is overly optimistic. So I think that
10 they really owe you a realistic schedule which then is
11 going to be reflected in a realistic price and not a
12 schedule that's so compressed.

13 Mr. Scroggs had a great line in his rebuttal
14 testimony, and he said that the -- Florida Power &
15 Light's approach was that they wanted to approach the
16 schedule with a, quote, "sense of urgency," and then he
17 went to say that the most likely schedule, which was the
18 one that I proposed, was a vehicle to, quote, "introduce
19 an excuse." Well, I don't think the most likely
20 schedule is a vehicle to introduce an excuse. I think
21 the most likely schedule is the most likely schedule,
22 and to go in overly optimistic or with a sense of
23 urgency has the effect of, one, dropping the price
24 significantly and, two, making the time at which the
25 plant is really going to wind up on line significantly

1 greater in time than what they have got proposed.

2 Now, I'm not suggesting that the plants be --
3 not be built. I am suggesting that I think they owe the
4 people of Florida a real schedule which will then drive
5 a real cost.

6 COMMISSIONER McMURRIAN: Okay. So if I'm
7 hearing you right, you're saying that -- Madam Chair,
8 that you think the schedule ought to take into account
9 the delays that will come with the design that they've
10 chosen, but you're also not saying that there's any
11 other design that they should have chosen that would
12 have mitigated that kind of risk of delay?

13 THE WITNESS: I think any one the problems are
14 eventually surmountable. There are no show-stoppers,
15 but what I am saying is that there are many problems and
16 the net effect is that the schedule as proposed is
17 overly optimistic and is, in fact, very short.

18 COMMISSIONER McMURRIAN: Okay. Thank you.
19 That helped me. Thank you.

20 ACTING CHAIRMAN EDGAR: Did I hear no
21 questions from staff? I did.

22 Okay. That brings us to redirect.

23 REDIRECT EXAMINATION

24 BY MR. DAVIS:

25 Q Brief redirect.

1 Mr. Gundersen, you were asked by Mr. Anderson
2 about, you know, the amount of time you spent on your
3 analysis for this matter. Other than the time that you
4 spent analyzing the FPL long-term feasibility analysis,
5 what did you rely upon for your opinions in this case?

6 A I've been following the issue of these
7 second -- this new generation, the Part 52 reactors, you
8 know, since the late 1990s when the industry got on top
9 of it. So, you know, essentially I'm relying on a
10 background of 35 years experience. I've worked at about
11 70 nuclear reactors, all of which have come in late and
12 all of which have come in over budget. I'd like to
13 think I'm not the cause of that. So I'm relying on the
14 experience of my professional background, plus the fact
15 that I've been following this Part 52 process
16 extensively for ten years now.

17 Q You were asked about the typographical error
18 you made in your testimony about coal versus fossil, and
19 you were also asked about how many cooling towers there
20 are at the Turkey Point site. Did either of those
21 issues have any influence on your opinions in this case?

22 A No, no. The opinions don't -- wouldn't
23 change, and, in fact, you know, probably those -- that
24 particular sentence could be struck and it wouldn't
25 change the opinion one iota.

1 Q And then there was an inference in the
2 impeachment questions that Mr. Anderson was asking you
3 that somehow or other your testimony was unreliable in
4 another case and therefore you weren't allowed to
5 testify. Can you explain that?

6 MR. ANDERSON: I'd object to that question
7 because I was not permitted to ask that question on
8 cross-examination.

9 MR. DAVIS: I believe he certainly asked the
10 question. He just wasn't permitted to place the court
11 opinions into evidence.

12 MR. ANDERSON: That line of questioning was
13 foreclosed and denied, and it's not appropriate to
14 redirect when a person doesn't get a chance to ask their
15 questions and get an answer.

16 ACTING CHAIRMAN EDGAR: Ms. Helton.

17 MS. HELTON: My recollection is, Madam
18 Chairman, that he did not answer the question.

19 ACTING CHAIRMAN EDGAR: That is my
20 recollection as well.

21 BY MR. DAVIS:

22 Q Okay. I'll withdraw the question then. Thank
23 you.

24 You were just asked a question by Ms.
25 McMurrian about other designs. Are you aware of similar

1 problems with other reactor designs around the world
2 that are causing delays such as you projected for the
3 FPL Turkey Point 6 and 7?

4 A Yeah. The most onerous problems right now are
5 occurring in Finland with a -- it's a pressurized water
6 reactor, but it's not the Westinghouse design. It's the
7 French design. The project's at least three years
8 behind and the budget is now at least twice what it
9 would -- when it was originally proposed. And, worse
10 than that, they had fixed price contracts with the
11 nuclear vendor, and the nuclear vendor has now basically
12 refused to complete the job unless the remainder of the
13 work is renegotiated. It's a Finnish reactor with lots
14 of O's and I's in the name and I don't dare say it.

15 MR. DAVIS: Thank you. That's all the
16 redirect we have.

17 ACTING CHAIRMAN EDGAR: Thank you. That
18 brings us to exhibits.

19 MR. DAVIS: Okay. Yes, at this point we would
20 like to --

21 ACTING CHAIRMAN EDGAR: Hold on. I need you
22 to hold on for a moment longer. Thank you. It won't be
23 long, at least I don't think so.

24 MR. DAVIS: We would like to move Exhibit 61
25 through 69 from Mr. Gundersen into --

1 ACTING CHAIRMAN EDGAR: Let's start there. 61
2 through 69, any objections?

3 Hearing none, 61 through 69 are entered into
4 the record at this time.

5 (Exhibit Nos. 61, 62, 63, 64, 65, 66, 67, 68
6 and 69 admitted into the record.)

7 ACTING CHAIRMAN EDGAR: And then is my
8 recollection correct that the Chairman's ruling were
9 that documents 135 and 136 were marked Gundersen
10 District Court, 136, Gundersen 11th Circuit, 136, but
11 they were not to be entered but as records of decisions
12 were to be taken judicial notice of? Okay.

13 MR. DAVIS: Okay. Thank you.

14 ACTING CHAIRMAN EDGAR: And then I think that
15 concludes us with this witness at this time. Thank you
16 very much.

17 And I believe that brings us to your next
18 witness --

19 MR. DAVIS: Yes, Dr. Mark Cooper, please.

20 COMMISSIONER EDGAR: And he may come forward.

21 MR. DAVIS: Madam Chair, I don't believe that
22 Dr. Cooper has been sworn.

23 ACTING CHAIRMAN EDGAR: That was going to be
24 my question. If you would, raise your right hand with
25 me.

1 Whereupon,

2 MARK COOPER

3 was called as a witness on behalf of Southern Alliance
4 for Clean Energy, Inc., and, having been duly sworn, was
5 examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. DAVIS:

8 Q Good afternoon, Dr. Cooper.

9 A Good afternoon.

10 Q And I'm glad you made it in this afternoon.

11 Can you state your full name and give your
12 business address for the record, please.

13 A My name is Dr. Mark Cooper. My business
14 address is 504 High Gate Terrace, Silver Spring,
15 Maryland.

16 Q And, Dr. Cooper, have you prefiled testimony
17 in this proceeding and prefiled exhibits on July 15th,
18 2009?

19 A Yes, I have.

20 Q And if I were to ask you the same questions as
21 posed in your prefiled testimony today, would your
22 responses be the same?

23 A Yes, they would be.

24 MR. DAVIS: And if -- at this point then, we
25 would request that the prefiled testimony be admitted.

1 ACTING CHAIRMAN EDGAR: The prefiled testimony
2 of the witness will be entered into the record as though
3 read.

4 / / / / / @@@@INSERT PREFILED 39 PP

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **IN RE: NUCLEAR PLANT COST RECOVERY CLAUSE**
2 **BY THE SOUTHERN ALLIANCE FOR CLEAN ENERGY**
3 **FPSC DOCKET NO. 090009-EI**
4 **DIRECT TESTIMONY OF**
5 **DR. MARK COOPER**

6

7 **Introduction and Qualifications**8 **Q. Please state your name and address.**

9 A. My name is Dr. Mark Cooper. I reside at 504 Highgate Terrace, Silver Spring,
10 Maryland.

11

12 **Q. Briefly describe your qualifications**

13 A. I have a Ph.D. from Yale University and have been providing economic and
14 policy analysis for energy and telecom for almost thirty years. I have been the Director
15 of Energy and the Director of Research at the Consumer Federation of America for 27
16 years, although the opinions I express in this testimony are my personal opinions and not
17 those of the Consumer Federation. I am a Fellow at various universities on specific
18 issues, including the Institute for Energy and the Environment at Vermont Law School.
19 I have testified over 100 times before public utility commissions in 44 jurisdictions in the
20 U.S. and Canada on energy and telecommunications issues and about twice as many
21 times before federal agencies and Congress on a variety of issues, including energy and

1 electricity. A copy of my resume with energy related activities is attached as Appendix
2 A.

3 **Purpose and Summary of Testimony**

4 **Q. What is the Purpose of your testimony?**

5 A. I have been asked by the Southern Alliance for Clean Energy (“SACE”) to examine
6 the long-term feasibility of Florida Power & Light’s (“FPL”) Turkey Point 6 & 7
7 Reactors (“Turkey Point”) and Progress Energy Florida’s (“PEF” or “Progress”) Levy
8 Nuclear Reactors (“Levy”) (collectively “reactors” or “projects”) as required by F.A.C.
9 Rule 25-6.0423(5)(c)5.

10

11 **Q. Please summarize your findings.**

12 A. I have identified dramatically changed circumstances since affirmative
13 determinations of need were made by this Commission for these reactors and present in
14 my testimony evidence on the current marketplace, regulatory, technological, and
15 financial risks of these reactors proposed for construction in Florida by Progress and FPL.
16 These changed circumstances and resulting risks lead me to conclude that completion of
17 the Turkey Point and Levy reactors is no longer feasible in the long term and that
18 incurring additional costs on these reactors would not be prudent.

19 The decisions by Progress and FPL to build these nuclear reactors were based on four
20 important assumptions that have been called into question in the time since the evidence
21 was filed in their petitions for determination of need (“Need Docket”).

22 (1) They assumed a high rate of demand growth.

1 (2) They downplayed the contribution that efficiency and renewables can make to
2 meet the need for electricity.

3 (3) They assumed high prices for fossil fuels based on both commodity prices and the
4 belief that public policy would put a high price on carbon.

5 (4) They used a low estimate of the cost of nuclear reactors.

6 The impact of the changed factors on these assumptions that have developed since
7 the Need Docket can be summarized as follows:

8

9 **Market Factors**

10	Declining Demand	Eliminates need for large quantity of new generation
11	Falling price of natural gas	Makes natural gas more attractive

12 **Regulatory Factors**

13	Efficiency/renewable standards	Reduces need for non-renewable generation
14	Carbon cost reduction	Makes low carbon resources less attractive

15 **Technological Factors**

16	Nuclear cost uncertainties	Raises prospects of cost overruns
17	Growing confidence in	Makes alternatives more attractive
18	cost and availability of	
19	alternatives	

20 **Financial Factors**

21	Tight Financial markets	Makes finance more difficult
22	Increasing concerns on	Makes finance more expensive
23	Wall Street about	
24	Nuclear reactors	

1 Any of these changed factors alone could demonstrate that completion of these
2 reactors is not feasible in the long term. Taken together, these factors thoroughly
3 undermine the case that the companies have tried to make to demonstrate the long-term
4 feasibility of these nuclear reactors at this time. The evidence presented by the
5 companies to the Commission does not take these changed factors fully into account and
6 does not reflect the highly uncertain future that nuclear reactors face.

7 If the Commission were to merely conclude that the changes in conditions make
8 the future highly uncertain, that conclusion alone would argue strongly against continuing
9 with these reactors. In an uncertain environment, the assets a prudent person acquires
10 should be flexible, have short lead times, come in small increments and not involve the
11 sinking of large capital costs. The characteristics of nuclear reactors are the antithesis of
12 those best suited to an uncertain environment. They are large, “lumpy” investments that
13 require extremely long lead times and sink massive amounts of capital. Therefore, it
14 would be imprudent to allow the companies to incur any more expenses or recover those
15 costs from ratepayers at this time because the companies have failed to demonstrate the
16 long-term feasibility of completing the reactors.

17 There are other factors that will be documented by other witnesses that reinforce
18 the conclusion that the reactors are no longer feasible in the long-term, including the
19 failure of some of the projects to obtain regulatory approvals, which were being counted
20 on to stay on schedule and uncertainties and delays in the Nuclear Regulatory
21 Commission (“NRC”) licensing process. While one can point to some positive
22 developments in the policy space, such as the possibility of the creation by the U.S.

1 Congress of a Clean Energy Development Authority, these are vastly outweighed by the
2 negative developments.

3

4 **Q. How is your testimony organized?**

5 A. First, I set forth how I approach the analysis of the long-term feasibility of these
6 proposed nuclear reactors. Next, I define the conditions that have developed since the
7 Need Dockets that have changed the terrain of nuclear reactors and describe in qualitative
8 terms how these conditions impact the long-term feasibility of the nuclear reactors. Then
9 I provide quantitative evidence to support my conclusions. The bulk of my analysis
10 focuses on the FPL evidence because FPL has presented a recent recalculation of its need
11 analysis. I also raise some concerns that the changes in the economic landscape highlight
12 some aspects of the methodology that FPL has developed specifically to evaluate nuclear
13 reactor economics that may be distorting the picture presented to the Commission.

14 In contrast, Progress has presented little tangible evidence that it is actually
15 conducting any ongoing analysis, other than the statement of its witnesses that they are
16 thinking about the relevant issues. However, all of the concerns raised about the
17 proposed FPL reactors apply with even greater force to the Progress reactors. The case
18 for building reactors was weaker in the case of Progress than FPL. Progress had higher
19 reserve margins, a more diverse fuel mix, and higher costs for the Levy nuclear reactors,
20 because it is a site that does not have an existing reactor. While all of the changes I have
21 discussed in the case of FPL also affect Progress, Progress has suffered a unique setback,
22 having been forced to shift its schedule by 20 months and renegotiate its EPC contract
23 with the vendor.

1

2 **Q. Are you sponsoring any exhibits to your testimony?**

3 A. Yes, I am sponsoring the following exhibits:

4 MNC-1: Impact Of Declining Demand On Summer Peak Load

5 MNC-2: Natural Gas Wellhead, Henry Hub And Futures Prices

6 MNC-3: Projected Natural Gas Prices Compared To Nymex Futures Prices

7 MNC-4: Projections Of Carbon Compliance Costs

8 MNC-5: Estimates Of Potential Mid-Term Efficiency Savings: By State

9 MNC-6: Estimates Of Costs Of Alternatives To Meet Electricity Needs

10 MNC-7: Impact Of Climate Policy On Peak Load: FPL

11 MNC-8: Impact Of Climate Policy On Peak Load: Progress

12 MNC-9: Estimates Of Nuclear Reactor Overnight, Costs: 2001-2009

13 MNC-10: Nuclear Operators, Reactor Cancellations And Moody's Downgrades

14 MNC-11: Standard And Poor's Credit Profile Considerations

15 MNC-12: Diversity Of Resource Under Various Technology Scenarios

16 MNC-13: The \$1/Kw Cost Factor

17 MNC-14: The Narrow Margin In FPL's Breakeven Analysis

18

19 **ANALYZING THE RISK FACTORS**

20 **Approach**

21 **Q. How do you approach the analysis of the long-term feasibility of the nuclear**
22 **reactors?**

1 A. The rule adopted by the Commission requires an assessment of the long-term
2 feasibility of the projects. I believe a thorough review of the projects is vital to protect
3 the public interest. In a competitive marketplace firms must constantly review whether
4 their investment decisions continue to be economically viable and justified in light of the
5 changing market, technological, financial and regulatory conditions. For utility services
6 that are offered under franchise monopoly conditions subject to regulatory oversight, the
7 commission is charged with protecting the public from imprudent actions by the utility.
8 It must ensure that utilities exercise the same vigilance with respect to the prudence of
9 their actions as firms in a competitive market.

10 This regular review of the long-term feasibility of a project is particularly
11 important in the case of nuclear reactors, which are, by their nature, extremely vulnerable
12 to these four types of risk. As very large investments that take a long time to construct,
13 and produce large quantities of electricity, they represent a huge quantity of inflexible,
14 sunk costs. These investments are incapable of responding to change. They are
15 inherently “go-no-go” decisions that should be made before costs are incurred. Because
16 of their size and nature, the Commission needs to address the long-term feasibility of the
17 projects before additional, substantial costs have been incurred.

18 The companies are well aware that this proceeding requires an affirmative
19 showing of the long-term feasibility of completing these reactors. FPL has redone its
20 breakeven analysis under new sets of assumptions. Progress states that it is considering a
21 wide range of factors that affect the decision to proceed. However, Progress has
22 presented no “detailed analysis” as required by Rule 25-6.0423(5)(c)5 demonstrating the
23 long-term feasibility of completing the Levy project.

1 The factors that FPL has reanalyzed are appropriate for a decision on whether
2 these projects should proceed, and these are the factors that the Commission should be
3 looking at as the ultimate arbiter of prudence and long-term feasibility. Exercising this
4 judgment before money is spent is infinitely preferable to arguing about it after the
5 money has been spent. Both companies assert that, having reviewed recent changes in
6 the factors that affect the decision to build these reactors, it is prudent to continue and
7 that the completion of the reactors is feasible. However, the companies' review of the
8 changes now faced by these reactors is cursory and insufficient to justify that conclusion.

9

10 **MARKETPLACE CONDITIONS**

11 **Demand**

12 **Q. Have there been changes in the marketplace that affect the long-term**
13 **feasibility of these nuclear reactors?**

14 A. Yes. There has been a dramatic change in the marketplace since the companies
15 prepared their need analyses in the respective need dockets. The nation has plunged into
16 the worst recession since the Great Depression. Some even call it a depression.
17 Moreover, there is a growing recognition that this change is not simply a severe dip in the
18 business cycle, but rather a major shift in the economy. The spending binge on which the
19 U.S. embarked for a decade, in which households and business became highly leveraged,
20 is likely over. A massive amount of household wealth was destroyed when the housing
21 market bubble burst. Retirement accounts have been devastated by the collapse of the
22 stock market.

1 Ironically, the decade on which the projections were based in the need docket
2 coincided almost exactly with the decade in which the housing and consumption bubbles
3 were pumped up by excessive leverage. That level of growth was unsustainable. It is my
4 opinion that the shift in consumption is permanent and signals slower growth in the
5 future. However, even if this were just a severe downturn in the business cycle, it would
6 affect the demand for electricity sufficiently to raise questions about the long-term
7 feasibility of these new nuclear reactors.

8

9 **FPL**

10 **Q. Is there evidence that load growth has changed in the FPL service territory?**

11 A. Yes there is strong evidence of a dramatic reduction in consumption that
12 should sharply reduce projected load growth. FPL provides sufficient detail to examine
13 closely the problem of excess capacity created by the nuclear reactors, as shown in
14 Exhibit MNC-1, page 1. The reduction in peak demand between the 2008 and 2009
15 feasibility analysis is striking. In 2017, which is a crucial year in the 2008 analysis
16 because that was the year the reserve margin hit the limit of 20 percent, the 2009-
17 projected peak is 11 percent lower than the peak projected in 2008. Under the 2009
18 projection, the FPL does not reach the 2017 peak projected in 2008 until 2022, five years
19 later. By 2040, the projected peak is 20 percent lower.

20

21 **Q. Is this dramatic shift in demand fully reflected in the 2009 Economic**
22 **Analysis?**

1 A. With a dramatic decline in demand, averaging between 10 and 11 percent in the
2 decade between 2010 and 2020, all else equal, one would expect to see an equally
3 dramatic increase in FPL's reserve margins. That is not the case. With a drop in the
4 summer peak of more than 10 percent in 2017, FPL shows only a 1 percent increase in
5 reserve margin. In order to achieve that level, it must use the flexibility of natural gas
6 plants to react to the decline of projected peak demand. Comparing Schedule 8 in the
7 2008 and 2009 10-year plans, we can see natural gas plants moved back a year or two,
8 reduction of inactive reserves and elimination of some additions altogether, while making
9 room for the Turkey Point reactors. Thus in contrast to the ten year time horizon needed
10 for nuclear reactors, the short time frame for deploying gas alternatives is much more
11 flexible for dealing with the uncertainties in demand.

12

13 **Progress Energy**

14 **Q. Is the Progress demand projection similar to that of FPL?**

15 A. The demand reduction projected by Progress is substantial, but much lower than
16 that projected by FPL, as shown in Exhibit MNC-1, page 2. From the peak in 2007 to the
17 trough in 2010, Progress shows a 2.5 percent decline in peak, compared to FPL, which
18 shows a 6.2 percent decline. FPL assumes a more vigorous growth of peak from 2010
19 forward, but the depth of the decline in the recession still leaves it with a projected peaks
20 in 2017 that is almost 10 percent lower than in the 2008 10-yr plan. For Progress, the
21 reduction in the projected peak for 2017 is only about 2.6 percent lower.

22 To put these declines in demand into perspective, I note that taken together, the
23 reduction in projected peak summer demand between the 2008 and 2009 10-year plans is

1 almost 3500 MW, which exceeds the combined capacity of three of the four reactors.
2 Since these utilities represent just under three quarters of the total statewide peak summer
3 demand, and assuming the other utilities in the state have suffered similar reductions in
4 demand, the lowering of the peak statewide in the past year would exceed the capacity of
5 all four plants being considered in this docket.

6 There are two important implications from this change in demand. First, a lack of
7 demand can undermine the long-term feasibility of the reactor. This played a critical role
8 in the cancellation and abandonment of nuclear reactors in the 1970s and 1980s. Back
9 then, it was oil price shocks and rate shock that undermined demand. Today it is the
10 great recession and, as I describe below, climate policy, that can undermine demand, but
11 the historical experience teaches us that inadequate demand can definitely render nuclear
12 reactors infeasible in the long term. Second, hoping to sell pieces of the plant – either
13 with off system sales at wholesale or equity stakes – in an attempt to salvage failing
14 economics brought on by declining demand may not be feasible with a state-wide
15 reduction in demand.

16

17 **NATURAL GAS PRICES**

18 **Q. Are there other market changes that the Commission should consider?**

19 A. Yes, the price of gas, which plays a central role in Florida, bears close scrutiny.
20 Natural gas was the best alternative to nuclear in the economic analysis of the FPL Need
21 Docket, and FPL has focused on gas in this proceeding. In that Need Docket analysis,
22 the variable cost of gas accounts for 90 percent of the difference between the nuclear

1 scenario and the gas scenario, and the cost of natural gas is the single largest determinant
2 of the variable cost by far.

3 In this proceeding, FPL concludes that the prospects for nuclear reactors have
4 actually brightened because of rising fossil prices – both commodity prices and carbon
5 compliance costs. “The primary reasons for the projected general increase in the
6 economic advantage of the Turkey Point 6 & 7 project, compared to the 2007 Need
7 Determination filing, are: (i) currently projected higher natural gas costs, particularly in
8 the early years; and (ii) higher projected environmental compliance costs.” (Florida
9 Power & Light Company, Docket No. 0900009-EI, Responses to Staff’s Second Set of
10 Interrogatories, Interrogatory No. 45, page 1 of 1).

11 This conclusion does not comport with the emerging reality. As shown in Exhibit
12 MNC-2, page 1, the price of natural gas has not only tumbled, but it has separated from
13 the price of oil. There are a number of reasons that natural gas might not continue to
14 track oil as closely in the future as it has in the past. It is much more of a regional market
15 than oil. There is increasing optimism about natural gas resources. There are efficiency
16 programs targeted at natural gas consumption in the climate change legislation moving
17 through Congress, which may free up supply and put downward pressures on price.
18 Finally, there is considerable evidence that a significant part of the volatility in the
19 natural gas market over the past decade was caused by excessive speculation brought on
20 by excessive deregulation. The rise in prices and volatility was coincident with the
21 creation of what is known as the Enron loophole and the entry of index traders into the
22 market. There are strong regulatory and legislative measures being put into place to

1 prevent excessive speculation from again afflicting energy markets. In short, the past
2 decade should be the exception, rather than the rule in natural gas markets.

3

4 **FPL**

5 **Q. Please provide empirical evidence to support your concerns about the**
6 **natural gas projections employed by FPL.**

7 A. The evidence relies on futures prices. As shown in Exhibit MNC-2, page 2, the
8 Henry Hub futures price, which is the standard base for natural gas pricing, is a near
9 perfect predictor of natural gas wellhead prices. As shown in Exhibit MNC-2, page 3, the
10 Henry Hub price is a near perfect predictor of Florida prices for gas for electric utilities.

11 Exhibit MNC-3, page 1 shows that the dramatic change in natural gas prices is not
12 reflected in the FPL's analysis. The price of natural gas shown in FPL's "Key
13 Assumption" analysis, is a cross between the mid and the high estimates from the Need
14 Docket. These very high price projections stand in sharp contrast to the prices that
15 prevail in the natural gas futures market. Exhibit MNC-3-page 1 shows the August
16 futures price for Nymex Henry Hub natural gas, in years matching those used in the need
17 docket. On average, the natural gas price in the "Key Assumption" page is about 50
18 percent higher than the Nymex price.

19 Needless to say, overestimating the single most important factor in the economic
20 analysis can have a huge impact on the economic calculation made by the company.
21 The Nymex futures prices are a lot closer to the low gas cost scenario from the FPL 2007
22 Need Docket than they are to the "Key Assumptions" prices used by the company in this

1 feasibility assessment. In the Need Docket, two of the three nuclear cost scenarios had
2 higher overnight costs than the break even capital cost point in the low gas case.

3

4 **PROGRESS ENERGY**

5 **Q. Do Progress Energy's natural gas prices raise similar concerns?**

6 A. Yes. The assumed natural gas prices used by Progress suggest a dramatic shift in
7 the relationship between the price of natural gas for utilities in Florida and the futures
8 price of gas, as shown in Exhibit MNC-3, page 2. For most of the past decade, the price
9 of gas for electric utilities in Florida tracked the futures price closely, but in the past three
10 years the gap between Florida utility gas prices and futures prices grew, then declined.
11 Compared to Nymex futures prices, the natural gas prices used by Progress suggest a gap
12 between Florida prices and futures prices of \$2 to 3\$ per mmbtu greater than the
13 historical pattern. The differences represent 20 to 30 percent of the assumed price.

14

15 **Q. Did the low gas cost scenario also have low environmental costs?**

16 A. Yes it did and I will examine the issue of compliance cost in the analysis of
17 regulatory conditions.

18

19 **REGULATORY CONDITIONS**

20 **Q. Should regulatory conditions enter into the Commission's evaluation of the**
21 **long-term feasibility of these reactors?**

22 A. Yes. The companies' Need Docket analyses were driven by assumptions about
23 federal regulatory policy. The companies have put a high price on carbon in their

1 economic analyses. Without the high price on carbon, the economics of nuclear reactors
2 would look very different. To my knowledge, the state of Florida has not put a price on
3 carbon, nor is it contemplating doing so. Thus, the companies have decided to pursue
4 these projects and the Commission has allowed cost recovery based, in part, on
5 assumptions about federal climate change policy.

6

7 **Q. Are you suggesting that the Commission should not take future climate**
8 **change policy into account when considering the long-term feasibility of these**
9 **reactors?**

10 A. Quite the contrary. I believe the Commission should take federal policy into
11 account when considering the long-term feasibility of these reactors, since that is a major
12 source of regulatory risk to state decisions. However, I believe the Commission must
13 take the entirety of federal policy into account. The prospect of federal climate change
14 legislation is growing. The idea of putting a price on carbon is only a part of the
15 legislation that is moving through the Congress. H.R. 2454, the American Clean Energy
16 and Security Act, the first piece of climate change policy legislation to pass a house of
17 Congress, does not simply put a price on carbon directly. Rather, it establishes an
18 elaborate scheme of allowances to emit carbon, which will indirectly set a price on
19 carbon. Moreover, policies other than putting a price on carbon, particularly policies to
20 promote efficiency and renewables, play a large role as well.

21

22 **Q. Please describe the full suite of federal policies that affect the long-term**
23 **feasibility of these nuclear reactors.**

1 A. On the supply-side, the legislation has a renewable energy standard that would
2 require utilities to meet an increasing part of their load with renewables. Within a
3 decade, they would be required to get 20 percent of their generation from renewables,
4 with as much as 8 percent of that total coming from efficiency. At the same time, the
5 legislation includes a number of provisions that have sharply lowered projections of the
6 cost of carbon credits, such as efficiency and renewable mandates, subsidies for carbon
7 control technologies and domestic and international offsets. All of these lower the
8 demand for allowances and therefore the price. This means that the assumed compliance
9 costs of fossil fuels are lower than projected by the companies in prior proceedings and
10 this proceeding.

11 On the demand side, there is a substantial mandate for energy efficiency. This is
12 embodied, in part, in the ability to meet 40 percent of the renewable resource standard
13 with efficiency and, in part, in dramatic improvements in building codes and appliance
14 standards. Mandates to improve the energy efficiency of new buildings by 30 percent in
15 the near term and 50 percent in the longer term will have a substantial impact on energy
16 demand over the life of the reactors being considered in this proceeding. Funds from
17 certain allowances are set-aside to improved efficiency, particularly for natural gas.
18 Similarly, the American Recovery and Reinvestment Act of 2009 includes a huge
19 increase in funding to improve the energy efficiency of existing buildings. As the
20 efficiency of buildings and appliances improves, the demand for electricity and natural
21 gas declines.

22 These regulatory factors – increased renewables, lower demand through
23 efficiency, and a lower price on carbon – must be considered in the evaluation of

1 alternative scenarios for future supply of electricity. Extracting only the price of carbon
2 from the policy landscape and inserting it in the economic analysis, while ignoring the
3 other aspects of policy, distorts the picture being presented to the Commission. These
4 other policies would further undercut the claim that nuclear reactors are feasible in the
5 long-term. Many of these other aspects have been part of the climate change policy
6 debate for quite some time. Taken together, these changes on the demand side, as well as
7 the renewable standard, will have a substantial impact on the need for new non-renewable
8 generation and undermine the long-term feasibility of building these reactors.

9

10 **FPL**

11 **Q. Would the cost of compliance of fossil fuels be affected as a result of these**
12 **policies?**

13 A. One would expect that it would. Decreasing demand for allowances due to the
14 efficiency and renewable policies and access to low cost offsets would depress the price.
15 In its “Key Assumptions” FPL has increased the price of carbon compliance above the
16 highest level from the 2007 analysis. As Exhibit MNC-4, page 1 shows, the long run
17 price under all the environmental scenarios has more than doubled. As Exhibit MNC-4,
18 page 2 shows, the “Key Assumption price” is roughly equal to the Env II price. In 2040
19 the price is almost 50 percent higher than the EPA estimate of carbon costs in the wake of
20 HR 2454. Over the 25-year period, the key assumption price on carbon is over 35
21 percent higher than the EPA price. In fact, the EPA prices are close to the Env I price.

1 **Progress**

2 **Q. Does the compliance cost assumption of Progress suffer from similar**
3 **problems?**

4 A. Yes. As shown in Exhibit MNC-4, page 3, the EPA compliance costs associated
5 with HR 2454 are slightly lower than those listed in the Progress prudency filing. The
6 high cost scenarios are way above the most recent projections. Focusing attention on the
7 low range of estimates dramatically alters the perspective the Commission should take on
8 the proposed reactors. In the case of Progress, the reactors were as likely to fail the
9 economic test as pass it with carbon compliance costs in the low range.

10

11 **Q. Would the cost of natural gas be affected by the suite of federal policies?**

12 A. Yes. The EPA analysis indicates a 20 percent reduction in the cost of gas in 2025.
13 The delivered cost of gas for electricity in 2025 is lower than the Henry Hub futures price
14 in 2021.

15

16 **TECHNOLOGICAL CONDITIONS**

17 **Efficiency and Renewables**

18 **Q. Should changing technological conditions factor into the analysis of the long-**
19 **term feasibility of these reactors?**

20 A. Yes. While climate policy is seen as giving a direct advantage to reactors by
21 putting a price on carbon, that policy does much the same for other technologies. In fact,
22 there are ways in which the alternative technologies are likely to receive an even larger
23 boost. There are also many programs targeted at various technologies that are in earlier

1 stages of development that may enjoy larger cost reductions as the science advances and
2 the scale of production ramps up.

3 I believe there are three technological developments that are shifting the terrain in
4 ways that disfavor nuclear reactors – the availability and cost of conserved energy, the
5 availability and cost of renewables, and the availability and cost of nuclear reactors.

6

7 **Q. Please describe the emerging terrain for efficiency technologies.**

8 A. There is a growing consensus that the cost of many alternatives is lower than that
9 of nuclear reactors. For efficiency, the change in the terrain is largely a matter of
10 increasing confidence that substantial increases in efficiency are achievable at relatively
11 low cost. The detailed analysis of potential measures and the success of some states at
12 reducing demand through energy policies have increased the confidence that efficiency is
13 a reliable option for meeting future needs for electricity by lowering demand, as shown in
14 Exhibit MNC-5.

15 I believe that the technology of efficiency has come into much sharper focus in
16 the past year. Numerous studies of the potential for and cost of improvements in
17 efficiency in the residential, commercial and industrial sectors have shown that large
18 quantities of energy can be saved at relatively low cost, as summarized in Exhibit MNC-
19 5. One study was done specifically for Florida, which found that aggressive policies to
20 reduce energy consumption could lower demand by 20 percent at a cost of less than 3.5
21 cents per kWh.

22 Thus, independently of any regulatory mandate, as the technology of efficiency is
23 proven out, the Commission should consider greater reliance on it as part of the least cost

1 approach to meeting the need for electricity. The combination of regulatory and
2 technological changes will drive efficiency into the electricity sector, undermining the
3 long-term feasibility of the reactors.

4

5 **Q. Please describe the emerging terrain of renewables.**

6 A. The concern with climate change has sharpened the focus on the cost and
7 availability of renewable technologies. For renewables, the change is in strong cost
8 reductions that are expected as new technologies ramp up production. As shown in
9 Exhibit MNC-6, paged 1 and 2, in half a dozen studies the cost of alternatives that
10 included renewables and/or efficiency, every analyst found several non-fossil resources
11 less costly than nuclear.

12 The only two technologies on which there is a wide difference of opinion about
13 cost are solar photovoltaics and nuclear, as shown in Exhibit MNC-6, page 3. The other
14 technologies included in recent studies there is much better agreement. The combination
15 of regulatory and technological changes will drive renewables into the electricity sector,
16 undermining the long-term feasibility of the reactors.

17

18 **Q. How do the regulatory and technology changes alter the context for assessing**
19 **the long-term feasibility of these reactors?**

20 A. They dramatically alter the context. HR 2454 intends to lower demand for
21 nonrenewable generation resources. It could do so significantly. The renewable energy
22 standard ("RES") builds to 20 percent by 2022. Improvements in the building codes start
23 quickly with a 30 percent reduction in consumption from new buildings by 2010 and

1 build to a 50 percent reduction by 2014 for residential building and 2015 for commercial
2 buildings. Additional improvements of 5 percent are called for every three years after
3 2017/2018. Revenue for retrofitting of existing buildings would begin when the
4 allowances go into force. Appliance efficiency standards will unfold over time. Studies
5 by the American Council for an Energy Efficient Economy suggest that the building
6 codes, appliance standards and retrofitting of existing buildings could lower demand by
7 as much as 7 percent. The renewable energy standard would be on top of the building
8 code, appliance standards and retrofit impacts, pushing the theoretical total reduction of
9 demand for nonrenewable generation past 25 percent, but there are a number of
10 mechanisms that would lower that impact. In particular, states that cannot or choose not
11 to expand renewables can make alternative compliance payments of \$25 per MWh to
12 states that exceed the combined efficiency renewable energy standard.

13 On a national average basis, the EPA projects a 10 percent reduction in demand
14 and growth in renewables equal to 1.1 percent of demand.¹ An earlier analysis suggests
15 the weatherization program in the American Recovery and Reinvestment Act would
16 lower demand by 1.4 percent.² The impact varies from state-to-state, however. The
17 American Council for an Energy Efficient Economy estimated the impact of the
18 improvement in building codes and appliance standards in Florida would be 20 percent

¹ EPA Analysis of the American Clean Energy and Security Act of 2009 H.R. 2454 in the 111th Congress, 6/23/09, p. 26

² Contrast EPA Analysis of the American Clean Energy and Security Act of 2009 H.R. 2454 in the 111th Congress, 6/23/09, p. 26, with EPA Preliminary Analysis of the Waxman Markey Discussion Draft: American Clean Energy and Security Act of 2009 H.R. 2454 in the 111th Congress, 4/20/09, p. 23. the former includes the effect of the ARRA in the reference case, the latter does not. I attribute the difference to the ARRA

1 above the national average.³ In a state where so much efficiency is available at less than
2 2.5 cents per KWh, it would make sense to petition for the maximum efficiency
3 contribution to the RES (8 percent) and develop as much renewable energy as is
4 economic, before sending money to California, Washington, Minnesota and
5 Massachusetts. Combining these factors, a reasonable range for the impact on Florida
6 would be a 10 to 20 percent reduction in the demand for non-renewable generation.⁴

7

8 **FPL**

9 **Q. What impact does including the efficiency and renewable policies in HR 2454**
10 **have on FPL's projections for load growth and demand for nonrenewable resources**
11 **such as nuclear reactors?**

12 A. They would have a major impact. The 20 percent scenario is described in Exhibit
13 MNC-7, page 1. Under this scenario, FPL does not reach the peak for 2017 projected in
14 the Need Docket until 2036. Exhibit MNC-7, page 2 presents the 10 percent scenario,
15 and under this scenario, FPL does not reach the peak projected in the Need docket for
16 2017 until 2028. The combination of the great recession and H.R 2454 climate policy
17 extends the decision horizon by one to two decades. In an uncertain environment, that is
18 a lot of breathing room. Utilities should be managing their resources to accommodate this

³ Energy Savings from Codes and Standards Count Towards EERS Savings Goals, available at
<http://www.aceee.org/energy/national/EERSscsavings.pdf>

⁴ The American Council for and Energy Efficient Economy puts the savings from Title I and Title II of
HR2454 at 5.4 quds in 2020 and 12.2 quads in 2030. These savings work out to 12.2 percent of the energy
consumed in the electricity sector and in 2020 and 25.6 percent of the energy consumed in 2030 (see HR.
2454 Addresses Climate Change Through a Wide Variety of Energy Efficiency Measures, available at
http://www.aceee.org/energy/national/HR2454_Estimate06-01.pdf)

1 shift and the first thing they should do is take the least flexible projects out of the queue,
2 such as new nuclear reactors.

3

4 **Progress**

5 **Q. What is the impact of including the efficiency and renewables scenarios on**
6 **Progress Energy's load growth and demand for nonrenewable resources?**

7 A. It is in the same direction, but smaller because the company assumes a
8 smaller near term impact of the recession on the growth of demand, as shown in Exhibit
9 MNC-8. The peak load for 2017 projected in the 2008 10-year plan does not occur until
10 2034 under the 20 percent scenario (Exhibit MNC-8, page 1) and 2026 under the 10
11 percent scenario (Exhibit MNC-8, page 2). Moreover, the 2017 peak has considerable
12 excess capacity above the reserve margin requirement of 20 percent, which adds several
13 years to a projection of when generation resources become constrained.

14

15 **Q Do the analyses presented to the Commission by the companies reflect these**
16 **developments?**

17 A. It does not appear to. The demand projections appear to reflect the effects of the
18 "great recession" to differing degrees, but not the aggressive efficiency policy embodied
19 in the legislation that passed the House of Representatives. There is no hint of a
20 renewable energy standard of 12 to 20 percent.

21

22 **NUCLEAR REACTOR COSTS**

23 **Q. Pleases describe the uncertainties about the cost of nuclear reactors.**

1 A. For nuclear reactor costs, the evidence on technology points in the opposite
2 direction. Early in this decade vendors and contractors at the Department of Energy
3 produced very low estimates of the cost of nuclear reactors, claiming that things have
4 changed since the first generation of reactors. In the eight years since those initial,
5 promotional studies were released, the estimate of the cost of nuclear reactors has
6 increased dramatically, especially among Wall Street and independent analysts. As long
7 as the costs placed before the Commission are “non-binding,” the Commission must be
8 aware of the growing uncertainty about the cost of nuclear reactors. As long as they are
9 “non-binding,” the prospect of cost escalation places ratepayers at risk, especially where
10 costs for construction work in progress is being granted.

11 In fact, the extreme uncertainty about nuclear reactor costs has caused FPL to
12 create a whole new framework for evaluating options. As FPL put it in the Need Docket:

13 The second difference in the economic analysis approach step that
14 developed the CPVRR costs for the resource plans is that no generation or
15 transmission capital costs associated with Turkey Point 6 & 7 were
16 included in the analysis. The reason for this is that *FPL does not believe it*
17 *is currently possible to develop a precise projection of the capital cost*
18 *associated with new nuclear units with in-service dates of 2018-on.*

19 Consequently, FPL’s economic analysis approach normally used to
20 evaluate generation options has been modified to include a second
21 economic analysis step.” (“Need Study for Electrical Power, Docket No.
22 07-0650-EI, Florida Power and Light Company, October 16, 2007, pp.
23 104-105, emphasis added).

1 In the 21 months since that statement was made, there have been dozens of
2 studies of the projected costs of nuclear reactors. The cost in 2008 \$ have ranged from a
3 low of just under \$2400/kW to a high of just over \$10,000/kW, as shown in Exhibit
4 MNC-9.

5 As described in the FPL need study, FPL's cost estimate was derived from an
6 early low estimate for a different type of reactor and its current estimates remain in the
7 low range of projections. Each of FPL's estimates (low, middle and high) is in the
8 bottom quarter of the comparable estimates. The wide range of cost scenarios considered
9 within each of the studies attests to the uncertainty that afflicts all of the studies and to
10 which FPL has testified.

11 The two conclusions I would draw from this analysis are (1) the range of costs
12 considered by FPL is narrow and too low and (2) the uncertainty is huge. This only
13 reinforces my opinion that the prudent course would be to avoid rigid, expensive choices,
14 especially if there is time to let the uncertainties diminish before decisions must be made.

15

16 **FINANCIAL CONDITIONS**

17 **Q. What financial factors are affecting the long-term feasibility of these**
18 **reactors?**

19 A. There are two categories of factors – the general financial environment and the
20 specific plant finance. The general environment for raising large sums of money has
21 clearly deteriorated. Money is tight. How long that will last and the nature of the long-
22 term environment remains to be seen.

1 In a sense, the marketplace, regulatory and technological risks combine with the
2 nature of nuclear reactors to create the severe financial risk that nuclear reactors face.
3 The financing of the construction of large nuclear reactors has also come under greater
4 scrutiny by Wall Street.

5 A recent special comment by Moody's underscores the challenges that these huge
6 projects pose. Moody's identifies the developments in the project and regulatory areas
7 that are positives for nuclear reactor construction, but still concludes that the negatives
8 are a great concern and declares that it "is considering taking a more negative view for
9 those issuers seeking to build new nuclear power plants" (p. 1) because "We view nuclear
10 generation plans as a "bet the farm" endeavor for most companies, due to the size of the
11 investment and length of time needed to build a nuclear power facility." (p. 4).

12 Moody's goes on to outline the complex factors affecting nuclear reactor
13 construction and operation.

14 Project risks are somewhat more clear today than during the last build
15 cycle, in the 1970s, since we now have a track record that measures
16 nuclear power's operating performance; strong plant economics due to
17 low fuel cost; proven efficient and safe operating capabilities; new and
18 refined regulatory procedures; and more certainty over reactor designs
19 before construction begins. (p. 2)

20 Much has changed since the last major nuclear-generation construction
21 cycle (1965-1995). The industry has learned from experience, including
22 up-front regulatory oversight of development and investment; streamlined

1 federal NRC approval procedures; and enhanced construction cycles and
2 techniques.

3 In addition, new environmental regulations, specifically those aimed at
4 reducing carbon dioxide emissions; appear well positioned for near-term
5 implementation. These environmental developments should otherwise
6 bolster the case for new nuclear generation, as it is viewed as one of the
7 only large-scale generation technology with a no-carbon footprint. (p. 7)

8 On the other side, there are a host of issues and challenges in Moody's view that
9 weigh in the opposite direction. In each of the important areas of risk, uncertainties and
10 challenges abound.

11 The inherent nature of the projects continues to be a challenge and creates
12 marketplace and technological risk.

13 The sheer size, cost and complexity of new nuclear construction projects
14 will increase a utility's or power company's business and operating risk
15 profile, leading to downward rating pressure. The length of a nuclear
16 construction effort also entails lengthy regulatory reviews and potential
17 delays in recovering investments, changing market conditions, shifting
18 political and policy agendas, and technological developments on both the
19 supply and demand side. (p. 5)

20 Notwithstanding the fact that public policy has created favorable conditions for
21 reactor construction in some aspects of regulation, there are other aspects that pose
22 continued risk at in both execution risk and regulatory risk.

1 While a constructive regulatory relationship will help mitigate near-term
2 credit pressures, we will remain on guard for potential construction delays
3 and cost overruns that could lead to future rate shock and/or disallowances
4 of cost recovery. Given the lengthy construction time needed for nuclear
5 projects, there is no guarantee that tomorrow's regulatory, political, or fuel
6 environments will be as supportive to nuclear power as today's. (p. 7)

7 Less clear today is the effect that energy efficiency programs and national
8 renewable standards might have on the demand for new nuclear
9 generation. National energy policy has also begun eyeing lower carbon
10 emissions as a key desire for energy production—theoretically a huge
11 benefit for new nuclear generation—but the price tags associated with
12 these development efforts are daunting, especially in light of today's
13 economic turmoil. It isn't clear what effect such shifts, or changes in
14 technology, will have for new nuclear power facilities. (p. 2)

15 The result of these market, regulatory and technological uncertainties and risks is
16 to create financial pressure on projects, pressures that are reflected by project specific
17 concerns and the general turmoil in the credit markets.

18 Given these long-term risks, a company's financial policy becomes
19 especially critical to its overall credit profile during construction. In
20 general, we believe a company should prepare for the higher risk
21 associated with construction by maintaining, if not strengthening, its
22 balance sheet, and by maintaining robust levels of available liquidity
23 capacity. (p. 5)

1 Credit conditions are yet another question. Few, if any, of the issuers
2 aspiring to build new nuclear power have meaningfully strengthened their
3 balance sheets, and for several companies, key financial credit ratios have
4 actually declined. Moreover, recent broad market turmoil calls into
5 question whether new liquidity is even available to support such capital-
6 intensive projects. (p. 2)

7 Moody's continues to see execution risk in these projects and points to the history
8 of the financial difficulties that utilities building reactors in the 1970s and 1980s as
9 instructive for evaluating current projects.

10 Moody's is considering applying a more negative view for issuers that are
11 actively pursuing new nuclear generation. History gives us reason to be
12 concerned about possible significant balance-sheet challenges, the lack of
13 tangible efforts today to defend the existing ratings, and the substantial
14 execution risk involved in building new nuclear power facilities. (p. 2)

15 **Q. Do these concerns apply to the nuclear reactors proposed by FPL and**
16 **Progress?**

17 A. Yes. As I have shown above these marketplace, regulatory and technology risks
18 weigh heavily on the proposed Florida reactors. The execution risk remains a serious
19 concern as well. In the case of Florida, where both of these reactors before the
20 commission are still awaiting approval for the 16th and 17th revision in its "standard"
21 design, where the NRC has determined that one utility could not proceed under a Limited
22 Work Authorization ("LWA") and therefore has been forced to delay the project and
23 renegotiate its EPC contract, paying fees just to stand in line, and where the developer of

1 the prototype has shelved its plans to make its project the “model,” Moody’s concerns
2 seem well founded and the assumption that execution risk has been solved deserves to be
3 questioned.

4 The downgrades of utility ratings cut to the heart of the problems encountered by
5 the industry during “the last major nuclear-generation construction cycle (1965-1995).”
6 As shown in Exhibit MNC-10, I have identified 68 firms that engaged in the construction
7 or operation of nuclear reactors in the U.S. Of those 68 firms, three quarters endured
8 cancellation of at least one plant and half suffered a ratings downgrade. Both of the
9 utilities involved in this proceeding suffered downgrades. Cancellations are the ultimate
10 proof of that reactors can become infeasible and financial risk plays a key role in
11 triggering the cancellation.

12 Moody’s is not the only Wall Street firm to recognize the challenges facing
13 nuclear reactors, as shown in Exhibit MNC-11. Even at a promotional conference,
14 Standard and Poor’s noted that “challenges for the industry participants abound” (p. 18).
15 Even recognizing that there are positive aspects of the current environment, as Moody’s
16 did, Standard and Poor’s identifies more aspects of the current situation that are negative.
17 Interestingly, even with a loan guarantee, Standard and Poor’s sees significant financial
18 issues. The utilities proposing the reactors in Florida are not on the list for the first round
19 of loan guarantees, so the challenges facing these projects are even greater.

20 Thus, the Commission needs to be sensitive to the potential financial risks of
21 these plants. Credit downgrades raise the cost of capital and can have a significant impact
22 on the cost of electricity and undermine not only the long-term feasibility of the reactors,
23 but also the viability of the utility.

1 Let me stress again that the importance of uncertainty is a key fact for the
2 Commission to take into account and the importance of demand projections. One of the
3 key factors contributing to the bust of the nuclear boom of the 1970s was the inability or
4 unwillingness of utilities that had become committed to nuclear construction to cope with
5 reduced demand growth. The oil price shocks of the 1970s and the rate shock of the
6 1980s destroyed the demand that the nuclear reactors were intended to supply.

7 Today we have a similar demand shock created by the great recession and the
8 pending climate change policy. It is highly unlikely that demand will reach the levels
9 predicted in the Need Dockets for decades. Between the two utilities, FPL and Progress
10 have lowered their projection of peak demand for 2017 by almost 3700 MW. That is
11 equivalent to the capacity of three of the four units they are planning to build. Climate
12 change policy could reduce the need for nonrenewable capacity by another 3300 to 6600
13 MW in their service territories in the next two decades. The chance that Florida will
14 actually need these four reactors should climate change legislation be enacted along the
15 line of HR 2454 is virtually zero. If climate change legislation were not enacted now or
16 in the future, the carbon compliance prices assumed by the companies would not come to
17 pass. In that case, the reactors could not be justified on economic grounds. Either way,
18 these reactors are not feasible in the long-term.

19

20 **DIVERSITY**

21 **Q. Do the other goals the Florida legislature has set for the electricity sector**
22 **alter your conclusion?**

1 A. Not at all. The goal of promoting diversity of resources to lower vulnerability to a
2 variety of threats argues for efficiency and renewables just as much as nuclear.
3 Efficiency is the most reliable form of meeting needs because it is always on. Lowering
4 demand lowers the reliance on all other forms of energy. Renewables also provide
5 diversity.

6 To evaluate the effect of alternatives on the diversity of sources, I have calculated
7 an index known as the HHI index. The index is used frequently in economics to evaluate
8 the concentration of markets. In fact, the Merger Guidelines of the Department of Justice
9 and the Federal Trade Commission are written in terms of the HHI. The index is
10 calculated by taking the share of each entity making up the market (in this case the share
11 of the resource in the total) squaring it, summing the squares and multiplying by 10,000
12 to clear the fraction. A monopoly or utility reliant on a single source would have an HHI
13 of 10,000 $[(1 * 1) * 10,000]$.

14 Exhibit MNC-12 shows the HHI for three scenarios for both FPL and Progress. It
15 has the nuclear and gas scenarios from the Need Docket and contrasts this to an
16 efficiency and renewables scenario in which HR 2454 induced efficiency and renewables
17 are at 15 percent (half way between the 10 and 20 percent scenarios discussed above).
18 Efficiency is assumed to be 12 percent of the total resource, while incremental
19 renewables are set at 3 percent. In both cases, the efficiency and renewable mix is more
20 diverse than either the nuclear or the gas scenarios, when one counts efficiency as a
21 "resource."

22

23 **ECONOMIC ANALYSIS**

1 **FPL's Breakeven Analysis**

2 **Q. Is the breakeven analysis the common approach to making the comparison**
3 **between alternatives?**

4
5 A. No. Because FPL is unsure of the cost of nuclear reactors it has created a new
6 methodology to evaluate one option, whether or not to build nuclear reactors.

7 The typical methodology is a levelized cost comparison of the different alternatives.

8

9 **Q. Are there aspects of the break-even analysis that bear close scrutiny in light**
10 **of the changed conditions you have identified?**

11 A. Yes there are several aspects. At a general level, the breakeven analysis
12 improperly narrows the scope of the review. Generally, analysts calculate the projected
13 cost per kilowatt-hour. Each alternative would be considered on its merits. In the
14 breakeven analysis, FPL compares two or three large-scale alternatives. It does not ask
15 whether other alternatives would be less costly.

16 More specifically, there are two aspects of the breakeven framework that FPL has
17 developed which should be examined carefully in light of the changing conditions I have
18 identified. These aspects are escalation and excess capacity.

19

20 **Q. Please describe your concerns about escalation.**

21 A. The wide variation in the projected costs of power from nuclear reactors stems
22 from a difference of opinion over the overnight costs and escalation of construction costs.
23 In the FPL analysis cost escalation is equal to one-quarter of the overnight costs and it is

1 treated separately from overnight costs. FPL assumes a zero real cost escalation. That is,
2 the rate of increase in the cost of construction equals the rate of inflation. Many other
3 studies assume significant, real cost escalation.

4 FPL calculated a fixed cost recovery factor, which is the cumulative present value
5 of the revenue requirement per \$1/kW of overnight capacity (the \$1/kW factor). It is not
6 clear to me how the escalation of construction costs is included in the calculation of the
7 revenue requirement. It could have been embedded in the stream of costs as a percentage
8 of the construction cost. If one wants to test an alternative escalation rate, one would
9 have to modify the calculation of the \$1/kW recovery factor. The \$1/kW factor has
10 changed significantly between 2007 and 2009, as shown in Exhibit MNC-13. The
11 decline in the implicit \$1/kW factor accounts for between one-tenth and one-quarter of
12 the increase in the breakeven capital figure.

13

14 **Q. Please describe your concerns about excess capacity.**

15 A. The breakeven analysis essentially calculates how much nuclear capacity can be
16 purchased with the variable cost savings from building new nuclear reactors. Over 90
17 percent of the savings comes from variable costs, largely fuel costs. In other words,
18 nuclear capacity is paid for with fuel cost savings. The analysis proceeds in two steps.
19 First, the system costs are calculated with and without nuclear capital costs, then the cost
20 of building nuclear reactors is compared to the amount of money available from the
21 savings.

22 The operating cost estimates should not include excess production and the
23 variable costs associated with that production. If capacity is idled because of excess, then

1 the carrying cost of that excess should be subtracted from the savings. These are costs
2 that would not be incurred if the system were “right” sized. Because nuclear reactors
3 come in larger units and have higher capital costs, while natural gas units are small, lower
4 in capital cost and have higher operating costs, ensuring that the model takes these
5 differences into account become more important when demand declines and excess
6 capacity increases.

7 Absorbing excess capacity with “off-system” sales raises two issues. First, to the
8 extent that off-system sales are claimed, the net costs of production and net revenues
9 should be deducted from the system cost total for purposes of the breakeven analysis.
10 Second, in an environment where demand is slackening and reserve margins are rising all
11 around, the assumption that off-system sales can take place should be examined.

12 The cost of operating the system is driven by assumptions about plant capacity,
13 capacity factors and heat rates. The 20 percent reserve margin creates a circumstance in
14 which the implicitly capacity factor (80 percent) is lower than the assumed capacity
15 factors for the major alternatives being compared. The reserve margin is the insurance
16 premium that Floridians pay to ensure that the lights stay on. Reserves in excess of the
17 reserve margin are excessive. Over a long time horizon, the ability to match supply and
18 demand (plus the reserve margin requirement) should be rewarded. If excess capacity is
19 used to make off-system sales, those revenues should be subtracted from the system costs
20 in the break-even analysis.

21 While the excess capacity is a few percentage points spread over a number of
22 years, it can make a difference if it is handled properly. The economic advantage
23 claimed for nuclear is actually quite small, when compared to the total costs of the

1 system. As shown in Exhibit MNC-14, using the high capital costs and the 2007 \$1/kW
2 factor, but leaving all other assumptions alone, the cost advantage of nuclear is less than
3 five percent in eight of the nine cost cases. The handling of excess capacity in the
4 context of such a small difference between system costs with and without nuclear
5 reactors could be quite important.

6

7 **Progress**

8 **Q. Does the economic analysis offered by Progress raise similar concerns?**

9 A. Yes. While Progress has pursued a more traditional approach to assessing the
10 economics of nuclear reactors compared to other options, its analysis raises concerns that
11 are similar to those I have expressed for FPL. The excess capacity question is important
12 in the case of Progress because its base case already has a large excess above the reserve
13 margin requirements and the large project creates even greater excess.

14 This is particularly important in the case of Progress because it has argued that the
15 construction periods of the two reactors must be kept close together to achieve cost
16 savings. Since the economic analysis is done at the average cost of the two reactors and
17 the link between them in time is so tight, this project is not really two 1100 MW reactors,
18 it is one 2200 MW project. If the decision were made to drop the second reactor, the cost
19 of the first reactor would rise and the Commission would have to redo the whole
20 economic analysis at a much higher cost. Slackening demand growth drives a time
21 wedge between the first and second units, as it takes more time for demand growth to
22 reduce the excess capacity resulting from the addition of large units. Progress does not

1 need the second units as quickly and capturing the cost economies of the rapid build
2 creates excess capacity that last longer.

3 This obviously ties directly to the cost escalation issue. Progress used a single
4 point estimate for cost, which was between FPL's mid and high point, but the cost is
5 nonbinding from the Commission's point of view and is being renegotiated in light of the
6 long slippage in schedule. The Commission is being asked to allow the recovery of
7 hundreds of millions of dollars of costs from a project, whose total cost, and therefore
8 long run feasibility, are unknown in the context of an industry that suffered severe cost
9 overruns in the past and is exhibiting a rapid run up in cost projections.

1 **Q. Please summarize your conclusions.**

2 A. The small cost advantages claimed for these nuclear units in the future
3 underscores how important all of the changing conditions I have identified are. The
4 Florida legislature has created an environment that provides incentives for nuclear
5 reactors, but it has not written a blank check nor created a blindfold. The utilities and the
6 Commission must act prudently within the confines of the incentive structure the
7 legislature has established. In this prudence review the utilities ask for cost recovery for
8 these proposed nuclear reactors by constructing an economic analysis that gives nuclear a
9 slight, or 4-5 percent, cost advantage. However, that analysis rests on a series of
10 assumptions that are no longer consistent with reality, if they ever were – high demand
11 growth, very little contribution from efficiency and renewables, high fossil fuel costs, and
12 low nuclear reactor costs.

13 My testimony has identified seven factors that are moving strongly against
14 nuclear reactors. Any one of the seven could reverse the conclusion reached by the
15 utilities that nuclear reactors are less expensive.

16 (1) Slowing demand growth due to a major shift in the economy

17 (2) Moderating natural gas prices

18 (3) Federal policies to require a growing role of efficiency and renewables

19 (4) Moderating CO2 compliance costs

20 (5) Improving technology and cost of efficiency

21 (6) Improving technology and cost of renewables

22 (7) Escalating nuclear reactor costs.

1 Given that all seven of these factors are moving strongly against nuclear reactors,
2 it is highly likely that the reactors will cost consumers much more than the alternatives.
3 And, given that relatively little has been spent on the proposed reactors now, this is the
4 moment for the Commission to take the required hard look at the long-term feasibility of
5 the completion of these reactors. Spending more on nuclear reactors and allowing the
6 utilities to recover those costs from ratepayers would be imprudent.

7

8 **Q. Does this conclude your testimony?**

9 A. Yes it does.

1 MR. DAVIS: And Dr. Cooper has exhibits which
2 are marked and prefiled as Exhibits 46 through 60.

3 COMMISSIONER EDGAR: So noted. Thank you.

4 (Exhibit Nos. 46 through 60, both inclusive,
5 marked for identification.)

6 BY MR. DAVIS:

7 Q Thank you.

8 Have you prepared a summary of your testimony
9 today?

10 A Yes, I have.

11 Q Okay. Please provide it.

12 A Mr. Chairman, Commissioners, the Florida
13 Legislature's cost recovery incentive for development of
14 nuclear power plants does not require the Public Service
15 Commission to penalize ratepayers by ignoring
16 dramatically-changed circumstances since the certificate
17 of need decision. Utility investment still must be
18 found prudent and the reactors must be determined to be
19 feasible in the long term.

20 I show in my testimony that, in light of
21 recent developments in a number of critical areas, the
22 reactors proposed by Florida Power & Light FPL are
23 neither. Since the certificates of need were issued for
24 the proposed reactors, there have been dramatic changes
25 in four areas that undermine the long-term feasibility

1 of the FPL reactors. Demand projections have declined
2 sharply. The cost of reactors has risen and are still
3 largely unknown. The cost of natural gas has plummeted
4 and is uncertain. The nature and scope of carbon
5 mitigation and compliance costs have yet to be defined.

6 As a result, the financial risk of these
7 plants has grown dramatically. Moody's now considers
8 the decision to build new nuclear reactors a, quote,
9 "bet the farm decision." The last time utilities made
10 such huge bets on nuclear reactors, half of them went
11 bad and consumers were left holding the bag for huge
12 cost overruns and abandoned and cancelled plants.
13 Because of the dramatic slowing of load growth, there
14 are much less costly, much less risky options available
15 in the near term to meet the need for electricity and to
16 buy time for greater certainty before a commitment is
17 made to place the burden of major nuclear construction
18 costs on ratepayers.

19 The economic analysis presented by Florida
20 Power & Light does not fully reflect the economic
21 reality that the Turkey Point 6 and 7 reactors face
22 today. The economic recession and the unfolding
23 transformation of economic activity have pushed any
24 possible need for the new reactors out half a decade or
25 more. The reduction in the capacity and need by FPL in

1 2017 to meet their reduced demand projection is 3800
2 megawatts, the equivalent of Turkey Point 6 and 7 plus
3 one and a half reactors of similar size, and that is
4 without any major changes in federal policy regarding
5 efficiency. In fact, federal climate policy, which was
6 central to the original justification for the reactors,
7 has changed direction dramatically, increasing the
8 likelihood of requirements for efficiency and renewables
9 which will delay any need for reactors even longer.

10 If the full target of a 20-percent reduction
11 in demand from non-renewable generation is achieved in
12 Florida, the peak load projections for 2017 in the 2008
13 ten-year plan would not be reached until two decades
14 later. The pending legislation also will decrease the
15 cost of carbon as compared to Florida Power & Light's
16 analysis. The price of natural gas has tumbled and
17 separated from the price of oil while estimates of
18 natural gas resource base have increased dramatically,
19 further undermining the long-term economic feasibility
20 of the reactors.

21 There is also a growing concern about the
22 execution risk of building a new generation of reactors.

23 These dramatic changes in the decision-making
24 environment mean that the analysis presented by Florida
25 Power & Light is centered on a set of assumptions that

1 do not reflect the current or likely future reality in
2 which the reactors would proceed to completion. If the
3 economic analysis were centered on a more realistic set
4 of assumptions, the preponderance of the outcomes would
5 be negative and the logical conclusion would be that the
6 project is not economically feasible. This does not
7 mean that the Commission and the utilities should stop
8 evaluating the projects as options. On the contrary, I
9 stress that prudent action requires constant evaluation
10 and reevaluation, and I recommend a number of measures
11 that the Commission should take and require Florida
12 Power & Light to take to improve the evaluation process
13 to avoid making a huge mistake.

14 These include ensuring that critical economic
15 assumptions are up to date and reflect the full range of
16 possible outcomes, factoring excess capacity into the
17 decision framework so that the cost of carrying excess
18 capacity is fully recognized in the economic analysis,
19 integrating resource planning into the feasibility
20 analysis, and pinning down the cost of nuclear reactors
21 with binding cost estimates. Only if we have these
22 sorts of detail in the decision can we ensure that we
23 make a prudent, reasonable decision about building these
24 reactors.

25 Thank you.

1 MR. DAVIS: I tender Dr. Cooper.

2 ACTING CHAIRMAN EDGAR: Thank you. Thank you,
3 Dr. Cooper.

4 Mr. Rehwinkel, no questions?

5 I am going to presume that this means no
6 questions from FIPUG.

7 Mr. Anderson.

8 CROSS EXAMINATION

9 BY MR. ANDERSON:

10 Q Thank you.

11 Dr. Cooper, your degrees are in English and in
12 sociology, correct?

13 A Yes.

14 Q You've never been employed by a utility?

15 A No.

16 Q You do not have a Bachelor's, Master's or
17 Doctorate degree in economics; right?

18 A No. I have 30 years experience doing economic
19 analysis.

20 Q You don't have a Bachelor's, Master's or
21 Doctorate degree in engineering?

22 A I do not.

23 Q You've never been employed to forecast
24 economic growth in Florida or performed any independent
25 economic growth studies for Florida?

1 A No.

2 Q Or on a national level?

3 A Well, I've done national analysis of load
4 growth and factors like that in my national studies.

5 Q You've not conducted any study of economic
6 growth in Florida over the 40-plus-year expected life of
7 Turkey Point 6 and 7 which extends until roughly 2060 or
8 beyond, right?

9 A I have only reviewed the load projections and
10 analyzed the impact of a renewable -- or an energy
11 efficiency standard and federal legislation on load
12 growth in Florida.

13 Q So the answer to my question was no, you
14 haven't done the type of study I asked you about; right?

15 A Well, again, there's analysis in here of the
16 projected load growth in Florida under a federal mandate
17 for energy efficiency. That is an analysis of load
18 growth in Florida.

19 Q Are you in the fuel price forecast business?

20 A I analyze fuel prices on a regular basis,
21 analyze the natural gas market very intensively,
22 particularly the speculative bubble, testified numerous
23 times before Congress, prepared reports on the natural
24 gas market for attorneys general of Iowa, Missouri,
25 Illinois and Wisconsin.

1 Q Are you prepared to tell us here today what
2 natural gas prices will be between 2020 and 2060?

3 A No. I'm prepared to tell you what the NYNEX
4 price is, as I've done in my testimony, which is an
5 indicator that many utilities use for future gas prices.

6 Q You've never designed an energy efficiency
7 program for a utility, right?

8 A I have not.

9 Q You've never administered an energy efficiency
10 program for a utility, right?

11 A I have not.

12 Q Or developed renewable energy resources for a
13 utility?

14 A I have not.

15 Q Or engaged in purchase power contracting from
16 renewable resource providers for a utility, right?

17 A I have not.

18 Q You've never been responsible for developing a
19 nuclear plant?

20 A I have not.

21 Q Or any type of generating plant?

22 A I have not.

23 Q You've not been responsible for licensing,
24 permitting, cost estimating, contracting, scheduling or
25 any other aspect of nuclear plant development; right?

1 A I have not.

2 Q You're not an expert in computer modeling of
3 utility systems?

4 A No, I am not.

5 Q Never been responsible for resource assessment
6 and planning for a utility?

7 A Not for a utility. I have done national
8 studies examining the potential for efficiency as it
9 affects demand, particularly in light of the federal
10 legislation.

11 Q You have not prepared or presented any
12 production or resource plan modeling with respect to
13 FPL's system, right?

14 A I have not.

15 MR. ANDERSON: That's all the questions we
16 have. Thanks.

17 ACTING CHAIRMAN EDGAR: Are there questions
18 from staff?

19 MR. YOUNG: No questions.

20 ACTING CHAIRMAN EDGAR: Commissioners?

21 Hearing no questions, redirect.

22 REDIRECT EXAMINATION

23 BY MR. DAVIS:

24 Q Dr. Cooper, I think I agree that economists
25 shouldn't design nuclear power plants, but can you

1 describe your qualifications in relation to the specific
2 types of opinions you offer in this case?

3 A Well, economic analysis is something I have
4 been engaged in for about 30 years. I've testified a
5 couple of hundred times with respect to economics before
6 public service commissions, Florida included, and my
7 testimony has always been entered into the record.

8 The interesting thing about economics -- I've
9 been a member of economic societies, the American
10 Economic Society, the Southern Economic Society, but the
11 really interesting thing about economics today is, if
12 you pick up a the newspaper, you will read about
13 behavioral economics challenging the degrees of the
14 institutional profession of economics because what has
15 happened is that psychology has come into economics.
16 The assumptions that the Ph.D.s in economics in America
17 walk around with actually don't fit reality very well.
18 And I suggest that the best degree to study the economic
19 marketplace is actually a degree in sociology because
20 sociology lies at the intersection of psychology and
21 structural economics, and that is exactly what I've been
22 practicing for 30 years.

23 Q You were asked about your expertise for
24 projecting natural gas prices in the future. Can you
25 describe that?

1 A Well, I've been analyzing natural gas or the
2 natural gas market for almost 30 years, and the
3 interesting question that I raise in my testimony and
4 the subject of a great deal of rebuttal testimony was:
5 What was the price of natural gas doing in 2007 and 2008
6 which were the basis for the certificate of need? And
7 in fact the continuing -- the analysis that we get here
8 today, that is, 2007 and 2008 natural gas prices were
9 very high and they continued to influence the utilities'
10 decisions to move forward with these projects. In fact
11 there's a very good case, and I was the first one to
12 make it in a report for the four attorneys general I
13 mentioned. There's a very good case that can be made
14 that there was a speculative bubble in natural gas and
15 that bubble has burst. So those two years were the
16 exception rather than the rule. And if you look out at
17 the natural gas price today, it bears no relationship to
18 that bubble. As I said, I was the first to make that
19 declaration, testified before Congress. The Congress
20 has in fact had several reports to that effect finding a
21 speculative bubble. The Congress has passed legislation
22 to attempt to prevent that spec -- another speculative
23 bubble from occurring. I participated in the workshops
24 at the CFTC, the Commodity and Futures Trading
25 Commission, about that. And so, with respect to natural

1 gas prices, being -- consulting predicting natural gas
2 prices may be one thing. Being an analyst, looking at
3 the market realistically and understanding what's going
4 on is another, and I have done an awful lot of that.

5 Q You were asked about your qualifications to
6 evaluate legislation to determine what the likely costs
7 of carbon or carbon dioxide emissions would be for
8 electric utilities in the future. What are your
9 qualifications for that?

10 MR. ANDERSON: I'd object because I had that
11 question on my list but I didn't ask it.

12 MR. DAVIS: Well, I think you asked about --

13 ACTING CHAIRMAN EDGAR: I'm going to allow.

14 BY MR. DAVIS:

15 Q Thank you.

16 A Well, the question was about efficiency and
17 renewables, and in fact I've been analyzing energy
18 efficiency in the utility sector, again, for almost 30
19 years, lately have been looking very, very carefully at
20 the implications of particularly the building energy
21 performance standards which would be the first federal
22 mandate, and the very, very powerful effect it would
23 have on the demand for electricity. And it turns out
24 the first thing I worked on in Washington 29 years ago
25 was building energy performance standards, and if you'll

1 look at my research, my analysis shows that a 20-percent
2 reduction over the next decade or two is in fact
3 entirely achievable in Florida and across the nation.
4 So with respect to efficiency, I have certainly been
5 analyzing that for quite some time.

6 The price of carbon, I rely primarily on
7 recent estimates by the Energy Information
8 Administration and the Environmental Protection Agency
9 who are looking at the policy, what the price of carbon
10 would be under the policy that's moving its way through
11 Congress. And let's be clear, the price on carbon
12 assumed in the certificate of need docket and repeated
13 in this feasibility docket is a critical assumption
14 about -- which deeply affects the economics of these
15 reactors. Without that carbon price, the reactors would
16 not be economic. The current analysis of the policy
17 that's emerging in the United States has a much lower
18 price on carbon than what's assumed and had been assumed
19 a number of years ago, and in insignificant measure,
20 that's because of the increase of efficiency that the
21 Congress has now discovered, thank goodness, as a
22 potential source, a way to meet our need for
23 electricity. So with respect to that, I'm relying on
24 those entities that are looking at the actual policy
25 that's moving it's way through the Congress as we speak.

1 MR. DAVIS: Thank you, Dr. Cooper. That's all
2 I have on redirect.

3 ACTING CHAIRMAN EDGAR: Thank you. Exhibits,
4 I have 46 to 60.

5 MR. DAVIS: Yes, we move those into evidence,
6 please.

7 ACTING CHAIRMAN EDGAR: Thank you. Any
8 objection?

9 Hearing none, Exhibits 46 through 60 are
10 entered into the record at this time.

11 (Exhibit Nos. 46 through 60, both inclusive,
12 admitted into the record.)

13 ACTING CHAIRMAN EDGAR: Okay. And hold on --

14 MR. YOUNG: Madam Chairman.

15 ACTING CHAIRMAN EDGAR: Yes.

16 MR. YOUNG: We're up to staff's witness Fisher
17 and --

18 COMMISSIONER EDGAR: Okay. Hold on just a
19 moment. I'm sorry. Okay. I see what I was looking
20 for. So you are excused, and I understand that we will
21 see you back at a later point in time. So thank you
22 very much.

23 And, yes, sir, my understanding is that that
24 brings us to staff witnesses' joint testimony Fisher and
25 Rich and that there has been agreement to stipulate?

1 MR. YOUNG: Yes, ma'am. I'm sorry for jumping
2 ahead.

3 COMMISSIONER EDGAR: That's okay.

4 MR. YOUNG: And we move -- we ask that the
5 prefiled testimony be inserted into the record as though
6 read along with the Exhibit RF-1 which is No. 70 on
7 staff's -- on the Comprehensive Exhibit List, page 11.

8 ACTING CHAIRMAN EDGAR: Okay. And I hear no
9 objection, and again my understanding is that there has
10 been previous agreement to stipulate. So the prefiled
11 testimony of Witnesses Fisher and Rich and the exhibit
12 Marked No. 70 will be entered into the record at this
13 time.

14 MR. YOUNG: Thank you, ma'am.

15 (Exhibit No. 70 was marked for identification
16 and admitted into the record.)
17
18
19
20
21
22
23
24
25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **COMMISSION STAFF**

3 **DIRECT JOINT TESTIMONY OF LYNN FISHER AND DAVID RICH**

4 **DOCKET NO. 090009-EI**

5 **JULY 27, 2009**

6

7 **Q. Mr. Fisher, please state your name and business address.**

8 A. My name is Lynn Fisher. My business address is 2540 Shumard Oak Boulevard,
9 Tallahassee, Florida 32399-0850.

10

11 **Q. By whom are you employed?**

12 A. I am employed as a Government Analyst II by the Florida Public Service Commission
13 in the Bureau of Performance Analysis within the Division of Regulatory Compliance.

14

15 **Q. What are your current duties and responsibilities?**

16 A. I perform reviews and investigations of Commission-regulated utilities, focusing on
17 the effectiveness of management and company practices, adherence to company procedures,
18 and the adequacy of internal controls. Mr. Rich and I jointly conducted the 2009 review of
19 Florida Power & Light Company's project management internal controls for the nuclear plant
20 uprate and new construction projects underway at the St. Lucie and Turkey Point sites.

21

22 **Q. Please describe your educational and relevant experience.**

23 A. In 1972, I graduated from Florida State University with a Bachelor of Science degree in
24 Marketing. My relevant background includes twenty years with the Florida Public Service
25 Commission in management auditing, performance analysis, process reviews, and complaint

1 investigation. Since joining the Commission, I have participated in numerous reviews of
2 utility operations, systems and controls, each of which culminated in a written audit report
3 similar to the one attached as an exhibit to this testimony. I also participated in the 2008
4 review of FPL's project management controls for FPL's nuclear plant uprate and new
5 construction projects and filed that audit report as testimony in Docket No. 080009.

6

7 **Q. Have you filed testimony in any other dockets before the Commission?**

8 A. Yes. In addition to the testimony filed in Docket No. 080009, I previously filed
9 testimony during 2005 in Docket No. 050045. This testimony consisted of an audit of
10 distribution electric service quality for Florida Power & Light Company's Vegetation
11 Management, Lightning Protection, and Pole Inspection processes.

12

13 **Q. Mr. Rich, please state your name and business address.**

14 A. My name is David Rich. My business address is 2540 Shumard Oak Boulevard,
15 Tallahassee, Florida 32399-0850.

16

17 **Q. By whom are you employed?**

18 A. I am employed as an Operations Review Specialist by the Florida Public Service
19 Commission in the Bureau of Performance Analysis within the Division of Regulatory
20 Compliance.

21

22 **Q. What are your current duties and responsibilities?**

23 A. I perform reviews and investigations of Commission-regulated utilities, focusing on
24 the effectiveness of management and company practices, adherence to company procedures
25 and the adequacy of internal controls. I jointly conducted the 2009 review of Florida Power &

1 Light's project management internal controls of its Uprate and new construction projects
2 underway at the St. Lucie and Turkey Point sites.

3

4 **Q. Please describe your educational and relevant experience.**

5 A. In 1978, I graduated from the United States Military Academy at West Point with a
6 Bachelor of Science degree with a concentration in Engineering. A Masters of Arts degree in
7 National Security Affairs from the Naval Postgraduate School followed in 1987. I am a
8 graduate of both the US and Republic of Korea Command and General Staff Colleges. My
9 relevant work experience includes six years with the Florida Public Service Commission in
10 management auditing, utility performance analysis, process reviews, and trend analysis. Since
11 joining the Commission, I have participated in numerous reviews of utility operations,
12 processes, systems and controls, each of which culminated in a written audit report similar to
13 the one attached as an exhibit to this testimony.

14

15 **Q. Have you filed testimony in any other dockets before the Commission?**

16 A. No.

17

18 **Q. Please describe the purpose of your testimony in this docket.**

19 A. Our testimony presents the attached audit report entitled *Review of Florida Power &*
20 *Light's – Project Management Internal Controls for Nuclear Plant Uprate and*
21 *Construction Projects* (Exhibit FR-1). This review was requested by the Commission's
22 Division of Economic Regulation to assist with the evaluations of nuclear cost recovery
23 filings. The report describes key project events and contract activities completed during April
24 2008 through June 2009 for the Uprate projects and Turkey Point Units 6 & 7. The report also
25 presents detailed descriptions of the current project management internal controls employed

1 by FPL.

2 **Q. Please summarize the areas examined by your review of controls.**

3 A. The Bureau of Performance Analysis conducted a review of the internal controls and
4 management oversight of the nuclear projects underway at Florida Power & Light. We
5 examined the organizations, processes, and controls being used by the company to execute the
6 Extended Power Uprate of St. Lucie Units 1 & 2 and Turkey Point Units 3 & 4 and the
7 construction of the new Units 6 & 7 at Turkey Point. This is the second review of the
8 company's controls for its nuclear uprate and construction projects. The first report, *Florida*
9 *Power and Light Company's Project Management Internal Controls for Nuclear Plant*
10 *Uprate and Construction Projects*, was published in August 2008 and filed in docket 080009.

11 The primary objective of this review was to document project key developments, along
12 with the organization, management, internal controls, and oversight that FPL has in place or
13 plans to employ for these projects. The internal controls examined were related to the
14 following areas of project activity: planning, management and organization, cost and
15 schedule controls, contractor selection and management, and auditing and quality assurance.

16
17 **Q. Are you sponsoring any exhibits?**

18 A. Yes, our completed audit report is attached as Exhibit Number FR-1.

19
20 **Q. Does this conclude your testimony?**

21 A. Yes.
22
23
24
25

1 ACTING CHAIRMAN EDGAR: Thank you. My
2 understanding is that that concludes the direct portion
3 of this docket, and that brings us to rebuttal; am I
4 correct?

5 MR. YOUNG: Yes, ma'am.

6 ACTING CHAIRMAN EDGAR: Okay. Let's take ten
7 minutes to mentally shift gears and stretch, and we will
8 come back -- I'm going to call it at five after on the
9 hour by the clock on the wall to begin with the first
10 rebuttal witness. We are on break.

11 (Recess.)

12 CHAIRMAN CARTER: We are back on the record,
13 and when we left, we were getting ready to go into our
14 rebuttal phase of the hearing, and with that,
15 Mr. Anderson.
16 Whereupon,

17 STEVE SCROGGS

18 was called as a witness on behalf of Florida Power &
19 Light Company and, having been previously sworn, was
20 examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. ANDERSON:

23 Q Thank you, Chairman Carter.

24 Mr. Scroggs, you have been sworn?

25 A I have.

1 Q You testified earlier today?

2 A Yes, I have.

3 Q Remind us of your name, address and position
4 and employer.

5 A Steve Scroggs, 700 Universe Boulevard, Juno
6 Beach, Florida. I am the Senior Director of Project
7 Development for Florida Power & Light.

8 Q Did you prepare and cause to be filed 28 pages
9 of prefilled rebuttal testimony in this proceeding on
10 August 10?

11 A Yes, I have.

12 Q Did you file any errata.

13 A Yes.

14 Q Do you have any further charges or revisions
15 to your rebuttal testimony?

16 A No, I do not.

17 Q If I asked you the same questions contained in
18 your prefilled rebuttal testimony, would your answers be
19 the same.

20 A Yes, they would.

21 MR. ANDERSON: Chairman Carter, FPL asks that
22 the prefilled rebuttal testimony of Mr. Scroggs be
23 inserted into the record as though read.

24 CHAIRMAN CARTER: The prefilled testimony of
25 the witness will be inserted into the record as though

1 read.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **REBUTTAL TESTIMONY OF STEVEN D. SCROGGS**

4 **DOCKET NO. 090009-EI**

5 **August 10, 2009**

6

7 **Q. Please state your name and business address.**

8 A. My name is Steven D. Scroggs and my business address is 700 Universe
9 Blvd., Juno Beach, FL 33408

10 **Q. Have you previously provided testimony in this docket?**

11 A. Yes.

12 **Q. Are you sponsoring any rebuttal exhibits in this case?**

13 A. Yes. I am sponsoring the following exhibits that are attached to my rebuttal
14 testimony:

15 SDS – 5: FPL-BVZ Engineering Services Agreement Scope of Work
16 and BVZ Costs by Scope and Year

17 SDS – 6: Excerpt from Witness Gundersen’s deposition by Progress
18 Energy Florida

19 **Q. What is the purpose of your rebuttal testimony?**

20 A. My rebuttal testimony addresses the direct testimony provided by Witness
21 William R. Jacobs on behalf of the Office of Public Counsel, Witness Arnold
22 Gundersen on behalf of Southern Alliance for Clean Energy (SACE) and
23 Witness Mark Cooper on behalf of SACE as such testimony relates to the
24 Turkey Point 6 & 7 project.

1 **Q. Please summarize your rebuttal testimony.**

2 A. During 2008 FPL carefully considered, decided and implemented a strategy
3 which provides an alternative to an Engineering, Procurement, and
4 Construction (EPC) contract for the Turkey Point 6 & 7 project but does not
5 preclude later entering into an EPC contract. FPL's approach creates greater
6 flexibility and optionality for itself and its customers, as well as the potential
7 for significant cost savings for FPL's customers. As explained in this
8 testimony, a part of this strategy is the retention of several qualified
9 engineering firms to perform early specific scopes of work that are necessary
10 in order to continue orderly progress on the project, to create a pool of
11 credible vendors for future competitive bidding. FPL has also deferred the
12 decision to enter into a large single or sole source Engineering Procurement
13 (EP) or EPC contract that in FPL's view does not offer an acceptable balance
14 of costs and risks under current market conditions.

15
16 OPC Witness Jacobs claims that FPL has committed unalterably to a plan that
17 separates the EP and C functions and finds that FPL is imprudent for not
18 signing an EPC agreement. He incorrectly claims that an EPC contract is
19 advantageous and points to a selectively limited group of projects, including
20 Progress Energy Florida (PEF), that have entered into EPC contracts as
21 justification. In this same docket Witness Jacobs criticizes PEF for entering
22 into an EPC contract. Witness Jacobs's testimony is incorrect in this regard
23 and should be rejected for several reasons, explained further in my testimony.

1

2

FPL's decision to implement its step-wise incremental approach to contracting, rather than myopically executing an EPC contract as was suggested by Witness Jacobs, is supported by the fact that the nuclear industry marketplace has not presented FPL with EP or EPC contract opportunities that are sufficiently advantageous to FPL and its customers in terms of cost and risk. Further, this testimony identifies other U.S. nuclear projects that have made decisions similar to FPL.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

Witness Cooper's testimony offers no thorough economic analysis or study of the feasibility of FPL's Turkey Point 6 & 7 project. It is clear that Witness Cooper's testimony did not include any detailed review or consideration of FPL's project at all. Instead, citing only a variety of secondary sources and

1 not one of the complete and voluminous FPL documents produced in
2 discovery, Witness Cooper asserts that the existence of uncertainties regarding
3 the economic aspects of new nuclear generation mandates stopping project
4 development now. The rebuttal testimony of FPL Witness Sim discusses
5 Witness Cooper's testimony in greater detail. My rebuttal testimony,
6 however, will address the danger of adopting a selective review of secondary
7 data compared with FPL's rigorous project-specific analyses.

8 **Q. How is your rebuttal testimony organized?**

9 A. I will address the issues presented by each witness separately; however, some
10 themes are common to all three witnesses.

11
12 **REBUTTAL TO OPC WITNESS JACOBS**

13
14 **Q. Do you have any initial observations with respect to Witness Jacobs's**
15 **testimony?**

16 A. Yes. As an initial matter, I notice that Witness Jacobs's testimony in this
17 NCRC case criticizes FPL for not yet entering into an EPC contract. Witness
18 Jacobs's testimony with respect to Progress Energy Florida (PEF) criticizes
19 PEF for already having entered into an EPC contract.

20
21 Similarly, in the 2008 NCRC proceeding, Witness Jacobs criticized FPL's use
22 of single and sole source contracts for specific specialized Turkey Point 6 & 7
23 project work. This year, however, he asserts that FPL is imprudent for not

1 having entered into probably the largest possible single or sole source
2 contract, an EPC contract for the construction of a nuclear plant, which
3 contracts are necessarily single or sole source because of the proprietary
4 nuclear design technology of any chosen vendor.

5
6 These mutually contradictory and self-canceling criticisms suggest that
7 Witness Jacobs is pursuing an opportunistic approach in his review of FPL's
8 projects, finding fault with FPL management's decisions regardless of the
9 course of action taken.

10 **Q. Witness Jacobs discusses FPL's hiring of Black & Veatch/Zachry (BVZ).
11 Has Witness Jacobs correctly characterized the FPL-BVZ contractual
12 relationship?**

13 A. No. Witness Jacobs identifies that FPL has "retained BVZ as the preliminary
14 engineer" (Jacobs at page 6, line 19; emphasis added). This statement, and his
15 subsequent focus on BVZ, indicates that he has concluded that FPL has made
16 a commitment to engage BVZ as the sole firm providing preliminary
17 engineering services. In fact, FPL has also engaged other
18 national/international engineering firms to support the Turkey Point 6 & 7
19 project. Presently Bechtel, HDR Engineering, CH2M Hill and BVZ are
20 conducting various scopes of work increasing FPL's pool of credible potential
21 bidders for future work scope

22 **Q. What specific scope of work was assigned to BVZ throughout 2008 and
23 2009 and what expenditures were made?**

1 A. BVZ has been retained to provide specific services related to preliminary
2 construction planning for the project. Construction planning reviews the
3 necessary site preparation activities leading up to the major construction effort
4 and helps identify risks that could impact project schedule and cost. For
5 example, BVZ is analyzing the optimal sequence of access road development,
6 site excavation and site improvements to efficiently prepare the site for
7 construction of the nuclear islands, turbine islands, balance of plant
8 equipment, switchyards and water treatment facilities. This work is not
9 dependent upon specific detailed knowledge of the AP-1000 design, and is
10 similar to work BVZ has successfully conducted for FPL in the construction
11 of natural gas fueled generation and renewable projects. However, the
12 retention of BVZ for this scope of work should not be misunderstood to imply
13 that they have been or will be selected for subsequent Construction scope.

14
15 The work scope and payment summary for BVZ is described in Exhibit SDS-
16 5. In summary, BVZ provided engineering services on five specific scopes of
17 work associated with the construction planning, scheduling and conceptual
18 design of the Turkey Point 6 & 7 project. The expenditures for this scope of
19 work were \$1,915,714 through December of 2008, with an additional
20 \$4,293,362 projected for 2009.

21 **Q. Has FPL ensured that the scope of work conducted by BVZ meets all**
22 **quality requirements and is in keeping with FPL policies and**
23 **procedures?**

1 A. Yes, as is the case for all contracts associated with the Turkey Point 6 & 7
2 project. The work is conducted under the supervision of Martin Gettler, Vice
3 President of New Nuclear Projects and his construction staff. FPL's project
4 controls procedures have been applied to ensure all requirements have been
5 met. This includes monthly progress reports, progress meetings, schedule
6 adherence reviews, invoice reviews and detailed reviews of all contract
7 deliverables for content quality and sufficiency. Additionally, BVZ activity
8 has been reviewed during internal and external project audits with no
9 deficiencies identified.

10 **Q. Witness Jacobs expresses concern over the retention of BVZ because of**
11 **their lack of familiarity with the Westinghouse AP-1000 design. Please**
12 **explain FPL's rationale for hiring BVZ and other qualified engineering**
13 **firms for selected scopes of work on the Turkey Point 6 & 7 project.**

14 A. As described above, BVZ has been retained for a scope of work that is not
15 unique to the AP-1000 technology. BVZ is a joint venture staffed by a major
16 international engineering and construction firm with recent experience in
17 nuclear power generation construction and has the necessary qualifications
18 and talent to conduct work on new nuclear generation in the U.S. Further,
19 BVZ has successfully performed as a constructor on gas fueled generation
20 projects for FPL (Turkey Point 5, West County Energy Center, Martin Unit 8
21 and Manatee Unit 3). So, BVZ is fully qualified to conduct the scope of work
22 assigned and is a proven provider of engineering services that have benefited
23 FPL customers.

1

2

The rationale for hiring such qualified firms is based on developing a credible pool of qualified service providers, improving the opportunity for competition. FPL has successfully delivered the benefits of creating competition for Construction work on generation projects and intends to do so where possible on the Turkey Point 6 & 7 project. The retention of qualified providers to conduct small, defined scopes of work early in the project is a way to expand the base of credible construction firms that could potentially compete for larger segments of the construction later on in the project.

3

4

5

6

7

8

9

10 **Q. Witness Jacobs also discusses a concern over FPL's contracting strategy.**

11 **Did FPL foreclose the possibility of entering into either EP or EPC**

12 **contracts through its management decisions and actions to date?**

13 A. No. Throughout the discussion on contracting, Witness Jacobs seems to have

14 concluded that FPL has made a final decision to split the Engineering and

15 Procurement (EP) scope from the Construction (C) scope. This is not the case

16 as FPL has not entered into any contract for these services. To be clear, FPL

17 has not entered into an EPC contract, an EP contract or a C contract. FPL's

18 strategy involves creating an opportunity for future competitive bidding,

19 preserving its options. Either EP and C or EPC contracting arrangements

20 remain alternatives available to FPL.

21 **Q. Why has FPL not entered into an EPC contract or an EP and C contract?**

22 A. Fundamentally, FPL has chosen to defer the commitment associated with

23 either contracting approach because a compelling proposal of scope, schedule,

1 price and terms has not been offered to FPL. In the absence of a compelling
2 contract offer, FPL has chosen to pursue further resolution of the key
3 uncertainties I identified in my May 1, 2009 testimony; primarily those
4 relating to the future permitting timeline and commercial negotiations.

5 **Q. What is unique about new nuclear deployment that would allow for**
6 **competition for Construction scope, but not for the Engineering and**
7 **Procurement scope?**

8 A. Due to the nature of new nuclear licensing, the EP scope is not something that
9 can be competitively bid. Owners obtain licenses that are specific to a single
10 proprietary technology with a sole provider. Many aspects of plant
11 construction, however, are not unique to the specific technology and can be
12 competitively bid. For example, activities involving civil work, non-safety
13 related buildings, and other associated facilities can be separated into
14 packages allowing for competition to be engendered. It is important that a
15 body of credible qualified vendors be available to participate in the bidding in
16 order to take advantage of this opportunity. Logically, one would think that
17 the Westinghouse/Shaw consortium would be in an advantaged position to
18 provide the most competitive bid under such a scenario. However, FPL has
19 found that cultivating a competitive structure, where possible, ensures that its
20 customers receive the best value for its investment.

21 **Q. Do you agree with Witness Jacobs's assessment of EPC contracts**
22 **currently being offered for new nuclear deployment?**

1 A. No. Witness Jacobs's criticisms of FPL's strategy are based on a mistaken
2 assumption that EPC contracts with suitable scope, pricing, schedule and
3 terms providing significant risk protection are available and that FPL has just
4 passed them up. Nothing could be further from the truth. Witness Jacobs is
5 mistaken in assuming that the benefits of the EPC contracting approach, such
6 as FPL and its affiliates have successfully used in gas-fired and wind
7 generation construction are, or will be, available in new nuclear projects.

8
9 The EPC model provides benefits of efficiency and risk control in situations
10 where there is a high level of industry experience and competition to
11 accomplish the engineering, procurement and construction facets of a project.
12 For example, this strategy can be effectively employed in the design and
13 construction of natural gas fired combined cycle generation where the
14 construction and fabrication risks are well defined, multiple capable suppliers
15 exist and the contractors have experience that limit their execution risk. These
16 characteristics do not currently exist in the new nuclear construction market to
17 the same level as with other technologies. Therefore, there is little expectation
18 that a new nuclear EPC contract will exhibit any of the beneficial attributes of
19 EPC contracts that have been utilized before.

20
21 FPL understands that EPC contracts that are currently being offered for new
22 nuclear generation provide little benefit in terms of cost control or risk
23 management. Vendors offer a small fixed price portion, with the majority of

1 costs being either firm (fixed with an agreed upon index for escalation) or on a
2 time and materials basis. In practice, EPC contracts for new nuclear do not
3 offer the risk management features Witness Jacobs identifies. Therefore
4 Witness Jacobs's conclusion that an "EPC-type contract... clearly reduces the
5 risk" (See Jacobs at page 8, lines 5-6) is misinformed, misleading and does
6 not reflect the realities of the market in which the initial units of the next
7 generation of U.S. nuclear power will be built.

8 **Q. Do you agree with Witness Jacobs's characterization regarding the**
9 **universal adoption of an EPC contract by all other utilities?**

10 A. No. While it is true that "all other U.S. utilities that have signed a contract for
11 construction" have signed EPC agreements, the characterization is misleading.
12 It is also true that many utilities have chosen to defer entering into EPC
13 agreements for the very reasons FPL has identified; that terms available in the
14 market are simply not compelling for all project owners. A broader review of
15 the U.S. project listing results in a range of project management team
16 decisions, only three of which have resulted in EPC contracts.

17
18 FPL understands that some U.S. utilities using the AP-1000 design (Georgia
19 Power Company, SCANA Corporation, Progress Energy Inc.) have entered
20 into contracts with the Westinghouse/Shaw Consortium that provide for
21 consolidated Engineering, Procurement and Construction of the project – but
22 contain scope, pricing, schedule and terms that make them significantly
23 different from the EPC contracts that Witness Jacobs describes. Other AP-

1 1000 projects that have filed applications for NRC license review (Duke,
2 Progress Energy Carolinas (Harris), and TVA) have not entered into EPC
3 contracts.

4
5 Several U.S. utilities (Entergy, Ameren, Unistar (Nine Mile Point)) have
6 chosen to suspend their projects awaiting resolution of uncertainties prior to
7 entering into any large contracts. These projects are based on designs other
8 than the Westinghouse AP-1000.

9
10 FPL expects that future contract structures will better recognize the realities of
11 risk allocation and leverage the benefits of competition. For example,
12 Luminant and Mitsubishi have recently announced that they have signed a
13 memorandum of understanding detailing their plans to finalize an overall EP
14 agreement associated with the Comanche Peak project. They are developing a
15 separate construction plan. This approach mirrors that being considered by
16 FPL.

17 **Q. What are the benefits of FPL following its alternative contracting**
18 **strategy, compared with having entered into an EPC contract?**

19 A. The FPL step-wise approach benefits customers in five ways.

- 20 • FPL maintains progress on the overall project and towards the inherent
21 benefits offered by conducting all work necessary using qualified
22 vendors at market rates.

- 1 • The option of an EPC contract is preserved. Creating competition for
2 the C scope of work will encourage Westinghouse/Shaw to bring the
3 best price and terms to the table and may enhance a future EPC offer.
- 4 • The contractual commitment to Construction expenditures (whether
5 through a combined or separated approach) is deferred until a later
6 point in time when the detailed design is further developed and the
7 market costs of materials and labor can be more accurately estimated.
8 The Construction bidding is therefore expected to reflect a reduced
9 “risk premium”, additional costs that would otherwise be added to the
10 current bid or assigned to the Owner through the contract terms.
- 11 • The strategy increases the number of credible providers resulting in a
12 greater likelihood of competitive bidders and/or better industry “bench
13 strength” to support the project.
- 14 • The process of defining a distinct demarcation between the EP and C
15 scopes has produced added clarity for all parties involved. Requiring
16 the delineation of work responsibility is necessary under EPC or EP
17 and C structures. However, the transparency of that allocation and the
18 ability to ensure that confusion does not create inefficiencies or added
19 costs is greater when approached from a potential EP and C
20 perspective. Without this driver, it would be difficult for FPL to
21 ensure that the demarcation was clear within an EPC framework. In
22 FPL’s experience, delegation of management of the interfaces between
23 EP and C functions is no guarantee that inefficiencies or

1 miscommunication are eliminated. Recognizing that, for new nuclear
2 deployment, providers will have limited capacity to take on the
3 “burden and risk”. Therefore, it is incumbent upon FPL to play a role
4 in proactively managing these interfaces.

5 **Q. What is the alternative to FPL’s contracting strategy?**

6 A. As Witness Jacobs suggests, FPL could simply accept an EPC contract with a
7 sole provider. FPL has not done so to date because a) the benefits of an EPC
8 contract cited by Witness Jacobs are not available, b) it is unnecessary and
9 unwarranted at this time based on FPL’s assessment and desire to further
10 resolve key uncertainties, c) the project is able to maintain progress without
11 doing so, and d) it is not in the best interest of our customers to do so.

12
13 As previously discussed, FPL will necessarily be required to sole source the
14 EP portion of the project to Westinghouse/Shaw due to the proprietary nature
15 of the AP-1000 design. In the absence of credible additional service providers
16 for the C scope of work, FPL would also be required to sole source the C
17 scope. Ultimately, such a decision may be identified as the most cost-
18 effective route. However, in order to minimize the likelihood and magnitude
19 of sole source contracts, and provide a means to test the market for
20 competitive services where possible, we have chosen to manage our near term
21 procurement decisions in a way that fosters optionality, better pricing and
22 more favorable terms for our customers in the future. Such an approach is in
23 keeping with FPL procurement policies.

1 **Q. Is Witness Jacobs’s current position consistent with comments provided**
2 **in the 2008 Nuclear Cost Recovery docket?**

3 A. No. In that docket Witness Jacobs was critical of sole and single source
4 procurement decisions on a number of smaller contracts, while this year he
5 seems to advocate doing so on one of the largest cost components of the
6 project. FPL remains consistent with our view that competitive bidding is
7 preferred, but under certain specific circumstances sole or single source
8 procurement may be the appropriate or only available method.

9 **Q. What was Witness Jacobs’s criticism regarding FPL’s feasibility**
10 **analysis?**

11 A. Witness Jacobs criticizes FPL for not updating the capital cost of the new
12 nuclear units indicating that not doing so results in a feasibility analysis “of
13 little value to the Commission to determine the long term feasibility of the
14 units”. (See Jacobs page 9 lines 25-25).

15 **Q. Why did FPL choose to conduct the feasibility analysis based upon its**
16 **existing capital cost estimate?**

17 A. Simply stated, the capital cost estimate range developed in 2007 remains a
18 valid estimate of the potential capital cost of the Turkey Point 6 & 7 units and
19 provides an appropriate comparison for the breakeven capital cost produced in
20 the feasibility analysis. FPL developed the cost estimate range through a
21 careful and well-informed process that recognized the potential escalation in
22 materials and labor costs into the future as well as potential differences in
23 project scope. This estimate, developed for the Need Determination filing,

1 remains a valid cost estimate for the project. The validity of the FPL cost
2 estimate range is confirmed by comparisons to the published cost estimates of
3 other AP-1000 projects at Progress Energy, Georgia Power and SCANA.
4 Exhibit JJR-1 (page 36 of 36) to FPL Witness Reed's May 1, 2009 testimony
5 provides a comparison of these published costs to FPL's cost estimate range.
6 The comparison shows that the high end of FPL's cost estimate range is
7 comparable to recent estimates provided by these leading AP-1000 projects.

8 **Q. Have there been any significant developments in the past year that**
9 **warrant a revision to FPL's cost estimate range?**

10 A. No. Near term market prices for materials and labor have moderated in the
11 past year, reversing an escalating trend seen prior to 2008. However, given
12 that the project schedule is several years away from considerable expenditures
13 on materials and labor services, these near term fluctuations do not signal a
14 significant or long term trend that would warrant a revision. Further, while
15 FPL's negotiations with Westinghouse/Shaw have yielded progress, a clear
16 and specific proposal (one including cost and schedule commitments tied to a
17 specific set of contract terms) has not been developed. Without such a
18 specific proposal, any updates would not provide an improvement in the
19 clarity of the cost estimate range beyond that in the current cost estimate
20 range. Thus, FPL's cost estimate range is reasonable, appropriate for its use
21 in the feasibility analysis and is based upon the best information currently
22 available.

1 **Q. Does the comparison of this cost estimate to the updated breakeven cost**
2 **provide the Commission with a valid and current feasibility analysis?**

3 A. Yes. By design, the annual feasibility analysis compares a current breakeven
4 capital cost to the high end of FPL's cost estimate range. This provides an
5 updated comparison of the most competitive generation alternative to a market
6 validated capital cost estimate for new nuclear.

7
8 Comparison of the break-even cost under nine scenarios demonstrates that
9 eight of nine scenarios result in a break-even cost (the cost where nuclear is
10 economically equivalent to combined cycle natural gas generation) well above
11 the high end of FPL's cost estimate range, while the ninth scenario is
12 consistent with FPL's high end estimate. FPL Witness Sim provides a
13 complete discussion of the feasibility analysis in his testimony in this docket.

14
15 **REBUTTAL TO SACE WITNESS GUNDERSEN**

16
17 **Q. Please provide your assessment of Witness Gundersen's testimony on**
18 **behalf of the Southern Alliance for Clean Energy.**

19 A. In order to form an opinion about a company's management actions and
20 decisions it is necessary to have knowledge of what their actions and decisions
21 are. It is apparent from statements in Witness Gundersen's testimony that he
22 has no specific knowledge of FPL's Turkey Point 6 & 7 project.

23

1 Exhibit SDS-6 is an excerpt from the recent deposition taken by Progress
2 Energy Florida (PEF) where Witness Gundersen describes the time he spent
3 reviewing documents and information prior to drafting his testimony. In his
4 deposition Witness Gundersen identifies he invoiced SACE for 31 hours,
5 approximately 80 percent of which was spent reviewing documents. That
6 results in 25 hours of review for both new nuclear projects in this docket. He
7 also states in his deposition that he has not reviewed any of the thousands of
8 FPL documents provided in discovery, including management reports,
9 contracts, schedules, or budgets. Witness Gundersen merely refers to and
10 extrapolates from general press articles which are not specific to FPL's
11 project. The information shown in Exhibit SDS-6 reflects so little review and
12 understanding of FPL's project that his opinions provide no value in assessing
13 the reasonableness of FPL's management decisions with respect to the project
14 in general or its stepwise approach to licensing, schedule and contracting
15 practices.

16 **Q. Please respond to Witness Gundersen's assertion that FPL has failed to**
17 **consider specific issues in its planning and therefore has not shown the**
18 **long term feasibility of the project.**

19 A. Among the many uncertainties constantly factored into FPL's project
20 management decisions, FPL has recognized the uncertainties pointed to by
21 Witness Gundersen – namely 1) the untested nature of the NRC's Part 52
22 licensing process, 2) material and labor challenges for new nuclear
23 construction, and 3) the complex nature of nuclear construction. From the

1 earliest stages of the project FPL has chosen to manage these issues by
2 developing an approach that mitigates these issues by pursuing resolution of
3 uncertainty at each step of the process, and makes judicious and careful
4 decisions regarding the commitment of funds toward the project. For
5 example, the original project schedule envisioned that FPL would expend
6 funds in late 2008 to secure additional long lead materials for the project. The
7 market forces that would have made that expenditure warranted did not
8 develop. In response, FPL was able to defer approximately \$35 million of
9 those costs to later in the project schedule. This approach provides the best
10 opportunity to develop the option for new nuclear generation with transparent
11 decision making and cautious investments.

12
13 The annual feasibility analysis sponsored by FPL Witness Sim inherently
14 quantifies the margin between the expected high-end capital cost of the
15 Turkey Point 6 & 7 project and an economically equivalent alternative. The
16 format of the analysis was developed for the Need Determination process.
17 Recognizing the uncertainties in the future, the feasibility analysis considers a
18 range of potential future outcomes. As discussed in FPL Witness Sim's
19 testimony, only when natural gas costs and emission compliance costs are at
20 their lowest does the natural gas fired combined cycle technology come close
21 to competing economically with the high end of the Turkey Point cost
22 estimate range. So, under that single scenario natural gas fueled generation
23 would be about the same cost for customers - without the qualitative fuel

1 diversity, zero greenhouse gas emissions and energy security benefits offered
2 by nuclear generation. The margin averages 44% (or approximately
3 \$2,000/kW) above the high end of FPL's cost estimate range for 8 of 9
4 scenarios. The cost impacts of delays that may be created by project
5 uncertainties are addressed by FPL's active management approach and the
6 annual cost recovery process that authorizes the next increment of project
7 investment every year following a review of the best information available.
8 By this I mean to point out that the stepwise and transparent process itself
9 allows for the control of commitment in relation to the risks of taking the next
10 step. FPL concludes that the annual feasibility analysis clearly justifies taking
11 the next step in the project.

12 **Q. Please comment on Witness Gundersen's assertion that FPL has not**
13 **taken into account scheduling uncertainty in licensing delays associated**
14 **with the AP-1000.**

15 A. FPL has at all times accounted for scheduling uncertainty. For example, in
16 my May 1, 2009 testimony (see Scroggs, May 1, 2009 at page 18-19) I
17 identify the uncertain nature of the license and application review schedules
18 and how that might affect the overall pace of the project. Further, I identify
19 (see Scroggs, May 1, 2009 at page 21) that FPL has slowed the pace of project
20 expenditures and accepted pressure on maintaining the project schedule as a
21 means of responding to this uncertainty. Following the initial reviews of the
22 state and federal license and permit applications submitted on June 30, 2009,
23 state and federal agencies will publish review schedules that will be

1 incorporated into FPL's overall project schedule. Accordingly, Witness
2 Gundersen's claim is false and should be rejected.

3 **Q. Please comment on Witness Gundersen's assertion that FPL has not**
4 **taken into account the worldwide demand for construction materials,**
5 **nuclear grade materials, construction complexity and skilled labor.**

6 A. FPL has at all times taken into account the uncertainties referred to by
7 Witness Gundersen. In fact, FPL's cost estimate range was developed
8 recognizing the potential impacts of all of these issues. In constructing its cost
9 estimate range, FPL reviewed independent government studies, consulted with
10 nuclear vendors, constructors and engineers and applied its own considerable
11 experience in the construction and management of conventional and nuclear
12 generation. This analytical effort resulted in recognizing the need to
13 communicate the estimated cost of the project as a range dependent on many
14 market and regulatory factors. For example, the cost estimate range was
15 developed with a range of assumptions for cost escalation to acknowledge the
16 potential cost impacts of a tight market. The cost estimate range remains a
17 relevant and appropriate way to express the potential for these uncertainties to
18 impact the final cost of the project. Accordingly, Witness Gundersen's claim
19 should be rejected.

20 **Q. Please comment on Witness Gundersen's statement that the "earliest**
21 **practical" schedule does not imply that it is the most likely schedule to be**
22 **achieved.**

1 A. Witness Gundersen's statement demonstrates a lack of knowledge concerning
2 FPL's active management of project schedule. The Turkey Point 6 & 7
3 project is highly complex. FPL's management approach to this project
4 recognizes uncertainty and is designed to take advantage of every opportunity
5 to expedite the delivery of new nuclear generation benefits to our customers
6 when such steps are reasonable, cost-effective and do not introduce
7 unacceptable risks. The project is approached with a sense of urgency so as to
8 continuously identify all reasonable opportunities for schedule improvement
9 and therefore deliver the "earliest practical" schedule. By contrast,
10 approaching the project targeting a "most likely schedule" for a complex and
11 uncertain project would accept potential delays and introduce an excuse for
12 not doing all things reasonably possible to expedite the schedule. For
13 example, FPL has selectively undertaken preconstruction planning efforts to
14 help chart the most efficient path forward and resolve schedule uncertainty.
15 This will place FPL in a position of being able to identify critical path items
16 and needed resources to minimize construction time and cost when those steps
17 are warranted.

18 **Q. Does Witness Gundersen make any statements that lead you to believe**
19 **that he is not familiar with the Turkey Point site and factors related to**
20 **the Turkey Point 6 & 7 project?**

21 A. Yes. There are several statements that indicate that Witness Gundersen is
22 poorly informed with respect to the Turkey Point 6 & 7 project. Given these
23 serious and obvious errors, it is not surprising that he reached incorrect

1 conclusions regarding uncertainties that he identifies as site specific concerns.
2 For example, in his discussion of the site, Witness Gundersen indicates that
3 the two existing reactors share the site with three coal plants (see Gundersen
4 at page 10, lines 11-12) that are all cooled by saltwater through a cooling
5 tower connected to the cooling canals (see Gundersen at page 12, lines 2-3)
6 and connected to the transmission grid through a single coastal transmission
7 corridor (see Gundersen at page 11, lines 20-23). None of these statements
8 are correct. Units 1 and 2 are natural gas and oil fired boilers while Unit 5 is a
9 combined cycle natural gas unit. Units 1 through 4 share the closed loop
10 cooling canal system (without cooling towers) while Unit 5 uses a modern
11 cooling tower with makeup water supplied from a Floridan (non-drinking
12 water) aquifer. The existing units are connected to the transmission grid by
13 two independent transmission corridors; one running north of the plant and a
14 second running west prior to turning north along the western developed areas
15 of Miami-Dade County. It is clear that Mr. Gundersen has not undertaken
16 even the most rudimentary due diligence.

17 **Q. Please comment on Witness Gundersen's concern related to grid stability**
18 **at Turkey Point.**

19 A. Grid stability is fully addressed in FPL's project analysis. Witness
20 Gundersen's concern may be a result of his extremely limited review of
21 project documents and his lack of understanding about how the site is
22 currently connected to the grid and how the Turkey Point 6 & 7 project is
23 proposed to be interconnected. Grid stability is achieved by careful

1 engineering design, integration of necessary transmission system
2 improvements and proper interconnections that are not overly reliant on any
3 one substation or transmission corridor. The Transmission Plan for Turkey
4 Point 6 & 7 will meet the reliability standards of the North American
5 Electrical Reliability Corporation (NERC), the Florida Reliability
6 Coordinating Council (FRCC) and the offsite power requirements of the
7 Nuclear Regulatory Commission (NRC). The analyses necessary to establish
8 this plan were conducted early in the site selection process and include an
9 Interconnection and Integration Study, a Grid Stability Analysis Study and a
10 Facilities Study. These thorough and comprehensive studies conducted by
11 FPL's Transmission Planning and Transmission and Substation Engineering
12 departments and expert consultants provide the information necessary to
13 design a robust and reliable interconnection. The interconnection and
14 integration plan will receive peer review through the FRCC. As it historically
15 has, FPL takes seriously its obligations to fully comply with all applicable
16 regulations governing transmission interconnection and integration.
17 Accordingly, Witness Gundersen's assertion should be rejected.

18 **Q. Does Witness Gundersen's CV include experience in transmission system**
19 **design or Grid Stability analysis subject matters that he discusses?**

20 A. No. In contrast, FPL relies on fully qualified transmission system planning
21 and grid stability experts for the Turkey Point 6 & 7 project.

22 **Q. Please comment on Witness Gundersen's concern related to saltwater**
23 **intrusion at Turkey Point.**

1 A. The Turkey Point 6 & 7 project will not contribute to saltwater intrusion, a
2 topic that will be reviewed in the state Site Certification process and the NRC
3 Environmental Review. Saltwater intrusion results from a lowered water table
4 on shore being replaced by ocean water transmitted underground through the
5 South Florida geology. The development of the Turkey Point 6 & 7 project
6 has been educated by over 40 years of experience at the site. The design
7 features of the project actually help directly and indirectly address saltwater
8 intrusion. FPL is teaming with Miami-Dade County to redirect treated
9 wastewater away from ocean outfalls and deep well injection to the site to
10 provide the cooling water for the new units and replacing a Floridan aquifer
11 source that serves Unit 5. This indirectly addresses saltwater intrusion by
12 reducing the demand on higher value water sources in the region using
13 “recycled” water. The environmental plan includes projects that would
14 redirect surplus treated reclaimed water to rehydrate historic wetlands in the
15 region, directly addressing the progression of saltwater intrusion.
16 Accordingly, Witness Gundersen’s assertion should be rejected.

17 **Q. Does Witness Gundersen’s CV include experience in geology, hydrology**
18 **or saltwater intrusion subject matters that he discusses?**

19 A. No. In contrast, FPL relies on fully qualified experts in geology, hydrology
20 and salt water intrusion for the Turkey Point 6 & 7 project.

21
22
23

REBUTTAL TO SACE WITNESS COOPER

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

Q. Please provide your assessment of Witness Cooper’s testimony on behalf of the Southern Alliance for Clean Energy.

A. Witness Cooper does not provide a competent or accurate review and should not be relied upon, as further discussed in Witness Sim’s testimony. In my Need Case testimony (Document number 09467-07, page 37, lines 8-15) I included a discussion of the potential for temporal shifts in markets affecting future feasibility analyses. At that time, I cautioned such shifts “almost certainly will occur, but should be reviewed in the proper perspective for their long term implications.” Witness Cooper has taken a selective and skewed view of current trends as they apply to the feasibility analysis, and his claims should be rejected.

Q. Witness Cooper discusses developments in the areas of energy conservation and renewables. Has FPL continued to monitor and evaluate the developments in conservation and renewables?

A. Yes. FPL is a world leader in both areas and has long been involved in the implementation of cost-effective conservation and demand side management programs and the development of wind, solar thermal and solar photovoltaic generation. FPL’s experience allows us to recognize the realistic potential for optimizing the use of these resources and incorporate those in our planning. In contrast, Witness Cooper points to developments within the past year or that are expected to occur within the next several years as justification for

1 abandoning progress on nuclear generation, a known and tested emission free
2 generation source that is available now.

3 **Q. Please comment on Witness Cooper's assertion that FPL's cost estimate**
4 **of the project was derived from an early low estimate for a different type**
5 **of reactor and its current estimates remain in the low range of**
6 **projections.**

7 A. Witness Cooper's testimony fails to reflect any understanding of the function
8 of FPL's non-binding cost estimate in the need determination and NCRC
9 proceedings. The cost estimate was developed prior to the selection of the
10 AP-1000 using the best information developed by industry and government
11 sources. The relevant issue is whether or not the cost estimate range is a
12 sufficient estimate for the Turkey Point 6 & 7 project given what is known
13 today. The answer to this is a resounding "yes". As the project has evolved,
14 FPL has reviewed the adequacy of the cost estimate to represent the
15 anticipated costs of the AP-1000 project at Turkey Point. As discussed
16 earlier in this testimony, the cost estimate incorporates the best information
17 available to represent the range of costs expected. Particularly, the feasibility
18 analysis assumes the high end of that cost estimate range when drawing its
19 conclusions. Also refer to Exhibit JJR-1 (page 36 of 36) to Witness Reed's
20 May 1, 2009 testimony which provides a comparison of the published costs of
21 other AP-1000 costs to the high end of FPL's cost estimate range.

1 **Q. Should the Commission accept Witness Cooper's assertion that it is**
2 **unreasonable or imprudent to continue to incur costs to develop the**
3 **Turkey Point 6 & 7 project?**

4 **A. No. FPL is making prudent management decisions and taking concrete**
5 **actions that result in the right work being done for the project at a reasonable**
6 **cost. FPL's approach is helping create contracting options that benefit our**
7 **customers while deferring decisions that are not required or warranted at this**
8 **stage of the project. This deliberate, stepwise approach is the best way to**
9 **make progress towards the many benefits of new nuclear generation**
10 **recognizing and resolving uncertainties as we proceed.**

11 **Q. Does this conclude your testimony?**

12 **A. Yes.**

**BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION**

In re: Nuclear Power Plant)
Cost Recovery Clause)

DOCKET NO. 090009-EI
 FILED: September 4, 2009

ERRATA SHEET

TESTIMONY OF STEVEN D. SCROGGS, MARCH 2, 2009

<u>PAGE#</u>	<u>LINE #</u>	<u>CHANGE</u>
30	7	"The NuStart Consortium" to "NuStart"

EXHIBIT SDS-3 (MARCH)

<u>PAGE#</u>	<u>LINE #</u>	<u>CHANGE</u>
1	3	"10 CFR Part 50" to "10 CFR Part 52"
1	4	"10 CFR Part 51, 10 CFR Part 52" to "10 CFR Parts 52 and 51"

EXHIBIT SDS-4 (MARCH)

<u>PAGE#</u>	<u>LINE #</u>	<u>CHANGE</u>
1	N/A	"E&C Project Controls Process Overview_04-24-08" to "E&C Project Controls Process Overview_03-12-09"
1	N/A	"E&C Accrual Process Narrative rev 03-28-08" to "E&C Accrual Process Narrative rev 03-31-09"
1	N/A	"E&C Utility Fixed Assets Process narrative_03-31-08" to "E&C Utility Fixed Assets Process narrative_03-31-09"

TESTIMONY OF STEVEN D. SCROGGS, MAY 1, 2009

<u>PAGE#</u>	<u>LINE #</u>	<u>CHANGE</u>
32	6	"the NuStart Consortium" to "NuStart"

EXHIBIT SDS-1 (MAY)

<u>PAGE#</u>	<u>LINE #</u>	<u>CHANGE</u>
2	22-32	Sponsor from "W. Labbe" to "S. Scroggs"
21	11	"Single Source" to "Competitively Bid"
32	"Brief Description of Selection Process"	"Single Source" to "Competitively Bid"

EXHIBIT SDS-3 (MAY)

<u>PAGE#</u>	<u>LINE #</u>	<u>CHANGE</u>
1	1	"NuStart Consortium, LLC" to "NuStart Energy Development"

1 BY MR. ANDERSON:

2 Q You're sponsoring two exhibits?

3 A I am.

4 Q STS-5 and 6?

5 A Correct.

6 MR. ANDERSON: Chairman Carter, these have
7 been previously marked on the staff composite list as 71
8 and 72.

9 CHAIRMAN CARTER: For the record, 71 and 72.
10 You may proceed.

11 (Exhibit Nos. 71 and 72 admitted into the
12 record.)

13 BY MR. ANDERSON

14 Q Have you prepared a summary of your rebuttal?

15 A I have.

16 Q Please provide your summary.

17 A Thank you.

18 Mr. Chairman and Commissioners, the purpose of
19 my rebuttal testimony is to address the direct testimony
20 provided by witnesses Jacobs, Gundersen and Cooper as
21 such testimony relates to the Turkey Point 6 and 7
22 project.

23 Witness Jacobs' testimony seems to conclude
24 that FPL has made an unalterable commitment to a
25 specific contracting strategy for the project, one that

1 would not result in a consolidated engineering
2 procurement and construction contract to a single
3 provider.

4 My testimony provides a clarifying discussion
5 of the nature of FPL's decisions to date and how those
6 decisions have retained and created optionality for our
7 customers that offer five specific benefits. Our
8 approach maintains the option for a consolidated EPC
9 contract. It maintains project progress through the
10 hiring of qualified engineering service providers. It
11 creates a pool of credible vendors for future
12 competitive bidding, and provides -- it defers
13 expenditures to a point in time where the design will be
14 more refined and therefore the cost estimate can be more
15 accurate, and provides significant clarification of
16 roles and responsibilities associated with the project.

17 Witness Jacobs also describes his preference
18 for an EPC contract based on assumptions regarding the
19 nature of these contracts and the current market for new
20 nuclear projects. My testimony will describe how FPL's
21 experience in the current market does not support these
22 assumptions, a fact that has been a significant
23 influence in shaping our contracting strategy.

24 Finally, I defend FPL's assessment that the
25 cost estimate range for the project remains a sufficient

1 and valid basis for the feasibility analysis.

2 Witness Gundersen discusses uncertainties in
3 the regulatory and execution aspects of deploying new
4 nuclear generation and claims that FPL has not taken
5 these issues into consideration. My rebuttal testimony
6 corrects factual errors made by Witness Gundersen,
7 clarifies mixed characterizations, and describes how
8 uncertainties are recognized in the project management
9 and how the feasibility analysis provides the basis for
10 proceeding with the project in a careful step-wise
11 manner.

12 Witness Cooper discusses uncertainties in the
13 economic aspects of new nuclear generation. My rebuttal
14 testimony cautions against the selective nature of
15 Witness Cooper's review and describes how economic
16 uncertainties are recognized in project planning and the
17 feasibility analysis.

18 That concludes my summary.

19 MR. ANDERSON: Mr. Scroggs is available for
20 cross-examination.

21 CHAIRMAN CARTER: Mr. McGlothlin on rebuttal,
22 you're recognized, sir.

23 CROSS EXAMINATION

24 BY MR. MCGLOTHLIN:

25 Q Thank you.

1 Mr. Scroggs, first turn to page two of your
2 rebuttal testimony. At line 18, referring to
3 Dr. Jacobs, you say, "Dr. Jacobs incorrectly claims that
4 an EPC contract is advantageous and points to a
5 selectively limited group of projects, including
6 Progress Energy Florida, that have entered into EPC
7 contracts as justification." Are you there?

8 A Yes, sir.

9 Q Let's start with your phrase "selectively
10 limited group of projects." Is it true that Dr. Jacobs
11 included all of the utilities who have signed contracts
12 for the AP1000?

13 A No. Dr. Jacobs has included all the utilities
14 that signed EPA contracts for the AP1000 but not all the
15 utilities that have submitted applications for the
16 AP1000.

17 Q Okay. Of those -- of that larger universe of
18 those utilities who are pursuing the AP1000, have any of
19 the utilities that have not signed an EPC contract
20 committed to a different course?

21 A No, they have not committed to a different
22 course.

23 Q So the selectively limited group consists of
24 all of those utilities pursuing the AP1000 who have
25 elected one form or the other, correct?

1 A Who have taken the initiative to sign an EPC
2 contract, yes, sir.

3 Q Any contract?

4 A That's correct.

5 Q So selectively limited group is 100 percent of
6 those who have made an election, correct?

7 A Correct, but not 100 percent of the projects
8 pursuing the AP1000.

9 Q And those have not made a choice one way or
10 the other?

11 A Correct.

12 Q Including FPL?

13 A Correct.

14 Q Now, you also say that Dr. Jacobs incorrectly
15 claims that an EPC contract is advantageous. Do you
16 have Dr. Jacob's testimony available to you?

17 A No, I do not.

18 Q Well, I think we can manage this fairly. I'm
19 going to read you individual sentences from page eight
20 of his prefiled testimony. If at any point you need me
21 to repeat it or if I'm going too far, let me know.

22 At page 8, line 6, referring to the EPC form
23 of contracting, he says, "This type of contract places
24 the burden and risk on the Consortium, Westinghouse and
25 Shaw Stone & Webster, to manage the interface between

1 the engineering, procurement and construction areas.
2 The consortium would be fully accountable for any delays
3 resulting from these interfaces." Were you able to
4 follow what I read or do you have it available to you
5 now?

6 A I have it available to me.

7 Q Do you agree with that observation on the part
8 of Dr. Jacobs?

9 A No, sir; I do not.

10 Q On what basis do you disagree?

11 A Well, first the -- line 6 and 7, Dr. Jacobs
12 implies that the contract places the burden and risk on
13 the consortium, implying solely places that burden and
14 risk on the consortium. Our understanding through the
15 construction of or the structure of these EPC contracts
16 is there are certain areas that are firm-priced with
17 escalators, certain areas that are fixed price, meaning
18 there's one price, and then there's areas that are
19 target-priced, and those target-priced are sort of good
20 faith efforts to we'll try to hit this price, but
21 there's limited -- in terms of bearing the burden and
22 risk, those are limited by the structure of these
23 contracts.

24 Secondly, as we move down to line 9, and it
25 says, "The Consortium would be fully accountable for any

1 delays resulting from these interfaces." In the
2 execution of complex, large-scale construction, there
3 are many factors that affect the potential for delay in
4 these construction projects, and FPL's perspective is
5 that it would be difficult to assume and improper to
6 assume at this stage that 100 percent of these types of
7 delays could be laid at the foot of an EPC contractor
8 and have reasonable expectation that all of these delays
9 would be their responsibility.

10 Q With respect to your first statement and
11 referring back to lines 6 and 7 and 8, the observation
12 was that the Consortium would manage the interface
13 between the engineering, procurement and construction
14 areas. Aside from your comments on fixed and variable
15 prices, isn't it true that the Consortium would manage
16 the interfaces between those functions?

17 A They would definitely manage the interface.

18 Q And with respect to the -- who is accountable
19 for any delays resulting from interfaces, that would be
20 a matter and term of the ultimately-negotiated contract;
21 would it not?

22 A That would be part of the negotiated contract.
23 It would be very specific to the terms and the pricing
24 structure.

25 Q Next, at lines 10 and 11, Dr. Jacobs says,

1 "Each member of the Consortium could, in most
2 circumstances, be jointly and severally liable for the
3 actions of the others, thus reducing the risk to FPL if
4 one entity fails to perform." Would you agree that such
5 an arrangement in an EPC contract would be advantageous
6 to FPL?

7 A Such an arrangement would be possible and
8 could be advantageous, yes.

9 Q And then he says, "The Westinghouse/Shaw
10 Consortium will have gained significant experience from
11 earlier AP1000 projects and will incorporate the lessons
12 learned into the TP 6&7 project." Would you agree that
13 having the benefit of earlier experiences would be
14 advantageous to a utility?

15 A Yes, and we think that would be why
16 Westinghouse/Shaw would be in a really good position to
17 offer a competitive bid for the construction contract.

18 Q Would you agree that, under an EPC form of
19 contract, the Consortium would provide the utility a
20 single point of contact such that any disagreements over
21 scope and responsibilities are more easily managed?

22 A If that was the result of the terms of the EPC
23 contract, yes. In our experience in these large-scale
24 projects, there's more of a group management approach
25 that this is taken care of through.

1 Q That also would be a function of the
2 ultimately-negotiated terms of the contract, would it
3 not?

4 A That would be, sir.

5 Q At line 21 of the same page, you say, "In this
6 same docket, Witness Jacobs criticizes PEF for entering
7 into an EPC contract," and you repeat that assertion on
8 page 5, lines 16 and 17. You say, "As an initial
9 matter, I notice that Witness Jacobs" testimony against
10 the NCRC criticizes FPL for not yet entering into an EPC
11 contract. Witness Jacobs' testimony with respect to
12 Progress Energy Florida criticizes PEF for already
13 having entered into an EPC contract."

14 Do those statements in your testimony
15 constitute everything you know about the nature of
16 Dr. Jacobs' criticism of the PEF?

17 A No, sir.

18 Q Can you think of any -- are you -- can you
19 think -- of that knowledge of which you're aware, can
20 you think of any circumstance that might be a
21 distinguishing feature of the PEF circumstance relative
22 to FPL's?

23 A The circumstances in terms of the timing of
24 the projects and the level of commitment of the projects
25 are definitely different between the two utilities.

1 Q In what respect?

2 A That FPL has not signed an EP or an EPC
3 contract and has not committed funds related to that
4 engineering and design effort at this stage.

5 Q Mr. Scroggs, what is a limited work
6 authorization in the context of NRC regulations?

7 A A limited work authorization is a component of
8 an overall combined operating license application that
9 asks the NRC to review specific sections of the
10 application in advance so that they could be potentially
11 approved for earlier initiation in the construction
12 cycle.

13 Q Now, if you would accept for the purpose of my
14 question that Dr. Jacobs' comments with respect to the
15 PEF situation had to do with the fact that PEF signed a
16 contract prior to receiving the limited work
17 authorization, in your mind would that constitute a
18 distinguishing feature between that situation and FPL's
19 case?

20 A Yes, sir.

21 Q At page 3, line 7, you say, "Further, this
22 testimony identifies other U.S. nuclear projects that
23 have made decisions similar to FPL." Do I assume
24 correctly that, by "this testimony," you mean your
25 testimony?

1 A That's correct.

2 Q And with respect to the statement that "other
3 projects have made decisions similar to FPL," do you
4 mean they have decided not to decide?

5 A I think in general -- if you'll allow me, I'll
6 find the section in my testimony and elaborate through
7 that.

8 Q Go ahead.

9 A On page 12, beginning at line 10, specifically
10 Luminant Utility in Texas has recently announced a
11 memorandum of understanding with Mitsubishi where they
12 intend to pursue an EP contract strategy and following
13 with a construction contract strategy at a later point
14 in time. That's the most pertinent project that is
15 taking a strategy similar to what FPL has expressed.
16 And the lines above, 5, 6, 7, 8, identify projects that
17 have, through their inability or desire to move forward,
18 chosen to suspend their pursuit of applications at this
19 time or taking an offering, so to speak.

20 Q Well, taking that last reference first, as I
21 understand it, your testimony is that they are delaying
22 a decision until certain uncertainties are resolved;
23 correct?

24 A That's my understanding; yes, sir.

25 Q So that is the decision that is similar to

1 FPL's?

2 A Both decisions that I speak of here on page 12
3 are similar to what FPL has espoused.

4 Q Well, when you say that Luminant and
5 Mitsubishi have signed a memorandum of understanding
6 detailing their plans to finalize an overall EP
7 agreement and then add they are developing a separate
8 construction plan, that suggests to me that there is a
9 decision to pursue an EP&C contract as opposed to EPC.
10 Am I mistaken in my understanding of that language?

11 A You can read it that way. My understanding is
12 it articulates a desire to take a step-wise approach,
13 first committing to an EP. They would have the same
14 optionality that FPL is hoping to create through that
15 process to at a later point enter into a C contract that
16 could be essentially the same as an EPC contract.

17 Q Okay. So, like FPL, Luminant and Mitsubishi
18 have decided to not yet decide what the ultimate form
19 will take?

20 A It appears that -- that's what that appears to
21 me; yes, sir.

22 Q If you'll turn to page 5 of your rebuttal
23 testimony, and the sentence actually begins at the
24 bottom of page 4, and again, referring to Dr. Jacobs,
25 you say, "This year, however, he asserts that FPL is

1 imprudent for not having entered into probably the
2 largest single or sole source contract, an EPC contract
3 for the construction of a nuclear plant which contracts
4 are necessarily single or sole source because of the
5 proprietary nuclear design technology of any chosen
6 vendor." Do you see that statement?

7 A Yes, sir.

8 Q Is the AP1000 an example of a proprietary
9 nuclear design technology?

10 A Yes, it is.

11 Q In addition to the proprietary design, isn't
12 it true that there is a proprietary aspect to the
13 manufacturing or construction of -- portion of the
14 AP1000 project?

15 A Yes, there is in certain respects, in modular
16 construction, and again, that would be, again, parsing
17 of the construction to what is proprietary and what is
18 not proprietary, if that was appropriate.

19 Q Please elaborate for the Commissioners on what
20 you meant by the "modular construction."

21 A One of the design features of the AP1000 is
22 that it is being designed in modular components, smaller
23 components that can be constructed similar to shipyard
24 construction, be in a controlled environment,
25 constructed, placed on a barge or a truck and shipped to

1 site as a completed module.

2 Q If a utility pursuing AP1000 design were to
3 contract with anyone other than Westinghouse/Shaw
4 Consortium for the construction portion, based upon the
5 proprietary aspects of the modular design, with whom
6 would they have to deal in order to obtain the modules?

7 A Well, again, this would be a form of the
8 supply chain in the nuclear industry that we believe is
9 developing. If the AP1000 becomes a popular design, as
10 it seems to be in the southeast, the capacity of Shaw
11 Stone Webster to be the sole proprietor of modules may
12 be limited and they may look to partner with other
13 manufacturers who can provide some or all of the
14 component modules. I think what FPL is looking for is
15 staying in a flexible position so that we can take
16 advantage of the modifications in the supply chain as it
17 occurs over the next several years and be in a position
18 to make the best decision at the right time with a more
19 refined design and construction process.

20 Q You do agree with me that Westinghouse/Shaw
21 does have the proprietary command of the modular aspects
22 of the construction?

23 A Yes. I think it's also important to realize
24 that, in our estimate of cost, that represents about
25 three billion dollars of the \$18-billion project. So

1 the component that is proprietary is fairly contained.
2 Other costs related to site preparation, construction of
3 non-proprietary buildings and support facilities
4 wouldn't fall into that category, and therefore there is
5 the opportunity, again, to bring competitive bidding to
6 certain select aspects, reap the benefits there, and
7 limit the sole or single source procurement to a smaller
8 subsection of the overall construction costs.

9 Q With respect to the portion of the
10 construction that is contained to only three billion
11 dollars, would you agree that, whether it's
12 Westinghouse/Shaw or in partnership including
13 Westinghouse/Shaw, that entity will be prominent in the
14 construct phase of the project?

15 A That's correct, and we have already engaged
16 Shaw. Shaw is working with us on certain engineering
17 aspects that are proprietary and that we need their
18 support in order to support our NRC combined operating
19 license application.

20 (The transcript continues in sequence with
21 Volume 4.)
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF FLORIDA)

COUNTY OF LEON)

I, RAY D. CONVERY, do hereby certify that I was authorized to and did stenographically report the foregoing proceedings at the time and place herein stated.

IT IS FURTHER CERTIFIED that the foregoing transcript is a true record of my stenographic notes.

I FURTHER CERTIFY that I am not a relative, employee, attorney, or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED this 9th day of September, 2009, at Tallahassee, Leon County, Florida.



RAY D. CONVERY