

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

DOCKET NO. UNDOCKETED

REVIEW OF TEN-YEAR SITE
PLANS OF ELECTRIC UTILITIES.

PROCEEDINGS: COMMISSION WORKSHOP

COMMISSIONERS
PARTICIPATING:

CHAIRMAN MIKE LA ROSA
COMMISSIONER ART GRAHAM
COMMISSIONER GARY F. CLARK
COMMISSIONER ANDREW GILES FAY
COMMISSIONER GABRIELLA PASSIDOMO SMITH

DATE: Thursday, September 4, 2025

TIME: Commenced: 1:30 p.m.
Concluded: 3:10 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: DEBRA R. KRICK
Court Reporter

PREMIER REPORTING
TALLAHASSEE, FLORIDA
(850) 894-0828

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

PRESENTATIONS BY:	PAGE
Electric Power Research Institute (EPRI) Presentation by Morgan Scott	4
Florida Reliability Coordinating Council (FRCC) Presentation by Aaron Casto & Vince Ordax	30

1 P R O C E E D I N G S

2 CHAIRMAN LA ROSA: Good afternoon, everybody.
3 Today is September 4th, 2025 still, and this
4 workshop is officially called to order.

5 Staff, will you go ahead and start us off by
6 reading the notice?

7 MR. MARQUEZ: Good afternoon, Commission.
8 Pursuant to notice, this time and place was set for
9 a workshop regarding the review of the 2025
10 Ten-Year Site Plans for electric utilities. The
11 purpose of the workshop is set out more fully in
12 the notice.

13 CHAIRMAN LA ROSA: Great. Thank you,
14 Mr. Marquez. We have got presenters with us here
15 today?

16 MR. MARQUEZ: We do, Mr. Chairman. We have
17 two presenters. One is the Electric Power Research
18 Institute, and the other is the Florida Reliability
19 Coordinating Council, and staff recommends hearing
20 in them in that order.

21 CHAIRMAN LA ROSA: Excellent. Great.

22 Let's hear from EPRI first, and I am going to
23 appreciate you guys joining us. I know we have got
24 Ms. Morgan Scott who is on the line. Ms. Scott, I
25 know that you have got a hard deadline and a flight

1 to catch, so I want to be certainly respectful of
2 your time. We are extremely pleased for you to
3 have joined us and to partake and to contribute to
4 today's workshop. I will go ahead and turn it over
5 to you and, again, very grateful for you being here
6 with us today.

7 MS. SCOTT: Well, thank you so much. It's
8 really my pleasure to be able to join you and to
9 open up your session for this workshop with a
10 little perspective on emerging technologies, and I
11 think this is a particularly interesting time to be
12 having this conversation because we do see extreme
13 load growth in terms of what is happening on the
14 grid. That is really the result of emerging
15 technologies. And then there are really great
16 advancements that are being made across the board
17 to help address that load growth. So I would love
18 to give this brief overview of sort of each of
19 these pieces.

20 So on my next slide, I will open us up
21 thinking about the big picture, right. So I
22 mentioned this load growth, and this is probably
23 unsurprising to everyone in this room, right. We
24 see for year after year increasing that five-year
25 forecast in terms of growth. And a lot of the

1 conversation around that is around computation,
2 right. And we are certainly going to talk about
3 data centers, about what that compensation increase
4 is about.

5 An important aspect here is that it's not just
6 data centers, right. We also are seeing load
7 growth industrial load that is increasing. That
8 really started back with COVID, right. This isn't
9 new. It started with COVID. It continued to
10 increase with some of the incentives with IRA. And
11 certainly right now, as we see some of the policies
12 that are coming out from this administration, we
13 see continued industrial growth as a result. So
14 that is one contributing factor, as is
15 electrification. Electrification, for a variety of
16 technological reasons, is going to continue. And
17 so it is all of these three things in tandem that
18 are really pushing this load growth, and really
19 underscoring the need for emerging technologies to
20 help make that.

21 On my next slide, I do want to put the growth
22 associated with AI in a little bit of context,
23 because I think it's really important to remember
24 that data centers are not new. What is new, and
25 what is really driving the moment, is the way we

1 are using data centers and the increased capacity
2 associated with AI.

3 So we really saw load growth start with data
4 centers in the early 2000s, and that's when we all
5 figured out that we could post pictures of our
6 children and share cat videos, right. That was the
7 first bump in the early 2000s associated with load
8 growth.

9 On my next slide, we look through the next 10
10 years, where we continued to increase our use of
11 data centers, but there was enough efficiency that
12 was being found because of the technology
13 advancement itself, that the associated load growth
14 with that use growth wasn't there. So things
15 stayed pretty flat until 2020.

16 And then we finish off this graph in 2020, and
17 that is when we saw COVID hit. So we were now
18 streaming almost 24 hours a day. During the day,
19 we were streaming our videos and our meetings; and
20 at night, we were streaming Netflix and all the
21 other hundred things you have to download in order
22 to watch TV anymore. And now, in 2023 and beyond,
23 we have AI. And what is giving us this growth.

24 Now, there are aspects of this growth which
25 some will say, hey, you know, this -- what's real,

1 right? Maybe there isn't realness here. I wanted
2 to share some results from a survey that we did in
3 2024, so just last year, on my next slide, that I
4 really do help to ground some of this.

5 So we will talk a little bit about an
6 initiative we launched called DCFlex, but we had 25
7 utilities that we surveyed, and I think it's
8 really, really interesting to look at these results
9 and recognize, at the end of the day, the type of
10 growth that we see, right.

11 So at that point in 2024, none of our
12 responding companies had any request for anything
13 more than 500 megawatts, right. That -- or I
14 should say anything in service for more than 500
15 megawatts. That being said, the request
16 themselves, 60 percent had requested 500 megawatts
17 or more, and almost 50 percent had single requests
18 for a thousand megawatts or more, right. So this
19 demonstrates some of the reality of that growth as
20 we think about this.

21 Now, from an emerging technology perspective,
22 and then I will talk about how do we answer this
23 from the grid perspective, there are two things
24 that I want to flag about AI that I think are
25 important to helping us understand the

1 uncertainties around this growth related to the
2 technologies themselves.

3 So the first is around how you use AI. And on
4 my next slide, I lay out kind of the way that this
5 is going to transition. And I apologize, I will
6 reformat for what we send to you. But the way that
7 we use AI greatly impacts the energy that it pulls,
8 right.

9 So in early days, we are really focused on
10 training, right. So we are really feeding these
11 large datasets. We are playing the parameters. We
12 are refining answer precision, right. So we are
13 trying to get the models in order. And so that is
14 where that initial growth came from, but the
15 reality is that's a much smaller pool than more
16 mature uses of AI.

17 So when we talk about inference, this is where
18 you actually move those models to production,
19 internet environment, where they are generating
20 real output based on new datasets, right. And that
21 -- right, so that's literally when you go into
22 ChatGPT and ask it a pretty simple question, right.

23 That is going to lead up to -- what happens,
24 though, is with reasoning, when you actually ask AI
25 to solve problems and to make decisions, that

1 increases energy use to 12-watt hours per query.
2 And so this is important because not only does that
3 help us understand energy use associated with these
4 different aspects and maturity, but we are going to
5 continue to use AI in a more mature way over time.
6 So that means, as we move to the 80/20 rule, right
7 now we are probably at 80 percent framing
8 inference, 20 percent reasoning. That, over time,
9 is going to swap to where we are 80 percent
10 reasoning and 20 percent training inference, right,
11 as we become more mature in the way that we use AI.
12 And so that will take more energy and use of AI,
13 and so that something that we really want to be
14 thinking about.

15 The other thing that is important to talk
16 about is on my next slide, and that's one of life
17 cycle. And this is really changing for a couple of
18 reasons. And this, I will tell you, comes from our
19 colleagues at Infrapartners. We had one of their
20 leaders in their C suite come and speak a couple
21 weeks ago at our summer seminar. They are doing
22 some really interesting work and thinking around
23 how do you actually design data centers? Because
24 the lifespan of a data center used to be about 10
25 to 15 years. That is shrinking to about three to

1 six years. And that is really because of the --
2 hardware that is being used on those racks, right.

3 So we currently have GPUs that are running at
4 60 to 70 percent, and so that means you actually
5 start seeing degrading of the chips themselves at
6 one to three years. So this is much faster than it
7 used to be.

8 There is also an aspect of this around the
9 technology evolving quickly. NVIDIA is evolving
10 their chips at least -- year to year. So even the
11 chip jump in the Blackwell chip that they had from
12 2024 to 2025, that doubled the kilowatt hours per
13 rack. And there is forecasted by 2028 that your
14 rack is going to be 1.2 megawatts.

15 So what this means is that the actual energy
16 pool per rack is growing very quickly. So the size
17 of the data centers that are being sited today,
18 there is a question here about what are the racks
19 that are going in, and then are the data centers
20 that are in existence today, right, if they
21 actually swap out racks in the future to actually
22 extend the lifespan of that data center, is the
23 service from an electricity perspective that is
24 currently there still going to be adequate for the
25 new requirements of these racks?

1 These are really interesting questions. And
2 these are the unknowns around AI that we are going
3 to continue to explore and so over time.

4 So what does this mean, right? So how do we
5 look at emerging technologies, and how do we
6 actually meet this growth? And so on my next
7 slide, we really think about this from three
8 different perspectives at EPRI.

9 The first is really around how do you extend
10 the life of today's assets? My CEO now says we do
11 no longer do end-of-life research. Everything is
12 about extension of life. And let's just even look
13 at nuclear, right. We are bringing nuclear plants
14 back to life. So it's not just extension, in some
15 respects it's bringing things back to that life.

16 It's also about increasing realization of
17 today's assets. So we will talk a little bit more
18 about that. And at the end of the day, we have the
19 build, right. And so the real question is how do
20 we build with emerging technologies? And then how
21 do we leverage and flex the assets that we have
22 today to help meet the need in the shorter term as
23 we advance technology, shrink that white space and
24 get the new builds on the system? It's
25 complicated.

1 Again, I am sure I don't need to tell any of
2 you this. You guys are really thinking about it.
3 You are sitting in there to do a ten-year plan, and
4 so this is, I am sure, top of mind.

5 I am going to run through three quick
6 examples, one generation, one transmission and then
7 one more on the customer side, and then I will end
8 up with AI again before opening it up to questions.

9 So let's start with generation. On my next
10 slide, this is something we have been giving a lot
11 of thought here at the institute around how do we
12 help, from a research standpoint, shrink the time
13 from first-of-a-kind to end-of-a-kind, right? We
14 want to get -- into the catalog in many respects --
15 I just did this yesterday. I am here at the EEI
16 meeting. You know, it's second mouse gets the
17 cheese. In some respects, it's sixth through
18 eighth mouse gets the cheese, but how do we help to
19 shrink that white space? How do we learn from each
20 other? And how do we move these technologies
21 forward?

22 And you can here, at EPRI, we are focused on a
23 few different areas. The one that I specifically
24 called out for the purposes of today's conversation
25 on my next slide is hydrogen blending. We launched

1 our load carbon resources initiative actually back
2 in 2020. It's been five years. And the load
3 carbon resources was really, at the time, focused
4 on, you know, pursuant to the name low carbon, but
5 how do you decarbonize the power system, and what
6 are the various advancements from a fuel
7 perspective that could be done to achieve that?

8 I bring up hydrogen blending because I think
9 there has been so much conversation around new gas
10 as we think about increased load, and so from that
11 perspective, I think hydrogen blending is something
12 to kind of think about.

13 We have been doing a number of demonstration
14 projects with a variety of members that participate
15 in our low carbon resources initiatives with us.
16 You can see those captured here. And I think, at
17 the end of the day, what you see here is a variety
18 of different actual machine, so to speak, right,
19 that we are looking at testing this with, different
20 blends. So we have gotten up, as you can see, for
21 the New York Power authority example, we have
22 gotten up to 44 percent blend. At the end of the
23 day, we are seeing actual in carbon we are being
24 very thoughtful about measuring the other
25 associated emissions.

1 And as I said, right, this is really about how
2 do you shrink the white space? How do we learn
3 from each other? And so you will see here, I
4 linked in the various executive summaries or
5 related press releases to give you more
6 information.

7 I really encourage you to pull these down, to
8 read through them, to learn from them, because we
9 want everyone to be able to learn from the
10 experiences. This is a topic, of course, of
11 interest. We are always happy to set up
12 conversations with the right subject matter
13 experts. You are going to move pretty quickly
14 through my understanding and knowledge of hydrogen
15 blending, but I am always happy to get
16 conversations connected with the right folks, but I
17 thought this would be an interesting challenge and
18 perspective to bring to the table.

19 I will move to transmission. I started my
20 career at Con Edison, so I am a grid gal at heart.
21 And I think, from an emerging technology
22 perspective, as we really think about how do you
23 unlock capacity on the transmission system? What
24 are our opportunities here that we have to take
25 advantage of? Grid enhancing technologies are

1 something what we are spending a lot of effort on
2 here at the institute, and we launched last year
3 our Get Set initiative, really focused on how do we
4 advance these various technologies, right.

5 So we are focused in a couple of different
6 areas that you can see captured here. So, of
7 course there is advanced conductors, right. Those
8 are designed to operate at higher temperatures.
9 You can get up to 300 degrees Celsius in some of
10 these because of the new materials like carbon
11 fiber or ceramic composite that are in the core,
12 and they operate generally at lower sag, right. So
13 we've seen some pretty significant opportunity
14 coming from some of this reconductering of existing
15 lines, increasing power flow capacity anywhere from
16 50 to 110 percent. So that's worthwhile thinking
17 about as we think about various bottlenecks and
18 opportunities to unlock that.

19 Of course, when we think about these as well,
20 we have dynamic line rating. So that supports the
21 method for how you kind of think about calculating
22 the capacity on realtime local weather conditions.
23 We have seen several examples of getting that to 30
24 percent additional capacity through that.

25 Advanced power flow controllers. So these are

1 actually devices that allow you to dynamically
2 change that power flow that you have on the system.
3 So this is really without really altering generator
4 dispatch, or topology, right, so -- and again, we
5 have seen opportunity here in some of the different
6 case studies that we have done, we have seen
7 increased transmission capability from 50 to 100
8 percent. So there is variation there. But we see
9 good opportunity.

10 And then topology optimization is another one,
11 right, so software technology. And that really
12 gives you different beneficial, like,
13 configurations that you can think about and move
14 from that perspective. So we do that. That's kind
15 of more in the planning and operations space.

16 On the next slide, I just want to underscore
17 these are all things that we are driving. We have
18 our various labs. We have three labs at EPRI, and
19 so we are doing various testing on these
20 technologies through the labs. Chair La Rosa, I
21 know you have had the chance to visit one of the
22 EPRI labs. And if anyone is in the room and would
23 love to visit a lab, please let me know. We are
24 always happy to take someone for a tour, and share
25 some of what we are doing and seeing.

1 And of course, I spoke to some of those pilot
2 projects as well, but we have got several pilot
3 projects going on with a wide variety of companies
4 that are really helping us to advance our
5 understanding of how these technologies work, what
6 their challenges are, right. We certainly
7 recognize there are challenges. They are not
8 silver bullets, per se. But, again, those lessons
9 learned that can help everyone.

10 So that's the transmission side. And the
11 thing is the customer side, so I am going to come
12 back to data centers on the next slide.

13 Data centers are discussed so much in terms of
14 the power for AI, right. How much do we need to
15 power these data centers? And one of the questions
16 we have been asking in EPRI through our DCFlex
17 initiative is actually can data centers become a
18 grid process? What is the flexibility from a wide
19 variety of different perspectives, right? Whether
20 that's battery storage, whether that's utilization
21 of backup generation. There are different
22 perspectives that we can take and potentially flex
23 these resources that enable us to both manage the
24 grid in a better way, but also perhaps enable the
25 interconnection of these data centers more quickly.

1 On the next slide, you will see actually who
2 we have got participating. I underscore this
3 because I think it's so very interesting. This is
4 one of the first initiatives where we have had such
5 active engagement from the tech sector. You can
6 see that we've got the hyperscalers. We have got
7 data center developers. We have different
8 technology providers, right. So we have all the
9 right voices at the table to inform us.

10 And while there are several various work
11 streams in this effort, I really want to
12 underscore, again, the pilot projects, because
13 these are where we are really testing out what are
14 the potential capabilities for flexing these data
15 centers, and how do we really look at data centers
16 as an emerging technology for the grid? So through
17 DCFlex, we plan on doing at least 10 different
18 pilot projects, or I should say demonstration
19 projects.

20 On the next slide, you see our first cohort.
21 So we have already got the first three out there.
22 We have some preliminary results coming in from
23 Arizona, which is pretty exciting.

24 So in Arizona, we test a data center, we
25 mapped out with the support of Emerald AI. They

1 mapped out all of the tasks in the data center.
2 And through that mapping, we identified what are
3 the tasks that can be paused, stopped or moved to a
4 different data center in a time of grid stress, and
5 what does that actually result in in terms of load
6 reduction?

7 And so through that mapping, and through an
8 initial first test, and there is more underway, but
9 we were able to demonstrate over three hours of
10 reduction of 25 percent of load because of either,
11 again, the pausing, the complete stop or the moving
12 of those tasks.

13 So this is a good first step. This is the --
14 this is a good demonstration of flexibility, and it
15 gets us excited about what else is to come.

16 So I am going to end here on the AI note on
17 the next slide, because a lot -- like I said, a lot
18 of the focus is how do we power AI? But the other
19 point I want to make from an emerging technology
20 standpoint is what about AI for power? How do we
21 use AI to better plan and better operate the power
22 system of the future?

23 And on the next slide -- and you can advance
24 me through the build-out of this graph so that we
25 don't -- yeah, there we go. Two more.

1 This talks a little bit about how we can be
2 thinking about the use of AI. And a very important
3 aspect of AI to keep in mind is that 95 percent of
4 the data on the web is behind the pay wall. So
5 what that means is when you go in to your favorite
6 LLM, is it ChatGPT? Is it Claude? Is it Grok?
7 Whoever you are using, Copilot, I am a regular
8 Copiloter. That's what's approved at EPRI. But
9 when you go into that, you are only accessing five
10 percent of the data that is available to you.

11 And so what we are thinking about at EPRI is
12 what does that mean and how do we better enable
13 access to data behind the pay wall?

14 So you start building this out. One of the
15 things at that we are doing through our open AI
16 consortium is we are building a domain specific LLM
17 for the energy sector that is really is founded on
18 our 11,000 public freely available reports. And so
19 that is the foundation LLM that we are building
20 that starts getting you in that space. And then we
21 are in the early stages of the beta of this model.
22 We are trying to get it out this year. We are
23 working very hard with our collaborators.

24 And the idea is, well, how do you improve
25 that? How do you bring that behind the EPRI pay

1 wall to all of the EPRI research that we have been
2 doing for over the past 50 years to improve the
3 answers from that perspective to any power system
4 related question you might have?

5 And then the real feel value starts getting
6 unlocked when you take it behind the utility's pay
7 wall, right. When you can actually take the model
8 that's being built behind the utility to use
9 utility specific data, because this is where you
10 really enhance the relevance of the answers, the
11 accuracy, and there is a lot more comfort in terms
12 of the data security as well.

13 So I think in the sort of emerging technology,
14 we can talk about all of the hardware and all of
15 the infrastructure related to the grid that we
16 want, and those are very important valid questions
17 and discussions that should be had, no doubt, for
18 topics that you are delving into today, but I think
19 it's interesting to start thinking about the
20 application of AI to enhance -- to enhance the
21 infrastructure, and to help us to have a grid that
22 is performing and optimizing at the best of its
23 capabilities.

24 So I will leave it there, and I left got about
25 five minutes for questions. And really, again, I

1 appreciate the opportunity to share a little bit
2 about what we are doing at EPRI. I hope it helps
3 kind of remind us of all the different things, all
4 the toolbox -- tools in the toolbox, so to speak,
5 and I didn't even speak to all of them, of course,
6 but give this little sampling. And hopefully it
7 sets a strong foundation for the rest of your
8 conversation today.

9 So I will pause there and turn it back to the
10 room.

11 CHAIRMAN LA ROSA: Excellent. Ms. Scott,
12 thank you very much for your presentation, and
13 certainly overview, very easily demonstrates how
14 much EPRI does in its wide kind of broad spectrum.

15 I know you mentioned lab visits. I had the
16 great fortune last year of visiting the lab in
17 Charlotte. And I will tell my colleagues some of
18 the things I saw there, and were able to kind of
19 get my hands on them and see them firsthand were
20 amazing. So certainly encourage any lab visits
21 that you might have.

22 In fact, one of the pictures that you show
23 here, I think it's slide 12, where I showed the sag
24 in the line, and then you also show the heat and
25 insulation that newer lines have, and some of the

1 tests that you guys had done, and some of the other
2 kind of, you know, models that worked or didn't
3 work, is really kind of one of the biggest
4 takeaways I had to show, wow, you know, there is --
5 you look at lines and think all the lines are just
6 lines, but they have advanced in themselves. It's
7 not necessarily just the commuter chips and the
8 technology, but the actual product. So I was very
9 impressed by that and, again, great work that EPRI
10 has.

11 I will just throw in a quick question, and
12 then I certainly want to let my colleagues have an
13 opportunity too. I know we are short on time.

14 What do you see as one of the biggest emerging
15 technologies? You know, obviously I wanted to
16 highlight some of the things that you are doing,
17 because we have asked in our ten-year site plan
18 last career to talk about emerging trends. What do
19 you believe, or what are one of the things that you
20 see as just kind of an emerging trend or technology
21 that's being incorporated either around the U.S. or
22 you just kind of see as a low hanging fruit that
23 you expect to see more implemented into the grid?

24 MS. SCOTT: Yeah. Gosh, that's such a good
25 question. And one of the things that we say all

1 the time at EPRI is -- and actually our Senior
2 Vice-President of Energy Supply says this --
3 optionality is not optional. So at the end of the
4 day, it's not just about picking one that's right
5 for everyone. It's about we really have to look at
6 the full suite, because the reality is it totally
7 depends on where you are geographically, the
8 structure of your market, really about where you
9 are, and in terms of your assets. So it's a little
10 bit tricky to answer that question.

11 I will maybe skirt it a little bit and talk a
12 little bit personally, because some of my
13 background is on the customer side. I think I am
14 particularly intrigued by some of the customer side
15 advancements.

16 Smart panels is something that is a real
17 opportunity, especially as we think about
18 introduction of different electrification
19 technologies at sort of the customer residential
20 level, be that battery, electric vehicles, you can
21 go on and name them; but smart panels as an
22 opportunity to enable electrification, and then
23 unable better control of those assets is something
24 that I find particularly interesting and think is a
25 great opportunity as we think about how we enhance

1 affordability, frankly, for the residential
2 customer.

3 CHAIRMAN CLARK: Certainly great data that a
4 customer could have.

5 I will throw it over to my colleagues.
6 Commissioners, questions?

7 Commissioner Fay, I see him reaching for his
8 microphone. I am sure he has a question on the LLM
9 that she was creating, go ahead, Commissioner Fay.

10 COMMISSIONER FAY: Yes, Mr. Chairman, you used
11 AI to predict what my question would probably be.

12 So just real quick, on your last slide that
13 you were discussing with us, you have these various
14 model -- LLM models that were used for different
15 purposes, and as you go along the horizontal down
16 at the bottom there, you get into more proprietary
17 specific information in how the models would be
18 used.

19 Can you just talk a little bit about if you
20 guys are looking at the implementation of locally
21 used models as to compared to, like, a cloud-based
22 model for what the industry might be considering or
23 not considering, and how that might be either, you
24 know, more effective from an energy usage
25 standpoint, or maybe even just from a proprietary

1 protection standpoint?

2 MS. SCOTT: Yeah, so on prem models, right, is
3 something that certainly is part of the
4 conversation. That's all the way on the right-hand
5 side as you think about that utility specific model
6 that you can take behind the pay wall, have on
7 premise, as opposed to in the cloud.

8 I think depending on who you talk to, frankly,
9 there are different perspectives and thoughts in
10 this space. Some of that related to risk
11 tolerance, which is absolutely understandable. And
12 one things that we are really looking to foster
13 with the open power AI consortium, which is now
14 over 130 members -- actually note there is no cost
15 to participate, so, you know, we very much welcome
16 anyone that is interested here. And it's, again,
17 bringing together the utilities with the tech
18 factor to have these types of conversations and
19 explore these different use cases.

20 And I mean that from the perspective correctly
21 in terms of, like, what are the use cases and the
22 questions that you are looking to answer and the
23 analysis that you are looking to enable, but also
24 the way that that's done, to your point, in the
25 cloud, on prem. So there is, again, not one right

1 answer here, but certainly evaluating all
2 approaches.

3 CHAIRMAN LA ROSA: Follow-up?

4 COMMISSIONER FAY: Just one more quick
5 question, Mr. Chairman. Thank you.

6 And then I noticed that you guys, I guess
7 through that open RAI consortium you mentioned,
8 there is some relationship with NVIDIA, and then I
9 guess maybe -- it sounds like you have a broad
10 spectrum of members. Just maybe from a regulatory
11 body perspective, give us an idea of what that
12 scope looks like, and maybe how, I guess, that
13 would be educational or helpful for us on the
14 regulation side.

15 MS. SCOTT: Sure. Yeah. And I will also say,
16 since you mentioned NVIDIA, we also just named a
17 representative from NVIDIA to our board. So that
18 engagement goes beyond the DCFlex and open up power
19 AI kind of research engagement to that bigger
20 picture as well. So just to be forthright there.

21 And so the Open Power AI Consortium is
22 something that is evolving very quickly as the
23 space changes very quickly, but really, at the end
24 of the day, what we are looking to do, as I
25 mentioned, was build that domain specific LLM, and

1 then foster this echo chamber, so to speak -- that
2 sounds more negative than I mean it to.

3 But to have this consortium and this body to
4 bring everyone together to identify the right use
5 cases that are going to bring value to the
6 industry, we have, right now, a library of 225 use
7 cases. And ultimately, what we would like to see
8 happen is that different organizations that are
9 participating say, hey, that's a use case that's
10 super valuable to us, and we are able to spin out
11 the projects with the people that are in the Open
12 Power AI Consortium, the utilities that are
13 interested, the tech providers that are capable,
14 the hardware providers that need to be involved,
15 those that have, you know, national labs that might
16 have compute capacity, et cetera, to pull in the
17 right folks in order to get the project done, and
18 then have that solution available.

19 So we are really about accelerating the
20 development of the use cases in order to solve the
21 problems that are plaguing the power system today,
22 whether that means, you know, bottlenecks and
23 interconnection, whether that be permitting, et
24 cetera, there are lots of opportunities to evolve.

25 CHAIRMAN LA ROSA: Thank you.

1 Commissioners, any further questions?

2 Awesome, Ms. Scott, I know you are short on
3 time. Thank you very much for your presentation
4 today. Again, very much appreciate everything that
5 you guys have put forth before us.

6 I am going to look at my staff real quick,
7 because I have a note, any questions from staff
8 before I let Ms. Scott know?

9 MR. MARQUEZ: We do have one.

10 Briefly, Ms. Scott, the survey on slide six,
11 where you are referencing using 25 utilities, were
12 any of those utilities Florida utilities, if you
13 know?

14 MS. SCOTT: My -- I am 90 percent sure that
15 they are not Florida utilities, but I will confirm
16 and get that back to you.

17 MR. MARQUEZ: Thank you.

18 CHAIRMAN LA ROSA: Awesome. Great. Thank
19 you.

20 Again, Ms. Scott, thank you again for your
21 time.

22 MS. SCOTT: Thank you. I appreciate it.
23 Enjoy the rest of your meeting, and thank you for
24 having me.

25 CHAIRMAN LA ROSA: Of course. No problem.

1 Thank you.

2 All right. Let's move forward. We got our
3 friends here from the FRCC. Gentlemen, I will
4 allow you guys to introduce yourselves, and
5 welcome.

6 MR. CASTO: All right. Thank you for having
7 us, Chairman La Rosa, Commissioners. I am Aaron
8 Casto. I am the President and CEO of FRCC. I am
9 relatively new. I joined in November of last year,
10 so we will be doing a joint presentation today,
11 myself and Vince Ordax.

12 MR. ORDAX: Vince Ordax, Senior Director of
13 Planning, and we will be tag-teaming the
14 presentation.

15 CHAIRMAN LA ROSA: Excellent. It looks like
16 you were just passed the control, so it looks like
17 you guys are in control of the meeting.

18 MR. CASTO: Yeah, I am going to start off and
19 provide an intro, and then Vince will provide some
20 more of the details of the presentation, so.

21 Today what we wanted for talk about is provide
22 a quick overview of FRCC and executive summary, and
23 then we get into kind of the process that we use to
24 analyze the individual utilities IRPs.

25 Vince will go into some more of the details of

1 load forecast capacity additions, reserve margins
2 and the generation mix.

3 We also have a section that will talk about
4 how do we ensure reliability. Looking at the
5 natural gas infrastructure, given the criticality
6 and dependency we have here in Florida on that, and
7 some of the transmission adequacy and reliability
8 analysis that's performed to ensure that everything
9 works together across the state.

10 And then there is a section -- there was some
11 specific items requested of us for outage
12 coordination, small modular reactors and large
13 loads, and Vince will cover those as well.

14 Lastly, we did want to have a couple of slides
15 on some of the lessons learned. We have been
16 proactively going in the field and learning from
17 some of our peers in the industry at ERCOT and
18 California ISO. And then some recent events in the
19 Iberian Peninsula, we also have some new data
20 points for us to assess. So we will speak a little
21 bit about that, and how that plays into our path
22 forward and what we are coordinating with our
23 members.

24 So just a quick high level overview. The
25 Florida Reliability Coordinating Council, FRCC, was

1 really started back in the 1970s. We weren't
2 incorporated until 19, I think, 96, but we have
3 been around for a while. And really, the idea is
4 how do you coordinate all the electric utilities in
5 the state?

6 Our mission is to coordinate a safe, reliable
7 and secure bulk power system in Florida, and we
8 really have four major areas that we focus on. The
9 long-term planning, so we are the regional
10 planning. Today we will talk about how the
11 individual utilities plan for their own selves.
12 But when we bring it all together, we need to
13 understand how it fits together like a joint
14 puzzle. So we do that in the planning process. We
15 look at both long-term resource and transmission
16 planning.

17 We also oversee the realtime reliability
18 coordination function, the bulk power system for
19 Florida, how is it working together, and making
20 sure that we are addressing any reliability needs.

21 We also do have some activities around
22 reliability and compliance assurance. There is a
23 heavy regulatory requirement primarily with NERC
24 that we help our members with. And we also run
25 some additional studies around strategic insights

1 and assuring that we can maintain reliability,
2 things like the outage coordination topic that you
3 all requested.

4 And then lastly, from a member support
5 perspective, there is a lot of coordination that we
6 facilitate, that includes training and outreach,
7 like today, where we work with regulatory bodies.

8 So just kind of a fact sheet for FRCC. This
9 is for today. It looks like we lost some things in
10 translation here, but we do have about 19,000 miles
11 that we -- currently of transmission. This is the
12 high voltage transmission in the state of Florida.
13 And that's where our planning activities and our
14 operational processes are really looking to
15 coordinate across.

16 We have 23 plus million customers in the
17 Florida footprint. 19 members currently at FRCC.
18 Today, we have about 63 gigawatts of firm capacity
19 resources. And then if you look historically at
20 some of our loads, we have just above 54 gigawatts
21 in 2023, the summer. We did not break a new peak
22 this summer, but all the way back to 2010 for the
23 winter peak, just above 52 gigawatts there.

24 I would note on the left here, this is the net
25 energy production on an annualized basis. You can

1 see there where currently we have a high
2 dependency, and most of our energy needs are served
3 from our natural gas resources.

4 We have seen a growing trend with solar.
5 Solar is now about 10 percent of our energy
6 resources, which is on par with nuclear.

7 As we look forward, the Ten-Year Site Plan is
8 changing quite a bit, and you can see that, from a
9 loads perspective, we are expecting from about
10 11 percent increase from now to 2034. Some the big
11 changes we are seeing there is really dominated by
12 the solar and the battery. You can see we are
13 expected to add about 24 gigawatts of nameplate
14 solar capacity, and we are moving from about
15 10 percent of energy coming from solar to 28
16 percent. That's pretty substantial if you think
17 about, obviously, at night we are not getting any
18 energy from solar. So that's a substantial shift
19 for us.

20 Additionally, on the battery side, I would say
21 this is a primary mitigation that a lot of our
22 members and across the country are starting to see,
23 is adoption of more batteries to deal with some of
24 those new reliability needs associated with adding
25 solar. Last year we saw a four-gigawatt battery

1 nameplate capacity addition. This year, we have
2 seen that jump up to nine gigawatts. So you are
3 starting to see more and more of those resources
4 added.

5 We are seeing the load go from about 54
6 gigawatts current year projection up to close to 60
7 gigawatts out there in 2024. And then we are
8 seeing the -- an expansion of the capacity
9 resources as we add the solar and battery. We are
10 seeing an increase in our firm capacity resources.

11 I would note that there are 2.8 gigawatts of
12 retirements, primarily coal, and a little bit of
13 natural gas as we look over the 10 years.

14 All right. So as we get into kind of what we
15 are going to cover today, the analysis as a whole.
16 Really what we are seeing is, you know, Florida has
17 done a really good job historically, and has a long
18 record of position -- being well-positioned on the
19 electric grid to accommodate change. We are
20 starting to see rapid change primarily led by
21 batteries and solar additions.

22 And even with the loads, we are seeing some
23 changes there. We are starting -- this year, we
24 did see a little bit of a slowdown on the
25 distributed solar and the EV adoption, so we are

1 not seeing as much of that in our Ten-Year Site
2 Plan as relative to previous years.

3 When it comes to data centers, there is a lot
4 of uncertainty there that our members are dealing
5 with. Right now, in our plan, we see about 700
6 megawatts in there. We do expect for this, in
7 future years, out years as there is more -- greater
8 certainty and contracts become more clear, that we
9 do expect that to be a primary growth beyond the
10 11 percent that we see today.

11 Even with all that change, I would say Florida
12 is still in a great position. The reserve margin
13 remains strong. We are consistently exceeding the
14 20-percent that we kind of target and watch for, so
15 that's a positive note there.

16 We are kind of tracking some new reliability
17 considerations. As we add these new resources and
18 technologies, managing the different
19 characteristics of the solar and the batteries is a
20 change for us.

21 Additionally, the large loads, there is a lot
22 of coordination that needs to occur there because
23 if they drop off or lose their on-site generation,
24 it, again, creates some new reliability challenges
25 for us.

1 The load -- the peak load is changing, the
2 traditional peak is shifting out a couple of years,
3 and that changes how we have to plan and operate
4 the system so that's another area that we are
5 looking at.

6 And then the evening ramping needs, as solar
7 comes off and it's still hot here in Florida and
8 air conditioners are running, we still have a lot
9 of load. We have to move a tremendous amount of
10 generation in a short period of time to address
11 that new net load on the system. And as we get
12 more and more solar, that will actually increase in
13 need over time.

14 I would note we will cover some of these kind
15 of what we do as part of our ongoing process, is we
16 do a lot of joint assessments. We also do a lot of
17 coordination. And then from my perspective, being
18 here for a relatively short time, very strong
19 commitment to reliability from the membership.
20 They understand, you know, Florida is a little
21 different than other parts of the country, being a
22 peninsula, so it's kind of you are on your own.
23 And that strong commitment really drives to staying
24 well positioned.

25 Some of our ongoing studies that we do when it

1 comes to outage coordination, everybody plans for
2 themselves, but then we do a statewide check, and
3 that's an ongoing check just to make sure we are
4 all good together. And to the extent there is
5 something, the coordination is great and we work
6 through those issues together.

7 We also do joint fuel risk assessments, and
8 that really is looking at both the natural gas
9 infrastructure and the utilization of that, along
10 with some of our dual fuel capabilities. If those
11 pipelines were to go away, or couldn't deliver some
12 of that natural gas, what's our backup plan?

13 And then lastly, we run a battery of studies
14 really to test, you know, from the individual basic
15 to the whole of Florida, how strong, how resilient
16 is that transmission system, and can we sustain
17 different types of events?

18 Okay. Real quickly as a reminder. I won't
19 spend a lot of time here, just a reminder that the
20 individual electric utilities in the state of
21 Florida go through some comprehensive analysis in
22 their own Ten-Year Site Plans. They study their
23 customers needs. They provide their own forecast,
24 and they look at some of those tough decisions
25 around what supply-side options do I have, what

1 demand-side options, and some of the costs and
2 operating data to meet the needs of their customers
3 and their system. Every system is a little
4 different, and the customer needs different.

5 I don't envy some of the decisions they have
6 to make around some of the cost implications, et
7 cetera, but they do that on their own.

8 When it comes to FRCC, what we do is we take
9 those individual Ten-Year Site Plans, and after
10 those decisions are made, we aggregate them, and
11 that's what we are going to talk about in detail
12 today. What is the load and resource plan, is what
13 we call it, how do we aggregate all of that
14 information together? We run it through a series
15 of tests with the members.

16 We are starting to move to some more
17 probabilistic studies now, just because it is
18 getting much more dynamic. The system that we are
19 planning and operating to, it's much more complex.
20 And we are seeing a shift of energy use within --
21 throughout the day because of things like the net
22 load affect. And some of what we will talk about
23 today is the results of those analyses and some of
24 the studies.

25 I would note that some of these studies do

1 also go to NERC and SERC, which have some of those
2 regulatory requirements for us as well.

3 All right. I am going to turn it over to
4 Vince, and he is going to talk about more about the
5 specifics of the plan. Thank you.

6 MR. ORDAX: Okay. So a little bit more
7 details now. You have seen some of these slides
8 before in previous years. This is the firm peak
9 demand forecast. Orange is the -- this year's
10 forecast looking out 10 years, and the blue is last
11 year. So you can see the slopes are very close.
12 There is a step change starting this year, and
13 that's kind of driven because recently there has
14 been -- near-term actual loads have been higher
15 than forecasted, so then the forecasters will
16 recalibrate their models, and that's what's driving
17 that.

18 The average annual growth rate is at 1.2
19 percent. Very similar to last year.

20 Distributed energy resources, you can see we
21 have about 4.4 gigawatts by 2024, and so that --
22 it's impacting that peak demand there, as well as
23 the EV growth, it's still strong, but it's
24 moderating, as Aaron had just pointed out. We are
25 expecting about 3.2 by 2034.

1 And the load forecast, the whole aggregated
2 one, does have one load center in that load
3 forecast about 700 megawatts. That's the only one
4 that we have currently.

5 This next slide is the net energy for load
6 forecast. Again, orange is this latest forecast
7 for this year, and blue is last year's. So you can
8 see it sort of starts off pretty close, you know,
9 as before, but it's diverging a little bit, and
10 it's mostly because there is less contribution in
11 the load forecast from the distributed energy
12 resources and the EV expansion. So that's -- since
13 that's slowed down, that kind of -- it got -- it
14 increased the energy in the forecast. It's growing
15 at 1.2 percent. Last year, I believe we had it 1.1
16 percent.

17 And this one is just a quick reminder of the
18 different, like, summer peak demands that we sort
19 of calculate or look at. So the gray line on top
20 is what the load forecast would be if we didn't
21 have demand response or energy efficiency programs.

22 The orange line shows the reduction in
23 forecast due to the utility energy efficiency
24 programs. And we expect that impact to be about
25 846 megawatts by 2034.

1 The blue line is the load forecast after
2 energy efficiency programs and assuming activation
3 of demand response. And so by 2034, we expect that
4 to be about 3,400. So all the -- from now going
5 forward, all our calculations are based on that
6 blue line, which is what we call the firm peak
7 demand.

8 This next slide looks at the reserve margins,
9 right. This is for each of the individual years.
10 Summer is in orange. Winter is in blue. This
11 would be the peak day, winter peak day and what the
12 reserve margins would be. And you can see that, as
13 Aaron stated earlier, we are well above the
14 20-percent the entire horizon.

15 Now, I would like to say, so this is one
16 measure of resource adequacy, and I think, like,
17 and Aaron had mentioned, we do do loss of load
18 probability analysis, but there is also -- we also
19 do a little bit more detailed, and I have a couple
20 of slides on that, and I will point those out as
21 soon we get there.

22 This next slide is showing the incremental
23 additions kind of by fuel type as far as firm
24 capacity at the time of summer peak. Starting from
25 the top, you can see that's changing. That's the

1 battery capacity, is changing. So it's going about
2 4,800, and that's firm capacity.

3 So these numbers all contribute to the reserve
4 margin calculations. So that's a little bit
5 different than the nameplate values, and we will
6 explain those a little bit later.

7 Solar is increasing by about 2,000 megawatts.
8 And again, that's firm capability. We have the
9 coal decreasing. There are some retirements, like
10 Aaron mentioned. Nuclear is pretty steady.
11 Natural gas is increase about 2,000 megawatts by
12 2034.

13 Now, here's the new slide you haven't seen
14 before, and I know it looks really busy. But this
15 is a -- representing, say, for example, the summer
16 '25, this summer peak day, and looking at pairing
17 that with what we -- what it would look like 2033
18 peak day with the expansions in the Ten-Year Site
19 Plans, right.

20 So we are -- the dark line is the net firm
21 demand. The dashed line is where the reserve
22 margin would be, and then we have the stacking of
23 the different resources. So we have the nuclear at
24 the bottom in yellow, and then in the orange is the
25 solar. And you can see, obviously, the solar is

1 contributing during the sunlight hours, and then by
2 2033 it's contributing significantly during the
3 sunlight hours.

4 And then, of course, blue is the natural gas.
5 The gray is the coal, and then the darker blue that
6 looks like purple is battery. And so you can see
7 there is a lot of more battery in the 2033
8 timeframe.

9 You know, here is the -- I think the note is,
10 you know, you can see on the dark -- the dark
11 lines, you know, normally we would peak as between
12 5:00 and 6:00 in the afternoon. But when you do,
13 like as Aaron was saying, when you account for the
14 solar coming down the net peaks, our reserves are
15 tighter in the later hours, right, more like in the
16 8:00 p.m. timeframe, is much tighter. And we would
17 expect by 2033, that batteries would be
18 contributing to serving some of that demand if
19 needed.

20 On the next slide, here we have the same, but
21 now looking at winter. And, you know, the winter
22 load profile typically has it peaks. The morning
23 peak, which is higher, and then it has another
24 second peak in the afternoon, which is not as --
25 usually not as pronounced. You know, the colors

1 and all things match what we just talked about in
2 the previous slide.

3 So on this one, you can see really the -- for
4 solar contributions, there is very little
5 contribution to the peak in the winter, so there is
6 very -- when we calculate the reserve margins for
7 winter, there is very little contribution from
8 solar, because you can see, obviously, it's just --
9 it really is not there. But the batteries will be
10 the ones that will be complementing the solar
11 during those peaks you can see by 2032-33 winter,
12 in the morning, you will -- some battery
13 contribution there with the dark blue, and then in
14 the afternoon, significant contribution there as
15 well.

16 So this slide here is really to compare so,
17 you know, you -- nameplate solar, that's the entire
18 bar, the lighter color, and then what part of that
19 is firm at the time of summer peak. So the darker
20 brown-orange is the part that's counted towards the
21 reserve margin calculation.

22 And you can see, basically by the end of it,
23 about 46 percent, so in 2025, about 46 percent of
24 the nameplate is counted towards the reserve
25 margin, whereas, by 2034, it's about 21 percent of

1 the total nameplate is counted towards the reserve
2 margin.

3 On the next slides here, this kind of
4 illustrates a little bit about what Aaron was
5 saying about the net load. So the orange line on
6 top is the load for this particular day here in
7 May. The purple line is the, basically the net
8 load, so basically reducing the demand by the solar
9 generation. And the blue line would be what we
10 would estimate would be the new net demand by 2033.

11 And so you can see, you know, a considerable
12 shift. And there is three items here to kind of
13 note. The daily peak, if you look in the top right
14 there, is shifted by two hours, maybe two hours and
15 20 minutes, it shifted to the right, where
16 basically the sun begins to set. So that's going
17 to become our new -- the new net peak.

18 And the second item here is, like Aaron was
19 saying, the more solar that's added, the ramping
20 needs increase significantly, right. And so the
21 balancing authorities will need to have on-line
22 spending resources that they can dispatch and to
23 keep up with that ramp. And so that's, I think,
24 what I have got, yeah, on this slide.

25 The next slide, here, now batteries, since

1 this is a new thing with batteries. So firm
2 capacity and battery is slightly different since
3 battery is a storage device. We store -- we are
4 storing energy. So, like, a 400 -- in this example
5 here, the load is that blue line here on the left.
6 If we have a 400-megawatt-hour battery and we want
7 to reduce the peak, or serve 100 megawatts of it
8 for four hours, then that's the entire capacity,
9 but the value attributed to the firm capacity would
10 be 100 megawatts. It will produce 100 megawatts
11 for four hours, so its capacity would be 100 for
12 that, even though the nameplate, maybe it can
13 actually put out 200, but since we need it for four
14 hours, it's shown as 100.

15 Similarly, for the next hundred, you wouldn't
16 be able to -- you know, you can see the curve gets
17 wider and wider, so it takes a lot more energy, in
18 this example, twice as much energy to serve, you
19 know, for the next battery -- sets of battery. So
20 the same battery now can only reduce that peak by
21 50 megawatts because it would need to run for eight
22 hours, right. So it's an energy, and it's based on
23 duration and nameplate value.

24 So each member will determine on their system
25 how much of that battery, if it's going to be used,

1 counted towards reserve margins, how much of that
2 will, of the total nameplate, will be counted
3 towards the reserve margin calculation.

4 So this table, this one is another chart
5 similar to the solar one. This shows the total
6 battery nameplate with the lighter blue. And then
7 the darker blue is the total firm capacity of that
8 nameplate.

9 So you can see that by 2034, it's about half,
10 about 56 percent of the nameplate is being counted
11 towards firm capacity. And so the total additions
12 is about 9,000 megawatts of nameplate battery by
13 2034.

14 And so the battery is really, in operations,
15 the batteries and solar are kind of -- help each
16 other out. They are synergistic. You know, they
17 make -- each one makes the other one kind of more
18 firm, so we have seen a lot of co-locations coming
19 up with solar and battery in the same locations.

20 Okay. So moving on to the gas infrastructure.
21 So, you know, for many years, we have got -- we
22 hire a consultant to help us maintain a
23 comprehensive gas infrastructure model. We get
24 that model updated every year, and this allows the
25 members to identify these periodic studies to

1 examine different infrastructure contingencies and
2 perform studies to see if the expected
3 infrastructure capacity is projected to be adequate
4 based on those forecasts.

5 So, you know, we do have three major pipelines
6 coming into the state of Florida. We have them,
7 you know, kind of in that little map that you see
8 there. But based on these studies, the natural gas
9 infrastructure is on pace to support the generation
10 additions that are in the Ten-Year Site Plan, which
11 is good, and then there is not as many as there was
12 in the past. And, you know, we do have a high
13 dependency on natural gas, like Aaron was saying.

14 One of the things that helps mitigate that is
15 Florida's dual fuel capability for its gas
16 generation -- generating units, right. We are
17 about 54 to 56 percent of that fleet have fuel
18 switching capabilities.

19 Now, we have noted that there is a slight
20 decrease this year, about one percent decrease over
21 last year. So we will be keeping an eye on that,
22 because we -- you know, that is an important metric
23 for us to keep an eye on.

24 The other mitigating thing is that maybe
25 different than a lot of other parts of the country,

1 natural gas in Florida is almost entirely dedicated
2 to the electric industry in Florida, so there is
3 really no competing use, especially in the winter.

4 On the transmission adequacy front, you know,
5 there is reliability standards that are developed
6 by the North American Electric Reliability
7 Coordination that we refer to as NERC, and then
8 they will approve those. And then the Federal
9 Energy Regulatory Commission has final approval for
10 those standards.

11 Those standards really require us to use
12 computer models and software to simulate and test
13 the performance of the electric grid, and we do
14 that every year. And so these are really to kind
15 of give you an idea of the type of scenarios that
16 we study sensitivities. We look at most of the
17 years in the first five years, and then we do
18 representative years in the last five, and we look
19 at peak loads, summer and winter, off-peak loads
20 for summer conditions, and then all those battery
21 of sensitivity scenarios.

22 And then for each of those sensitivity
23 scenarios, we hit them with a battery of
24 contingencies that we call them outage elements,
25 one or two elements at a time and see how the

1 system performs.

2 And so the results of that is really the
3 existing and plant facilities of the transmission
4 system meet the performance criteria that's
5 contained in these NERC reliability standards.

6 In addition to that, and I think Aaron had
7 mentioned it, we do probabilistic assessments that
8 actually look at all 8,760 hours, the entire -- all
9 hours of the year from a resource adequacy
10 perspective.

11 For planned outage coordination, we have
12 pretty extensive coordination with the members.
13 The way this works is that all the members develop
14 their planned generation and transmission outages,
15 you know, they plan it out the timeframes. Then
16 that information gets entered into an FRCC
17 application tool that is shared for all the
18 members. So they all have access to this tool, and
19 they are all entering the data in here.

20 We use the information in this tool, these
21 outages in all our studies. So we look at the --
22 before we actually run any studies, we prepare the
23 models by incorporating any of these planned
24 generation transmission outages, and including the
25 load forecasts. If there is any outages, for

1 example, when we go through this process, I will
2 describe it in a moment here, any conflicts of
3 outages that, they are coordinated ahead of time
4 with the members, and that will involve shifting
5 schedules for maintenance.

6 And so we start off usually with the seasonal
7 studies that have a four- to six-month look ahead.
8 Any, like I said, any conflicts that are showing up
9 in those studies, they will -- the members will
10 resolve. Then we move into -- each week we look 28
11 days ahead, again, including the most recent
12 updated outages, because these -- that's a living
13 database. You know, things come and go and they
14 get updated.

15 We then -- twice a week, we run an eight-day
16 look ahead. And then on the day before, which we
17 call next day, the same thing, outages, the latest
18 are updated into the models, and this one --
19 actually the day ahead is actually into the EMS
20 model and a whole study is run.

21 At any one time, if there is any conflicts,
22 outages before we get to realtime, will not take
23 place if there is a conflict that hasn't been
24 resolved. They just will not take place.

25 Once we get to realtime, we expect, you know,

1 smooth operation when it comes to that. Of course,
2 there will be unplanned outages that may happen
3 from time to time, but then those we would be able
4 to deal with at that time, and not have to worry
5 about a planned outage conflicting.

6 The next slide here is on small modular
7 reactors. So in this Ten-Year Site Plan, there are
8 none. None of the members have included any of
9 those in this Ten-Year Site Plan. We do note that
10 there are several executive orders that came out in
11 May, and they are all targeted to speeding up the
12 nuclear reactor licensing. They have a goal to add
13 300 gigawatts of new U.S. nuclear capacity by 2050.
14 And then within that goal, even more aggressive,
15 they are expecting to have 10 large reactors with
16 complete designs and under construction by 2030.

17 We do know that TVA is one of the first
18 utilities to submit a small modular reactor
19 application. And they expect to go live with 300
20 megawatts by 2032, which is not really that far
21 away, if you think about it.

22 And, you know, as EPRI had just kind of
23 discussed, some of this data center load may drive
24 future SMRs. But currently, in our plan, we only
25 have 700, 720 megawatts of data center load.

1 That's the only one we have right now.

2 So going into the large loads, and this will
3 be my last slide before I turn it over. We do have
4 the 700 one. Obviously, this drives -- you know,
5 the resource mix and large loads, you know, are
6 driving us to do more detailed energy assessments,
7 and we are tooled up to do that, and we have been
8 doing that for a while, and we have the expertise
9 to do that, and we have worked with SERC and NERC
10 on those assessments.

11 One of the key items that's really kind of a
12 risk is the supply chain, permitting delays, and
13 things like that, are impacting, you know, the new
14 generation additions and the transmission
15 construction.

16 And we know SERC has put -- published their
17 risk report, and in there, the engineering
18 committee has identified, you know, significant
19 supply chain risks that are delaying projects, and
20 basically lead times for transformers, breakers,
21 and even some chemicals to run the thermal plants.
22 So there are, you know, a little bit of delays
23 there.

24 We have seen some delays that have been
25 reported being up to two years in getting some

1 generation from when they originally had thought
2 they would be able to build it, it's been delayed
3 about two years.

4 So to that effect, NERC has established the
5 Large Loads Task Force to collaborate with the
6 industry to see if they can identify these risks
7 and then have some mitigation strategies. Some
8 things that they are going to consider as part of
9 the mitigation strategies includes backup
10 generation, demand response or long duration
11 storage. And I think EPRI covered a little bit
12 about that in their presentation. And then the
13 emerging technology, really, it's the small modular
14 reactors is really what's coming up now.

15 Then before -- the key here is also the
16 interconnection requirements are key, right, for
17 these large loads. And the key, the reason for
18 that is because we need to know those
19 characteristics of those loads. How is it going to
20 behave so that we can model them before they are
21 connected to the system, and know how they are
22 going to behave so that we know that we can deal
23 with them.

24 And then finally, the data center life cycle
25 is somewhere between 15 to 20 years. It's kind of

1 cool to keep that in mind.

2 I think, with that, I will go turn it back
3 over to Aaron to finish us off.

4 MR. CASTO: All right. Thank you, Vince.

5 As you have heard in our Ten-Year Site Plan,
6 Florida's grid is going through a relatively rapid
7 transformation from the way we used to do business,
8 it's much more complex. It's much, much more
9 dynamic.

10 So a couple things that we have been doing at
11 FRCC to get positioned for that change, as I
12 mentioned earlier, we have gone to California ISO.
13 They are about the same size of us, but they are
14 way farther in their journey in transformation. So
15 we wanted to get some of that education from those
16 that had been through it and learn what were some
17 of the mistakes, what are some of the things that
18 they did well, and what are some of the key factors
19 for success.

20 We did that at ERCOT as well. That grid is
21 changing rapidly. They are expecting to double
22 their load in five years. So a lot of change on
23 their system as well. So we were able to really
24 tap into their experiences. They spent a lot of
25 time answering, fielding a lot of our questions,

1 and really do appreciate the time that they gave us
2 to really learn, so it was a great experience
3 there.

4 Additionally, recently, on April 28th, Iberian
5 Peninsula did experience a pretty significant
6 system disturbance and outage, thus, created a lot
7 of really data points, real world data points for
8 us. They were at over 70 percent penetration of
9 renewables at the time of that, and NERC, and even
10 EPRI, has been doing a great job of kind of
11 tracking that and looking at the differences here
12 versus there so we can avoid some of those
13 outcomes.

14 What we have got listed here are some of those
15 key items that EPRI has kind of published, and I
16 think they are great for us to reflect on.

17 Again, this is a dynamic system. It's going
18 to require us to have reliable resources, and
19 really the speed is -- that dynamic and speed is
20 something that we have got to plan to a little bit
21 better than we have previously. It's on voltage
22 frequency and dynamic reactive support in general.

23 Additionally, what we are looking at is we
24 have to do much more detailed reliability studies.
25 The studies of picking one peak hour and studying

1 it and making sure we are okay, that's of
2 yesteryear. We have already moved to looking at
3 every hour of the year, looking at some of the
4 probabilistic studies, et cetera, and we still have
5 identified a couple areas that we need to add some
6 new capabilities to keep up with that, new tool
7 sets and even, you know, training folks on some of
8 these new items.

9 So we continue to coordinate that with our
10 members to prepare for that coming grid, some of
11 which is already here.

12 So in conclusion, Florida's grid reliability
13 and future readiness requires us to remain
14 vigilant. We do a good job of coordinating in the
15 state. We have well positioned to support that
16 grid evolution. Really, the backbone is that
17 strong coordination, the joint assessments we do
18 together, and the commitment, the ongoing
19 commitment of our members to focus on those
20 reliable outcomes.

21 The rapid growth we are seeing is really in
22 the solar, batteries and large loads, and it's
23 shifting how we have to plan and operate the
24 system. So there is still -- when you get to those
25 out years where Vince was showing the net load,

1 it's getting closer and closer to zero. It has
2 broad implications of how do you run traditional
3 resources that, if they come off-line, they have to
4 be off-line for 12 hours, et cetera, so a lot more
5 complication there.

6 We do remain vigilant. A lot of the studies
7 that we do, we are going to continue. And what
8 really -- what we are focusing on are the new
9 capability's tool sets needed to understand these
10 new risks, because they are already and will
11 continue to challenge our traditional reliability
12 framework. So we've got to be much more agile and
13 adapt in our planning and operational strategies.

14 I would note, with all that change, I think
15 that the member utilities in the state have done a
16 great job, again, staying focused on what is the
17 outcome we are trying to drive to. And you can see
18 that in our reserve margins that we still see very
19 strong reserve margins, 20 plus percent.

20 Some of our peers in the industry, I think,
21 are envious to that. You know, we go to
22 California, I think they are at 17 percent as their
23 requirement. They think they should go be closer
24 to 22 to 23 percent given how much flexibility, or
25 dynamic and uncertainty they have in their system.

1 So we have stayed well positioned here, and that's
2 pretty much a summary of our presentation.

3 I would be happy to take any questions.

4 CHAIRMAN LA ROSA: Thank you. A lot to digest
5 there, for sure.

6 Commissioners, I am going to start with staff.

7 Staff, any questions?

8 MR. MARQUEZ: Not from us, no.

9 CHAIRMAN LA ROSA: Commissioners?

10 Commissioner Fay, you are recognized.

11 COMMISSIONER FAY: Thank you, Mr. Chairman. I
12 do have some questions.

13 I guess, let me just first start by welcome
14 aboard to Aaron. I know we had Vince here last
15 year, and I got to say, just in general, I think
16 folks who worked on getting you in this seat are
17 very excited about your abilities and what you will
18 be able to do for our state. I know we have a good
19 reputation when it comes to reliability, but I
20 think just the complexity of what you guys have
21 presented today shows that it's really important to
22 have the right people in these seats, and so I
23 appreciate you stepping up to take the role.

24 And I know you haven't been there that long,
25 so I will be mindful of that. Maybe either you or

1 Vince could opine a little bit, I have two
2 questions. The first is just learning more about
3 SERC and kind of their role. How does FRCC kind of
4 work within some coordination with SERC? I know
5 there is some relationship there, I think, like
6 maybe help me better understand kind of how that
7 works.

8 MR. CASTO: Yeah, I think it's a relationship
9 we are going to continue to grow. If you think
10 about an umbrella, NERC covers pretty much the
11 country, really North America, so it goes beyond
12 the U.S. SERC is a region the entity within NERC,
13 and it's mostly the southeast. And they actually
14 are -- have some regulatory oversight on us as
15 well.

16 So we do coordinate with them quite a bit.
17 They help with some of the broader risk assessments
18 that come from NERC to SERC. And then it's,
19 obviously, a little bit different in Florida. If
20 you looked at Illinois, which is in SERC, versus
21 Florida, we have unique reliability concerns here.
22 So we work with them to make sure that we are
23 providing information so they can do their
24 assessments. They are helping us with
25 understanding some the risks, and we are tailoring

1 the needs here in the state for Florida.

2 COMMISSIONER FAY: Okay. And they have some,
3 to your point, some assessment components that work
4 their way up potentially to enforcement, depending
5 on what, I guess, FERC does. FRCC doesn't have any
6 sort of overlapping role in that. Your -- it's
7 much more a coordination role just within the
8 state, is that --

9 MR. CASTO: We do work with them on that. We
10 are assisting them with the data input. So our
11 members provide the input to their assessments. We
12 actually help facilitate some of that. If anybody
13 has worked with that data, it's very nuanced, so we
14 help make sure that they are getting good data for
15 their assessments.

16 Additionally, when they do perform their
17 assessments, we will do kind of a quality control
18 review of that, just to say, hey, this information
19 does or doesn't look correct.

20 And I would say one of the things that we will
21 be working on is emulating more of those analyses.
22 So there is kind of a strong correlation between
23 NERC, SERC and FRCC. So we kind of have that same
24 view all the way through. We understand the data
25 sets, and we are working well with them to make

1 sure we are working in concert.

2 COMMISSIONER FAY: Gotcha. And do they
3 provide some datasets, or is mostly the data you
4 get from the utilities directly?

5 MR. CASTO: It's -- we are kind of balancing
6 that out, but most of it is the member utilities
7 who own the data are providing it. We have started
8 providing a little bit more information to kind of
9 curate and make sure that it is high quality before
10 it goes to them, so it's a kind of symbiotic
11 relationship with them.

12 COMMISSIONER FAY: Okay. Yeah, that makes
13 sense. On the data entry side, you don't want bad
14 data. It's hard to pull that back out, so you are
15 trying to filter --

16 MR. CASTO: And we have had some instances of
17 that that we are working with NERC and SERC to make
18 sure that, you know, we are doing our part to make
19 sure that the analysis and the dataset is valid,
20 you know, all the way up to the top.

21 COMMISSIONER FAY: Okay. Great.

22 And then I know a number of us are involved in
23 both regional and national organizations, where,
24 you know, we are able to discuss energy topics that
25 are occurring in other states, and sometimes, you

1 know, share stories from a regulatory perspective.

2 Do you guys communicate with the other, you
3 know, the other coordinating councils, I guess, and
4 sort of compare notes? And I don't mean this in a
5 critical way to them, but I just -- I feel like we
6 do a really good job as a state, and FRCC has done
7 a good job, that they -- it seems though that some
8 of the other states that have maybe different
9 reserves, different energy generation makeups,
10 either by rolling blackouts, and you hear about
11 these other things that are really impactful to,
12 like, to the customer that then kind of come back
13 on to the regulatory side. So do you work
14 collaborative with them, or do you compare kind of
15 notes as to what you might be doing well, or they
16 might be doing well?

17 MR. CASTO: Yeah. I think there is multiple
18 efforts there. There is obviously some standing
19 touch points. For example, SERC provides that for
20 us. We go to SERC. We have those conversations.
21 We are talking to peers that are, you know, a
22 couple of states away, or we have dependencies on.
23 So we are heavily engaged in that.

24 We are getting more involved in the NERC more
25 national level as well, being a little more

1 deliberative about being involved in that space.

2 And then, you know, from my perspective,
3 nothing beats some of these peer review site
4 visits. You know the person to pick up the phone
5 and talk to, and they have been great. Everybody
6 likes to share what they do and share some of these
7 experiences, so those are invaluable.

8 So we have been trying to be much more
9 deliberate about those engagements and making sure
10 our outreach isn't just contained here within
11 Florida, but we are kind of hitting some of the
12 regional, national, and then some specific peer
13 outreaches that make -- that help us, you know, get
14 better.

15 And we share information back and forth. It's
16 a two-way learning streak, for sure.

17 COMMISSIONER FAY: Yeah, it's been helpful for
18 us. I mean, I have either the fortune or unfortune
19 of being chair of a committee in NARUC. And to
20 that point, I have states come to me all the time
21 and ask, from storm a restoration perspective,
22 like, how does Florida do what they do? They
23 constantly want to know that. And honestly, from
24 economic regulatory perspective, we obviously have
25 an economic role, and there is parts that we

1 intake. But it's, for the most part, the people on
2 the ground who implement those things and the
3 logistics that are beyond complex to get, you know,
4 power back up and running.

5 And so I just think we do a lot of things
6 well. And they are not easy. It's just they are
7 -- I think, from Florida's perspective, customers
8 have an expectation with things like restoration,
9 where they will come back on fairly quick because
10 of sort of what history has shown us. So it's a
11 difficult standard to meet, but I do appreciate
12 what our folks do, because on a national level, we
13 are constantly being recognized for doing that
14 well.

15 I want to talk a little bit about data
16 centers. So on slide 12, you provided a diagram of
17 the planned reserve margins, and showed just kind
18 of the strength of those for both a summer and
19 winter load.

20 There is obviously a ton of dialogue about
21 data centers and states, and, you know, incentive
22 components, where these folks are choosing to go,
23 why they are choosing to go there.

24 Can you just talk a little bit about, from a
25 reliability perspective, if they are -- you know,

1 if there is an appetite to bring in some of these
2 folks. Which I -- you know, I think initially
3 Florida's thought about with these storms. And
4 when you look at the reliability data comparably to
5 other states, it's very good. And so I think that
6 hurdle has been kind of overcome as far as is that
7 where we want to go.

8 But on the reliability side, you know, it's
9 probably a big question of, okay, if those folks
10 come in there and have a certain level of draw on
11 the data centers that they are putting in, how do
12 you guys then adjust -- and you had a little bit in
13 your last slide, kind of, this is going to be a
14 dynamic process, but how do you adjust or advise,
15 you know, big picture, as to if it's implemented in
16 one part of Florida, how will that impact this load
17 distribution?

18 MR. CASTO: I will hit at real high level and
19 see if Vince has something additional to add.

20 In general, we don't make those decisions.
21 The individual utility is making that decision,
22 what makes sense. They have to live up to the
23 contract terms and conditions.

24 What we do is, as it's added, we make sure
25 that the resources that are brought forward and the

1 existing transmission system is planned effectively
2 to accommodate that. So we are kind of that
3 backstop to those decisions.

4 Honestly, it's been relatively recent that we
5 are starting to see this, and Florida has some
6 challenges to check the boxes for those large
7 loads, given that we do have some exposure on
8 hurricanes. And some of it is based upon
9 dependencies on the -- on, like, fiber, you know,
10 so the data channel is there.

11 But primarily, the local utilities are dealing
12 with that, and planning how are they going to
13 handle that. And we will check to make sure,
14 again, that we can maintain reliability once they
15 are interconnected.

16 Vince, did you have anything else to add
17 there?

18 MR. ORDAX: Yeah, so the details of any
19 specific ones would be reflected in our models,
20 right, in our transmission study models, so we will
21 be able to tell if there is enough transmission
22 capability.

23 And on the resource side, obviously, the same
24 thing. The models will tell us if the plan to add
25 these data centers and the plan to expand the

1 generation are going to work together or not. And
2 so it's very important, and I think part of that
3 slide, that the interconnection requirements that
4 are put in place, be a contract, are really
5 specific enough to give us the modeling information
6 that we need so we can study them before they are
7 connected, and to ensure that if there is anything
8 special that needs to be done with those
9 interconnections, that it's done, right, and
10 planned ahead.

11 COMMISSIONER FAY: There is, to your point,
12 some coordination. I understand what Aaron is
13 saying, like, the decision is made in the territory
14 the utility provided, but as far as -- I think you
15 have got a 700-megawatt sort of estimate in your
16 numbers, right, as far as that, that's based on
17 some information for what you were able to run in
18 your models that potentially would come in -- or I
19 guess the data you are given gives you that
20 estimate, is that --

21 MR. ORDAX: Right, the information, and it was
22 pointed out in one of the member's Ten-Year Site
23 Plans, that they did include 720 megawatts, I
24 believe it was. So in our models will be -- there
25 will be a spot where the member will say, hey, this

1 is where the 720-megawatt data center is going to
2 be in our model, right.

3 COMMISSIONER FAY: I gotcha. Okay. So that's
4 kind of the next step --

5 MR. ORDAX: Yes.

6 COMMISSIONER FAY: -- that level of
7 specificity, and then you kind of run your model to
8 say this is maybe viable or not -- if it is going
9 to be viable, this is what you will need.

10 MR. ORDAX: Yeah. And they will do that ahead
11 of time. Obviously, they are not going to put
12 something in the Ten-Year Site Plan that they
13 haven't studied. So they have already studied it.
14 So for us, it will be studying it together as the
15 whole FRCC, and make sure that it's still working
16 are for everybody.

17 COMMISSIONER FAY: Okay. And then just one
18 more question, Mr. Chairman, and then I won't want
19 to take up all their time.

20 You mentioned on slide 24 that there is the
21 life cycle components of a data center, which were
22 15 and 20. I think you were here for EPRI's stuff,
23 and you saw they were kind of shifting some of
24 their models to three to five, you know,
25 structures. And maybe that's more of a replacement

1 than it is full life of, you know, every hardware
2 components. But I guess because of how quick we
3 are seeing some of this movement in the load growth
4 discussion, are you going to see in your model some
5 things like that that might -- I don't want to call
6 them inconsistencies, but maybe things where, like,
7 you just are going to need more information as
8 these things come on-line to understand better how
9 that load will actually be impacted?

10 MR. ORDAX: Yeah. Yeah. And so in every
11 year, we will get updates to our model. And so as
12 the more information and more is known about how
13 these data centers behave, and where they are
14 actually coming in place, our models updated every
15 year. We do these studies, like I mentioned, every
16 year. We repeat them with updated load forecasts,
17 updated generation expansion models. So all of
18 that.

19 Yeah, the 10 to 15 years that I pointed out,
20 it was just an average from the industry. Some of
21 these load centers, depending the type of load
22 centers that they are and what their function is,
23 they may have shorter lifespans, or they may have
24 longer lifespans. But the data center itself can
25 house, right --

1 COMMISSIONER FAY: Right.

2 MR. ORDAX: -- newer equipment. I am not --
3 you know, one thing we think -- we have been
4 thinking is that, you know, the technology improves
5 all the time. So, yes, these chips get faster and
6 faster, but they also can consume less power too.
7 So there might be efficiencies that we don't know
8 about yet going forward, so it may not be an
9 exponential increase. It may just be a regular
10 increase. We don't know that yet.

11 COMMISSIONER FAY: Yeah.

12 MR. ORDAX: We would have to see until we get
13 more data.

14 COMMISSIONER FAY: Yeah, it seems really hard
15 to model that, or predict that based -- I mean, you
16 know, you have historically certain types of large
17 industrial customers and their uses. You have
18 common generation that you are familiar with. I
19 mean, maybe batteries are somewhat new. But other
20 than that, you have these variables that are pretty
21 sound in their numbers and research, and then you
22 throw this load growth in on the data center side.
23 It seems to have a lot of uncertainty to it and,
24 you know, maybe that's -- there is lots of good
25 arguments to bring them to Florida, and I think

1 every state is competing to have them housed there.
2 And, as a country, we are going to be building them
3 everywhere --

4 MR. ORDAX: Yeah.

5 COMMISSIONER FAY: -- but it does seem like
6 maybe some of that data, as it comes forward, will
7 give you a better opportunity to advise as to where
8 that load should be carried and could be moved
9 around to make sure everything works.

10 MR. ORDAX: Yeah, agree.

11 COMMISSIONER FAY: Great.

12 All right. Mr. Chairman, that's all I have.
13 I really do appreciate both of you for taking the
14 time to being here and giving us detailed answers
15 to the questions and just being responsive to our
16 agency, so thank you.

17 CHAIRMAN LA ROSA: Thank you.

18 Commissioners, any further questions?

19 Commissioner Passidomo Smith.

20 COMMISSIONER PASSIDOMO SMITH: Thank you,
21 Mr. Chair. I will be brief.

22 Thank you guys so much for being here. I just
23 kind of wanted to go -- I focus a lot at NARUC on
24 the natural gas side and natural gas planning, and
25 specifically from the perspective of Florida, you

1 have alluded to, you know, that we have just a few
2 pipelines that are coming in, and right now, our
3 generation is highly dependent on the resource.

4 So on, like, page 20, I would just -- if there
5 is other contingency plannings that are reflected
6 in the utility site plans that you have looked at
7 to address fuel supply disruptions, and then any
8 natural gas constraints that could, you know,
9 potential natural gas constraints, those things
10 that you have looked at?

11 I know that you -- that there is one position
12 with the dual fuel capabilities, but if you could
13 just expand upon that, just for my own knowledge.

14 MR. ORDAX: Yeah. Sure. So, yeah, we don't
15 do the same studies every year, and we do pick
16 different, like, loss of entire pipeline, say, for
17 example, Gulf Stream, you know, and how long can we
18 survive, or, you know, how much liquid fuel needs
19 to be replenished. The replenishing of the liquid
20 fuel of anything that's maybe more than four days
21 will be very challenging because it's just the
22 enorm -- the amount of fuel trucks, you probably
23 wouldn't be able to do that.

24 So we are probably, on those catastrophic
25 things, they can probably mitigate quite a bit in

1 the first few days with the liquid. I know some of
2 the members also have out-of-state gas storage that
3 they can bring through. But now that we have three
4 pipelines, ever since they added the Sabal Trail
5 pipeline, that's improved the flexibility, and
6 there a central -- there is a hub where they can
7 interchange gas between the three pipelines there
8 in Central Florida. So I think that's also
9 improved -- minimized our risk.

10 But obviously, I think the highest -- the
11 largest one is the Gulf Stream. It's in the Gulf.
12 If, for some reason, there is damage, the repair
13 time for that would be significant, right. And we
14 do look at compressor station outages. On land
15 it's a little bit different, because you see one
16 line, but it's probably five pipelines, or four
17 pipelines, not all of them are going to go. So
18 it's only -- it's been -- it's usually a reduction
19 in gas, and that can be accommodated with the
20 liquid fuel most of the time, and that can go for a
21 long time.

22 It's really -- the stuff that we have looked
23 at before is the loss of the entire pipeline. And
24 those, we have analyzed those, and depending on
25 when it happens during the year, it can be a pretty

1 significant event.

2 COMMISSIONER PASSIDOMO SMITH: Yeah. Yeah.

3 No, I imagine.

4 And sort of incorporated in that, I know we
5 are seeing a huge influx of residential generators,
6 and then that impact on the natural gas, you know,
7 for our LDCs and stuff, but that obviously takes up
8 a resource. Does that have any impact generally
9 for our reliability long-term?

10 MR. ORDAX: We don't have a lot of visibility
11 into that. It's kind of on the customer side. The
12 ones that I am aware of, they are mostly propane,
13 so they are kind of independent from the gas
14 pipeline. So from that perspective, I think there
15 wouldn't be an impact, right. If there is an
16 outage, their generator will start up. We don't
17 have a way of tracking that in our models at all.

18 COMMISSIONER PASSIDOMO SMITH: Right. No, I
19 know. I think that's been a challenge for both
20 utilities as well, just to know customers that are
21 -- that are, you know, have hooked up because they
22 are using third parties and stuff to do it.

23 Mr. Chair, I just have one question. This is
24 more of, like, a broad-based one about, you know,
25 kind of -- we have sort of talked around it, but I

1 am wondering, like, sort of what you guys think the
2 key economic demographic assumptions that are
3 driving these load forecasts, and, you know, how
4 sensitive are these projections to migration
5 patterns in Florida.

6 MR. ORDAX: So those are mostly -- I mean, we
7 have a pretty strong migration to Florida, so we --
8 the -- all of the forecasts, the members have
9 different database that they use, but they are
10 all -- they are based on the demographics and
11 population growth. That's the biggest driver,
12 right. And if there is any new codes and standards
13 that might provide efficiency in the appliances,
14 and things like that, that's all taken into
15 account.

16 But really, the biggest driver is residential
17 load, and new load that's coming in. That's the
18 biggest driver. We have a little bit of those
19 impacts from EV and distributed energy resources
20 that might shave it off a little bit, that actually
21 reduces the forecast because that load is being
22 served locally.

23 But, yeah, that's the biggest driver, and the
24 economy. So if the economy is good, that's also an
25 input into their load forecasts. But we don't --

1 at the FRCC, we don't do those forecasts. We just
2 aggregate them.

3 COMMISSIONER PASSIDOMO SMITH: Okay. That's
4 all I have. Thank you.

5 CHAIRMAN LA ROSA: Commissioners, any further
6 questions? Excellent.

7 Gentlemen, thank you for your time. Very,
8 obviously, intriguing, but important to what we do,
9 and sometimes the background that's outside the
10 regulatory framework of what we do day-to-day, but
11 certainly important work. Thank you, guys, for
12 coming in today. Always appreciate you guys being
13 here with us.

14 MR. CASTO: Thank you for having us. Thank
15 you.

16 MR. ORDAX: Yeah, appreciate it. Thank you.
17 Have a good day.

18 CHAIRMAN LA ROSA: Thank you.

19 All right. So that concludes our presentation
20 portion of today's meeting. I do know that I want
21 to make some time for public comment. I see Mr.
22 Rehwinkel, you wanted to share some comments. I
23 will go ahead and recognize you, and you can sit in
24 your assigned but not assigned seat, if that makes
25 sense. I saw you on the other side today. Sir,

1 you are recognized.

2 MR. REHWINKEL: Yeah, I mixed it up a little
3 bit today. Thank you, Mr. Chairman.

4 Commissioners and participants, thank you. My
5 name is Charles Rehwinkel, and I am the Deputy
6 Public Counsel from the Office of Public Counsel,
7 or OPC, and I want to do thank -- I do want to
8 thank you for the opportunity to make brief comment
9 on the Ten-Year Site Plan process.

10 Despite my normal role, I am not here to
11 address the merits of any pending proceeding before
12 you. On behalf of the Public Counsel and the OPC,
13 I would like to offer some brief observations and a
14 suggestion to the Commission.

15 We do not often get involved in this process.
16 The Public Counsel is aware that this workshop is
17 more for information sharing and discussion. It
18 does not yield a decision or vote by the Commission
19 to approve the resource plans as filed, as we
20 understand it.

21 Certainly, we recognize that the plans carry
22 some weight in the Commission's determinations
23 about prudence and the agency's determination about
24 future plans and ratemaking. It is because of this
25 latter impact that we are here today to offer these

1 comments.

2 The elephant in the room here, from our
3 perspective, is the potential change before the
4 agency in evaluating the resources needed by
5 utilities to meet future load and the resulting
6 costs to customers. Historically, and at least for
7 the last several decades, the Commission has
8 acknowledged a 20-percent planning reserve margin
9 standard of sorts in evaluating the need for
10 resources when challenged or when it has been
11 required in need determination proceedings under
12 the Power Plant Siting Act.

13 Traditionally, this has involved a comparison
14 of the expected firm peak load compared to the
15 available defined resources. As Tampa Electric
16 explains at page 27 of their Ten-Year Site Plan,
17 the calculation of the minimum 20 percent firm
18 reserve margin employs an industry accepted method
19 of using total available generating capacity and
20 firm purchased power capacity, parentheses,
21 capacity less planned maintenance and solar
22 capacity unavailable at the time of peak demand,
23 close parentheses, and subtracting the annual firm
24 peak load, then dividing by the firm peak load and
25 multiplying by 100. Capacity dedicated to any firm

1 unit or the station power sales at the time of
2 system peak is subtracted from the utility's
3 available capacity.

4 This traditional expression of reserve margin
5 has, since 1999, through a stipulation that applies
6 to all generating electric utilities jurisdictional
7 to this process, has been expressed as a
8 percentage, and the minimum percentage has been
9 accepted as 20 percent for most regulatory
10 purposes.

11 The advent of renewable resources in Florida,
12 primarily in the form of utility-owned solar
13 generation on a typical utility-scale of about 74
14 megawatts, and increased resort to battery
15 resources, has called this method into question
16 here, and other parts of the country. In this
17 undocketed proceeding, we are seeing, for the first
18 time, a proposal to modify the way the concept of
19 reserve margin and resource additions implicate the
20 traditional probabilistic, no more than .1 loss of
21 load event days per year loss of load probability
22 resource adequacy criterion, with a proposed use of
23 a stochastic LOLP method. The Public Counsel
24 recognizes that it is not uncommon for this type of
25 analysis to be used to evaluate the resource

1 adequacy of electric utilities in other parts of
2 the country.

3 It is possible that the SLOLP analysis that I
4 referred to may contribute to certain resource
5 addition choices that may impact the need for
6 resources and increase costs to customers in future
7 years.

8 The Public Counsel has retained a nationally
9 known expert on resource planning who has stated
10 that he conceptually agrees that it may be
11 appropriate for Florida utilities to begin to
12 utilize stochastic LOLP analyses in the future.

13 The proposition I want to offer here today in
14 this ten-year site planning process, is that we
15 urge that the analysis underlying any use of the
16 SLOLP methodology should be correctly implemented,
17 and to further suggest that if used, it should be
18 subject to fully transparent analyses without
19 resort to proprietary models and inputs.

20 We would like to advocate for a robust
21 discussion surrounding whether the SLOLP process is
22 ripe at this point in time for establishing the
23 need for resource additions as expressed in the IOU
24 Ten-Year Site Plans filed with the Commission.

25 In accord with our expert's position, the

1 Public Counsel urge -- opinion, the Public Counsel
2 urges that the Commission refrain from giving any
3 precedential endorsement at this time to the
4 resources of any specific Ten-Year Site Plan, or
5 the methodology offered in support of such
6 resources as to both the level of those resources
7 and the methodology, as they may also be at issue
8 elsewhere. Other formal matters should be resolved
9 as provided by law, and where they are governed by
10 the formal hearing process provisions of Chapter
11 120.

12 In the meantime, the Public Counsel proposes
13 to you that the Commission conduct a workshop and
14 take testimony and input from stakeholders about
15 the appropriate methodology and methodology
16 verification process to be used, if at all, in the
17 resource planning process in Florida as represented
18 by the annual Ten-Year Site Plan process.

19 We believe that this workshop process should
20 provide all generation utility stakeholders a
21 reasonable opportunity prior and during the
22 analysis to provide meaningful input with respect
23 to the assumptions being utilized in any stochastic
24 LOLP analysis process that may be adopted.

25 The workshop that we would propose should also

1 involve coordination with all utilities
2 jurisdictional to the Commission to -- or I should
3 say all generation utilities jurisdictional to the
4 Commission to help ensure that a consistent
5 approach is used for stochastic LOLP analysis in
6 Florida.

7 In this naissant part of a potential
8 transition to a probabilistic determination of the
9 appropriate resource addition threshold, the Public
10 Counsel further recommends that the Commission and
11 its staff consider undertaking to review any
12 proposed new resource planning methodology by any
13 juris -- that any jurisdictional IOU proposes
14 through the use of an independent third-party not
15 affiliated with either the utility or the
16 contractor who performed -- might have performed
17 the analysis on behalf of the utility.

18 That's a bit of a mouthful, Mr. Chairman and
19 Commissioners, but I wanted to put it on the record
20 that we are asking you to at least consider
21 seriously a process where we can look at this more
22 holistically, gather input from all stakeholders so
23 that the planning that you have heard about here
24 today is consistent and fair to all.

25 Thank you, and I am here to answer any

1 questions.

2 CHAIRMAN LA ROSA: Awesome. Understood the
3 suggestions.

4 Commissioners, questions? Excellent.

5 Thank you. Very much appreciate it.

6 Is there anyone else here from the public that
7 would like to speak? Seeing none, staff, any
8 further business before us?

9 MR. MARQUEZ: Mr. Chairman, staff would like
10 to note that, as detailed in the notice, interested
11 persons may file written comments until October
12 7th, 2025, with the Commission Clerk by 5:00 p.m.

13 CHAIRMAN LA ROSA: Excellent. Thank you.

14 Commissioners, any further business? I know
15 it's been a long day. Seeing no further business
16 before us, gentlemen, again, thank you. Thank you
17 all that have participated, and no -- nothing
18 before us, this meeting is adjourned.

19 Thank you.

20 (Proceedings concluded.)

21


22

23

24

25

1 CERTIFICATE OF REPORTER

2 STATE OF FLORIDA)
3 COUNTY OF LEON)
45 I, DEBRA KRICK, Court Reporter, do hereby
6 certify that the foregoing proceeding was heard at the
7 time and place herein stated.8 IT IS FURTHER CERTIFIED that I
9 stenographically reported the said proceedings; that the
10 same has been transcribed under my direct supervision;
11 and that this transcript constitutes a true
12 transcription of my notes of said proceedings.13 I FURTHER CERTIFY that I am not a relative,
14 employee, attorney or counsel of any of the parties, nor
15 am I a relative or employee of any of the parties'
16 attorney or counsel connected with the action, nor am I
17 financially interested in the action.18 DATED this 26th day of September, 2025.
19
20
2122 
23 DEBRA R. KRICK
24 NOTARY PUBLIC
25 COMMISSION #HH575054
EXPIRES AUGUST 13, 2028